

**Official Transcript of Proceedings**  
**NUCLEAR REGULATORY COMMISSION**

Title: Advisory Committee on Reactor Safeguards

Docket Number: (n/a)

Location: teleconference

Date: Tuesday, November 30, 2021

Work Order No.: NRC-1775

Pages 1-106

**NEAL R. GROSS AND CO., INC.**  
**Court Reporters and Transcribers**  
**1716 14th Street, N.W., Suite 200**  
**Washington, D.C. 20009**  
**(202) 234-4433**

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23

DISCLAIMER

UNITED STATES NUCLEAR REGULATORY COMMISSION'S  
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

The contents of this transcript of the proceeding of the United States Nuclear Regulatory Commission Advisory Committee on Reactor Safeguards, as reported herein, is a record of the discussions recorded at the meeting.

This transcript has not been reviewed, corrected, and edited, and it may contain inaccuracies.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION

+ + + + +

691ST MEETING

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

(ACRS)

+ + + + +

TUESDAY

NOVEMBER 30, 2021

+ + + + +

The Advisory Committee met at the Nuclear  
Regulatory Commission, Two White Flint North, Room  
T2B1, 11545 Rockville Pike, at 8:30 a.m., Matthew W.  
Sunseri, Chairman, presiding.

COMMITTEE MEMBERS:

MATTHEW W. SUNSERI, Chairman

JOY L. REMPE, Vice Chairman

RONALD G. BALLINGER, Member

VICKI M. BIER, Member

DENNIS BLEY, Member

CHARLES H. BROWN, JR., Member

GREGORY H. HALNON, Member

VESNA B. DIMITRIJEVIC, Member\*

DAVID PETTI, Member

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

ACRS CONSULTANT:

STEPHEN SCHULTZ

DESIGNATED FEDERAL OFFICIAL:

WEIDONG WANG

CHRISTOPHER BROWN

\*Present via teleconference

## P R O C E E D I N G S

1:00 p.m.

CHAIRMAN SUNSERI: Okay. It is 1:00 o'clock. We will reconvene the ACRS meeting for today. Our next topic on the agenda is Draft Guide 5061, Revision 1, cyber security programs for nuclear power reactors. At this point, I will turn it over to Member Brown for any comments before getting into presentations.

MEMBER BROWN: Okay. We have Jim Beardsley and Jeanne Johnston here with us in person to help answer questions. Kim, I'm going to get this right, Lawson --

MR. BEARDSLEY: Jenkins.

MEMBER BROWN: -- Jenkins. I'm sorry. Are you on?

MS. LAWSON-JENKINS: Yes, I am. I am on the call. Thank you.

MEMBER BROWN: I apologize for that. I'm going to let them make some introductory remarks. You may remember we have one subcommittee that all the people present here for this presentation are the same ones. So we'll have some continuity.

And I think everybody but Walt, you weren't at our October meeting, were you? Okay. So

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 most of the slides, we asked them to pay attention to  
2 the important slides, not just the little ones. And  
3 so we cut the slide deck, I think, from 43 or 44 or  
4 49, whatever it was, down to, what, 20?

5 MR. BEARDSLEY: Twenty-eight.

6 MEMBER BROWN: Twenty-eight. So we ought  
7 to be able to fit in okay.

8 MEMBER BROWN: And Jim and Jeanne, I will  
9 open it up to you for you to all to make opening  
10 comments.

11 MR. BEARDSLEY: Thank you very much. And  
12 thank you for the opportunity to brief the full  
13 committee on our updates to Regulatory Guide 5.71 or  
14 Draft Guide 5065 --

15 MEMBER BROWN: 5061, Rev. 1.

16 MR. BEARDSLEY: -- Rev. 1. The staff  
17 recognizes that there have been concerns raised  
18 relative to the safety and security regulation and the  
19 coordination thereof. The staff does not believe that  
20 there is a gap in this area. And we've invited a  
21 colleague, Jeanne, from NRR, Division of Engineering,  
22 to join us today and help describe how our two  
23 organizations work together to ensure the safety and  
24 security objectives are met.

25 In July 2021, the staff provided the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 digital INC subcommittee and update brief on the  
2 entire cyber security oversight program. In October,  
3 we followed that brief with a detailed brief on  
4 Revision 1, Regulatory Guide 5.71. And a shorter  
5 version of that presentation will be used today.  
6 Excuse me.

7           Since 2012, the operating nuclear power  
8 reactor licensees have implemented their full cyber  
9 security programs. The NRC has implemented an  
10 oversight program of the licensees' cyber security  
11 implementation. Each cyber security program has been  
12 inspected at least two times since 2013 and found to  
13 be effective.

14           Revision 1, Regulatory Guide 5.71 does not  
15 change the staff's position on the cyber security  
16 program implementation for nuclear power plants. The  
17 revision includes guidance clarification based on  
18 lessons learned from program implementation and our  
19 oversight inspections, reference to updated  
20 international and NIST standards -- National Institute  
21 of Standards standards. And it reflects one new NRC  
22 regulations, 10 Code of Federal Regulations 73.77,  
23 cyber security event notification rule, which was  
24 implemented following the initial publishing of  
25 Regulatory Guide 5.71.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1           Following the Executive Director of  
2           Operations direction to staff based on concerns raised  
3           by the ACRS' March 2021 letter, cyber security staff  
4           incorporated one change into Regulatory Guide 5.71  
5           into one of the technical security controls. And Ms.  
6           Lawson-Jenkins will address that change in her  
7           presentation. As part of our coordination efforts,  
8           the ancillary staff are -- excuse me, are  
9           participating in pre-application discussions for  
10          digital INC upgrades and pre-application discussions  
11          with new licensees and also the ancillary staff,  
12          support vendor and regional oversight inspections, or  
13          digital INC upgrades, factory acceptance testing, and  
14          site acceptance testing. At this point, I'll turn it  
15          over to Jeanne to speak to NRR's perspective.

16                   MEMBER HALNON: One quick question.

17                   MR. BEARDSLEY: Oh, yes.

18                   MEMBER HALNON: You mentioned that the  
19          programs are found to be effective.

20                   MR. BEARDSLEY: Yes.

21                   MEMBER HALNON: When you say effective,  
22          did you mean that you were able to inspect whether the  
23          cyber program actually repelled an attack or something  
24          to that effect? Or is it just in compliance?

25                   MR. BEARDSLEY: So the cyber security plan

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 is a license condition for each licensee. So it's  
2 part of their license requirement. And what we've  
3 done is it's primarily compliance because we have not  
4 had -- we don't have a method to test -- actually test  
5 them.

6 But as part of the instructions, we do  
7 look at the configurations they've used or the  
8 hardware they use for protection. We've gone very  
9 deep into those inspections. Between the two  
10 inspections, there was over four weeks of actual  
11 inspection activity, and so that's a lot of effort we  
12 put in to verify that they understand the requirements  
13 and they've implemented them.

14 MEMBER HALNON: No elevated findings or  
15 did you have some?

16 MR. BEARDSLEY: At this time, we have no  
17 findings greater than green.

18 MEMBER HALNON: No greater than --

19 MR. BEARDSLEY: There is one potential  
20 finding that is being adjudicated and it has not been  
21 closed out yet. But over the course of all those  
22 years -- and I can't remember. There's something like  
23 150 inspections. We have found nothing is greater  
24 than green.

25 MEMBER HALNON: I just want to distinguish

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 between when you say the security, the physical  
2 security is actually what's after force on force and  
3 actually tested the defenses as opposed to cyber. You  
4 don't really have testing, a way to test it at this  
5 point.

6 MR. BEARDSLEY: We don't have a way to  
7 test it similar to the force on force.

8 MEMBER HALNON: Okay. Thanks.

9 MEMBER BLEY: I'm just a little curious.  
10 When we first started looking at this with you, we had  
11 a lot of discussion about how one defines -- is the  
12 right term essential cyber assets or it's a different  
13 --

14 MR. BEARDSLEY: Critical digital assets.

15 MEMBER BLEY: Critical digital assets.

16 MR. BEARDSLEY: Yes.

17 MEMBER BLEY: And it was -- looked like a  
18 massive job. And I know you made changes to make that  
19 more directly useable. When you do those inspections,  
20 is a lot of that inspection time aimed at seeing how  
21 well defined those critical digital assets are?

22 MR. BEARDSLEY: So one of the things we  
23 looked at very closely in the first inspection program  
24 between 2013 and 2015 was the process the licensee  
25 used for defining which digital assets were critical

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 digital assets. Once we inspected that, we had a  
2 level of assurance -- reasonable assurance that they  
3 had a process in place that was effective. Then we  
4 went in for a second set of inspections between 2017  
5 to 2021. We actually looked at the change control  
6 process they use for adding or deleting critical  
7 digital assets or reclassifying them and found that to  
8 be within reasonable assurance to be adequate as well.

9 MEMBER BLEY: I'm just curious. Did a lot  
10 of people make changes?

11 MR. BEARDSLEY: Many of them did make  
12 changes, and they were primarily to be -- so what we  
13 did was we approved guidance for them to use a graded  
14 approach to those digital assets that were less -- had  
15 less of a risk. And so yes, we did look at that, and  
16 many of them did make changes. And we believe that  
17 there'll be further changes made prior to our new  
18 inspection program that'll start next year.

19 MEMBER BLEY: Next year? Okay. Thank  
20 you.

21 MEMBER BALLINGER: You said that you had  
22 over, what, 150 inspections?

23 MR. BEARDSLEY: It's more than that.

24 MEMBER BALLINGER: Okay. More than that.

25 A lot?

1 MR. BEARDSLEY: Yeah, yeah, yeah. But  
2 that's --

3 (Simultaneous speaking.)

4 MEMBER BALLINGER: No higher than green?

5 MR. BEARDSLEY: No findings greater than  
6 green at this time. As I said, there is one finding  
7 that is currently under adjudication by one of the  
8 regions that could be greater than green. But other  
9 than that, no.

10 MEMBER BALLINGER: But how many greens?

11 MR. BEARDSLEY: There were a number of  
12 greens.

13 MEMBER BALLINGER: Was there a pattern in  
14 the number of greens? In other words, this particular  
15 issue was common among the green findings.

16 MR. BEARDSLEY: So what we found was over  
17 time there were some repeat findings. But industry  
18 using their operating experience program had to  
19 educate themselves. And we, through public meetings,  
20 had to explain, hey, this is an area that we think  
21 industry needs to work on.

22 And so they would correct those. And we  
23 don't want to look at the same thing in every  
24 inspection. So we would change our focus as we went  
25 through. But industry did learn and did improve

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 performance over the course of the inspection program.

2 MEMBER BLEY: Correct me. But I think  
3 what Ron was getting at is, did you see not at one  
4 plant the same things repeating but was some area that  
5 repeated a lot across --

6 (Simultaneous speaking.)

7 MR. BEARDSLEY: We did. We did see areas  
8 that were repeated across multiple inspections. But  
9 industry learned those lessons and put the corrections  
10 in place. So latter inspections, to a great extent,  
11 they had made corrections. And we did not find those  
12 same --

13 (Simultaneous speaking.)

14 MEMBER BALLINGER: Multiple inspections at  
15 multiple plants?

16 MR. BEARDSLEY: Correct, yes.

17 (Simultaneous speaking.)

18 MR. BEARDSLEY: Multiple inspections at  
19 multiple plants.

20 MR. BEARDSLEY: Correct, yes.

21 (Simultaneous speaking.)

22 MR. BEARDSLEY: Multiple inspections at  
23 multiple plants.

24 MEMBER HALNON: -- kiosk were common for  
25 a while. And so --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 MR. BEARDSLEY: Right.

2 MEMBER HALNON: -- that issue got  
3 resolved.

4 MR. BEARDSLEY: Yeah.

5 MEMBER HALNON: And a couple of other  
6 issues --

7 MR. BEARDSLEY: Correct.

8 MEMBER HALNON: -- stayed -- until NEI  
9 engaged and there was a meeting of the minds. And so  
10 there were some things. But like, you're right. They  
11 kind of decreased as time went on.

12 MR. BEARDSLEY: Right. For the kiosk, we  
13 actually had a series of meetings with industry to  
14 come to terms with what the requirements were. The  
15 majority of those issues that you identified is  
16 corrected through industry operating experience. They  
17 would just share the experience across industry and  
18 make the appropriate corrections. And we would not  
19 find those same issues.

20 MEMBER BALLINGER: So you really don't  
21 have any repeat offenders?

22 MR. BEARDSLEY: It's hard to characterize  
23 industry as a whole. Some licensees would pick up on  
24 operating experience. Some of them might now. So a  
25 year later, we'd see something we saw before and we'd

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 a new finding. So I can't speak to industry as  
2 overall. But in general, the trend we saw was  
3 improvement over the course of the inspection. Okay?  
4 Jeanne?

5 MS. JOHNSTON: Okay. Thanks, Jim.

6 (Simultaneous speaking.)

7 MS. JOHNSTON: Thank you. Thank you, Jim.  
8 My name is Jeanne Johnston. I'm the Branch Chief of  
9 the Long-term Operations and Modernization branch at  
10 NRR. My branch has responsibility for guidance  
11 development, for instrumentation controls, and  
12 electrical areas that support modernization. So  
13 primarily, this includes the increase of digital  
14 modernization projects that we expect for control and  
15 protection systems at nuclear power plants.

16 As Jim mentioned, headquarters staff from  
17 NRR and NSIR continue to closely coordinate on issues  
18 that are related to safety and security. And we do  
19 this coordination with the regions. So examples  
20 include our implementation of an alternate review  
21 process for digital modernization license amendments  
22 and implementing that and licensing and inspection  
23 activities for digital modifications.

24 We understand the concerns that were  
25 previously conveyed by the ACRS regarding

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 unidirectional communications from higher to lower  
2 safety systems. And we plan to communicate  
3 expectations and best practices to our stakeholders in  
4 upcoming public interactions. To mention, there is a  
5 public meeting that will likely be held in the January  
6 time frame on our guidance development where we will  
7 seek stakeholder input on prioritization.

8 There's also -- we're planning also on  
9 having a lessons learned workshop in the March time  
10 frame to discuss lessons learned from digital  
11 modernization and applying the alternate review  
12 process in licensing and in section activities. You  
13 may know that the NRC recently approved a digital  
14 modification at Waterford to updated their core  
15 protection calculator. That is the first use of the  
16 alternate review process for digital modification.

17 And we expect more applications next year  
18 to use that process. The clarifications that we  
19 expect to convey will emphasize the design option that  
20 is available to vendors and applications to implement  
21 a hardware-based unidirectional communication between  
22 systems of different safety significance. The staff  
23 recently updated the ACRS subcommittee on --

24 (Simultaneous speaking.)

25 MEMBER BROWN: Could you back and repeat

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 that again?

2 MS. JOHNSTON: Sure. So -- okay.

3 MEMBER BROWN: Just pick it up. Pick it  
4 up.

5 MS. JOHNSTON: Okay, okay. I'll try to  
6 project.

7 MEMBER BROWN: That's it.

8 MS. JOHNSTON: Okay.

9 MEMBER BROWN: Thank you.

10 MS. JOHNSTON: So we were given direction  
11 from the EDO that stemmed from the ACRS feedback that  
12 we got from the March letter from Chairman Sunseri.  
13 And as you know, the Chairman tasked the EEO to create  
14 a task force to look into the concerns that were  
15 raised regarding unidirectional communications when  
16 they go from higher safety significance to then lower  
17 safety significance systems. The independent task  
18 force recommendations were given to the staff as the  
19 direction from the EEO to implement clarifications.

20 So one clarification, as Jim mentioned, is  
21 included in Reg Guide 5.71 which you're going to hear  
22 about today. The other clarifications are going to be  
23 in other guidance documents which my branch would have  
24 responsibility over, and primarily Reg Guide 1.152,  
25 which will be updated not for another year or so, and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 Branch Technical Position BTP 7-19. So the BTP 7-19  
2 guidance is for the SRP. It's staff guidance.  
3 Revision 8 was completed earlier this year. So due to  
4 resources and prioritization, we aren't planning on  
5 updating those documents in the near term.

6 But before we memorialize the guidance  
7 updates, we are going to communicate our expectations  
8 during public workshops, public meetings where we  
9 engage stakeholders and talk about expectations for  
10 licensing amendments for additional modification  
11 projects. And the two workshops that I mentioned, one  
12 would be in the January time frame to talk about our  
13 guidance development infrastructure improvements. And  
14 the other one is a lessons learned workshop for  
15 digital modification, licensing, and inspection items.  
16 And that would be in the March time frame.

17 MEMBER BLEY: Thanks. It might not be  
18 fair to put you on the spot.

19 MS. JOHNSTON: Sure.

20 MEMBER BLEY: But to the best of my  
21 knowledge, the staff hasn't sent a response back to us  
22 on that letter. Do you have any --

23 MS. JOHNSTON: Yes. Okay, that --

24 MEMBER BLEY: -- knowledge about that?

25 MS. JOHNSTON: That is correct. So the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 letter was not addressed to us. Are you referring to  
2 the Chairman's letter, the ACRS --

3 (Simultaneous speaking.)

4 MEMBER BLEY: I am.

5 MS. JOHNSTON: -- letter to the Chairman?  
6 Okay. That was addressed to the Chairman. So it  
7 never came down to the staff to get a response.

8 MEMBER BLEY: Okay. We often get  
9 responses from the staff on letters we write to the  
10 Chairman. But that's all right.

11 MS. JOHNSTON: Oh, okay. Well, we can  
12 certainly -- if that is what is expected, we can  
13 certainly do that. It just was never --

14 MEMBER BLEY: We'd like -- we've been  
15 looking for something clear that says where you're  
16 headed.

17 MS. JOHNSTON: Okay.

18 MEMBER BLEY: We've looked at the things  
19 you've sent back to the Commission and EDOs  
20 promulgated. But --

21 MS. JOHNSTON: Sure.

22 MEMBER BLEY: -- something directed at us,  
23 I think, Charlie, don't you? We'd like to --

24 (Simultaneous speaking.)

25 MEMBER BROWN: The issue is coming down to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 the point where BTP 7-19 was kind of the kickoff. If  
2 you go back to about two years, one of the earlier  
3 reviews of 7-19 and then November of '19 --

4 MS. JOHNSTON: Sure.

5 MEMBER BROWN: -- when we commented. And  
6 then we had the follow-up. We requested something.  
7 And then you all didn't agree with us with that. So  
8 you went ahead and issued Revision 8 --

9 MS. JOHNSTON: Right.

10 MEMBER BROWN: -- without anything at all.  
11 So right now, there are no technical documents at all,  
12 neither the standard review plan, 7-19, defense-in-  
13 depth, which is a pretty critical review document for  
14 all the new applications. And Reg Guide 1.152 is not  
15 specific on this area at all.

16 I'm not being critical. I'm just stating,  
17 even rev 3 which you have incorporated into the new  
18 Reg Guide. It doesn't have any particular direction  
19 relative to this.

20 And so right now, the only document that's  
21 anywhere to provide what I call NRC documented  
22 comments, not public workshops, not notes, lessons  
23 learned, conferences, all that kind of stuff, that's  
24 nice which it's a good thing to do. But it doesn't  
25 provide what is expected. And just talking about it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 in a public meeting or in a -- I mean, it's a personal  
2 opinion.

3 MS. JOHNSTON: Sure.

4 MEMBER BROWN: Okay. It's good. At least  
5 the applicants and the licensees know what you guys  
6 are thinking, but yet it's not written down formally.  
7 So I mean, it's -- we've managed at least in the new  
8 advanced reactor -- advanced reactor design review  
9 guide actually addresses this issue very pointedly  
10 with the exact kind of similar type words we would  
11 have liked to have seen in 7-19. We would have liked  
12 to have had a nice new design review guide as part of  
13 the standard review plan development. But that's a  
14 big conflagration of the whole thing being looked at.  
15 So it's going to be quite a while.

16 MS. JOHNSTON: Right.

17 MEMBER BROWN: So the difficulty is  
18 there's no -- nothing written down that says, hey,  
19 this is really what our expectations are via either a  
20 regulatory guide or a branch technical position or  
21 even an ISG. ISG-6 talks about architectures, even in  
22 the alternate review process. You've got to develop  
23 an architecture similar to what we did for the new  
24 plant designs.

25 And then it's got a bunch of other stuff

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 that makes a little bit easier for them to get through  
2 the alternate review process. So that, to me -- and  
3 this is, again, my personal opinion. You've heard it  
4 from me before is there's a gap in my own mind at  
5 ensuring that in the design space five or six years  
6 separated from a COL type space when you all do the  
7 cyber or when Jim does the cyber stuff. What do the  
8 designers do when we're doing a design review? For  
9 instance, we've got Limerick and Turkey Point --

10 MS. JOHNSTON: That's right.

11 MEMBER BROWN: -- coming up. And as you  
12 might expect based on at least from my view point  
13 we're going to look at those what they propose. And  
14 if we don't see a unidirectional hardware-based not  
15 configured by software, in other words, a data diode,  
16 if you call those synonymous, we'll be making a  
17 comment. Or at least I will be recommending that we  
18 make a comment.

19 Excuse me. I want to make sure I phrase  
20 this properly. So that's not the right way to do it.  
21 I mean, it ought to be recognized that there's a  
22 difference between when we had the analog world all  
23 you needed was the physical access security.

24 But once you introduce the new path,  
25 control of access or electronic access and what you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 call an attack path I guess was what the NSER  
2 (phonetic) calls it. Did I get that right, attack  
3 pathway? Now you had to have some electronic.

4 Designers have to do something. They've  
5 got to send data out because you got to go tell the  
6 pumps to start and the valves to open and send data  
7 off to the control room. How do they do that? You  
8 can't wait five years.

9 Having a little bit of humor in this  
10 thing, you can't deliver a set of cabinets with  
11 fiberoptic cables hanging out the bottom. They got to  
12 have a transmission device hooked up to them  
13 someplace. And when we make comments to do that, you  
14 get pushback because that's cyber.

15 And I think that's not the right way to do  
16 it. That's a personal opinion. The designers have to  
17 -- in the design space, they have to be able to do  
18 that. And it's not in any of the design documents  
19 other than the advanced lightwater design review guide  
20 right now.

21 But that's the fundamental for us. I went  
22 back through rev 0 that we did. I wrote the letter on  
23 that ten years ago and also reviewed it line by line.  
24 And I compared it to the new rev 1.

25 And fundamentally, that's all the changes

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 you made, highlighted them. I don't have any real  
2 disagreements with what you all did with a few  
3 exceptions. Those exceptions revolve around how do we  
4 differentiate the cyber world from those systems that  
5 can't have any -- they can't have virus systems.

6 They can't have detection mitigation  
7 systems in them. We can't do that. It'll destroy the  
8 control functions if you do that. It just doesn't  
9 work. So they're sitting there naked.

10 So the only way you can protect them from  
11 other than the implant, the insider threat is via the  
12 unidirectional device. And there's no place else and  
13 it's not separated, even in the one section that you  
14 all address. And I don't have the paragraph in here.

15 You made the comment that if the  
16 application or the licensees decide to review -- to  
17 use -- to do a cyber review during -- and I'm getting  
18 the words a little bit. But it talks about a cyber  
19 review during the design process to implement those.  
20 That implies they're doing a cyber review.

21 They're not. They're doing a design  
22 review. And they're not to commit to doing a cyber  
23 review as part of the design process. So there's a  
24 little disconnect on how that's worded.

25 So that's a separation of how do you get

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 the design people freed up to do the design as they  
2 ought to be able to do. And if they don't do it right  
3 when they get to cyber end of the business, fine. But  
4 we know it's not going to happen that way if you  
5 implement these.

6 So that's -- from my standpoint, that's  
7 what I've been trying to get discussed and get some  
8 action taken. This is the only document going out in  
9 the next few years frankly. And all I was looking for  
10 was something more than the one sentence in Section  
11 331 which talked about technical security controls.

12 You did a good job on some others. You  
13 talked about when you wanted unidirectional, it ought  
14 to be hardware-based, et cetera. That's up ahead of  
15 the big -- the defensive architecture diagram. That  
16 was expanded, and that was good.

17 So there's a couple more changes like that  
18 that you all introduced. But we don't get to the  
19 point where we say, there's a world that has no virus  
20 detection and mitigation systems. And those methods  
21 we use here in 527-1 are suitable because I think they  
22 are for application in their design world.

23 And then they can be reviewed later if  
24 there's some other aspects that come up. That's the  
25 disconnect I see. And other than that, I was pretty

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 satisfied with rev 1.

2 You can argue about the length of the  
3 appendices and ginormous amount of paperwork that goes  
4 along with it. But I think Appendix B is the primary  
5 technical part of it. A and C are more management.

6 And I had another word and I promptly --  
7 my 80-year-old brain just forgot it. Administrative,  
8 tells you how to lay out the paperwork process and  
9 programming and teams to review and all that, but not  
10 the technical aspects. Yeah, thank you. Very good.  
11 Yeah, Appendix B.

12 But you don't want to put this other  
13 information about separation of stuff that doesn't  
14 have any capability to put cyber detection, virus  
15 detection and mitigation software in. That's the  
16 wrong place. That's where you're actually doing  
17 stuff.

18 It's put in the applicability paragraph.  
19 And there's another paragraph a little bit later where  
20 the allowance for -- or recognition, excuse me. That  
21 the methods that you use here, you don't have to be in  
22 a cyber review.

23 You can use them and not complete a cyber  
24 review. Use them as necessary to make your design  
25 work. And that's where the disconnect is because

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 right now the applicability says when you're doing a  
2 7354, bang, and everything else follows. There is no  
3 differentiation.

4 So a second paragraph that says, hey,  
5 there are systems -- safety systems and others,  
6 control systems where you can't have the virus  
7 protection and mitigation systems. And those have to  
8 be accounted for during the design process, not wait  
9 for the COL cyber review process years later. So all  
10 I've been trying to drive for is trying to get that  
11 recognition up in the front of these and the  
12 applicability and down in part of the discussion  
13 section.

14 And there's a few other pieces. Like,  
15 there's no data diode to find. You talk about a data  
16 diode, but you don't really say it's a unidirectional  
17 hardware-based not configured by software. It's a  
18 definition issue. Those are small potatoes.

19 MS. JOHNSTON: Right. So --

20 MEMBER BROWN: And you use one way then.  
21 So anyway, the point being is that's what I've been  
22 trying to emphasize in our meetings.

23 MS. JOHNSTON: Understood.

24 CHAIRMAN SUNSERI: And we recognize that  
25 you may not be in a position to address this right

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 now. We wrote to the Commission. They passed it to  
2 the EDO. We need to hear back from the EDO's office  
3 really.

4 MS. JOHNSTON: Okay.

5 CHAIRMAN SUNSERI: But you have influence  
6 on that. So thank you for being a good listener. And  
7 the messenger here, we don't intend to shoot you.

8 MEMBER BROWN: Oh, no.

9 (Simultaneous speaking.)

10 CHAIRMAN SUNSERI: No, no. I know. It  
11 didn't come out that way. But I want ask --

12 MS. JOHNSTON: No, no, no.

13 CHAIRMAN SUNSERI: -- do you have a --

14 MEMBER BROWN: Start shooting those  
15 arrows.

16 CHAIRMAN SUNSERI: -- do you have a  
17 presentation?

18 MR. BEARDSLEY: We do.

19 CHAIRMAN SUNSERI: Okay. Well, maybe we  
20 can get into the presentation and some of this will  
21 all weave in. Okay?

22 MS. JOHNSTON: Okay. If I could, though,  
23 just to respond briefly to your concerns, Member  
24 Brown, I don't disagree with the underlying concern  
25 that you're raising that unidirectional hardware-based

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 is a good thing to implement. The problem that we  
2 came up with was we didn't see a clear regulatory  
3 requirement to dictate that as a need. It is a good  
4 practice and --

5 MEMBER BROWN: Well, let me interrupt you  
6 then.

7 MS. JOHNSTON: Okay.

8 MEMBER BROWN: How can you live with a  
9 bidirectional software controlled data transmission  
10 device out of a protection system out to the rest of  
11 the systems if there's not a safety need? That's  
12 hackable right away.

13 MS. JOHNSTON: Well, what's on the other  
14 side, though? Is it --

15 MEMBER BROWN: What do you mean on the  
16 other side?

17 MS. JOHNSTON: What's on the other side of  
18 that connection? Like, it could be another secure  
19 computer or --

20 (Simultaneous speaking.)

21 MEMBER BROWN: Let me answer. I agree  
22 with you. However, it goes to a control system for  
23 starting a pump. Sometimes hacks into the starting of  
24 the pump and it has a virus in it. Now it's got a  
25 direct path into the reactor.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 MS. JOHNSTON: Okay. So --

2 MEMBER BROWN: So you can't -- every  
3 system is within that boundary.

4 MS. JOHNSTON: Right. So --

5 MEMBER BROWN: It's affected. When you  
6 send it out of the reactor protection system to a  
7 control system, it starts safeguards, rods in, scram  
8 them, whatever. If that is insecure --

9 MS. JOHNSTON: Right.

10 MEMBER BROWN: -- then you've got to  
11 direct that. That's why --

12 MS. JOHNSTON: Agree that there's a  
13 vulnerability there in that case. What I was trying  
14 to convey was we couldn't tie that -- what you were  
15 suggesting to a regulatory requirement and make it a  
16 clear design requirement. However, it is a best  
17 practice and it would help eliminate potential  
18 failures.

19 And we would review upcoming applications  
20 to make sure that they meet the single failure  
21 criterion. In addition, I understand -- I'm not an  
22 authority on this at all. But I understand industry  
23 is standardizing their design process, using an EPRI  
24 document called the digital engineering guide.

25 And that process, as I understand it,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 would take all of the requirements. So our safety  
2 requirements and cyber security requirements at the  
3 forefront of the design process and take that into  
4 consideration. So really the onus is on the industry  
5 to design and vendors to design secure systems. We  
6 are seeking to clarify our guidance, clarify our  
7 expectations, and memorialized the lessons learned and  
8 improvements over time. So that's what we are  
9 planning on doing with the planned revisions to Reg  
10 Guide 1.152, the BTP 7-19, and 5.71 which is today's  
11 meeting.

12 MEMBER BLEY: Well, I hope the industry  
13 guidance makes this very clear. I think where we're  
14 coming from is you step outside of the nuclear  
15 business and you look across business applications,  
16 other engineering applications, automobile, trucks,  
17 ship vendors, railroads, and look at the incidents  
18 that have occurred. You don't have to be very  
19 creative to see that no matter how good you think  
20 software control is, somebody can break through it.  
21 And it's happened over and over and over again.  
22 That's kind of what's driving some of us anyway.

23 MEMBER BROWN: I would amplify that a  
24 little bit. Wouldn't you say there's no regulatory  
25 guidance because we've asked for it.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 (Simultaneous speaking.)

2 MEMBER BROWN: And you said no. I'm  
3 saying that with a whole heart.

4 MS. JOHNSTON: Understood. Feedback  
5 received. Understood.

6 MEMBER BROWN: I mean, at the starting  
7 point of all this -- so I'm going to give another  
8 little soliloquy here before you get to your  
9 presentation. I apologize, Matt. But it's important  
10 to get the information out.

11 The whole architecture approach for  
12 reviewing the reactor safeguards, reactor protection  
13 systems, and associated safety-related systems that we  
14 started ten years ago starting with an architecture,  
15 that's your focal point for defense-in-depth and  
16 independence, thus the four standards that we keep  
17 espousing, at least since I've been here anyway. And  
18 now they're embodied in ISG, those four frameworks.  
19 Control of access has been the one we have not been  
20 able to get our fingers wrapped around.

21 And the object here is we're not  
22 mandating. The point being was if you differentiate  
23 the only cyber 7354 in your applicability and one of  
24 the other paragraphs and don't separate out the stuff  
25 that you can't put mitigation software in and allow

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 people -- and just you don't have dictate anything.  
2 You just say if you need it one way, this is the way  
3 to do it.

4 But right now, they consider they're  
5 precluded. I mean, the staff seems, if we make a  
6 comment, they feel it's precluded because it's not a  
7 regulatory requirement to look at it. And we're not  
8 trying to dictate every place that one goes. It's  
9 where super safe critical systems, safeguards, and  
10 reactors --

11 (Simultaneous speaking.)

12 MEMBER BLEY: I think this Reg Guide has  
13 the structure to make that clear. I mean, you use the  
14 word, architecture, over and over again and in ways we  
15 would very much agree with. And I think within that  
16 framework, this falls very neatly. We ought to let  
17 them go ahead.

18 MEMBER BROWN: No, I'm going to let them  
19 go ahead. I mean, however this comes out, we will be  
20 writing a letter to you. Hopefully, I will be able to  
21 convince my compatriots to provide some suggestions  
22 that you all may accept or reject. Hopefully, you  
23 will -- but they're not meant to be dictatorial.

24 They're meant to identify within the cyber  
25 world that there are systems that don't have software

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 that can detect and mitigate but you can't put it in.  
2 And therefore, other methods may be necessary to  
3 protect those from outside sources. And this document  
4 provides ways to do that. That's the thought. Okay?

5 Not trying to dictate, but this document  
6 -- because it's the only one that's going to be out  
7 there for a good -- you say one or two -- it's really  
8 going to be four or five years. I'll make sure. I  
9 will certainly make this happen in my lifetime. I  
10 hope that was taken facetiously. And now I will defer  
11 to my Chairman.

12 MEMBER BLEY: I'm going to do one more.

13 MEMBER BROWN: Oh, go ahead. Have at it.

14 MEMBER BLEY: Charlie's used these words  
15 many times, and I don't quite see the link back in  
16 here is that the Reg Guide, you just said it a second  
17 ago, doesn't recognize that you can't build in virus  
18 detection and mitigation within these systems. And --

19 MEMBER BROWN: Oh, no. It's not in there.

20 MEMBER BLEY: No, you've said it. You've  
21 said it many times. But you were looking for that, I  
22 take it.

23 MEMBER BROWN: That's what I was -- my  
24 drive on this is not to dictate. My whole drive and  
25 my suggestions to my -- which they're helping me, by

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 the way. I come from the naval nuclear program. I  
2 know how to write very specific stuff.

3 So they help me put it in a little bit  
4 different framework, the commercial world. The idea  
5 is to identify where, as Dennis said, what is this  
6 differentiation? And it does not exist.

7 The cyber document says everything cyber  
8 or nothing. It just stops right there. That's what  
9 the applicability says. And there's a paragraph in  
10 the discussion that says the same thing. You say that  
11 people may use these processes during -- if they want  
12 to do a cyber review during the design process.

13 Well, that sounds like they're doing a  
14 cyber review during the design process which they're  
15 not doing. At this point, that's not what they do.  
16 They design a system. So thank you for illuminating  
17 that, Dennis. That's what I'm -- and that's the  
18 suggestions I'm going to be hoping for --

19 (Simultaneous speaking.)

20 CHAIRMAN SUNSERI: Well, I'm going to  
21 interject here, though. I think it's been clear  
22 guidance provided that a physical security designer  
23 should take in their design considerations and build  
24 security into the designs. I doubt that they are  
25 ignoring that kind of philosophy here.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 MEMBER BROWN: Oh, no. That's in there,  
2 the physical security part. And --

3 (Simultaneous speaking.)

4 CHAIRMAN SUNSERI: So they're not  
5 completely separate. You can do a cyber review when  
6 you're doing the design.

7 MEMBER BROWN: The physical part is  
8 physical. That's insider threat. And we're talking  
9 about outsider threat stuff, the electric pathway.  
10 You're right, 603, 1993 actually addresses control of  
11 access. And it focuses on administrative controls,  
12 but that's all.

13 And they focus -- they've got the  
14 administrative stuff in here which is good. They talk  
15 about it in both of them., but they don't do the  
16 recognition of the other side of it. That's just the  
17 only point I'm trying to get across.

18 MS. JOHNSTON: Understood.

19 (Simultaneous speaking.)

20 MR. BEARDSLEY: So why don't we bring up  
21 the slides. I just wanted to address two points: one  
22 that Member Brown made and one that Member Bley made.  
23 So when he used the example of controls to pumps,  
24 right now in the current fleet the system that would  
25 send the controls, the pumps, the valves, all of that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 is protected by the data diode.

2 So as a collective set of systems,  
3 everything is protected by the data diode from the  
4 internet today. And then the point about systems that  
5 you couldn't do virus protection or couldn't do those,  
6 there are controls requiring those protections in the  
7 cyber security requirements. If the licensee can't do  
8 it, they have to analyze the control and identify in  
9 their assessment how they would -- what alternates  
10 they would use for protection.

11 So they have to apply protection to higher  
12 systems or networks. So it's not like they don't do  
13 anything. They have to do an analysis. And that's  
14 one of the things that we looked at in inspection is  
15 those analyses to see how they've done the protection.  
16 So I just want to make sure that the public doesn't  
17 think that there's nothing being done because there is  
18 definitely something being done.

19 MEMBER BLEY: There is and I think we're  
20 affected by things that happened 10, 12 years ago --

21 MR. BEARDSLEY: Without a doubt.

22 MEMBER BLEY: -- when we had some vendors  
23 claiming they didn't need a hardware block, that they  
24 could write software and nobody could get through.  
25 And we had a lot of discussion. And in the end, the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 put them in because that was the only way to really  
2 resolve it. And we would just like to see that in  
3 your language memorialized.

4 MS. JOHNSTON: Okay.

5 MEMBER BLEY: Everybody does it.

6 MS. JOHNSTON: We would certainly question  
7 why a computer system -- why it wouldn't introduce  
8 failures that would impact the safety function from  
9 being performed. And if it had a one-way diode, that  
10 would be a really simple answer. If they don't, then  
11 it's opening up for a lot more questions on the  
12 reliability of that design.

13 MEMBER BROWN: I can give you one example  
14 in one of the last designs we looked at. There was an  
15 output from the reactor protection systems and  
16 safeguard controls. Both of them had a  
17 unidirectional. Of course, we kind of suggested that,  
18 and they agreed to do it. But then they also had it  
19 feeding a network which went out to the world. And  
20 that was bidirectional.

21 MS. JOHNSTON: One other --

22 MEMBER BROWN: And we -- let me just  
23 finish the thought here real quick. Okay? I'm not  
24 criticizing.

25 MS. JOHNSTON: No, it's okay. Go ahead.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1           MEMBER BROWN: We dug in our heels. And  
2 the applicant decided that the input into the network  
3 also ought to be unidirectional, hardware-based which  
4 was the right way to do it just to provide that second  
5 barrier. But when you're doing it without some  
6 mention of this differentiation between the types of  
7 systems, what you can do and can't do, I understand  
8 your point about everybody is protecting their control  
9 systems.

10           Nothing can come in to them. They've got  
11 a data diode there so it can do it. But a lot of  
12 those vendors think it'd be great to sit back in their  
13 place and send new software updates to their control  
14 system because they found an error and they can send  
15 it via the internet and all the way down into the  
16 system and right into the -- that's just great, isn't  
17 it? You really ought to be coming in and opening up  
18 your cabinet and downloading it.

19           MR. BEARDSLEY: And they wouldn't be able  
20 to do that with the current regulations in there.

21           MEMBER BROWN: Anyway, go ahead. Let's go  
22 ahead --

23           (Simultaneous speaking.)

24           MR. BEARDSLEY: One other question.

25           MEMBER BROWN: -- do her thing.

1 MEMBER BIER: Yeah, I guess the one other  
2 --

3 MEMBER BROWN: I'm sorry, Vicky.

4 MEMBER BIER: -- comment that I would add  
5 that's come up in some of the previous discussions is  
6 that handling at the inspection stage is kind of late  
7 if a plant has already has been built, assuming a  
8 different solution. So --

9 MEMBER BROWN: That's correct. We had  
10 made that point before.

11 MR. BEARDSLEY: Okay, okay. At this  
12 point, we'll turn it over to Kim Lawson-Jenkins who  
13 will provide the update on Regulatory Guide 5.71,  
14 Revision 1.

15 MEMBER BROWN: We have time, right? If  
16 we're quiet during the slide presentations. That's  
17 probably wishful thinking. Kim, go ahead.

18 MS. LAWSON-JENKINS: Yes, thank you.

19 MEMBER BROWN: Thank you.

20 MS. LAWSON-JENKINS: My colleague, Michael  
21 Brown, will be advancing the slide for me. Thank you  
22 very much for this opportunity to present on  
23 Regulatory Guide 5.71, Revision 1, the draft guidance  
24 that we're hoping to get out for public comment soon.  
25 The Regulatory Guide is an acceptable implementation

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 of Title 10, Code of Federal Regulation Part 7354.  
2 That regulation was made effective in 2009, and the  
3 original version of Regulatory Guide 5.71 was  
4 introduced -- issued in 2010.

5 The cyber security rule which is what we  
6 call -- generically call 7354 protects computers,  
7 equipment, and systems that affects safety, important  
8 to safety, security, and emergency preparedness  
9 functions. That's what the rule says. So this is one  
10 implementation that we found acceptable for  
11 implementing that rule. Next slide, please.

12 Okay. When I was asked to give this  
13 presentation today, there were three things that I was  
14 directed to doing this. Number one was discuss the  
15 summary of the changes in Reg Guide 5.71 over the last  
16 ten years. Number two was to discuss any changes to  
17 the guide based on the EDO direction earlier this  
18 year. And number three, any changes that we made  
19 since the subcommittee meeting just this past October.

20 The first two items with what I presented  
21 in October, just a subset of the slides. And we'll  
22 talk about number three. Some of these things you've  
23 actually discussed already before the presentation.  
24 But we can still elaborate on them. Okay.

25 There was an -- the draft guidance was

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 originally revised in 2018. And we actually issued  
2 that, put that out for public comment. The main  
3 purposes of that was to clarify the regulations based  
4 on lessons learned through the first set of  
5 inspections we -- cyber security inspections we did  
6 from 2013 to 2015.

7 As Jim mentioned, we only had one new  
8 regulation which had to do with cyber security event  
9 notification. Between the original version of 5.71  
10 and the draft version we put out, NIST Special Product  
11 853, had a new revision of the security controls for  
12 federal systems. So we updated the slides based on  
13 some of the changes in there.

14 And shortly after, the cyber security rule  
15 was issued and also the guidance was issued. The  
16 Commission gave direction on how to handle balance of  
17 plant equipment at nuclear facilities. And that  
18 version of the draft guidance updated content based on  
19 that.

20 Also, yes, I want to mention that there  
21 was IAEA security guidance that was issued in 2011.  
22 So we noted that also and picked up a few of the best  
23 practices that was in the IAEA document. The work on  
24 the draft guidance was delayed for two years because  
25 we were approaching the new set of inspections that we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 were going to implement.

2 So there was a decision made to wait until  
3 we completed those new set of cyber inspections. The  
4 post-assessment work we did on how we did the program  
5 in general and also industry as Jim mentioned had a  
6 lot of lessons learned from their implementation of  
7 their program and the inspections that they wanted to  
8 get done. So everyone thought it was desirable to  
9 wait for issuing this guidance. Next slide, please.  
10 Mike, next slide. Okay, thank you.

11 So once we made the decision to delay  
12 issuing this guide, we actually started on some new  
13 updates. That gave us more time to do more things.  
14 At that point, a lot of the guidance for cyber  
15 security -- not just international guidance -- but if  
16 you look at the NIST guidance, it's definitely focused  
17 more on risk informed cyber security. And we picked  
18 up that information.

19 There was some discussion earlier about  
20 some things that we've seen. I think someone else has  
21 to go on mute. Thank you. There was, what areas did  
22 we see multiple findings? Okay. And one was the need  
23 to have more accurate information about the equipment  
24 that the licensees have at their plant, specifically  
25 the critical digital assets that as we said could

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 affect safety, importance of safety, security, and  
2 emergency preparedness functions.

3 New international standards and guidance  
4 were issued. And also another version of a NIST cyber  
5 security document was issued. So we picked up any  
6 applicable changes for that.

7 And of course we addressed any public  
8 comments that we received in the -- when we issued the  
9 document for public comment in 2010. I would like to  
10 say I shared those public comments with -- as a  
11 package with the subcommittee. And as I mentioned  
12 then in the presentation, a lot of the really useful  
13 information that we received was from vendors who had  
14 questions about how to implement things in their  
15 design. Okay.

16 So they are very much interested in this  
17 document. Even though the regulation and it's based  
18 on operating plants, the bottom line is that the  
19 licensees rely on technical requirements that are  
20 implemented by the equipment. Okay. So people who  
21 manufacture security equipment, people who manufacture  
22 safety equipment but they want it to be secure,  
23 they're looking at that information that comes in the  
24 guidance.

25 And the licensees and the applicants are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 going to rely on the equipment to implement some of  
2 these requirements. There's two ways when you're  
3 doing cyber security or any kind of security. Either  
4 the equipment itself can have security functions which  
5 you just turn on and start using, or you're going to  
6 have to put something in the environment where the  
7 equipment is operating to give you that security that  
8 you need.

9 So just because the guidance is for  
10 operating plants, the safety functions don't just  
11 happen in a vacuum. They rely on this information  
12 that's coming out of the guidance. And that's why we  
13 really want to get this out in the public sphere very  
14 soon.

15 MEMBER HALNON: So Kim, this is Greg  
16 Halnon. The licensees will rely on the equipment to  
17 do the job. But if it's found that they don't do the  
18 job, the violation goes to the licensee, not --

19 MS. LAWSON-JENKINS: Absolutely.

20 MEMBER HALNON: Unless it's a Part 21  
21 issue. So this is subject to Part 21 too. And so the  
22 licensee still -- I mean, I just want to make a point.  
23 They need --

24 MS. LAWSON-JENKINS: That is true.

25 MEMBER HALNON: -- to understand it, need

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 to make sure and do the validation and require the  
2 vendors do the equipment --

3 MS. LAWSON-JENKINS: Right. Which is  
4 absolutely --

5 MEMBER HALNON: -- in the right way.

6 (Simultaneous speaking.)

7 MS. LAWSON-JENKINS: We put this  
8 information in the guidance that the licensees have to  
9 understand the functions, not just actually the safety  
10 functions but the security functions and to use those  
11 appropriately. And my colleague, Mike Brown, who's  
12 advancing the slide, one of the areas that he's  
13 working in is supply chain because no one knows the  
14 equipment like the company that manufactures it. They  
15 will know the vulnerabilities if there are any there,  
16 even though you have researchers always trying to find  
17 that too. Okay.

18 They will know the best way to fix those  
19 vulnerabilities. Okay. And they are the best people  
20 to know how to secure the device. So the licensees  
21 and the applicants must, must have a lot of  
22 communication with the vendors to adequately protect  
23 their plant and equipment. And the guidance does  
24 encourage that communication that it's clear now that  
25 they have to communicate and know what's in their

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 plant. Next slide. Thank you. Next slide, Mike.

2 Okay. So as you can imagine after ten  
3 years for cyber security, there were quite a few  
4 changes in the Reg Guide. And this page I'll mention  
5 very briefly one and then we'll go into more detail  
6 about each section. Please again if someone else is  
7 not on -- on speaking, please go on mute. Thank you.

8 Okay. So Section C is the staff  
9 regulatory position. Okay. So some of the  
10 information that we gave for clarifying is to add text  
11 for risk informed cyber security. We added the  
12 information that I spoke to earlier about balance of  
13 plant identification of those assets.

14 We added decision points in the text --  
15 diagrams and text for identifying CDAs as was  
16 mentioned before the presentation that the licensees  
17 and the NRC got a lot more experience in identifying  
18 which assets really do affect safety and security and  
19 emergency preparedness functions. We updated text on  
20 defense-in-depth protective strategies. This is  
21 really important because there definitely has been  
22 some confusion on what defense-in-depth is, and we'll  
23 talk about that as we move along in the slides. But  
24 to clarify -- yes?

25 MEMBER BROWN: Without -- you don't have

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 to change the slides. Just the first item on there,  
2 just -- and I don't remember clearly. I thought I  
3 looked for this when I was muted. You added -- I  
4 remember reading the risk informed cyber security text  
5 that you went through.

6 And I don't disagree that there's a wide  
7 range of stuff. Some things you add that I really  
8 don't care. Some stuff, yeah, a little bit but not as  
9 much. You think a risk not doing any, that's fine.

10 But there's a category of stuff like  
11 reactor safety stuff that's really not amendable to a  
12 risk assessment. It has to work. You don't kind of  
13 -- it can't kind of work. It can't kind of trip the  
14 reactor. It can't sort of start a pump. It's got to  
15 start all of it or the required amount of it.

16 I would suggest that you think about  
17 identifying there's classes of equipment where risk  
18 doesn't really work toward. And I'm not quite -- I'm  
19 not trying how to tell you how to do that. But there  
20 certainly are.

21 I would hate to see the reactor scram  
22 system say, we're going to do a risk assessment of  
23 that, whether -- how do you do that? And if you got  
24 a better answer than I do, fine.. I just didn't  
25 understand how we apply that.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 MEMBER BLEY: Yeah, I'm a little concerned

2 --

3 (Simultaneous speaking.)

4 MEMBER BLEY: -- that you're giving such  
5 advice to this staff --

6 (Laughter.)

7 MEMBER BROWN: That's all right.

8 MEMBER BLEY: -- because you do a risk  
9 assessment isn't the reason why reactor scram should  
10 sometime fail. It might. Risk assessments try to  
11 acknowledge that and understand the impacts of it.  
12 It's designed to work. It ought to work. But the  
13 risk assessment has nothing to do with building  
14 something into a system that lets it fail. That's a  
15 bad concept.

16 MEMBER BROWN: But that wasn't the way I  
17 read the stuff that I read.

18 MEMBER BLEY: That's what it sounded like.

19 MEMBER BROWN: But that's -- I'm  
20 remembering -- again, it's been two months since I  
21 read this. So --

22 MS. LAWSON-JENKINS: We're actually going  
23 to have a slide on this informed security.

24 (Simultaneous speaking.)

25 MEMBER BROWN: Okay. All right. That's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 good. Go ahead, Kim. Thank you.

2 MEMBER BLEY: Hey, Kim. Let me ask you a  
3 quick question. And this is for my own edification  
4 and you didn't do it. It seems as if the staff has  
5 changed the structure of the Reg Guides.

6 And now C-3 are the regulatory positions.  
7 But as in your guide, you never use that phrase. And  
8 somebody else's guide that we got recently, they did  
9 the same thing except they kept referring to  
10 Regulatory Position No. 1 and No. 2 which got very  
11 confusing because they weren't defining the section.  
12 If anybody knows what's going on, I'd just be  
13 interested in why we've changed the format.

14 MR. BEARDSLEY: Well, I think one of the  
15 big points with the Regulatory Guide 5.71 is it  
16 provides a template for a cyber security plan which is  
17 where the meat of the licensee's commitment comes.  
18 And so when we say regulatory position, those are the  
19 requirements the licensee has to meet in their cyber  
20 security plans. There's another Reg Guide that  
21 doesn't provide that same structure, may put them in  
22 a different place. I can't answer your question  
23 explicitly. But that is why we did it this way in our  
24 Reg Guide.

25 MEMBER BLEY: Okay. But you don't call

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1       them regulatory positions in this Reg Guide.  You  
2       never mentioned that --

3                       (Simultaneous speaking.)

4               MR. BEARDSLEY:  We do not.  We call them  
5       licensee requirements.

6               MEMBER BLEY:  Yeah, but it's perfectly  
7       clear.  Okay.  There's no real answer.

8               MS. LAWSON-JENKINS:  And I have to admit  
9       I did not change the structure of the original  
10      guidance because I didn't want to get to the space of  
11      backfit.  Okay.  So there might've been some better  
12      way of restructuring the guide.  But especially on a  
13      topic as expansive and comprehensive as cyber  
14      security, I really didn't want -- I wanted to be clear  
15      what we changed and why rather than restructure --

16              MEMBER BROWN:  This is the same as --

17              MS. LAWSON-JENKINS:  -- the whole  
18      document.

19              MEMBER BROWN:  -- rev 0 is what you're  
20      saying --

21                       (Simultaneous speaking.)

22              MS. LAWSON-JENKINS:  Yes, compared to rev  
23      0.

24              MEMBER BROWN:  -- which was a good idea.

25              MS. LAWSON-JENKINS:  So it made clear what

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 we --

2 MEMBER BROWN: I understand that.

3 MS. LAWSON-JENKINS: -- change and why.  
4 But I did not restructure. If any of the guys changed  
5 in the future, that was fine. But I really want to be  
6 clear on what we did and why.

7 MEMBER BLEY: Okay. I wasn't implying  
8 that. I was just curious about what was going on  
9 across this. It's irrelevant to your presentation.  
10 Your structure is great.

11 MS. LAWSON-JENKINS: Okay. Thank you.  
12 We'll talk again about defensive architecture and why  
13 we have what we have in there. And like I said, we'll  
14 have more details about that when we get to the slide.  
15 We updated text regarding the use of alternate  
16 controls because, as I said, the guidance we have in  
17 here is one acceptable way of doing it.

18 Many times, licensees decided not to use  
19 certain controls that we suggested. And we wanted to  
20 clarify when that was appropriate, what kind of  
21 evidence they needed to show that what they did was  
22 sufficient. We updated text to clarify the use of a  
23 consequence-based graded approach in applying security  
24 controls.

25 And I think this is tied to that first

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 point that everyone was worried about risk informed  
2 cyber security. I guess the best way to try to  
3 explain this is that people do have to understand what  
4 they're doing and why and what risk is associated with  
5 it. If you need something that want to have very  
6 little or no risk, you will just find that  
7 accordingly. You will.

8 But you have to look at the problem. A  
9 lot of times, people have no idea of the unknown or  
10 what they don't cover and things like that. And part  
11 of this risk informed cyber security is acknowledging  
12 what you're doing, why you're doing, saying what you  
13 do know, and how you're going to adjust when new  
14 things come along and on things you don't know. Okay.

15 So just because you're doing cyber  
16 informed -- risk informed cyber security, I'm saying  
17 you apply risk to everything. And in actuality, in a  
18 way, you do. You're just saying, we aren't going to  
19 accept any risk on certain areas. And you have to  
20 protect those things accordingly. Okay.

21 And that's what we're doing here when we  
22 say what controls you apply. But the first step is to  
23 identify what's important and why you can or cannot  
24 tolerate a certain amount of risk. And that is  
25 absolutely critical.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1           And the last point on this slide is to  
2 talk about the technical controls that can be  
3 incorporated using the design certification. And also  
4 the updates we did based on the cyber event  
5 notification rule. Okay. So we'll talk about, like  
6 I said, a lot of these things in detail. We have  
7 slides for every one of these items. Next slide,  
8 Mike. Thank you.

9           Okay. So we added a reference which is  
10 actually based on some of the comments we had to the  
11 sections of Reg Guide 1.152. Like I said, we'll have  
12 a slide on that, Revision 3. We added many more  
13 examples of continuance monitoring which is really one  
14 of those lessons learned that's crucial over the past  
15 ten years.

16           You don't implement controls, you don't  
17 implement a plan and say I'm good. I don't have to  
18 worrying about it anymore. You have to make sure  
19 those controls are in place and they are working as  
20 intended. And you have to understand in your system  
21 when you start seeing new things. We gave a proposal,  
22 introduce text to say how and the way of licensees  
23 using metrics to measure how effective their analysis  
24 of this system is.

25           As I said, we added a lot of text

1 regarding how licensees could have quality CDA  
2 assessments. We'll talk a bit more about that when we  
3 get to the slide. One of the reasons we had more  
4 pages in the updates -- the updated document for 5.71  
5 is we added clarification for every security control  
6 in Appendix B and C saying why these controls are  
7 needed, the purpose of them so then the licensees  
8 could understand if they wanted to substitute, use a  
9 different control, how those new controls were meeting  
10 the intent of the original control that we  
11 recommended.

12 We added new terms and definitions in the  
13 glossary. Like I said, we learned a lot over the last  
14 ten years, not just the Nuclear Regulatory Commission  
15 by cyber security professionals in general. We  
16 clearly updated the references. And throughout the  
17 document, we had lots of editorial changes based on  
18 public comments, OGC comments, and peer reviews.

19 MEMBER BLEY: Kim?

20 MS. LAWSON-JENKINS: Yes.

21 MEMBER BLEY: It's Dennis Bley. I'm  
22 curious as to what kind of response you've gotten back  
23 from the licensees. Are they appreciating the added  
24 detail you've provided?

25 MS. LAWSON-JENKINS: I think it's going to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 be one of those it depends. Well, first of all, we  
2 haven't gotten this out for public comment yet. So  
3 once we get it out for public comment -- once we get  
4 it out for public comment, the industry will have an  
5 opportunity to give input officially.

6 The input we got when we tried to put it  
7 two years ago in 2018 was that you need to wait. So  
8 we finished the assessments. And then also we wanted  
9 to finish the inspections and it would be a better  
10 time to do this. So it was more, we need to wait.  
11 That was the main input and plus risk informed  
12 security. Okay. But mainly to wait.

13 MR. BEARDSLEY: Industry has seen the  
14 document, both in 2018 and after release of last  
15 summer. But there has not been a formal public  
16 comment process for them to provide us feedback.

17 MS. LAWSON-JENKINS: Right. But they will  
18 have an opportunity. We will have -- we hope to have  
19 two public meetings on this document when we do issue  
20 it for public comment. Okay. Next slide, Mike.  
21 Thank you.

22 Okay. So this was the slide that I had on  
23 risk informed cyber security. And as I said, it's a  
24 way of categorizing and to understand what is  
25 important -- what is important at the plant as far as

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 facility functions including the identification of  
2 SSEP functions, threats to the facility, the  
3 specification of requirements which will include the  
4 cyber security program. The program usually consists  
5 of a plan.

6 That's what we implement -- they usually  
7 implement based on a plan and the defensive  
8 architecture and the defense-in-depth methodology that  
9 they use. They will use -- if they want to use a  
10 graded approach, they could look at seeing where in  
11 the security architecture they put the most  
12 protections and place those devices in that logical  
13 boundary where those devices are protected. And this  
14 is what was relatively new that we wanted to clarify  
15 for risk informed security. There has to be some kind  
16 of validation and verification of the implementation  
17 of that program.

18 Okay. Like I said, it isn't just a matter  
19 of implementing it, thinking everything is working or  
20 saying the first time it worked and never doing  
21 anything else with it. You have to show that you are  
22 protecting the right things, that you can react if  
23 something changes, that when new threats come along to  
24 be able to say based on your program how you're going  
25 to deal with that. It's really ongoing, continuous

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 monitoring of your system so that it is not a one  
2 time done thing, after inspections, we don't have to  
3 worry about it.

4 MEMBER HALNON: So Kim, back to a question  
5 I had earlier, how do you physically do that? Do you  
6 have the ability to -- or do licensees have the  
7 ability to inject a cyber threat and watch their  
8 systems defend against it? Or --

9 (Simultaneous speaking.)

10 MS. LAWSON-JENKINS: They can use -- they  
11 can -- there's several things, first of all. Right  
12 now, they do have outages when they do bring down  
13 equipment to make updates and changes to the system.  
14 So there is some testing.

15 If they wanted to, they could -- this is  
16 an example. It isn't a requirement, but it's an  
17 example, okay, that they can do things that way. They  
18 can have simulations of those systems because they  
19 have to verify it when they make certain changes to  
20 the systems that they aren't changing the security  
21 posture of it. Okay.

22 So many more licensees are moving to being  
23 able to model the effect of their systems. And that's  
24 one area that I know I've been working on lately in  
25 some of the standards groups to understand what goes

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 into a very good security model, okay, things like  
2 that. But the main issue -- the main -- the important  
3 points, I think, to understand this is that they  
4 really must understand what they have at their plant  
5 because in a way you have to think the best analogy is  
6 that they have to think like attackers these days.  
7 Okay.

8 The attacker when you get malware, it'll  
9 come on to your system and it'll see what's there.  
10 That's the way malware works. It sees what's there.  
11 Okay. And then once it sees what's there, it sees  
12 what it can speak to, talk to, what it can do. And  
13 then it may propagate itself through the network.  
14 That's a very simple over-generalization of what  
15 malware can do. Okay.

16 (Simultaneous speaking.)

17 MEMBER HALNON: And I guess I'm just  
18 curious --

19 MS. LAWSON-JENKINS: No, let me make this  
20 -- this is an important point. I always tell the  
21 licensees that the malware, a potential malware should  
22 not ever, ever know more about your system than you  
23 know about it. Okay. So if they understand their  
24 system well, they can pretty much start modeling and  
25 explaining why their system will operate and be able

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 to respond adequately to any kind of problems.

2 MEMBER HALNON: Well, just the validation  
3 and verification, and maybe it's something for future  
4 research to figure out benign -- being able to inject  
5 a benign malware or something and see how far it gets  
6 or something to that effect.

7 (Simultaneous speaking.)

8 MS. LAWSON-JENKINS: Okay. Please don't  
9 confuse those two things. I did not say inject  
10 malware in your system to figure out that it works.  
11 That is not what I said.

12 MEMBER HALNON: It comes down to is it  
13 just a paper exercise or is it something that you're  
14 -- a validation and verification makes it feels like  
15 there's something physically you're going after and  
16 trying to do.

17 MS. LAWSON-JENKINS: But you have to do  
18 this all the time in network development where you  
19 develop systems. You have to -- you cannot always  
20 test -- especially you cannot always physically test  
21 what you're using. Times have really changed.

22 You have to be able to model and simulate  
23 and test input and output before you actually build  
24 the devices. That's how -- I've been in development.  
25 That's how you have to do it if you want to get things

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 in a timely manner and still have a secure and  
2 efficient system.

3 MEMBER HALNON: I agree. But the design  
4 is static. I mean, it's done. Go install it in the  
5 plant, then it becomes a head exercise after that.  
6 But we can move on. Just --

7 (Simultaneous speaking.)

8 MS. LAWSON-JENKINS: Okay. But you can  
9 use -- if something is not operational, you can use a  
10 scan to verify what's going -- how your system -- your  
11 equipment is operating before you restore it to in  
12 use. So there are ways of testing and making sure  
13 that the configuration hasn't changed, that nothing is  
14 there that shouldn't be there. So as I said, when you  
15 have outages, those are the perfect times to do some  
16 of this verification and validation that you cannot do  
17 when the system is online.

18 MEMBER HALNON: On some systems. There's  
19 a lot of systems that we're talking about here.

20 MS. LAWSON-JENKINS: I know.

21 MEMBER HALNON: It's a tremendous amount  
22 of work to add to an outage.

23 MS. LAWSON-JENKINS: Which is why you need  
24 to know what's important and do the consequence-based  
25 analysis on it. You can't look at everything. You

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 can't. So you have to focus on what's important and  
2 know why it's important and --

3 (Simultaneous speaking.)

4 MEMBER HALNON: It feels like the design  
5 organization would be bigger than the regular physical  
6 security organization.

7 MS. LAWSON-JENKINS: Next slide, please.

8 MEMBER BLEY: Well, it's got its finger  
9 ins everything. So maybe that's not the wrong  
10 approach.

11 MS. LAWSON-JENKINS: I will get to talking  
12 about our resources, things at the end. I am going to  
13 briefly mention that. But I'll go on with this next  
14 slide, though, balance of plant. Okay. So we did  
15 introduce information about balance of plant  
16 equipment.

17 There's going to be updated guidance from  
18 the industry on how they're classifying --  
19 identifying, classifying, and protecting balance of  
20 plant equipment. Okay. But in our guidance, we  
21 mention an identification function for the equipment.  
22 The balance of plant equipment has to be listed there  
23 when you're deciding on what to protect.

24 Now keep in mind this is not an either/or.  
25 Okay. Because if you look earlier in number 3, if the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 equipment provides a pathway to a critical digital  
2 system or a Critical Digital Asset, then it's a CDA.  
3 Okay. It really doesn't matter what else you do.

4 If you keep going, it's going to be a CDA  
5 if it provides a pathway. Okay. But they have to --  
6 you have to look at all these things at some point,  
7 not just one. So you don't just say balance of plant  
8 and we don't care what it does in the system and what  
9 it speaks to and things like that. It's one of the  
10 considerations but not everything. Next slide,  
11 please.

12 Okay. For the identification of Critical  
13 Digital Assets, we made a few changes to this slide.  
14 Number one is, does the system contain any digital  
15 components from the software? That wasn't in the  
16 original slide.

17 We, again, added information about BOP.  
18 And then the text, we talked more about whether this  
19 device protects other critical groups of assets. The  
20 diamond was there before. But we actually explain in  
21 a lot of text that spoke on that point.

22 Because as I mentioned earlier in the  
23 presentation that either the device itself can have  
24 security functions or you can add a device to the  
25 system in the environment where the equipment is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 operating and have it protect the device. And there  
2 was some debate or discussion with industry. And it  
3 was a little too early when we spoke about the kiosk,  
4 okay, whether or not that was a Critical Digital  
5 Asset.

6 From my point of view, it would've been.  
7 But industry elected a lot to do that in the way they  
8 implemented their program. That's fine, well, and  
9 good. But I remember we had the discussion that it  
10 had to be protected at the same level as the device is  
11 protecting.

12 It made no sense to have it provide a  
13 protective function and it's not the same level that  
14 totally invalidates your defense of architecture,  
15 where you have the most critical things being  
16 protected. And also I raise the point and industry  
17 understands that if that device is protecting multiple  
18 Critical Digital Assets, it's actually a higher value  
19 asset because the impact if something happens to it is  
20 greater than if only one device fails. So like I  
21 said, there's been a lot of discussion with industry  
22 and going back and forth on what is a Critical Digital  
23 Asset.

24 And regardless of what you call it, we do  
25 this because we're humans. Okay? We can write

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 programs. We can write procedures that say if  
2 something is a Critical Digital Asset, this is how you  
3 treat it.

4 At the end of the day, the attacker  
5 doesn't care. They really don't care how we label  
6 these devices. They're going to only go about what it  
7 does, okay, and how they can affect it.

8 So we have to use this information wisely.  
9 Okay. And I saw, well, because it's not a CDA, we  
10 don't have to protect it. It's what it does and what  
11 its communication that it's supporting. And that's  
12 what's reflected in this new text. Next slide,  
13 please. Okay.

14 Defense-in-depth protective strategies,  
15 that the strategies should employ multiple, diverse,  
16 and mutually supported tools, technologies, and  
17 processes to effectively perform timely detection of,  
18 protection against, and response to a cyber attack.  
19 That is a lot in one sentence. It is a lot. But  
20 that's why defense-in-depth for security, especially  
21 cyber security, is not one or two things that they  
22 must do to meet that defense-in-depth requirement.  
23 Okay.

24 MEMBER BLEY: I'm just curious if you  
25 played your definition of defense-in-depth against the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 NUREG. I forgot what they called that new set of  
2 general ones. I think it's No. 5 or 9 on defense-in-  
3 depth.

4 MS. LAWSON-JENKINS: Oh, is this physical  
5 security? Or what are we referring to here?

6 MEMBER BLEY: The term, defense-in-depth,  
7 and what it means.

8 MS. LAWSON-JENKINS: No, no. I mean, what  
9 document are you citing?

10 MEMBER BLEY: I'll tell your colleagues  
11 here before they leave.

12 MS. LAWSON-JENKINS: Okay, okay.

13 MEMBER BLEY: I just have to look up the  
14 title.

15 MS. LAWSON-JENKINS: Okay. Well, for --  
16 (Simultaneous speaking.)

17 MEMBER BLEY: No, it's just one of the  
18 general NUREGs.

19 MS. LAWSON-JENKINS: Okay. For Reg Guide  
20 5.71, to meet the cyber security rule, when someone  
21 receives a violation of defense-in -- based on  
22 implementing defense-in-depth, this is what we mean  
23 because it's really important. And I could give  
24 multiple examples of this as we go through the  
25 presentation. Clearly for software, you can't have

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 the same software everywhere. Okay.

2 If you have on vulnerability, and you just  
3 mentioned that on some systems you may not want to be  
4 updating all the time. That's going to play into the  
5 decision, well, maybe you need to use a different type  
6 of software or technology there. That's something  
7 they -- and that's why, yes, the decision needs to be  
8 made before you install the equipment.

9 Sometimes we say, as you've seen in  
10 Appendix B and C, there's lots of cyber security  
11 controls that you can install. And sometimes a  
12 licensee will say, we'll need to install of these. We  
13 can do a few.

14 And maybe based on the analysis they can.  
15 But as I said, we add lots of information about why a  
16 control is there. Okay. And a lot of times, you have  
17 these overlapping things to protect if one of the  
18 controls fails. So there's a lot involved in this.

19 But like I said, and this is just one  
20 sentence. We didn't include all of the text. But  
21 clearly, we have a lot of information about what  
22 defense-in-depth means as far as the cyber security  
23 requirement. Next slide, please.

24 Okay. Protecting SSEP function, that  
25 comes straight from the cyber security rule, 10 CFR

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 73.54. The rule says to protect the function. So  
2 once again, if someone could go on mute, that would  
3 help a lot.

4 The functions that are the most important  
5 are the safety and security functions. And that  
6 clearly if you're placing those in the defense of  
7 architecture where you have more security as you go  
8 into the architecture, you're going to place those at  
9 the highest level. So the point being made before  
10 where you want to have very little risk -- very little  
11 interaction with outside systems where you're going to  
12 care about those things, you're going to place those  
13 devices at the highest security level in your  
14 architecture.

15 A function can be implemented by one or  
16 more systems. And as I said, the system allocation to  
17 a security level is dependent on the safety or  
18 security significance of that function. So using risk  
19 informed doesn't mean you're allowed to introduce more  
20 risk into the system.

21 At least it just makes sure that you  
22 actually looked at it. And you're making decisions  
23 based on knowledge of your equipment, knowledge of the  
24 plant functions. And you're placing them at the  
25 appropriate part in your defense of architecture.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 Next slide, please.

2 Initiation of communication from access  
3 from a lower security level to a higher security  
4 level, if you have that communication, to be done on  
5 a deny all and permit by exception basis with the  
6 exceptions supported complete justification and  
7 security risk analysis. I can't speak to plants. I'm  
8 not going to speak specifically to plants that have  
9 been built 30 years ago.

10 And there's some systems in those plants  
11 that are never touched. There are a few of those that  
12 are never touched. All you do is just received  
13 information from it. You don't even do configuration  
14 changes. Okay.

15 Most systems now have software running in  
16 it. It may be a little bit, they have software  
17 running. And you have to be able to make changes to  
18 that software.

19 Sometimes they're configuration changes.  
20 Sometimes it's a vulnerability that's there. And  
21 based on how you designed your system, you may  
22 decided, I don't need to address that vulnerability,  
23 if you don't have any kind of connections to it.

24 But by being in a system -- in the  
25 communication systems, it's communicating. And this

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 is where Member Brown and we are in agreement that you  
2 have to tightly control the communication. So it has  
3 to be decided if there's no communication coming in at  
4 all ever, okay, then you don't have to have that  
5 exception.

6 But on things -- if you have several  
7 security levels and all your security vulnerability  
8 updates come from a different system that will not be  
9 at that same level, you have to have some way of  
10 performing those updates. I mean, that's a  
11 requirement of your cyber security plan. And this was  
12 a mechanism to let them do that. Do we have any  
13 questions on this one, because we had quite a bit of  
14 discussion on this at the subcommittee meeting?

15 MEMBER BLEY: No, but I want to go back  
16 and remind you that the document I was talking about  
17 is NUREG/KM, that's Knowledge Management, 0009, which  
18 is a historical review and observations of defense-in-  
19 depth. It was done several years ago because almost  
20 everything around NRC had a different definition of  
21 defense-in-depth. And they were trying to pull it all  
22 together. So I hope you can fit yours within this or  
23 get somebody to reconcile things because it's been so  
24 confusing over the years. It's good to have it  
25 clarified.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 MS. LAWSON-JENKINS: Okay. I will look at  
2 that document. If it hasn't been updated for several  
3 years, I won't claim that this -- the definition we  
4 currently have now is going to be in there. But I  
5 know the definition we have now is very similar if not  
6 the same as what defense-in-depth is for the NIST 882  
7 which is for industrial control systems. Okay.

8 So they do the same thing saying you have  
9 multiple overlapping controls so that if one control  
10 fails, you won't have a problem. If you have a  
11 vulnerability that has to be addresses in one area,  
12 you have diversity that will help with that. So I  
13 will look at that.

14 But for the cyber security plan -- and I  
15 can understand wanting to have a one size fit all or  
16 an inclusive definition. And we can see if the other  
17 document possibly could be updated. Be we are in  
18 alignment with what NIST says. We're in alignment  
19 with the international standards on this also for  
20 security.

21 MEMBER BLEY: I guess if it ends up  
22 they're separate, I hope you would call it cyber  
23 security defense-in-depth to clarify --

24 MS. LAWSON-JENKINS: Okay. That's --

25 (Simultaneous speaking.)

1                   MEMBER BLEY:  -- because the rest of this  
2 agency tried to pull all of their definitions together  
3 through this document.

4                   MS. LAWSON-JENKINS:  Fair enough.  I  
5 understand the comment.  Can you, one more time -- I'm  
6 sorry.  I know there'll be a transcript of this.  Can  
7 you repeat the document number again for me, please?

8                   MR. BEARDSLEY:  I have it, Kim.  I'm  
9 sending it to you in a message.

10                  MS. LAWSON-JENKINS:  Okay.  Thank you.  
11 Okay.  Next slide, please.

12                  MEMBER BROWN:  Nope, nope, nope, nope.  
13 You said we had considerable discussion on this issue  
14 before in the last meeting.  We made the comment in  
15 rev 0, this bullet completely prohibited communication  
16 from assets at lower to higher levels.  And so we made  
17 the comment this would require basic communication  
18 therefore to be bidirectional and software configured  
19 so that you could permission by exception and then  
20 execute whatever you wanted to with software commands.

21                  And the way it was written could be to  
22 apply protection, safeguard controls.  And so you  
23 could have access to anything with this deny all,  
24 permit by exception communication from lower to  
25 higher.  I believe it was you, or maybe it was one of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 the other people talking, went through a considerable  
2 discussion about kiosks and other type set ups that  
3 you had.

4 And I don't remember all the details. It  
5 wasn't elaborated. But you all commented that no, no,  
6 no, no, it was not meant to apply, and that you all  
7 were going to clarify -- it was only supposed to apply  
8 to some specific circumstances and not as we had  
9 perceived. I wasn't the only one that made this  
10 comment. I think Dave --

11 MS. LAWSON-JENKINS: We haven't gotten to  
12 that discussion point yet.

13 MEMBER BROWN: Oh, we haven't? Okay.

14 MS. LAWSON-JENKINS: No.

15 MEMBER BROWN: I just saw it, so --

16 MS. LAWSON-JENKINS: I know. Two more  
17 slides, okay? Because I'm --

18 (Simultaneous speaking.)

19 MS. LAWSON-JENKINS: -- going through the  
20 slides.

21 MEMBER BROWN: Are you going to do  
22 something about that? Is that the point? Okay. All  
23 right. Oh, okay. Got it. All right. Thank you. Go  
24 ahead, Kim. I'm sorry.

25 MS. LAWSON-JENKINS: No, no, it's fine.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 I want to make sure we address every issue. Honestly,  
2 I really want to do that. Minimizing the attack  
3 surfaces and pathways, that for defense of  
4 architecture, this is -- I only want to say this is a  
5 best practice.

6 This is almost a requirement because it  
7 goes into understanding what you have on that system  
8 and understanding why it's there and so that services  
9 and protocols cannot be used against you as an attack  
10 factor or some vulnerability. So the licensees and  
11 applicants should remove applications, services,  
12 protocols that are not necessary to support the design  
13 basis functions and for the CDA. Basically, you  
14 eliminate things. You reduce the attack surface.

15 And as I kind of mentioned before, you use  
16 implementation of multiple diverse technologies so  
17 that it will address the attack surfaces for the  
18 environment. And -- okay, we'll talk about this in  
19 the next slide too -- that the protections of a  
20 defensive architecture are not bypassed or  
21 circumvented. Okay. So I'm going through these  
22 slides based on the changes we actually made in the  
23 document.

24 So the next slide, Mike, okay, is going to  
25 address, I believe, the concern or discussion we had.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 Next slide, Mike. Yes, this was the information we  
2 added after the meeting in October. Okay. For  
3 necessary and required -- and this is the exact text  
4 -- necessary and required firmware, software, and/or  
5 data updates for a digital device, digital asset  
6 protected behind the data diode. An acceptable way to  
7 implement the update that does not circumvent the data  
8 diode protection for wired connections in the  
9 architecture is by implementing whatever measures you  
10 want to do that does not -- that the update is not  
11 verifying and assuring that the update does not  
12 contain no malware and the integrity of the update is  
13 maintained during transport.

14 Okay. So this is why -- this text would  
15 be why no one can just -- first of all, the data diode  
16 is there for protecting wired connections, okay,  
17 physical wired connections. So no one can say, I want  
18 to do a remote update by attaching -- making the  
19 connection remotely based on that. You cannot do that  
20 because the integrity of the update can't be  
21 maintained. And your bypass is -- you're  
22 circumventing and bypassing the diode detection for  
23 wired connections.

24 Okay. The acceptable way that licensees  
25 have implemented this is if they've implemented this.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 It's if they've implemented the kiosk. They've  
2 implemented processes to get the information from a  
3 vendor with digital signatures and verifying that  
4 there's no malware there and it can be only  
5 transported on secure USB devices or DVDs. So they  
6 have a process to do this that does not circumvent  
7 that wired connection of that data diode.

8 MEMBER BROWN: Kim, I don't disagree with  
9 what you said here. What you're effectively talking  
10 about, you're now back in the physical access of  
11 control. You make sure that anybody that wants to  
12 come in on the backside --

13 (Simultaneous speaking.)

14 MS. LAWSON-JENKINS: Physical --

15 MEMBER BROWN: -- coming in through the  
16 backside. You want to do --

17 (Simultaneous speaking.)

18 MEMBER BROWN: -- software update and  
19 design and change the software. You've got to protect  
20 it in transport. You've got to protect it when it's  
21 developed at the vendor, and you've got to protect it  
22 in a manner how you introduce it into the equipment.

23 MS. LAWSON-JENKINS: Yes.

24 MEMBER BROWN: Very common sense. And  
25 that's what that says to me. Is that --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 MR. BEARDSLEY: That is correct.

2 MEMBER BROWN: Am I reading that  
3 correctly?

4 MR. BEARDSLEY: That is correct.

5 MEMBER BLEY: And I want to go back to one  
6 of Charlie's first comments. I'll just point out to  
7 you that in your glossary, you don't have data diode.  
8 You've got to have data diode in the glossary and  
9 explain what it is.

10 MEMBER BROWN: And I want to give you a  
11 help on that letter.

12 MS. LAWSON-JENKINS: Okay, okay.

13 MEMBER BROWN: The data diode is  
14 effectively a unidirectional, hardware-based, not  
15 configured by software data transmission device.  
16 Really easy.

17 MS. LAWSON-JENKINS: Okay.

18 MEMBER BROWN: I mean, if the Committee  
19 agrees, that's just -- and you also use the word, one  
20 way, in a bunch of places. I don't disagree with  
21 that. But it's really synonymous with data diode.  
22 And you might want to somehow --

23 (Simultaneous speaking.)

24 MS. LAWSON-JENKINS: Usually why I say one  
25 way in the text is usually with one way. And I say

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 it's implemented using hardware mechanisms.

2 MEMBER BROWN: If you've got the  
3 extensions on there, that's fine. I thought I saw --  
4 but I'm just pointing out is that they're really  
5 synonymous.

6 MR. BEARDSLEY: So I think for history's  
7 sake when the document was originally developed, it  
8 was unclear whether there'll be other technologies  
9 that could perform the same task as the data diode.  
10 So we define it as a one way deterministic device.  
11 Left it to the licensees to figure out how to meet  
12 that requirement.

13 They all chose a data diode. So I don't  
14 disagree with your point. And defining a data diode,  
15 we have the comment. But that's the reason we are  
16 where we are today.

17 MEMBER BROWN: Okay.

18 MEMBER BLEY: And that's a very good  
19 definition. I don't think anybody would --

20 MEMBER BROWN: No.

21 MEMBER BLEY: -- object to that.

22 MEMBER HALNON: I'm curious about this  
23 known malware. I mean, is that a list of stuff that  
24 you compare? Or it seems like you wouldn't want any  
25 malware much less the known stuff.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 MS. LAWSON-JENKINS: This is a common term  
2 in cyber security. This is not an NRC term. Okay.  
3 There's, in general, two types of malware. Malware  
4 that has been identified, there's a signature for it.  
5 Security devices can find it, can identify to find it.  
6 And then there's clearly what they call the zero day  
7 exploits.

8 MEMBER HALNON: Okay. So this is --

9 MS. LAWSON-JENKINS: Things you don't know  
10 about.

11 MEMBER HALNON: -- what's physically  
12 tossed.

13 MR. BEARDSLEY: So right, remember these  
14 words are going to be a license requirement to the  
15 licensee. So if we said no malware and the licensee  
16 had a zero day that no one knew about and got through,  
17 we could theoretically write a violation. And so we  
18 termed it this way because we didn't think that was  
19 fair. You've got to have other problems than that if  
20 it's a zero day.

21 MS. LAWSON-JENKINS: If it's a zero day,  
22 that's why they need to minimize the attack surface so  
23 that there's less things that the attacker can exploit  
24 if they get on your network, if they get on there.

25 MEMBER BROWN: But fundamentally, it comes

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 down to all virus detection software is fundamentally.  
2 In general, it's reactive.

3 MS. LAWSON-JENKINS: It is reactive.

4 (Simultaneous speaking.)

5 MEMBER BROWN: -- know about it. You  
6 store all this stuff in your detection software. But  
7 it's reactive. If something new comes up and you see  
8 it happening, every day in the newspaper some days,  
9 that's the -- what do you call it, a zero day? It's  
10 a zero day thing.

11 MS. LAWSON-JENKINS: Yes.

12 MEMBER BROWN: It's a new one. Now oh,  
13 now it's caused a problem. Now we're going to put  
14 that into our database so that we can protect it.

15 MS. LAWSON-JENKINS: Exactly.

16 MEMBER BROWN: That's why I'm so hard over  
17 on this stuff in reality. And I apologize for milking  
18 these cow many, many times.

19 MS. LAWSON-JENKINS: If wired connections  
20 were the only way malware could get on the network, I  
21 would --

22 (Simultaneous speaking.)

23 MEMBER BROWN: Oh, no. Absolutely.

24 (Simultaneous speaking.)

25 MS. LAWSON-JENKINS: Okay, okay.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1           MEMBER BROWN:  If you've got a hardware  
2 diode there, it can come in via somebody, bringing in  
3 a new software upgrade.  That's where the physical  
4 protection -- they have to work just like in the old  
5 days, physical access, changing set points, doing  
6 something to cards.  Now you got to make sure the  
7 software -- it's like changing out a part.  So you've  
8 got to make sure that part is a good part.  And it's  
9 hard to do.

10           MS. LAWSON-JENKINS:  So using --

11           MEMBER BROWN:  It's very hard.

12           MS. LAWSON-JENKINS:  -- a data diode will  
13 absolutely reduce the risk as far as licensees are  
14 concerned.  They rely heavily, heavily on use of a  
15 data diode.  So from the licensees' point of view, I  
16 don't think you'll have a real problem with that.  
17 It's more of a design issue.  Okay?

18           And I understand this, where you're  
19 looking at it from -- especially from the safety point  
20 of view.  But I know from experience licensees  
21 leverage safety requirements.  If they did something  
22 for safety, they say, well, we take credit for this  
23 for security also.

24           That may or may not work depending on the  
25 site and the design and things like that.  But use of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 one way information flow control, it is vital for  
2 protecting systems. There's no doubt about it. We  
3 really don't have any disagreement on that. And if  
4 you can introduce it effectively in a way early in the  
5 process, that is the better way to do it obviously.  
6 But it really is going to depend on the design.

7 MEMBER BLEY: On some of these other  
8 attacks, I spent some time working with the railroads.  
9 And they had a very difficult time when they moved  
10 over to digital control of their trains. They were  
11 bringing in approved software and apparently by  
12 approved vendors.

13 And it was -- had stuff loaded in it. It  
14 came in with the upgrades and caused them all kind of  
15 problems for a while. I've had it explained to me how  
16 our QA is so perfect, that can't happen. It's one I  
17 worry about.

18 MS. LAWSON-JENKINS: It is a challenge.  
19 It's a challenging problem. Okay. It is challenging  
20 because the adversaries change their techniques all  
21 the time.

22 MEMBER BROWN: Can I hold --

23 MS. LAWSON-JENKINS: We were talking about  
24 --

25 MEMBER BROWN: Can I hold you up for a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 minute? We're at two hours and 38 minutes into --

2 MS. LAWSON-JENKINS: Oh, sorry, sorry.

3 MEMBER BROWN: -- our 3:00 o'clock time.

4 And it's our fault. It's not your fault. It's not  
5 your fault. Do we have a little extra time coming up  
6 after this?

7 (Simultaneous speaking.)

8 CHAIRMAN SUNSERI: How much time do you  
9 need?

10 MEMBER BROWN: Well, we're at slide 13 of  
11 28. But I think the last one says questions.

12 MS. LAWSON-JENKINS: No, actually, I left  
13 the questions out because I figured you'd be asking  
14 all the way through.

15 MEMBER BROWN: If Dennis and I will shut  
16 up, we might make it. Really me. I'm going to try to  
17 restrain myself from now on. So Kim --

18 MS. LAWSON-JENKINS: I think we --

19 MEMBER BROWN: -- go ahead and --

20 MS. LAWSON-JENKINS: I think we've talked  
21 about a lot of these. We will save -- I will breeze  
22 through the other ones unless -- I will --

23 MEMBER BROWN: Okay.

24 MS. LAWSON-JENKINS: -- explain them.

25 I'll ask for each one, any questions. And I'll keep

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 going.

2 MEMBER BROWN: I'll try to restrain  
3 myself.

4 MR. BEARDSLEY: We'll make sure we  
5 highlight the ones that reflect the changes.

6 MEMBER BROWN: Exactly. Okay. Go ahead,  
7 Kim. Thank you.

8 MS. LAWSON-JENKINS: Next slide, please,  
9 Mike. Okay. The use of alternate controls, as I  
10 said, that's why we introduce what the intent of the  
11 controls were, if the control cannot be implemented.  
12 As Jim mentioned earlier, they have to have  
13 countermeasures to make sure to be able to detect if  
14 there's any problem because just because you didn't  
15 think there was going to be a problem doesn't mean an  
16 attack can't happen. Next slide, please, Mike. Thank  
17 you.

18 Use of consequence-based graded approach,  
19 this was just repeating what I said earlier, that the  
20 most important devices are at the highest security  
21 level. And you should be able to reproduce all the  
22 time how you made these decisions. There should be a  
23 real process to this and consistency to this applying  
24 this approach. In the I-1310, there's some guidance  
25 that the industry has put out has been decided as an

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 acceptable way of doing this. Next slide, Mike.

2 Okay. You've alluded to this earlier in  
3 some of the discussion that we added for technical  
4 security controls that we added this text that they  
5 can -- during this design certification that the  
6 applicants or licensees can incorporate the technical  
7 security controls as a part of the nuclear power  
8 reactor. The best way to put this is that very  
9 rarely, rarely will equipment manufacturers just put  
10 in something. They usually do that because it's  
11 requested by a customer or they know they need it to  
12 be sold to a customer, whatever.

13 So yes, as we mentioned earlier, it's the  
14 licensee or the applicant that will receive -- the  
15 licensee that will receive the violation. So they  
16 need to send the security requirements to the  
17 equipment if they're expecting the equipment to  
18 perform certain security functions. So that's clear.

19 And for a lot of the technical security  
20 controls when we talk about the classes of them, we  
21 added information regarding access control, audit and  
22 accountability, system and communication protection,  
23 authentication identification, and system hardening.  
24 Okay, especially the audit. Anyone who knows me in  
25 cyber security, I'm a big hawk on being able trace

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 what happened with that device from a security point  
2 of view.

3 Okay. So we added more explanation about  
4 what that's really needed. Okay. But like I said, a  
5 lot of that information won't get in unless the  
6 guidance is out there, whether the equipment  
7 manufacturers can read the information or that if  
8 information is given to them directly by the  
9 licensees. Any questions on this slide?

10 MEMBER BROWN: I'm not going to restrain  
11 myself again. It's not a problem except it's somewhat  
12 vague. And they're good generalized words, but it's  
13 somewhat vague in that the context of -- within the  
14 context rather of systems where you can use the  
15 conventional cyber protection mode as opposed to those  
16 who can't use them.

17 So how you balance, how you apply that,  
18 it's not in the context of the old analog to now  
19 digital controls. And then some of the digital  
20 controls can't have software that does anything other  
21 than through the controls. Not quite -- just I don't  
22 disagree with the sentence. It's just pops in and  
23 it's somewhere in the document there ought to be a  
24 differentiation again like I said earlier.

25 Some stuff like safety systems can't have

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 it. And other stuff, you can have the traditional  
2 mitigation and identification. Then it has more  
3 meaning if you have that up front. This is up in the  
4 early parts. We'll see what pops out, if anything --

5 MS. LAWSON-JENKINS: Okay. If you --

6 MEMBER BROWN: -- in our report.

7 MS. LAWSON-JENKINS: I was getting ready  
8 to say if you have any specific suggestions --

9 (Simultaneous speaking.)

10 MEMBER BROWN: It's not mine. The  
11 Committee has to agree.

12 MS. LAWSON-JENKINS: I understand. But  
13 like I said, if you look --

14 MEMBER BROWN: I'm just a Lone Ranger down  
15 here. Okay. Go on to your slide.

16 MS. LAWSON-JENKINS: Very quickly, the  
17 issue, like I said, for the data diode is one control.  
18 It's information flow control. Okay? I care about  
19 access control in general. I care about auditing. I  
20 care about the communication, the type of  
21 communication, the encryption if you're going to have  
22 any on there, system hardening.

23 There's lots of things in the technical  
24 controls I would like to see actually on the device if  
25 possible rather than knowing after the fact there's a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 report somewhere that, oh, we may have a problem.  
2 Okay. And like I said, the manufacturer is the best  
3 entity to do these things correctly and well. So if  
4 in the future -- like I said, we'll see what comes out  
5 in the next month if you have any specific  
6 suggestions.

7 But really I understand the importance of  
8 the data diode. And it is important. And we will  
9 continue to have it as a part of it. But the  
10 sophistication of the equipment, we need to broaden  
11 what we think of as technical controls and things that  
12 really are important in this --

13 MEMBER BROWN: My point is not a data  
14 diode issue. It's more of a functionality issue of  
15 the different types of systems you have to deal with.  
16 Some you can use software controls. Some you can't  
17 introduce because of their safety function. It's not  
18 saying what. It's saying you got to differentiate the  
19 world. That's all.

20 MS. LAWSON-JENKINS: Okay.

21 MEMBER BROWN: Okay. Go ahead to your  
22 next slide. I'll help you move on.

23 MS. LAWSON-JENKINS: Okay. Next slide,  
24 Mike. Okay. Incident response, there was a new  
25 regulation which is reflected in the guidance. And we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 updated the references for NIST and DHS for incident  
2 response. Next slide, Mike. Systems and services  
3 acquisitions, these is the Reg Guide 1.152, Revision  
4 3. The original text said Section 1.2 -- sorry,  
5 Section 2.1 to Section 2.6. It should've been to  
6 Section 2.5. So that was -- it was a typing error  
7 that was corrected.

8 MEMBER BROWN: We can handle that one.

9 (Laughter.)

10 MEMBER BROWN: You can go on. You can go  
11 on.

12 MS. LAWSON-JENKINS: Next slide, please,  
13 Mike. Okay. It's continuous monitoring. I'm not  
14 going to spend a lot of time on this because it's self  
15 explanatory in the text. But one of the issues --  
16 we're in the maintenance mode phase now for the  
17 operating plants.

18 They've all implemented cyber security  
19 plants. They have been inspected at least two times.  
20 And they've had a lot of information from us. Now  
21 they're maintaining their plant. Okay. And they have  
22 to make sure it stays effective.

23 And that's what this new text gets to.  
24 And it's like I said, I added text -- we added text.  
25 They had to do with anomaly detection. And that's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 hard to do if you don't harden the devices. If you  
2 have everything on there, you don't know what's new  
3 and what's bad.

4 So it really is just to continuously  
5 educate the equipment manufacturers and licensees that  
6 focus on what you really need on there and then  
7 protect accordingly. If you don't want to worry about  
8 new vulnerabilities on something that you don't really  
9 need, don't have it on the device. Next slide, Mike.

10 Okay. Effectiveness analysis for security  
11 controls, this is where we introduce information about  
12 metrics because, like I said, we're running out of  
13 time. We added a whole new section on metrics. It's  
14 optional. Licensees may determine that in a different  
15 way, that they want to demonstrate the effectiveness  
16 of their program.

17 They may do it as we had in the earlier  
18 discussion by saying, okay, we want to do it. We have  
19 a model that very closely simulates this. And we can  
20 run a test on it to show how we would react to a cyber  
21 attack.

22 They can come up with any method they want  
23 to do. Okay. But they already have auditing  
24 requirements. If you have auditing requirements to  
25 get logs, you need to know what those logs mean and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 you come up with metrics that can show how effective  
2 your program is. Next slide, Mike.

3 Okay. Maintenance of CDA security  
4 assessments. This was a major issue for the plants,  
5 and it's paperwork. It is. But they have to  
6 understand, as I keep harping on, you have to know  
7 what's in your system. You have to know what's in  
8 your system is secure.

9 Okay. So therefore, the only thing you  
10 have to go by is the assessments of this equipment you  
11 have. And it has to reflect what is reality, not what  
12 you did ten years ago, not what you did five years  
13 ago. It needs to reflect what is there today.

14 So we added information all through the  
15 document when any changes were made to the systems.  
16 And you have the validations, whatever, that that  
17 information is reflected in a security assessment.  
18 And it's really important, like I said. The licensee  
19 and the regulator needs to understand how these  
20 devices are protected and that their controls are  
21 still effective. This is one way of doing it, that an  
22 objective person could look at this and understand it.

23 MEMBER HALNON: Is this simply, we made a  
24 change, we do an assessment? Or is this a full  
25 assessment on everything again, over and over again?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 MS. LAWSON-JENKINS: If you make a change,  
2 you want to know your change worked, right?

3 MEMBER HALNON: Right. I get that.

4 MS. LAWSON-JENKINS: You want to make sure  
5 that you didn't introduce something that --

6 MEMBER HALNON: I'm just saying if you  
7 have a system that hasn't been change, do you have to  
8 go through an assessment?

9 MS. LAWSON-JENKINS: No, no. If you --  
10 there has been no communication with that system.  
11 This goes back to the graded approach, okay, and using  
12 risk informed security. If you --

13 MEMBER HALNON: That's fine. I got it.  
14 I just want to make sure that we weren't asking for a  
15 reassessment of --

16 MS. LAWSON-JENKINS: No, no, no. I mean,  
17 like I said --

18 (Simultaneous speaking.)

19 MS. LAWSON-JENKINS: -- like I said, this  
20 is risk informed security. You have to -- if you have  
21 tested and there's nothing there, then why would you  
22 need to go back there? This is -- okay.

23 (Simultaneous speaking.)

24 MEMBER HALNON: All right. We're on the  
25 same page. We're good.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 MS. LAWSON-JENKINS: Okay. Next slide,  
2 Mike. Okay. As I said, we added the intent of every  
3 control. We added text about reducing or eliminating  
4 tech pathways and surfaces. And we aligned with the  
5 NIST SP 853, Revision 5. So NIST has had two  
6 revisions of their security controls since we've been  
7 doing this. Next slide, Mike.

8 Okay. Very briefly, the Reg Guide 5.71,  
9 the revision, it's close but not exactly the same as  
10 the NEI version. It's like a version of what we have.  
11 And some things, actually, we took out. We saw no  
12 real need for.

13 Other things, we were in alignment in.  
14 We're removed controls. And a few things we left --  
15 that we left in our document. And they came up with  
16 alternate ways of doing it. And we'll see on  
17 inspections whether that really plays out.

18 But the issue is that safety and security,  
19 they do have synergy. They work together. But they  
20 are different things. They are different. You can  
21 have something in for a safety reason and then not  
22 meet the need for security. And that's what has to be  
23 looked at each time, especially when you're claiming  
24 credit for it.

25 MEMBER BLEY: And I guess the key thing

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 here is from both sides, we have to make sure the  
2 things we do for security don't have a negative impact  
3 on safety and vice versa.

4 MS. LAWSON-JENKINS: Well, really, no,  
5 it's one way there. The things we do for security to  
6 never have a negative impact on safety. Okay.

7 MEMBER BLEY: Well, I suspect it's not one  
8 way because some of the safety systems are tied into  
9 -- on the cyber side, things are kind of -- in any  
10 case, they don't want either one to degrade.

11 MR. BEARDSLEY: There was a safety  
12 security interface requirement in the regulations that  
13 the licensees have to maintain.

14 MS. LAWSON-JENKINS: Yes.

15 MEMBER BLEY: I wanted to ask about NIST.  
16 We keep referring to NIST. Do they have some  
17 hierarchical rule over us? Or do we think they're  
18 just really good and we want to follow them? Or  
19 what's the relationship?

20 MS. LAWSON-JENKINS: Well, one thing is  
21 they've been working in this area for quite a while.  
22 And the original version of 5.71 was a tailored  
23 version of one of the NIST documents. Two of them  
24 really.

25 MEMBER BLEY: So it's directly derivative

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 from it, yeah.

2 MS. LAWSON-JENKINS: Right, right. So  
3 anytime they change the corresponding controls, we  
4 look at it to see, do we need to pick up this change?  
5 And if not, why? Okay. Sometimes we did. But  
6 sometimes we didn't and we had justification on why we  
7 decided to change things or not.

8 MEMBER HALNON: Looking at the joint task  
9 force, the NRC is not on that joint task force. Are  
10 you all planning on becoming a member of that joint  
11 task force?

12 MS. LAWSON-JENKINS: For?

13 MEMBER HALNON: For the NIST document.  
14 I'm looking at the --

15 MR. BEARDSLEY: We're not on the joint  
16 task force. We do review all the NIST changes. We  
17 were provided the opportunity to review and comment.  
18 And so the level to which those changes are made and  
19 the broad breadth in the government, it wouldn't  
20 behoove us to give out resources to that.

21 MEMBER HALNON: I mean, you're on the ASME  
22 committees and ANS committees and whatnot. This seems  
23 pretty impactful to the nuclear industry. It seems  
24 like you'd want to be --

25 MR. BEARDSLEY: The changes they make to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 the controls, so those documents have hundreds of  
2 controls. We selected maybe 130, 140 of them. So I  
3 mean, the chances of them significantly impacting our  
4 regulation or our plan are pretty low.

5 MEMBER BLEY: Are there any areas where  
6 you've departed from NIST --

7 MR. BEARDSLEY: Yes.

8 MEMBER BLEY: -- intentionally?

9 MR. BEARDSLEY: Yes, we tailored the NIST  
10 requirements in Reg Guide 5.71 to meet the industrial  
11 control systems. Now industrial control systems,  
12 there are NIST standards for industrial control  
13 systems now that didn't exist in 2009 when we wrote  
14 the Regulatory Guide. But we're not going to go  
15 rewrite the Regulatory Guide at this point. That  
16 doesn't make sense. We are looking at that level in  
17 advanced reactor guidance for the future.

18 MEMBER BLEY: Okay.

19 MS. LAWSON-JENKINS: I just want to make  
20 a quick clarification there, 850 -- so 882 did exist.  
21 It was a very early version. So we have been tying --  
22 if you look at the revisions, we have been tying 853  
23 which is the security controls and 882 which are for  
24 an industrial control system. We monitor those for  
25 revision. Okay.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1           We don't give input. As Jim said, we give  
2           comments if we see anything. But the changes that  
3           were made, they haven't really changed them  
4           significantly. Next slide, please. I think I'll be  
5           close to getting towards the end of this. Thank you.

6           Supply chain, for supply chain, we had a  
7           lot of -- especially for the developer, a lot of  
8           prescriptive controls. I know as a software developer  
9           that a lot of integrated design environments where you  
10          use -- you don't make those coding mistakes anymore.  
11          They won't let you do it.

12          So we clarify. We got rid a lot of the  
13          prescriptive language in 12.5 for security testing and  
14          then some of the licensee applicant testing. And as  
15          I said, we keep adding more text about the attack  
16          surfaces and pathways.

17          We updated the glossary. If you have more  
18          definitions you would like us to add, please give us  
19          that information. And references, we updated those  
20          and obviously, like I said, made numerous editorial  
21          changes. Next slide, Mike. Okay, next, one more. I  
22          should've dropped this one.

23          So like I said, we've had a team working  
24          on this draft guidance since 2016. And so we know  
25          every sentence, every punctuation. Everything in this

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 document, we could defend everything in there.

2 We've had a lot of good people working on  
3 this. We put -- like I said, we put it off because  
4 public comment in 2018, got a lot of good feedback.  
5 We resumed the work in 2020. We finished the two  
6 rounds of inspections, and now we're getting close to  
7 2022. So next slide, Mike.

8 So what we were like to do is after  
9 receiving the feedback to make any last changes, look  
10 at your input, and if necessary, make any last changes  
11 and issue this draft guidance in January and have a  
12 two-month public comment period. Like I said, I  
13 anticipate having two public meetings on this, one  
14 where we just give out for information and give people  
15 time to digest it and then for stakeholders to come in  
16 and make comments on it. To use most of 2022 getting  
17 it through the NRC process.

18 And then hopefully in the fall, have  
19 another brief with ACRS subcommittee and full  
20 committee to get this guide ready for publication. So  
21 that is the plan. I think that's the last slide,  
22 Mike. Oh, one more, one more. Yes.

23 So as Jim as said, the licensees have  
24 implemented their programs, and we've provided  
25 oversight of those programs. There's no changes in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 the staff position, just clarifications and one new  
2 regulations. And as we've been speaking all through  
3 this, the world has changed a lot.

4 Ten, twelve years is two lifetimes in  
5 cyber security. It's a long time. But the attacks  
6 have changed. There are hardware attacks now. We've  
7 been talking about software. There are actually  
8 hardware attacks now and clearly firmware attacks. We  
9 have those.

10 So there's lots of things going on. So we  
11 have to adapt with that. We are not just sitting and  
12 looking at what was done. We are monitoring the  
13 changes that are coming up in the industry. We're  
14 looking at -- there are public meetings on these new  
15 technologies that are coming in. We are there.

16 I'm really wrapping it up really quickly.  
17 I'll be finished in a moment. So if we have anymore  
18 questions on that, we can see what we are actively  
19 doing. But right now on a lot of the technology, I  
20 think it's Reg Guide 1.152, you talk about the concept  
21 phase.

22 And a lot of these designs right now are  
23 in the concept phase. And we are listening and  
24 understanding the functions they must perform and try  
25 to understand how cyber attacks could affect those

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 function. So now we're listening and being a part of  
2 those discussions.

3 So I know Jim will probably speak on this  
4 maybe and if you have a few more questions. But we  
5 are not just looking back at what we did, but we are  
6 forward looking. And we are busy, not just with the  
7 inspections but, as I said, any of the new designs  
8 that come up to make sure we have a subject matter  
9 expert from cyber who would listen to what's going on  
10 so they can understand those designs and understand  
11 the impacts on there for cyber.

12 So we're doing our job. I guess the point  
13 I want to make here. This isn't just Kim Lawson  
14 speaking. It's really Mike Brown and Jim Beardsley  
15 and Eric Lee who wrote the original version of 5.71  
16 and a lot of people who continue to put a lot of time  
17 and effort in this. And like I said, we appreciate  
18 the comments. We appreciate the input. And I look  
19 forward to receiving them, so --

20 MEMBER BLEY: I have a couple quick  
21 questions and a comment. I went back and looked at  
22 that Knowledge Management document that I cited. And  
23 it appears they try to pick up some cyber security.

24 But I'm not sure if they did much more  
25 than read the older version of 5.71. I don't know if

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 any of your folks were involved with them. So here's  
2 some sections. But they're probably not thorough  
3 enough. But it's worth a look.

4 And in Section A-2 which describes the  
5 cyber security plan, there's a very clear sentence  
6 about achieving high assurance that cite digital  
7 assets are computer and communication systems and  
8 networks associates with SSEP functions, hereafter  
9 defined as Critical Digital Assets, are adequately  
10 protected against cyber attacks up to and including  
11 the design basis threat. I'm not sure when you talked  
12 about risk informing, did you talk at all about risk  
13 inform the design basis threat? I hope you do.

14 MR. BEARDSLEY: Okay. Let me just address  
15 that for a second because this is actually a major  
16 discussion, not only here in the U.S. but across the  
17 world. We have elected not to modify the design basis  
18 threat on a routine basis based on cyber threats. So  
19 the design basis threat in general has a  
20 characterization of what a DBT cyber adversary.

21 And we evaluate just like all DBT aspects  
22 on an annual basis. And we'll make a recommendation  
23 to the Commission. But we have not provided  
24 significant definition to that threat or that  
25 adversary because it changes so often.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1           It would become untenable from an  
2 administrative point of view. The licensees  
3 understand what the threat it, and they know what they  
4 have to meet. But we're not risk informing or  
5 managing it.

6           MEMBER BLEY: Okay. But it's defined in  
7 a function. I know you can't go into detail. But  
8 it's defined in a functional way, I assume.

9           MR. BEARDSLEY: It is defined at a very  
10 high level and a functional --

11           (Simultaneous speaking.)

12           MEMBER BLEY: Okay. And I guess I  
13 would've hoped there was a risk informing thought to  
14 setting as functional criteria. And if not, I wonder  
15 why not. We don't have to go into detail.

16           MR. BEARDSLEY: The challenge you have is  
17 that the nation state cyber security today is someone  
18 in their garage 18 months from now or 3 months from  
19 now or 6 months. And trying to define it would be an  
20 ongoing administrative burden that not only here in  
21 the U.S. but across the world most regulators have  
22 found is almost untenable.

23           MEMBER BLEY: So it's more of an umbrella  
24 approach. We protect inside by having a good enough  
25 umbrella that we're hoping however they come in, we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 catch them.

2 MR. BEARDSLEY: That's a fair  
3 characterization.

4 MEMBER BLEY: Okay.

5 MS. LAWSON-JENKINS: While keeping an eye  
6 on what's going on inside. You don't assume that only  
7 good people are on the inside. And I don't mean  
8 inside the threat. I mean that you don't have any  
9 malware just because you haven't seen anything bad  
10 yet. But you have to keep monitoring.

11 MEMBER BROWN: I just wanted to clarify  
12 because I read this thing on design basis threat. And  
13 I want to make sure I understand this. A plant has a  
14 design basis threat it's supposed to be protected  
15 against. Are we saying there's not a cyber threat  
16 that's going to affect that and make it worse?

17 MR. BEARDSLEY: We are not saying that,  
18 no. What we are saying --

19 MEMBER BROWN: You're not -- okay. Maybe  
20 I said that the wrong way.

21 MR. BEARDSLEY: So the design basis threat  
22 is defined in the regulation, then we have safeguards  
23 level documents that provide more definition to the  
24 physical design basis threat.

25 MEMBER BROWN: Exactly.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 MR. BEARDSLEY: We have elected not to  
2 provide in more significant detail --

3 (Simultaneous speaking.)

4 MEMBER BROWN: That's where I was trying  
5 to get to. That's where I was trying to get to.  
6 You're not saying there's something out there that  
7 could compromise our design -- we're leaving it the  
8 way it is.

9 MR. BEARDSLEY: Absolutely.

10 MEMBER BROWN: We're not trying to -- and  
11 I'm not saying -- I just wanted to understand it, make  
12 sure I got it clearly. Thank you. Kim, you're done?

13 MS. LAWSON-JENKINS: I am done, unless you  
14 have anymore --

15 MEMBER BROWN: Okay. Well, thank you very  
16 much, young lady. You did a fine job, very patient.  
17 That's always appreciated. Let me --

18 MS. LAWSON-JENKINS: And honestly, we  
19 appreciate your comments. I mean, every time we have  
20 to --

21 (Laughter.)

22 MS. LAWSON-JENKINS: No, no. Seriously,  
23 every time we have to discuss how it work, we should  
24 defend it. And we're wrong, we need to fix something.  
25 So thank you very much for the feedback. Thank you.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 MEMBER BROWN: Hopefully, my intent is to  
2 provide feedback that doesn't say, take another six  
3 months to resolve our concerns.

4 MS. LAWSON-JENKINS: Hopefully, no.

5 MEMBER BROWN: Hopefully, we can be  
6 specific enough that if you agree with them, you can  
7 just do them. And then you go get your think out in  
8 January. That's my goal. Whether I'm successful or  
9 not, that depends on my colleagues here somewhat. Any  
10 member comments starting on the other side? Dave?  
11 Ron? Greg? Joy? Matt?

12 CHAIRMAN SUNSERI: That was a very  
13 comprehensive presentation. They did a good job.

14 MEMBER BROWN: Yeah. Vicki? I'm done.  
15 Do we go to the phones now during the full committee  
16 meeting? I've forgotten.

17 CHAIRMAN SUNSERI: Yes, we do.

18 MEMBER BROWN: I presume the line is open.  
19 Is that correct?

20 CHAIRMAN SUNSERI: So yes, if there's any  
21 members of the public that wish to make a comment, you  
22 can unmute yourself. You can \*6, provide your name  
23 and your comment.

24 MEMBER BROWN: Hearing none.

25 CHAIRMAN SUNSERI: Yeah, and then I guess

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 I would offer the same courtesy to any members on the  
2 Teams chat that would like to make a comment. Not the  
3 chat, the Teams session.

4 (No audible response.)

5 CHAIRMAN SUNSERI: Okay, nothing. All  
6 right.

7 MEMBER BROWN: I got -- can I finish up?

8 CHAIRMAN SUNSERI: Go ahead.

9 MEMBER BROWN: Number one, I want to -- I  
10 just want to thank you all. We've had three what I  
11 thought very illuminating, providing a lot of  
12 information between the September 22nd digital ANC  
13 overview where we had extensive discussion, in general  
14 on this general subject as well as the October session  
15 and again a follow-up today with Kim. And you all did  
16 a -- in my own personal opinion, did an excellent job  
17 of trying to or even answering our questions.

18 I'm hoping that we -- I have a letter  
19 prepared. And it's -- hopefully, I can get through it  
20 without asking for the world to be reexamined and have  
21 only specific suggestions of which hopefully you will  
22 accept. Other than that, if you all have nothing else  
23 to add, you have any final thoughts you'd like to say,  
24 Jim?

25 MR. BEARDSLEY: Just thank you very much

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 for the opportunity.

2 MEMBER BROWN: Okay. Thank you all. It  
3 was a good presentation. I really enjoy the back and  
4 forth. They're very good for both of us.

5 CHAIRMAN SUNSERI: Yeah.

6 MEMBER BROWN: I'll turn it over to you,  
7 Matt.

8 CHAIRMAN SUNSERI: Yeah, I agree, Charlie.  
9 I think this session demonstrated the true value of  
10 the in-person presentations and interactiveness. The  
11 meeting was much more robust than I think I've seen on  
12 nearly two years' worth of virtual ones. So thank you  
13 all for that.

14 Okay. So at this point then, we're going  
15 to take a break. We're going to take a break till  
16 let's call it 3:30. At that time, we will complete  
17 the day on deliberations by delivering two reports.

18 We're going to start with the Kairos  
19 report because it's very near being done. I want to  
20 get that one up and down before we get into a longer  
21 one, right? And then we'll get into the -- Charlie,  
22 you can be prepared to do your read-in. Hopefully,  
23 we'll get through major comments and get pretty far  
24 along on that one. Yes, Dennis?

25 MEMBER BLEY: Is staff going to provide us

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 with hard copies or should I go print my own?

2 CHAIRMAN SUNSERI: Well, I'll take care of  
3 that during the break, yeah. All right.

4 MEMBER BROWN: I have a hard copy. The  
5 one I sent out to everybody, I printed out.

6 CHAIRMAN SUNSERI: Okay. All right.  
7 Thank you. All right then. So we are now in recess  
8 until 3:30. Thank you.

9 (Whereupon, the above-entitled matter went  
10 off the record at 3:09 p.m.)

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

November 29, 2021

Project No. 99902069

US Nuclear Regulatory Commission  
ATTN: Document Control Desk  
Washington, DC 20555-0001

Subject: Kairos Power LLC  
Presentation Materials for Kairos Power Briefing to the Advisory Committee on Reactor Safeguards (Full Committee) on KP-FHR Mechanistic Source Term Methodology Topical Report

References: Letter, Kairos Power LLC to Document Control Desk, "KP-FHR Mechanistic Source Term Methodology Topical Report, Revision 1," August 19, 2021, ML21231A290

This letter transmits presentation slides for the November 30, 2021, briefing for the Advisory Committee for Reactor Safeguards (ACRS). At the meeting, participants will discuss the KP-FHR Mechanistic Source Term Methodology Topical Report (KP-TR-012-P) Revision 1, which was submitted via the referenced letter to the Nuclear Regulatory Commission for review and approval.

The content of this information is non-proprietary; Kairos Power authorizes the Nuclear Regulatory Commission to reproduce and distribute the submitted content, as necessary, to support the conduct of their regulatory responsibilities.

If you have any questions or need additional information, please contact Drew Peebles at [peebles@kairospower.com](mailto:peebles@kairospower.com) or (704) 275-5388, or Darrell Gardner at [gardner@kairospower.com](mailto:gardner@kairospower.com) or (704) 769-1226.

Sincerely,



Peter Hastings, PE  
Vice President, Regulatory Affairs and Quality

Enclosure: Presentation Slides for the November 30, 2021, ACRS Kairos Power Subcommittee Briefing

xc (w/enclosure):

William Kennedy, Acting Chief, NRR Advanced Reactor Licensing Branch  
Benjamin Beasley, Project Manager, NRR Advanced Reactor and Licensing Branch  
Weidong Wang, Senior Staff Engineer, Advisory Committee for Reactor Safeguards

**Kairos Power LLC**  
[www.kairospower.com](http://www.kairospower.com)

**Enclosure 1**

**Presentation Slides for the November 30, 2021  
ACRS Kairos Power Subcommittee Briefing**



# Kairos Power

## KP-FHR Mechanistic Source Term Methodology Topical Report

ACRS Meeting, November 30, 2021



Kairos Power's mission is to enable the world's transition to clean energy, with the ultimate goal of dramatically improving people's quality of life while protecting the environment.

---

In order to achieve this mission, we must prioritize our efforts to focus on a clean energy technology that is *affordable* and *safe*.

# KP-FHR Specifications

## Uniquely Large Margins Between Operational and Failure Temperatures

Parameter	Value/Description
Reactor Type	Fluoride-salt cooled, high temperature reactor (FHR)
Core Configuration	Pebble bed core, graphite moderator/reflector, and enriched Flibe molten salt coolant
Core Inlet and Exit Temperature	550°C / 600-650°C

Design Temperature Limits	Value
Primary Salt (Flibe) Freezing and Boiling Temperatures	459°C / 1430°C
Maximum ASME Section III, Division 5, SS316 Temperature	816°C
Peak Fuel Temperature Limit	1600°C

*Our combination of fuel and coolant provides a uniquely large safety margin.*

# High Level Approach


## Source Term Methodology

---

- Decompose the problem into a series of Material at Risk (MAR) and barrier Release Fractions (RFs) that separate that MAR from a receptor at the site boundary.
- For each barrier, group radionuclides into and model release through that barrier using a representative element for that group.
  - The barriers for radionuclide release are the TRISO fuel and the Flibe coolant (i.e., functional containment).
  - Radionuclide groups are used to facilitate transport through barriers.
  - Unique grouping structures exist for specific release modes (e.g., mechanical grinding of fuel in the PHSS vs diffusion through TRISO barriers).

$$ST^i(t) = \sum_{j=1}^J MAR_j^i(t) \prod_j RF_j^i(t)$$

# Sources of Steady State Material at Risk (MAR)



# MAR Mobilization in AOOs, DBEs, and DBAs

Only minor fractions of the total MAR can be mobilized in AOOs, DBEs, or DBAs

- The vast majority of MAR is safely protected in the fuel during AOOs, DBEs, and DBAs.
  - No incremental fuel failure is expected at temperatures  $<1600^{\circ}\text{C}$ .
  - Multiple inherent safety features protect the fuel from achieving high temperatures.
- MAR circulating in the reactor coolant as well as MAR present in other locations (cover gas, intermediate loop, etc) can be mobilized in AOOs, DBEs, and DBAs.
  - Aerosolization of Flibe – Hypothetical guillotine pipe break or primary pump operations
  - Vaporization– chemical specific evaporation is evaluated across accident temperature profiles
    - Limited release rates are expected from evaporation of soluble radionuclides from Flibe for temperatures below  $816^{\circ}\text{C}$ .
- Tritium stored in graphite, pebbles, and structures can be desorbed at elevated temperatures.

# AOO, DBE, & DBA Source Term Methodology

---

- DBA site boundary dose to demonstrate KP-FHR meets dose limits in 10 CFR 50.34, 10 CFR 52.79, and 10 CFR 100.11.
- A technical specification (tech spec) limit will be set on activity in the Flibe, cover gas, and other systems.
  - The system is designed to preclude incremental fuel failures due to the DBA conditions as evaluated by KP-BISON.
- AOO and DBE source term analyses similar to DBAs, but a more realistic assessment of barriers, mitigation strategies, and initial conditions may be assumed.
- The circulating activity technical specification will be used to inform an operational limit on circulating activity. This operational limit can be used as a more realistic initial condition for normal operation effluent calculations as well as certain AOOs and DBEs.

# Radionuclide Grouping and Transport Approach

- Transport of radionuclides through each medium is evaluated on an RN group basis using the following steps:
  1. Individual isotopes are combined into RN group for each barrier.
  2. Release fractions of each RN group associated with that medium is calculated given driving forces (e.g., temperature, pressure).
  3. Release fractions are combined with the relevant inventories to determine the quantity of material that is mobilized. That incoming material is then:
    1. Combined with the radionuclides already present in the next barrier and then
    2. Regrouped for subsequent mobilization
  4. The dose consequences for radionuclides that are transferred into the gas space are evaluated with RADTRAD and ARCON.

## LWR Example



# Limitations

---

1. Approval of KP-Bison for use in fuel performance analysis as captured in KP-TR-010-P (KP-FHR Fuel Performance Methodology).
2. Justification of thermodynamic data and associated vapor pressure correlations of representative species.
3. Validation of tritium transport modeling methodology.
4. Confirmation of minimal ingress of Flibe into pebble matrix carbon under normal and accident conditions, such that incremental damage to TRISO particles due to chemical interaction does not occur as captured in KP-TR-010-P (Fuel Qualification Methodology for the KP-FHR).
5. Establishment of operating limitations on maximum circulating activity and concentrations relative to solubility limits in the reactor coolant, intermediate coolant, cover gas, and radwaste systems that are consistent with the initial condition assumptions in the safety analysis report.
6. Quantification of the transport of tritium in nitrate salt and between nitrate salt and the cover gas
7. The phenomena associated with radionuclide retention discussed in this report is restricted to molten Flibe. The retention of radionuclides in solid Flibe is beyond the scope of the current analysis.
8. The methodology presented in this report is based on design features of a KP-FHR (details provided in report). Deviations from these design features will be justified by an applicant in safety analysis reports associated with license application submittals.

# NRC Staff Evaluation of the KP-FHR Mechanistic Source Term Methodology, Revision 1

Michelle Hart  
Senior Reactor Engineer  
Office of Nuclear Reactor Regulation

Presentation to the ACRS  
November 30, 2021

---

---

# Introduction

- KP-FHR Mechanistic Source Term Methodology topical report, KP-TR-012, Revision 1 (August 2021)
- Applicable to Kairos Power fluoride salt cooled, high temperature reactor (KP-FHR) designs
  - Including a nuclear test reactor and commercial power reactors
- Methodology to develop event-specific radiological source terms and short-term atmospheric dispersion values for EAB and LPZ at distances less than 1,200 meters
  - DBAs for siting and safety analysis
  - AOOs and DBEs for use in NEI 18-04 methodology to categorize events, classify SSCs, and evaluate defense-in-depth
  - Does **not** address source terms and atmospheric dispersion for normal operation and effluents, BDBEs, or control room habitability

---

# Staff Review Focus

- Staff review focused on the bases for models in the methodology
  - Radionuclide transport and retention in the fuel, Flibe, gas space and buildings
  - Tritium production, transport and retention
  - Aerosol formation and deposition
  - Near-field atmospheric dispersion and use of ARCON96

---

# Mechanistic Source Term Approach

- Methodology develops MSTs by evaluating sources of radioactive materials at risk of release (MAR) and release fractions for each barrier that contains the MAR
- DBA MSTs are developed crediting only the TRISO particle and Flibe coolant radionuclide retention as the KP-FHR functional containment
- MSTs for AOOs and DBEs are developed using a more realistic accounting of radionuclide barriers
- Staff finds the MST approach acceptable because it is consistent with
  - Safety analysis regulatory requirements
  - Discussion of MSTs in SECY-93-092 and RG 1.233
  - Description of functional containment in SECY-18-0096

---

# Vaporization of Radionuclide from Flibe

- The NRC staff finds the methodology acceptable because of conservative assumptions and KP-FHR design features

---

# Conditions and Limitations

- Kairos Power proposed 8 limitations on use of the TR, which were acceptable to the Staff
- Includes relationships to other Kairos Power TRs under review
  - KP-FHR fuel performance methodology TR and use of KP-Bison computer code
  - KP-FHR fuel qualification methodology

---

# Conditions and Limitations

- The Staff imposed two additional conditions and limitations
  - #9: Use of the methodology is limited to the KP-FHR design. The combination of TRISO and Flibe allows for assumptions that may not be valid for liquid-fueled MSR.
  - #10: Applicant to provide information to justify that the calculation of tritium absorption onto graphite is not sensitive to the assumptions on tritium diffusivity and solubility in Flibe.

---

# Changes to SE

- Changes made to the SE since issuance of Draft SE do not impact the NRC staff conclusions

---

# Staff Conclusions

- KP-TR-012, “KP-FHR Mechanistic Source Term Methodology,” Revision 1, provides an acceptable methodology for development of event-specific mechanistic source terms for use by KP-FHR designs in offsite radiological consequence analyses for AOOs, DBEs, and DBAs
- Staff approvals are subject to the Limitations and Conditions of the SE

---

# Acronyms and Definitions

AOO	anticipated operational occurrence
ARCON96	Atmospheric Relative Concentrations in Building Wakes computer code
BDBE	beyond design basis event
DBA	design basis accident
DBE	design basis event
EAB	Exclusion Area Boundary
Flibe	salt mixture of lithium fluoride (LiF) and beryllium fluoride (BeF <sub>2</sub> )
KP-FHR	Kairos Power Fluoride-Salt Cooled High Temperature Reactor
LPZ	Low Population Zone
MAR	materials at risk for release
MSR	molten salt reactor
MST	mechanistic source term
NEI	Nuclear Energy Institute
RG	regulatory guide
SE	safety evaluation
SECY	Commission paper
SRM	staff requirements memorandum
SSCs	structures, systems, and components
TR	topical report
TRISO	Tristructural isotopic