

Official Transcript of Proceedings
NUCLEAR REGULATORY COMMISSION

Title: Digital Instrumentation and Controls (DI&C):
Licensing and Inspection Lessons Learned
From Recent DI&C Modernization Projects

Docket Number: (n/a)

Location: teleconference

Date: Wednesday, March 23, 2022

Work Order No.: NRC-1873

Pages 1-268

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1716 14th Street, N.W.
Washington, D.C. 20009
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

NRC WORKSHOP ON DIGITAL INSTRUMENTATION AND CONTROLS

(DI&C): LICENSING AND INSPECTION LESSONS LEARNED

FROM RECENT DI&C MODERNIZATION PROJECTS

+ + + + +

WEDNESDAY,

MARCH 23, 2022

+ + + + +

The workshop convened via Videoconference
at 9:00 a.m. EDT, Bhagwat Jain, Meeting Facilitator,
presiding.

NRC STAFF PRESENT:

BHAGWAT JAIN, NRR/DEX/ESEB

SAMIR DARBALI, NRR/DEX/ELTB

DAVE DESAULNIERS, NRR/DRO

GREG GALLETTI, NRR/DRO/IQVB

BRIAN GREEN, NRR/DRO/IOLB/HFT

KIM LAWSON-JENKINS, NSIR/DP/CP/CSB

SHIATTIN MAKOR, R-IV/DORS/EB2

MICHAEL MARSHALL, NRR/DORL/LPL1

LAUREN NIST, NRR/DRO/IOLB

CHARLEY PEABODY, NRR/DSS/SNSB

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 RICHARD STATTEL, NRR/DEX/EICB
2 DINESH TANEJA, NRR/DEX/ELTB
3 JUSTIN VAZQUEZ, NRR/DRO/IOLB/HFT
4 MICHAEL WATERS, NRR/DEX/EICB

5

6 ALSO PRESENT:

7 RONALD L. BORING, Idaho National Laboratory

8 JACOB CHAMPAGNE, Entergy

9 JOHN CONNELLY, Constellation

10 WESLEY FREWIN, NextEra

11 PAREEZ GOLUB, NEI

12 JEFFREY C. JOE, Idaho National Laboratory

13 WARREN ODESS-GILLETT, Westinghouse

14

15

16

17

18

19

20

21

22

23

24

25

P R O C E E D I N G S

9:00 a.m.

MR. JAIN: Okay, we can get started, it's 9:00 a.m. Good morning to all, welcome to the digital I&C workshop. Today's public meeting is an information meeting with a question and answer session.

The workshop is posted by the NRC Staff by the industry and licensee to discuss licensing and inspection lessons learned from recent digital I&C upgrades, presubmittal activities, and regulatory and technical issues related to human factor engineering, or HFE, reviews.

The discussion and exchange of information today will assist the NRC in approving our regulatory infrastructure and in communicating the statutory expectations realized in the inspection of digital I&C upgrades.

My name is Bhagwat Jain and I am a senior Project Manager in the Office of NRR, along with me is Michael Marshall, and together we performed the project management function for all things digital in NRR.

I need to cover a few logistics points and then I will turn it over to Mike Waters, the INC Branch Chief, in the Office of NRR for opening

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 remarks.

2 The duration of the morning session is
3 three hours or three and a half hours and it will
4 include Staff's presentation on licensing and
5 inspection lessons learned with a ten-minute break in
6 between at around 11:00 a.m.

7 After one-hour lunch, the afternoon
8 session is three hours long and it will include
9 presentations on Staff's HFE reviews, NEI's approach
10 to HFE, industry reflections on licensing and
11 inspection lessons learned and then an opportunity for
12 an open discussion.

13 In this public meeting, no regulatory
14 decision will be made. This is an open public
15 interaction and as such, we will not be discussing any
16 proprietary or sensitive information.

17 We are using Microsoft Teams to conduct
18 this meeting. Please ensure you are muted when you
19 are not actively speaking and do not speak over each
20 other.

21 To facilitate the question and answer
22 portion of the meeting, we recommend that you utilize
23 the raised hand feature in Teams so we can more easily
24 identify who has a question or comment and call on the
25 individual to ask their questions.

1 The presentation will be shown via
2 Microsoft Teams meeting link that was provided in the
3 meeting notice. You can also the presentation slides
4 in our ADAMS system at accession numbers, for Staff
5 presentation the ML number is 22077A409.

6 For NEI presentation, the ML number is
7 22080A021, repeating, ML22080A021, and for the
8 industrial presentation the ML number is ML22076A191.
9 Again, ML22076A191. Now, the slides have also been
10 posted on the meeting notice on the NRC's public
11 website.

12 Given the number of participants on the
13 call, we are going to forego introductions. Instead,
14 I would ask that as a person speaks, the first
15 introduce themselves, please stand and speak.

16 Just for your information, today's meeting
17 is being transcribed.

18 The Staff contacted stakeholders to
19 provide comments and their feedback. If you have
20 comments or feedback on any aspect of the meeting,
21 please contact me or Michael Marshall and we will
22 provide you the necessary forms.

23 Our contact information is provided in the
24 public meeting notice posted on the NRC website. With
25 that, I'll turn it over to Mike Waters for opening

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 remarks. Mike is going to make opening remarks.
2 Mike?

3 MR. WATERS: Thanks, BP, and again to
4 everybody, welcome to our 2022 digital I&C workshop.
5 We are very to get everybody together again in this
6 forum. We truly do consider this as an important
7 aspect of our continual effort to improve our
8 regulatory processes and our regulatory efficiency.

9 It has been a little bit more than a year
10 since our last workshop and since then, there have
11 been a number of accomplishments and let me recount
12 them. NRC has made good progress in both exercising
13 and honing the licensing and inspection guidance.

14 Entergy has successfully provided a sound
15 design and licensing basis for the planned digital
16 upgrade of Plant Waterford.

17 Both NextEra and Constellation have put a
18 lot of energy and work into a major design license
19 amendment request for Turkey Point and Limerick,
20 planned to be submitted to the NRC later this year,
21 and as we all know on a broader scale, industry, NEI,
22 DOE, EPRI, IEEE, and other licensees have made some
23 good passenger in the digital I&C arena, especially in
24 developing statewide practices and standards from
25 digital upgrades to support your long-term operations.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 So, truly our goal today is for everyone
2 to share these insights, build upon streams and
3 experiences we have gained from a regulatory
4 perspective, and of course, identifying challenge
5 areas where more attention may be needed to address
6 fact of life changes in how these digital I&Cs are
7 implemented.

8 We are confident this workshop will
9 succeed for a diversity of stakeholders that we have
10 here today. Finally, because I am a regulator, I do
11 have to make one disclaimer and fall upon what BP
12 said.

13 No regulatory decisions will be made, we
14 do have two pending applications before us in pre-
15 application space. Indeed, part of this workshop is
16 to discuss their experiences and lessons learned from
17 the security application interactions.

18 However, we cannot use workshops to make
19 decisions on specific issues associated with those
20 applications that are coming to us. Those types of
21 discussions of course will be made in separate
22 application interactions.

23 So, again, welcome, we do have a packed
24 agenda. There are some impressive presentations and
25 I'm excited to get started. With that, BP, any issues

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 to communicate before opening remarks?

2 MR. JAIN: Yes, I'm requesting to NEI if
3 they would like to make any opening remarks. Alan?

4 MR. CAMPBELL: Thank you, BP, can you guys
5 hear me okay?

6 MR. JAIN: Yes.

7 MR. CAMPBELL: Good morning, everyone, I
8 am Alan Campbell and I'm a technical advisor with NEI
9 and we are the Digital I&C Work Group. I want to
10 thank the NRC for hosting this workshop today.

11 I think we have a lot of great agenda
12 items and great discussions to look forward to.

13 As Mike was just mentioning, ISG-06 Rev 2
14 and the associate alternate review process were a
15 great step forward for the industry and really helped
16 provide licensees with the confidence to move forward
17 with a fresh wave of digital I&C applications.

18 These digital modifications are imperative
19 for our industry as we continue to strive for safe and
20 long-term operation of our existing fleet. As
21 expected, we have learned a great deal through these
22 initial projects using this approach.

23 And we appreciate the opportunity today to
24 discuss the lessons learned using this process and
25 garner insights from the inspections. In addition to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 gaining a good understanding of the lessons learned,
2 NEI and its members are looking forward to the
3 discussion on human factors engineering, expectations
4 during the LAR process.

5 We appreciate the NRC's efforts to
6 communicate its concern with the availability of
7 information and the potential path forward using
8 multi-stage validation and earlier public discussions.

9 Our goal today is to further this
10 discussion with an alternative approach that aligns
11 with the intent of the alternate review process and
12 uses a research-based approach that has proven to lead
13 to successful integrated system validation results.

14 Ms. Pareez Golub will be presenting on
15 behalf of NEI and its Members, and we've allocated
16 part of the NEI timeslot for Idaho National Labs to
17 present some research pertinent to the discussion.

18 Our goal today with that discussion is to
19 identify any considerations or significant challenges
20 to our alternative approach. We're also looking
21 forward to discussing the NEI member comments provided
22 to the NRC on the inspection plan 52003.

23 While we understand inspection procedures
24 do not typically require public comment periods, we
25 felt that it was necessary to identify key items that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 we believe can be resolved generically to avoid any
2 misunderstandings or misapplications in the future.

3 And we appreciate the NRC's willingness to
4 engage with the comment resolution process on this
5 matter. Again, I want to thank the NRC, specifically
6 BP and Michael Marshall, for arranging this workshop.
7 And we look forward to a great dialog through today's
8 meeting.

9 MR. JAIN: Thank you, Alan. Now, I'll
10 next introduce Samir Darbali, he's the Staff Team Lead
11 for this morning's session on the presentations,
12 licensing and inspection lessons learned.

13 Now, we have several other NRC Staff
14 online and as they contribute to the meeting they will
15 introduce themselves. Please wait for your questions
16 until the end of each presentation.

17 With that, I will now ask Samir to make
18 the Staff's presentation. Samir?

19 MR. DARBALI: Thank you, BP. My name is
20 Samir Darbali, I'm an I&C technical reviewer in the
21 Division of Engineering and external hazards in NRR.
22 And I'll be going through the licensing and lessons
23 learned slide.

24 Like was mentioned, we had the first
25 lessons learned digital I&C workshop back in February

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 of last year, which although it was early in the use
2 of the alternate review process or ARP, it proved to
3 be very productive.

4 We have covered the background and history
5 of ISG-06 before and so we're not looking to repeat
6 that today. We can think of the theme for this
7 presentation to be where we started, where we are, and
8 where we're going when it comes to ISG-06 usage for
9 digital I&C modernization.

10 So, following that theme, we'll start
11 looking at what was the intent of the alternate review
12 process when it was developed. We'll then move into
13 some of the deviations we have encountered and how the
14 overlap of the licensing and development schedules is
15 somewhat shifting.

16 We'll also identify some of the lessons
17 learned related to information submittals, licensing
18 audits, the vendor oversight plan, and the VOP
19 summary.

20 We'll also talk about the review scope of
21 other NRC Branches that are outside of the INC grout,
22 and finally, we'll look at some of the things that we
23 can do to achieve licensing success path for digital
24 I&C modernization.

25 As Mike mentioned, the current digital I&C

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 licensing activities that are exercising key portions
2 of ISG-06. The Waterford III core petition calculator
3 short-term replacement was the first application using
4 the alternate review process and it was approved in
5 August of last year.

6 The Staff also completed the inspections
7 for the factor acceptance testing and set acceptance
8 testing, SAT, and we're currently preparing for the
9 site installation inspection.

10 We've also been engaged in pre-application
11 meetings since 2020 with the licensees for Turkey
12 Point and Limerick and we're expecting their
13 respective digital modernization LARs to be submitted
14 this year.

15 So, the main intent of the ARP was to
16 allow for issuance of a license amendment prior to
17 completion of the system's implement and test
18 lifecycle phases. This would provide licensees with
19 much needed regulatory certainty.

20 An application based on the ARP would
21 focus on the system design, the development process
22 for the system's software and hardware, a summary of
23 the vendor oversight plan, and additional regulatory
24 commitments for those lifecycle activities that take
25 place after each license amendment.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 And system implementation and testing
2 including factor acceptance testing is subject to
3 oversight through NRC inspections as well as the site
4 inspections.

5 This slide shows the ISG-06 licensing re-
6 process options provided to licensees for developing
7 license amendment requests. Each lane is for a
8 specific review process and there are prerequisites
9 for using each lane.

10 The tiered lane provide the benefit of
11 supplemental information as well as options for
12 referencing a pre-approved topical report.

13 The ARP lane provides the benefit of an
14 earlier approval but doesn't allow for supplemental
15 information to be submitted and doesn't allow for
16 deviations from the topical report.

17 That means that not all applications are
18 suited for use in the ARP as it is described in the
19 ISG. We typically compare the tried process with the
20 ARP and the ARP shouldn't be seen as being easier for
21 either the licensee or the Staff, it just means that
22 it's packaged in a way that supports an expedited
23 review.

24 So, for a licensee that wants to use a
25 platform that hasn't been approved previously through

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 a topical report, let's say they identify a vendor and
2 they want to use this platform that hasn't been
3 approved, that's something that is accommodated in the
4 tiered process.

5 They just need to provide details on that
6 platform in order for the Staff to perform its review.
7 For a Tier 2 application, we're looking at a licensee
8 referencing an approved topical report but there are
9 deviations in the application.

10 So, for example, it could be new modules,
11 a change in technology, some new cards or a change in
12 software that wasn't approved during the topical
13 report evaluation.

14 So, the licensee would need to add that
15 information into the application for the Staff to be
16 able to review the system.

17 And then the Tier 1 process references the
18 topical report without any changes. So, out of the
19 three tiered options, that provides the more efficient
20 review process.

21 And the Staff's focus in the evaluation is
22 based on just those plant-specific aspects of the
23 modification, including plant-specific action items
24 from the topical report.

25 Now, the ARP also references a previously

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 approved topical report but like we said, it doesn't
2 allow for deviations to that topical report.

3 So, you wouldn't expect an application
4 that resembles a Tier 1 with some supplemental
5 information or Tier 2 with deviations to the topical
6 report to follow through or use the ARP lane.

7 So, the ARP lane does provide that
8 expedited path but an application has to meet the
9 prerequisites for using that lane.

10 And as we'll cover later, one of the key
11 aspects and benefits of the ARP is the earlier
12 issuance of the license amendment followed by
13 inspections of implementation and testing.

14 So, the ARP was developed to provide
15 licensing review guidance to quickly support upcoming
16 digital I&C modifications.

17 This intent was that all information was
18 to be provided in a single high-quality submittal,
19 meaning that there would not be a need or room for
20 RAIs or supplemental information.

21 The emphasis was given on determining how
22 past one-for-one digital modifications like Ocone,
23 Diablo Canyon, and Hope Creek could be reviewed and
24 improved before completion at FAT.

25 Emphasis was not given specifically to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 modifications that will be envisioned in the future
2 like those that incorporated a combination of systems,
3 the elimination of sensors, measure of control room
4 changes, changes to plant defense in-depth and
5 diversity, or crediting of self-diagnostics to
6 eliminate surveillance requirements.

7 We knew those applications would
8 eventually come but the expectation was that they
9 would come in after the ARP had had enough run time
10 and lessons learned.

11 So, we've covered the intent of the ARP
12 and now we're going to look at what we're seeing
13 currently, which is that actual applications deviate
14 in some manners from the ISG-06 guidance in terms of
15 the LAR contents, the use of supplemental information,
16 and the licensing and development timelines.

17 The scope of LAR modifications is more
18 expansive and goes beyond the one-for-one digital
19 replacements that we were expecting.

20 And they include changes to plant
21 architecture, operations, and tech specs, which
22 requires added NRC resources to address more complex
23 applications.

24 Now, minor or modest deviations are not
25 necessarily impediments to the review if they're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 addressed early in pre-application meetings. The
2 challenge really is in attempting to apply a specific
3 ISG-06 licensing process when the application doesn't
4 align with that process.

5 To address these deviations and maintain
6 regulatory certainty, the Staff and the licensee may
7 need to adjust the licensing review scope and
8 schedule, as well as their expectations.

9 This includes adjusting for the potential
10 for additional information to be audited or docketed,
11 changes to the licensing review and license amendment
12 issuance schedules, and changes to the licensing audit
13 and inspection scopes and schedules.

14 Flexibility on the part of the Staff and
15 licensees will need to consider other aspects of the
16 application, such as the level of detail in the vendor
17 oversight plan, the use of regulatory commitments, and
18 even the safety significance of the modification.

19 Now we're going to talk about the
20 scheduling deviations.

21 The ISG-06 describes what can be
22 considered as the model cases for Tier 1 and ARP in
23 the sense that it assumes that specific licensee and
24 vendor lifecycle development activities will overlap
25 with specific NRC licensing review and inspection

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 activities.

2 The Tier 1 review schedule overlaps with
3 the system design implementation and testing lifecycle
4 phases, whereas, the ARP compressed the licensing
5 schedule to overlap with the system design and early
6 implementation.

7 What we're seeing is that the actual
8 system development schedule appears to have also been
9 compressed and so the implementation phase is taking
10 place during the later half of the licensing review,
11 also supplemental information submittals like
12 equipment qualification summary reports have an impact
13 on the review schedule.

14 And this has resulted in an overlap of the
15 development and licensing schedules that are neither
16 the ARP or the Tier 1 as it was envisioned in the ISG.
17 So, this slide shows the model case for the ARP
18 licensing and development timelines.

19 Most of you have seen variations of this
20 timeline before, it keeps evolving as we gather more
21 lessons learned.

22 But the top part in blue are licensee and
23 vendor activities, going through the different
24 lifecycle phases, and the bottom part is the NRC
25 licensing inspection activities.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 And typically, what happens is a licensee
2 will identify an installation date based on a specific
3 refueling outage, when they want to install the
4 system, and that's going to determine, as we'll see in
5 a later slide, when they really need that license
6 amendment to be issued and approved and also that's
7 going to determine when they're going to be able to
8 submit the license amendment request.

9 As you can see in the model case, ARP
10 supplemental information is not provided. The Staff
11 performs the licensing review and regulatory audits
12 based on the information in the LAR which includes
13 requirement specifications and a level of detail of
14 the system design in order to demonstrate that the
15 regulatory criteria is met.

16 I do want to point out that the date when
17 the license amendment is issued doesn't mean it's the
18 time when the Staff completes our safety evaluation.

19 The Staff actually completes the safety
20 evaluation a month or more before, which means that
21 after the Staff completes their draft SE, that SE goes
22 through internal reviews and concurrences, no legal
23 objection review by OGC.

24 There may be ACRS meetings taking place in
25 this time and of course, preparation of the license

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 amendment itself. So, there are other activities that
2 take place after the Staff has completed their draft
3 safety evaluation.

4 Because at this point, you could say the
5 Staff has put their pencils down, they're not
6 reviewing any implementation activities that are
7 taking place so at that time, if necessary, we would
8 expect vendor oversight plan implementation and vendor
9 inspections to begin.

10 Those would be carried out until factor
11 acceptance testing and they would be followed by
12 regional inspection side activities, including side
13 acceptance testing.

14 This slide shows how an actual ARP
15 licensing and development timelines have shifted.
16 There's no easy way of having this timeline show the
17 effects of multiple deviations without becoming too
18 complicated and hard to read.

19 So, these examples show the effects that
20 multiple supplemental information submittals have on
21 the licensing review schedule.

22 So, you can see supplemental information
23 is being provided so that extends the licensing review
24 schedule and compresses the VOP and vendor
25 inspections.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 Now, a similar effect may happen when the
2 review schedule remains the same and there isn't
3 supplemental information submittals, but the lifecycle
4 development phases are compressed because for some
5 reason, it doesn't take the vendor as much time to
6 complete each lifecycle phase.

7 So, those would be compressed but it would
8 have a similar effect that the license amendment is
9 getting issued somewhere in the testing phase. Now,
10 in both cases, that license amendment is still being
11 issued before completion of factor acceptance testing.

12 So, this slide shows the factors that
13 determine the licensing and development schedules.
14 So, the factors are, like I mentioned earlier, when is
15 the license amendment needed?

16 That is going to be determined by when the
17 modification is going to be installed. That's going
18 to feed into when the project starts and so when are
19 the development lifecycle phases started and
20 completed?

21 Some of the early lifecycle development
22 phases like concept design requirements and early
23 portion of the design phase are going to feed into the
24 contents of the LAR.

25 So, the schedule for those lifecycle

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 phases is going to determine when the LAR is going to
2 be submitted and depending on if additional
3 information is going to be provided, when will all of
4 the information be submitted.

5 These three factors are dependent on
6 licensee and vendor resources as well as complexity of
7 the design. So, once all that is incorporated and we
8 have a LAR, then the question is on the NRC side, when
9 can the Staff complete the draft SE?

10 And that's going to be determined on what
11 is the time needed to perform the licensing review?
12 Again, that's going to be dependent on NRC's Staff
13 resources and the complexity of the design.

14 After the Staff has completed their SE,
15 the question is when can the license amendment be
16 issued? And that's going to be dependent again on
17 those post-draft SE activities and those NRC internal
18 processes.

19 So, what we do during pre-application
20 meetings is the licensee will come in and say we are
21 thinking of submitting the LAR at this particular date
22 and we would like approval by this particular date.

23 So, we go through all of these exercises
24 to understand the scope of the modification, the need
25 for supplemental information, and looking at resources

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 that both the licensee, the vendor, and the Staff
2 side.

3 And what we're trying to achieve during
4 pre-application meetings is can the license amendment
5 issuance date meet that license amendment request
6 date? So, that's an exercise that we do.

7 This slide shows the first table of
8 Enclosure B, which identifies the typical information
9 to be submitted depending on the applicable review
10 process. And it points to the respective sections of
11 the ISG for the detail criteria.

12 So, the information in the Enclosure B
13 tables is based on the applicable lifecycle
14 information and outputs that are subject to Staff
15 review and audit. The tables assume a model case
16 application and did not account for deviations from
17 the ISG-06 guidance.

18 So, given any deviations or application-
19 specific aspects, we can expect the different
20 information from that identified in Enclosure B may
21 need to be provided.

22 In the end, the information submitted for
23 an actual application and the timing of submittal may
24 end up resembling something in between the ARP and a
25 Tier 1 application.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 So, for example, when it comes to the
2 crediting of self-diagnostics for the reduction or
3 elimination of surveillance requirements, there is
4 certain information that needs to be provided besides
5 what is identified in the ARP.

6 This is because even though such
7 surveillance reductions had been approved before under
8 the TR review process, this was not a review topic
9 that was considered when the ARP was developed.

10 However, licensees do want to credit self-
11 diagnostics for the elimination of some surveillance
12 requirements and during pre-application meetings, we
13 have identified that an FMEA needs to be provided to
14 support a technical basis.

15 Licensees will need to provide analysis to
16 justify the crediting of self-diagnostics for a tech
17 spec surveillance requirement reduction and we'll need
18 to perform periodic functional tests and the self-
19 diagnostic features to satisfy BTP 7-17 guidance.

20 Licensees will also need to provide a
21 description of plant administrative control that will
22 provide assurance that falls are captured and
23 investigated. And here are some lessons learned
24 regarding the licensing audits.

25 During the pandemic we relied on virtual

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 audits of undocketed material and living documents
2 like the VOP.

3 And this has proven to be very effective,
4 using open items during audits and providing questions
5 to the licensee in advance of virtual audit really
6 improve the effectiveness and use of the audit time.

7 We did find that in-person audits of the
8 vendor should still be performed during the licensee
9 review and this helps Staff and inspectors familiarize
10 themselves with the system and interfaces.

11 And the scope of the information to be
12 audited should include those vendor and licensee
13 documents developed during the licensing review.

14 If any audit information is needed to
15 support the Staff's draft safety evaluation, then the
16 Staff will ask the licensee to place that information
17 on the docket.

18 Now we'll talk about the integrated
19 licensing reviews, a digital modification encompasses
20 various technical review disciplines, and depending on
21 the application, the Staff responsible for these
22 branches may be involved in the licensing review, the
23 inspections, or both.

24 Each branch involved in the review will
25 use the criteria found in the SRP for the respective

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 review area, the guidance in ISG-06 is the digital I&C
2 portion of the review.

3 The ISG is structured in a way to
4 reference or interface with other guidance such as the
5 SRP, BTPs, and other disciplines such as human factors
6 engineering.

7 And now I'll turn it over to Charley
8 Peabody from the Reactor Systems Branch in NRR, who
9 will go over the reactor systems review of diversity
10 and defense in-depth. Charley?

11 MR. PEABODY: Thanks, Samir. Depending on
12 the application, like Samir said, you can get either
13 INC Branch reactor systems or human factors
14 engineering staff involved in the defense in-depth
15 portion of the review.

16 That involves a systematic approach used
17 to analyze a proposed digital I&C system for common
18 cause failures which can occur concurrently within a
19 redundant design.

20 Branch Technical Position 7-19 discusses
21 how you address those common-cause failures and
22 provides three potential paths to deal with them.

23 You can either eliminate the common-cause
24 failure from consideration, you can use diverse means
25 to mitigate the common-cause failure, or you can

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 determine that the consequences of that common-cause
2 failure may be acceptable and still be able to meet
3 the requirements of the accident analysis.

4 Some of the reviews may require re-
5 analysis of Chapter 15 accidents. Next slide, please.

6 For reactor system reviews, the following
7 items are expected to be included in the D3 analysis,
8 identification and selections of transients and
9 accidents that are to be considered in combination
10 with a common-cause failure.

11 So, basically, that requires addressing
12 all Chapter 15 events, both anticipated occupational
13 occurrences as well as the postulated accidents.
14 Other critical events such as those initiated by
15 spurious actuation that are not analyzed in Chapter 15
16 may also have to be considered.

17 Description of what systems are lost
18 during a common-cause failure, either whether that's,
19 for example, in the past reactor trip system or
20 engineer safety features and then you identify and
21 describe the credited diverse equipment which can be
22 either existing or new equipment and doesn't
23 necessarily have to be safety-related if you can show
24 that it's of sufficient quality.

25 We'll also consider identification for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 credited operator actions in lieu of systems that are
2 lost. And like I said, that factors into the
3 evaluation and analysis of each event.

4 Next slide, please. Actually, I see
5 somebody has a hand up?

6 MR. HERB: Yes, this is Ray Herb from
7 Southern Nuclear, I really had a question on the
8 previous presentation. It can wait until you're done
9 and when we get ready to go to break, then ask it.
10 But it was on Samir's presentation.

11 MR. PEABODY: We'll circle back to that.

12 MR. HERB: Thank you.

13 MR. PEABODY: Like I said, that gets into
14 the event characterization and analysis. So, when
15 you're determining what level of detail needs to be
16 provided, if the event where the CCF has no adverse
17 effect, those events require no reanalysis.

18 If the events are terminated by a diverse
19 system, you need to discuss what those diverse systems
20 are and describe any changes or a side-by-side
21 comparison of the diverse system actuation timing
22 versus the original based timing.

23 And depending on the results of that, a
24 new analysis may need to be performed if there's a
25 significant time difference between the base and the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 new case. Next slide, please.

2 If the event is dominated by another
3 event, you can just refer to that, that for instance,
4 in the past, an inadvertent steam generator relief
5 valve opening may be bounded by a steam line break.

6 And other than identifying that it's
7 bounded by the other event, it doesn't require any
8 initial analysis, just the analysis of the bonding
9 event.

10 The events that the analysis is required
11 to demonstrate that acceptance criteria are met, these
12 are basically what were not eliminated by other
13 categories.

14 And they may be analyzed using either
15 best-estimate methods or conservative methods. And an
16 analysis must be done to demonstrate they meet the
17 acceptance criteria in Section B3.3 of Branch
18 Technical Position 719.

19 Next slide. The D3 analysis is considered
20 for all relative events and then we're going to
21 determine that they were categorized correctly,
22 whether it's any of the three outcomes that were
23 previously mentioned.

24 And we'll also verify that it has
25 demonstrated the consequences of common-cause failures

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 remain acceptable, so should the common-cause failure
2 occur, the facility will remain within the appropriate
3 acceptance criteria for the limiting events applicable
4 to the proposed digital I&C system or component.

5 Next slide. This is just an example of
6 some previous ones that we've looked at and what
7 methods are credited in each one.

8 I guess I'll either turn it back over to
9 Samir or I don't know if you want to go back and
10 address that question now, or whether you want to go
11 onto human factors?

12 MR. DARBALI: We'll go on with Human
13 Factors and we'll get your raised question when we
14 finish. I think we're close to the end. Thanks,
15 Charley.

16 MR. PEABODY: Thanks, Samir. I'll now
17 turn it over Brian Green from the human factors team
18 to give a high-level overview of human factors
19 engineering review of digital modifications.

20 MR. GREEN: Thanks, Samir, good morning,
21 everybody, can you hear me okay?

22 MR. PEABODY: Yes.

23 MR. GREEN: I'm going to just speak real
24 quickly here because I do have some time on the agenda
25 later where we'll go into these points in more detail

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 but just some observations we've had here related to
2 the human factors engineering, a point to start with
3 is ISG-06 points out the HFE review guidance area is
4 not within the scope of ISG-06.

5 Instead, rather that's handled by Chapter
6 18 and that's in concurrence with NUREG 0711 Rev 3,
7 the human factors engineering program review model.

8 One observation we've had is that some of
9 the recent modifications we've been discussing have
10 been more significant than what were considered at the
11 time that ISG-06 was developed and revised. So, we're
12 kind of adapting and working out ways to adapt to
13 that.

14 We have also notice there have been some
15 scheduling challenges with regards to the review of
16 the integrated system validation testing, it's one of
17 the key human factors points of contact and there are
18 some challenges as far as how and when to schedule
19 that in order to make the modifications to simulators
20 while still maintaining the ability to do other
21 functions in the simulator such as operator licensing
22 training and other activities.

23 To address that, the NRC Staff have been
24 considering some possible alternatives that may help
25 provide a suitable regulatory checkpoint that's a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 little bit earlier in the process to break the log jam
2 at the back end there, so to speak.

3 One of the methodologies we're proposing
4 for that is to use a multi-stage validation test
5 program, which effectively spreads out validation
6 activities throughout the course of the design work
7 into different discrete steps.

8 And we believe we can, depending on how an
9 MSB program were designed, we could probably find
10 enough support for the design a little bit on the left
11 of the schedule when the ISV would happen, and that
12 may free up some scheduling opportunities there.

13 We've also been considering various
14 alternative test beds that would allow testing to
15 happen without necessarily modifying the plant
16 simulator. At the same point, one of the really
17 promising tools for that is the glass-topped
18 simulators.

19 But our discussion has not been limited to
20 just those, there are other methods that may also be
21 acceptable to use within an MSV program. And I
22 mentioned earlier that I'm going to discuss this in
23 detail later so I think that's all I've planned to
24 cover this morning.

25 Back to you, Samir.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 MR. DARBALI: Thank you, Brian. I'll now
2 talk about the secure development and operational
3 environment and the cybersecurity considerations.
4 Clause 5.9 Control of Access of IEEE 603 1991 is the
5 basis for SDOE reviews.

6 Section D8 of the ISG discusses the SDOE
7 reviews and refers to the guidance in Regulatory Guide
8 1152 Revision 3. And so the ISG also provides
9 guidance to NRR Staff to coordinate with NSIR Staff on
10 matters related to cybersecurity.

11 Now, the licensing review of a digital I&C
12 modification does not include a cybersecurity review
13 for compliance with 10 CFR 7354, which is the
14 cybersecurity rule.

15 The regions with NSIR's support perform
16 cybersecurity inspections of the digital INC
17 modification and the licensing review is independent
18 from the cyber inspections and the cybersecurity
19 inspections did not impact the licensing review
20 schedule.

21 And so NRR, NSIR, and Regional Staff
22 worked together to ensure adequate coverage and
23 understanding of the SDOE and cybersecurity aspects of
24 the modification and this includes security
25 requirements for controls to be implemented by the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 vendor, supply chain requirements of the cybersecurity
2 plant, and security impact analysis of the
3 modification.

4 So, the combination of SDOE and
5 cybersecurity programming provisions address the
6 secure design, development, and operation of digital
7 I&C safety systems.

8 So, you can see in this table that there
9 is a difference when it comes to the focus of SDOE and
10 cybersecurity, the focus on SDOE is on safety, and
11 we're looking at aspects that are non-malicious acts
12 where cybersecurity is focused on prevention of
13 radiological sabotage and malicious acts.

14 Regulations are different for SDOE. It's
15 10 CFR Part 50, for cybersecurity 10 CFR 7354, and the
16 Regulatory Guides are different. Again, for SDOE is
17 Reg Guide 1152 Revision 3 and for cybersecurity it's
18 Reg Guide 571.

19 And almost all licensees use NEI 0809
20 Revision 6 as the basis for their cybersecurity
21 plants. And I'll now turn it over to Deanna Zhang
22 from the Vendor and Quality Inspection Branch to talk
23 about the VOP.

24 Deanna, are you there? You might be on
25 mute. Just give us a minute, folks.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 MR. JAIN: Is Greg going to do the
2 presentation?

3 MR. DARBALI: Greg was doing the
4 inspection portion of the vendor inspection
5 presentation. So, hopefully Deanna can join us and
6 I'll go over the VOP slides.

7 So, the Staff recognizes the need for
8 guidance for developing the VOP and VOP summary. This
9 is not just an industry comment or feedback, we also
10 understand these internally.

11 We do plan on developing this guidance
12 after the licensing actions for Turkey Point and
13 Limerick and use those lessons learned in the
14 development.

15 For the Waterford III review of the VOP,
16 the Staff evaluated the licensees' oversight
17 activities as described in the VOP summary.

18 And we did that again following the
19 criteria for Appendix B 10 CFR Part 50, Criterion 3,
20 inline control, Criterion 5, instruction and procedure
21 on drawing, Criterion 7, control of purchased
22 material, equipment, and services, and Criterion 16,
23 corrective action.

24 The VOP framework should supplement the
25 licensee's overall QA program descriptions with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 specific system, hardware, and software development
2 activities, including a description of the proposed
3 development lifecycle, development documents to
4 produce, and management activities that will be
5 implemented in the design and the development of the
6 I&C safety-related systems.

7 The VOP and VOP summary should address how
8 the licensee's oversight activities will verify the
9 software development processes and the lifecycle
10 design outputs meet the software development process
11 descriptions that are summarized in the LAR or any
12 reference software program manual.

13 If the full VOP is not a lengthy document,
14 it may be beneficial for a licensee and the Staff if
15 they submitted the full VOP in the LAR instead of a
16 summary, that of course is up to the licensee.

17 Engineering procedures that are used to
18 implement the VOP should be described in the VOP and
19 VOP summary, including how they fit into the overall
20 QA program for the site.

21 The critical characteristics that will be
22 verified by VOP activities should reflect system and
23 architecture design that is specific to the
24 application being reviewed.

25 Identification of all documents that will

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 be reviewed and approved as an engineering design
2 document should be identified. And identification of
3 all lifecycle activities including V&V activities
4 should be described.

5 And the VOP and VOP summary should
6 describe the VOP changed controls. So, we need to
7 understand what is the process and the controls the
8 licensee has for changing the VOP after the license
9 amendment has been approved.

10 Regarding the VOP audits, they serve
11 several purposes. First, if the full VOP hasn't been
12 submitted in docket, then the VOP provides for the
13 Staff to review the full VOP and this can be done as
14 part of a virtual audit.

15 VOP audit also helps the Staff to verify
16 how the licensee is implementing the VOP and to
17 determine if there is reasonable assurance that the
18 licensee will implement the VOP after the license
19 amendment has been issued.

20 For Waterford, the VOP audits were
21 conducted throughout the log review timeframe. The
22 focus was on VOP activities described in the VOP
23 summary plus details of implementation provided in the
24 VOP itself to ensure consistency.

25 Like I mentioned, the pandemic required

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 these activities to be performed virtually.

2 A lesson learned or some feedback that we
3 got internally is the VOP audit should take place
4 after the audit of the vendor or if a vendor
5 inspection does take place during licensing, then
6 after the vendor inspection.

7 And this helps the Staff to focus on
8 specific items that will be audited. The licensee's
9 implementation of VOP activities may not occur
10 sequentially in accordance with the development
11 lifecycle.

12 This is something that should be explained
13 in the VOP. For example, oversight activities or the
14 implementation phase may take place after completion
15 and observance of the factor acceptance test phase.

16 One thing we also notice is that the
17 licensees' oversight audit reports may lack the actual
18 observed vendor activity by as much as a month or over
19 a month.

20 So, this creates a challenge to the Staff
21 reviewing the licensee's VOP audit reports as they are
22 seen as issues identified months in the past and may
23 not be aware of the resolution in a timely manner.

24 If the licensee's VOP audit report will be
25 issued after completion of the draft ANC, the Staff

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 may need to consider if an NRC audit of the vendor is
2 more practical to support the licensing review.

3 So, we've gone over the intent of the ARP,
4 we've gone over some of the deviations that we're
5 encountering, how the overlap of the licensing and
6 development schedules are shifting, and we've gone
7 over some of the lessons learned and some of the human
8 factors engineering and reactor systems'
9 radioactivities.

10 So, now how do we apply these lessons
11 learned and move forward to achieving a success path
12 for digital I&C licensing?

13 If an application comes in and follows the
14 tiered or ARP guidance according to the ISG, then
15 great, this is going to maximize the regulatory
16 certainty and the certainty of the review schedule.

17 But if an application doesn't follow the
18 tiered ARP guidance according to the ISG, then the
19 Staff and the licensee will need to consider what the
20 licensing review schedule is going to look like.

21 And what is a reasonable review time and
22 does the schedule support the requested installation
23 date?

24 What information needs to be submitted and
25 depending on the modification and the review schedule,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 it could be a mix of the ARP Interior 1 and what's
2 going to be the availability of the information, what
3 is going to be submitted and when.

4 This way of moving forward provides for
5 some efficiencies and flexibilities that allow both
6 the Staff and licensees to navigate through licensing
7 process deviations.

8 Both the Staff and licensees need to be
9 flexible to allow for consideration of other aspects
10 of the application such as the level of detail in the
11 VOP, the use of regulatory commitments, and safety
12 significance of the modification.

13 It's likely that moving forward in this
14 manner can result in a license amendment being issued
15 before it would have been issued under the Tier 1
16 process. And when compared to the ARP, it's likely
17 that some inspection activities will be covered
18 instead through licensing audits.

19 Now, the goal for industry is to get the
20 digital modifications license approved in time to be
21 installed and to do so with regulatory certainty.

22 The goal for the Staff is to have all the
23 necessary information to make a safety determination
24 on the adequacy of the digital modification.

25 If the necessary information can be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 provided in a timely manner to support the licensing
2 review and the license amendment is issued in time to
3 support the planned installation date, then I think we
4 can consider that to be a success.

5 But in order to do that, the Staff and
6 licensees have to be flexible and adapt to the
7 licensing process deviations and be accountable for
8 those changes.

9 We have to continue having productive
10 communications during pre-application and licensing
11 review meetings, maintaining openness on the scope of
12 the modifications and what the deviations are, and
13 having realistic expectations of what the licensing
14 review process is going to look like if the
15 application doesn't meet the guidance in the ISG.

16 Finally, we have to continue to leverage
17 lessons learned, the use of innovative tools like open
18 items or virtual audits, and licensing successes we've
19 had both using Tier 1 and ARP.

20 And with that, I think we're ready for the
21 questions so we'll start with you, Ray.

22 MR. HERB: This is Ray Herb from Southern
23 Nuclear and first of all, I want to say I appreciate
24 the NRC's willingness to be adaptable and flexible in
25 the licensing process, and I think this works out as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 a great idea.

2 But I had a question back on Slide 11. I
3 wasn't sure if you were taking questions in the middle
4 of the presentation or if I had to wait until the end,
5 so that's why I raised my hand.

6 But here I seem to have heard that you say
7 those vendor oversight parameters and vendor
8 inspections and activities could not really start
9 until the draft SE was complete.

10 And my question was if some of those
11 activities in my VOP happened to happen before that
12 draft SE is complete, would the NRC still support
13 those? Would those move into a different phase?

14 Or would we be sitting around just waiting
15 to hold those activities before you guys are done?

16 MR. DARBALI: Now, those would be part of
17 the VOP audits and I'll jump back to the VOP audit
18 slide. So, like we said, there's a few purposes for
19 the VOP audits.

20 The first one is to review the full VOP
21 and then to see the implementation of those VOP
22 activities that take place during licensing.

23 And the idea of performing those
24 implementation audits during licensing review is for
25 us to get a better idea of, hey, the licensee is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 implementing the VOP, they are performing their
2 inspections with being able to audit the licensee
3 oversight audit reports during the licensing review.

4 And that gives us a level of assurance
5 that, okay, we feel confident they're going to
6 maintain that same level of vendor oversight after
7 we've completed our draft safety evaluation.

8 MR. HERB: That makes me feel much better
9 because I was thinking that we wouldn't be able to
10 even start those activities on our end until after
11 that green box was complete, and the yellow box.

12 But they would still happen, they would
13 just be in a different space for you guys, and because
14 those activities may be planned out years in advance.

15 MR. DARBALI: Right, and to add to that,
16 the licensee's vendor oversight activities shouldn't
17 depend on when the Staff is reviewing them, whether
18 it's on licensing or it's on inspection.

19 That's your oversight, you control that,
20 what you're providing us is the vendor oversight
21 planned summary and a lot of the plan itself and the
22 implementation, what takes place during the licensing
23 review ideally becomes a licensing audit.

24 And what takes place after that would go
25 into inspection.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 MR. HERB: Thank you for clearing that up.

2 MR. DARBALI: Thank you for the question.

3 MR. JAIN: I see another raised hand.

4 MR. CAMPBELL: Good morning, Samir, this
5 is Alan Campbell. Back on Slide 6, it stated that the
6 ARP is intended to have no RAIs or requests for
7 additional information. This seems to be some new
8 information or a new expectation.

9 Even when I'm reading through ISG-06, it
10 acknowledges the RAIs as part of the ARP process. Can
11 you help provide a better understanding or a basis for
12 that?

13 MR. DARBALI: So, when we were developing
14 the ARP, again, we're looking at what was reviewed and
15 approved before under the TR process and the idea is
16 how can this be reviewed and approved in a shorter
17 timeframe, get that approval before completion of
18 factor acceptance testing?

19 And what was looked at was, well, we're
20 going to need an application that's complete. And the
21 time that was being requested was much less for the
22 Staff to perform their review.

23 So, we had these conversations with
24 industry during the development of the ISG. If we're
25 looking at adding RAIs, that's going to push the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 review schedule and it's not going to be as early as
2 what was being requested.

3 Now, I'm curious to see which section of
4 the ISG, you say it's referring to RAIs for the ARP?

5 MR. CAMPBELL: Yes, it's Section C.3.2.2.
6 It's a fairly generic statement that just alludes to
7 an RAI process.

8 So, the NRC Staff should draft the safety
9 evaluation and issue RAIs for information or
10 clarifications necessary to finish the review of the
11 docketed material.

12 MR. DARBALI: So, we understood that it
13 might not be realistic to have an application that's
14 perfect but the goal for that LAR was that it has to
15 be as complete.

16 RAIs should be the exception, not the
17 expectation, in order for us to meet that schedule.

18 MR. WATERS: Hey, Samir, this is Mike
19 Waters, I do want to supplement. And I think, yes,
20 RAIs are part of the licensing process, no doubt about
21 it, but our goal at NRC is never to have RAIs, right,
22 but that does happen.

23 I think the point being made is based on
24 the history of previous digital I&C modifications,
25 there's a mentality and thought process on both sides

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 that multiple-phase submittal, NRC details what we
2 need later on through an RAI process.

3 We'll plan to have an RAI, we'll plan to
4 have a supplement to address these gaps that we know
5 exist today. So, the more fundamental point for ARP
6 is no, the idea is to submit everything up front.

7 We've aligned clear expectations of what's
8 needed up front.

9 There are no plans to supplement later
10 through an RAI process for example, and that was the
11 paradigm we had before the ARP and I think what we're
12 trying to communicate is the ARP paradigm now is the
13 idea at the time was to submit everything at once.

14 We're not playing at supplements later,
15 we're not playing to purposely ask RAIs because we'll
16 know a supplemental meeting later. We know what we
17 need up front and I think that's what was meant here.

18 MR. DARBALI: Right, the flow chart for
19 the alternative process does incorporate RAIs. I
20 think the intention was to -- again, this is guidance
21 for the reviewers to understand.

22 You always have the option to ask RAIs but
23 I think Mike explained it well.

24 MR. CAMPBELL: I think just my
25 understanding here is through the presubmittal phases

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 and through the communications up front, we want to
2 aim for the best and highest quality submittal
3 possible.

4 We just wanted to make sure that from the
5 expectation point of having a perfect submittal every
6 time, that's a really high bar to achieve but our
7 intent is to minimize the RAIs as best we can to keep
8 within the review windows that we're aiming for.

9 MR. DARBALI: I see Rich and then Ted?

10 MR. STATTEL: They key point here is the
11 supplemental information and I also want to explain
12 that when we first developed ISG-06 in the previous
13 revision, the NRC and us worked together and we
14 recognize that we're performing these evaluations in
15 parallel with the systems being developed so it's a
16 moving target.

17 So, back in 2007, 2008 timeframe, industry
18 asked us to have this two-phase submittal process to
19 accommodate that. And in a sense, we're evaluating a
20 moving target because the system is being designed and
21 evaluated at the same time.

22 So, that was the original premise of ISG-
23 06. What happened with the revision was when we
24 created the alternate review process industry also
25 asked us to provide this early issuance of the license

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 amendment.

2 And that basically threw the whole process
3 out of whack because in order to do that, in order to
4 accomplish that, the early issuance, prior to testing
5 of the system, we really needed to have a once-and-
6 for-all submittal right up front.

7 And we could no longer adopt the Phase 2
8 submittal that was later in the process, we just
9 couldn't do that. So, that's how that evolved to
10 where it is and that's certainly being challenged with
11 the applications we're receiving today.

12 MR. DARBALI: Thanks, Rich. Ted?

13 MR. QUINN: Samir, can you hear me okay?
14 Good morning, and thank you, NRC, for doing this and
15 providing this workshop. It follows up on the
16 February one that I thought was so well done.

17 It's Ted Quinn from Paragon. My question
18 relates really to the Vendor Inspection Branch. And
19 there's a second question on eRoom that may have to be
20 done at a later time today.

21 On Vendor Inspection Branch and the VOP at
22 Slide 27 and 28, that series that you presented,
23 Samir, I wanted to talk about the division of
24 responsibility between NRR and the Vendor Inspection
25 Branch.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 I think it's a great addition to the Staff
2 on this new process to us relative from after Diablo
3 Vendor Inspection Branch but the ideas on, say, Slide
4 28, do you have lessons learned on the division of
5 responsibility between vendor inspection and NRR in,
6 for example, software development activities?

7 Did you during, say, Waterford or previous
8 license reviews address that the Vendor Inspection
9 Branch focused more on procedural guidance and that
10 the NRR focused more on evidence, on did that
11 incorporation -- what did you see of this overlap, how
12 it was handled?

13 MR. GALLETTI: Samir, this is Greg, I'll
14 try to respond to that. This is Greg Galletti with
15 the Nuclear Regulatory Regulation. I'm in the Quality
16 Assurance Vendor Inspection Group and was responsible
17 for leading some of these inspections.

18 Ted, to answer the question, what
19 typically happens when we engage a vendor on a vendor
20 inspection, we're going to have a combination of
21 quality assurance personnel staff from the NRC as well
22 as some of the technical staff that we're responsible
23 for doing the licensing reviews.

24 So, those individuals would have an
25 in-depth knowledge of the systems being modified or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 changed and the processes being used, the technical
2 requirements for those systems.

3 So, when we would go out to do the vendor
4 inspection, it would be a combination of the two
5 things that you brought up.

6 One is we would be looking at the vendors,
7 Appendix B quality assurance program implementation,
8 looking at the procedures and implementation of those
9 procedures and focusing more primarily on those
10 important system requirements that the technical staff
11 has identified and evaluated as part of the licensing
12 review.

13 So, that's typically how we would go about
14 doing these. Does that answer the question, Ted?

15 MR. QUINN: It does, I guess you would sit
16 side by side with NRR and as they do their reviews of,
17 say, the different documents that are being developed
18 in the software lifecycle, for example, then you
19 perform your review and they perform their reviews as
20 well?

21 MR. GALLETTI: Yes, and it's a
22 collaborative effort, quite frankly. We, the vendor
23 group, are in NRR also. So, they are a sister branch
24 --

25 MR. QUINN: Sorry, you're right.

1 MR. GALLETTI: No problem, but as we go
2 through the licensing review, we and the quality
3 assurance staff also have people involved in the
4 licensing amendment review.

5 And so we are familiar with the VOP, the
6 VOP summary, the application in general and we work
7 together with the technical staff to develop RAIs and
8 open issues, open questions and we support and are
9 involved in the auditing that goes on before the
10 safety evaluation is drafted.

11 So, there's a very, very strong
12 collaborative effort.

13 MR. QUINN: Thanks, what I should have
14 said is the I&C branch and I like what the VOP is
15 doing. So, let me go on, Samir, to the eRoom. Where
16 today are the potential benefits of eRoom?

17 It was discussed well in the February
18 workshop so is that on the agenda today?

19 MR. DARBALI: What do you mean by eRoom,
20 Ted?

21 MR. QUINN: So, the eRoom is the post-LAR
22 acceptance and the start of review process, and the
23 integrated actions we did, say for example, during
24 Diablo where there was the exchange of information
25 between the utility and the NRC on the many documents

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 that were available for the review cycle.

2 It was very detailed and there's many
3 documents on the order of 40 or 50 documents. And
4 there was an eRoom discussion that did occur during
5 the workshop in February and I'm wondering if that's
6 on the agenda or is that a separate item?

7 MR. DARBALI: I'm understanding you're
8 talking about the acceptance review that we do once we
9 receive the LAR.

10 MR. QUINN: No, it's beyond that.

11 So, the issue is there are docketed and
12 undocketed items and the issue part of ISG-06 Rev 2
13 was the streamline the process so that it would be
14 clear on the availability of information to NRC and
15 the three potential docketed audits and inspections.

16 And the purpose of an eRoom was to help
17 optimize that so that the NRC would request specific
18 docketed information. But it would be done in a
19 tailored manner to the information you really need in
20 order to write the SER.

21 So, the eRoom was a clear access of
22 information to the Staff in all of these many, many
23 documents that are developed as part of a hardware or
24 software lifecycle. Is that clear? Is that not
25 clear?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 MR. DARBALI: So, you're talking about the
2 virtual portal?

3 MR. QUINN: Yes.

4 MR. DARBALI: We don't have digital
5 information on this presentation from what we provided
6 in February of last year but for Waterford, we used
7 that virtual portal throughout the licensing review.

8 So, we used Certrec and what we did is we
9 developed an open items list similar to what we have
10 done for the Diablo Canyon review and we developed and
11 tracked those open items.

12 And those open items were carried into
13 Certrec.

14 And we were able to look at those living
15 documents that were being developed and then we would
16 perform virtual audits to determine if this is
17 something that we need to have docketed or if it just
18 becomes part of the audit scope.

19 But yes, the eRoom or the virtual portal
20 has been tremendously useful for the Staff and
21 licensees in reduction of docketed material and just
22 speeding up the process of getting that information.

23 MR. QUINN: That was tremendous, thanks.

24 MR. WATERS: This is Mike again, I just
25 want to add on just for everyone's awareness, that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 open IM process and portal that was formally done in
2 our licensing auto process.

3 We had a long process and procedures and
4 we had I believe a consumer-defined audit plan that
5 defined that process. So, it's transparent and open
6 to everybody what we're doing here.

7 Of course, a lot of it is proprietary but
8 that was technically under the licensing audit process
9 and how we defined that.

10 It did take a lot of effort for us to get
11 started, I'm looking forward to Entergy's comments on
12 that because I know the first few months was hard to
13 get the fireworks on.

14 But once it all got going, it was
15 extremely beneficial, Samir.

16 MR. QUINN: To us on both sides as well.
17 I'm really appreciative for both of your discussions
18 here. Thanks.

19 MR. DARBALI: And Ted, going back to your
20 question on the VOP activities and interaction between
21 licensing and inspection, in the slides for last
22 year's workshop, I believe there is a table that
23 identifies the VOP activities during the licensing
24 review and that falls into inspection.

25 MR. QUINN: Thank you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 MR. DARBALI: I see Ron Jarrett, go ahead,
2 Ron.

3 MR. JARRETT: Can you hear me?

4 MR. DARBALI: Yes.

5 MR. JARRETT: There was a trigger word in
6 one of your slides on VOP, the word all. I don't know
7 what slide number it's on but it said something about
8 listing all the engineering and approved documents.

9 Could you I guess be more specific on what
10 all means?

11 MR. DARBALI: We'll ask Greg if he can
12 take it.

13 MR. GALLETTI: Sure, this is Greg again.
14 I guess all is probably not the proper term to be used
15 there but the intent of that comment is in the VOP
16 summary itself it talks about various vendor oversight
17 activities of the licensee.

18 And what we have learned from the
19 experiences is that the implementing procedures that
20 you're using for various activities and typically,
21 these are your 10 CFR Appendix B quality assurance
22 program criteria implementing procedures are needed by
23 us to understand how you're going about doing these
24 oversight activities.

25 So, what we saw in the past is the VOP

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 summary didn't have that level of detail in it, and
2 then when we looked at the VOP itself there was some
3 additional detail.

4 But again, it wasn't a complete picture of
5 the various activities that you were performing, the
6 criteria of Appendix B that you were using and
7 leveraging to perform those activities, and the
8 governing procedures to do those activities.

9 So, that's really the intent of that
10 bullet.

11 MR. JARRETT: Thank you for the
12 clarification.

13 MR. DARBALI: Thanks for the question.
14 Any other questions?

15 MR. JAIN: Any more questions on Samir's
16 presentation this morning? We've got a question from
17 Waterford.

18 MR. ODESS-GILLETT: For the Waterford
19 license submittal, they submitted a draft LAR before
20 the actual LAR. Did you find that improve the
21 licensing review process?

22 MR. JAIN: I'm going to let Mike Waters
23 take that one.

24 MR. WATERS: Thanks, Samir. We tried to
25 use a different approach.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 I think it was helpful, in one aspect I
2 think it gave us an early jumpstart of the VOP and I
3 think there's been a lot of effort on that because
4 Entergy is the first one to develop the VOP and
5 summary.

6 And I think it jumpstarted on asking
7 questions there. It is a struggle because the review
8 of that draft was a very short period of time and it
9 was always any significant red flags.

10 But as a regulator, it's not part of the
11 formal review process and we didn't communicate any
12 findings to that degree. It did give us a jumpstart
13 in looking at it but we are rethinking does that make
14 sense from a regulatory standpoint, from that
15 standpoint?

16 I look forward to hearing your comments
17 and Entergy's comments on that as well. It's a lot of
18 effort for a licensee to put together a draft and then
19 have to resubmit it a month later. I think that's
20 what Entergy said.

21 We have to balance regulatory process
22 uncertainty with the benefit of something that may be
23 provided for us.

24 MR. JAIN: Are there any more questions to
25 Samir on the presentation? Hearing none, Samir,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 should we continue because our break is almost a half-
2 hour away?

3 Maybe you want to continue with your
4 presentation on inspection lessons learned and then
5 we'll break in the middle?

6 MR. DARBALI: I think maybe we should take
7 the break first because we do have a series of
8 presentations and different presenters who might not
9 be ready until a bit later.

10 MR. JAIN: Okay, that'll be fine so we'll
11 break for 10 minutes and this is 10:22 a.m. so we'll
12 restart at 10:30 a.m., everybody. So, a 10-minute
13 break. Thank you.

14 (Whereupon, the above-entitled matter went
15 off the record at 10:22 a.m. and resumed at 10:32
16 a.m.)

17 Hello, everyone, now we will start the
18 Staff's presentation on inspections lessons learned
19 and Greg will lead the presentation.

20 MR. GALLETTI: Good morning, everybody,
21 again, this is Greg Galletti from the Office of
22 Nuclear Reactor Regulation. I'm one of the inspection
23 team leaders in the Quality Assurance Vendor
24 Inspection Branch.

25 And I was responsible for two of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 inspections that we've performed to support the
2 Waterford digital modifications. Next slide, please.

3 So, I just wanted to give a quick
4 background. As we discussed back in February, the
5 intent was for the NRC's inspection framework to
6 really be focused in two areas, the first being the
7 vendors' development activities and design outputs.

8 Again, the inspection framework was really
9 twofold, the first area was looking at the vendors
10 programs for the development and the activities and
11 support of the design itself.

12 And the second area for inspection is
13 looking at the licensee's implementation of their
14 vendor oversight plan activities and that, as you'll
15 see, will be covered in a later presentation by our
16 regional representative.

17 As I mentioned, we had an opportunity to
18 implement the inspection framework for the Waterford
19 Digital I&C modification project and I'd like to go
20 over -- sorry, Joe, that you can't hear me -- some of
21 the lessons learned from the inspections as well as
22 originally we were going to go over the lessons
23 learned here for the audits but you've heard that
24 earlier from Samir.

25 Next slide, please.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 So, we conducted two inspections at the
2 vendor's facility, one was actually a virtual audit,
3 unfortunately, due to the pandemic but that occurred
4 back in March of 2021.

5 It was a virtual audit and we focused on
6 the requirements phase of the development process that
7 the vendor had been implementing.

8 We issued an inspection report with no
9 findings on May 10, 2021 and I provided the ADAMS
10 accession number for you. Just to give you a little
11 bit of background, for both of these inspections we
12 used our routine vendor inspection procedures that we
13 have in place.

14 The first procedure is 43002, which as
15 titled is a typical routine vendor inspection
16 procedure that we use that covers the applicable
17 portions of the 10 CFR Part 50 Appendix B
18 requirements.

19 And the second more focused inspection
20 procedure is IP 35710, which again, focuses more on
21 the software development lifecycle and the quality
22 assurance application to the development of that
23 software.

24 In concert, we used both of these
25 procedures typically whenever we do a digital I&C or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 software-related vendor inspection. So, further
2 requirements phase inspection, we focused primarily on
3 looking at both the software and hardware requirements
4 phase lifecycle development documentation.

5 We verified adequate translation of the
6 design information provided in the LAR into the
7 hardware and software requirement specifications, we
8 looked at and we evaluated the traceability controls
9 that the vendor had in place to ensure the
10 requirements were incorporated directly into those
11 specifications and carried through to later phases of
12 the development lifecycle.

13 We looked at their configuration
14 management and design control processes specifically
15 to address these areas and we also looked at the
16 independent verification and validation processes that
17 the vendor had in place to evaluate the outcomes of
18 the various phases, and in this case the requirements
19 phase.

20 And finally, we focused on the non-
21 conformance reporting system as well as the corrective
22 action program reporting system that the vendor used
23 during the development lifecycle phase in order to
24 capture any non-conformances or discrepancies,
25 evaluate those, and disposition those.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 The second inspection that we performed
2 was the factory acceptance testing phase that was done
3 in July of 2021. Again, we issued the report about a
4 month later, September 10th, the ADAMS accession
5 number is provided there.

6 Again, as a result of the inspection, we
7 did not have any significant findings. Again, for
8 this particular inspection we focused on and reviewed
9 documentation associated with both the design and the
10 implementation phases as well as the factory
11 acceptance testing phases.

12 So, as part of that, we looked at design
13 documentation and verification reports associated with
14 design and implementation, we looked at the inspection
15 and testing procedures that were being performed.

16 And in this case, we had an opportunity to
17 physically be on site to do the inspections so we got
18 to look at the test facility, the system as developed
19 for the testing, and then observe certain aspects of
20 the testing that were going on during the week that we
21 were on site.

22 Next slide, please. What did we learn
23 from all of these things? I'll characterize these
24 five or six bullets in three simple terms,
25 coordination, communication, and scheduling.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 And those three areas were the ones that
2 were the most challenging for these particular types
3 of inspections and things that as our opportunity to
4 do these sorts of inspections continues, processing
5 will be more mature and we'll get better results.

6 So, if we go through some of these,
7 certainly depending on what type of process you're in,
8 whether you're using the alternative review process or
9 a traditional Tier 1 process, those will dictate when
10 and what types of information are going to be
11 available to the inspection staff to conduct those
12 inspections.

13 And that'll be based on the maturity of
14 the design at the time of the submittals. Secondly,
15 the I&C systems as we've seen, the development
16 activities don't necessarily follow the traditional
17 Waterford lifecycle phases.

18 What we had noted when we did these
19 inspections is that certainly, certain design changes
20 may occur during the lifecycle that would affect the
21 design and therefore, require some additional
22 regression analysis that may not actually occur until
23 after our inspection was completed.

24 Additionally, during the inspections of
25 the testing, whether it be factory acceptance testing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 or at the site level, site acceptance testing, those
2 may trigger some additional design changes that again
3 would occur after the inspections had been completed.

4 Regression would have to be done by the
5 licensee and the vendor and then subsequent evaluation
6 may need to be evaluated by the NRC at that point.

7 What we also noted was that the
8 expectation when we went out and we were looking at
9 the fact testing, our expectation going in there was
10 that the implementation and design phase activities
11 would have been complete at that point in time and
12 then we would have been looking at the result reports
13 in concert with the FAT inspection that we were doing.

14 In fact, what we found out is that there
15 were certain design artifacts associated with both of
16 those lifecycle phases that were not completed at the
17 time we were on site for the FAT testing and so again,
18 that made the inspection somewhat limited and we had
19 to evaluate what to do in those cases and move that
20 over towards the system level reviews that were done.

21 The scheduling, this comes down to that
22 the scheduling really needs to be somewhat dynamic.

23 As you're approaching the design, the
24 vendor is implementing the various lifecycle phases
25 and we have to have formal communications between

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 ourselves, the vendors, and the licensees so that we
2 understand what's going on with the development
3 lifecycle, the dynamic aspects of that, and any
4 potential changes or delays or accelerations to that
5 lifecycle activity.

6 The frequency of the vendor inspections
7 also, as we pointed out back in February, will
8 probably be dependent on both the complexity of the
9 digital I&C system under development as well as
10 potentially our expertise in understanding experiences
11 with the vendors and the licensees that may have
12 already gone through digital modification upgrades and
13 we have some familiarity with their programs.

14 As I pointed out, probably the most
15 significant thing that came out of the inspections and
16 certainly the FAT inspection is that there needs to be
17 really strong coordination between the vendor
18 inspection group, the licensees themselves, and the
19 vendors in order to ensure that adequate coverage can
20 be accommodated at the testing facility.

21 In the case of Waterford, we've had the
22 vendor inspection team, we've had the licensee
23 oversight team. Obviously, we had the vendors testing
24 team and we also had support from our regional
25 inspection team.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 So, there's a lot of moving parts to these
2 inspections and coordination is really extremely
3 important to ensure that we have effective and
4 efficient inspections.

5 And communications, it's clear that as
6 early on in the development lifecycle that the earlier
7 we can open up the channels of communication between
8 the licensees, the vendors, and ourselves in terms of
9 developing schedules for doing inspections,
10 establishing the resource allocation that we need
11 internally to support the inspections as well as the
12 vendors staff in terms of being able to support those
13 types of inspections is really critical.

14 I think that pretty well sums it up in
15 about 10 minutes or less. So, I'll open it up for
16 questions.

17 Was there a hand or did it go away?

18 MS. GOLUB: There was a hand, it was me,
19 it's Pareez Golub. First, thank you, Greg and the NRC
20 of course in general, for doing this workshop, we
21 really appreciate the opportunity to hear the lessons
22 learned.

23 Greg, on your Slide 4, I didn't quite
24 understand when you were talking about something that
25 was not complete at the time of FAT.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 MR. GALLETTI: Yes, when we were out at
2 the facility looking at the FAT testing that was in
3 progress, one of the areas that we wanted to focus on
4 was to look backwards as part of the lifecycle
5 development activities.

6 And I should preface this by saying when
7 we did the FAT inspection we also had support of the
8 quality assurance vendor group, we had support of the
9 technical staff that's responsible for the LAR review
10 and approval, and we had a member or members of the
11 regional staff that were performing vendor oversight
12 inspection activities in parallel.

13 So, while we were out there looking at
14 some of the activities associated with design and
15 implementation, certain of the oversight activity
16 evaluations that were done by the licensee and IV&V-
17 related activities done by the vendor were not
18 completed at the time we were there on site.

19 And so we couldn't obviously evaluate
20 those final reports associated with those development
21 lifecycles.

22 MS. GOLUB: Thank you.

23 MR. JAIN: Any more questions for Greg?

24 MR. GALLETTI: Ted?

25 MR. QUINN: Thank you, it's Ted Quinn. I

1 wanted to ask and again, I'm going to focus in on
2 docketed and non-docketed, and it has to do with your
3 request.

4 When you go through the procedure
5 lifecycle at a vendor and you have a set of
6 procedures, are you able to address that in the
7 inspection process or do you have to docket those?

8 I didn't know what lessons learned you've
9 had from past work.

10 MR. GALLETTI: I should say in this case
11 the vendors' implementing procedures that implement
12 their Appendix B program typically are not at a level
13 of information that we need docketed.

14 So, we will review those implementing
15 procedures typically during the inspection itself,
16 looking at whether those implementing procedures carry
17 out the requirements that are documented in their
18 quality assurance program manual, and then looking at
19 the implementation of those procedures to ensure that
20 they were implemented properly and the results of that
21 implementation were documented properly.

22 And the fact that we can review that
23 documentation to see what the outcomes of those
24 activities were.

25 MR. QUINN: Perfect, end of comment.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 MR. JAIN: Samir, do you have questions?

2 MR. DARBALI: Yes, I just need to
3 reiterate something that Greg had mentioned earlier,
4 the fact that Greg and Deanna were also part of the
5 licensing review team, I think that made the
6 transition into performing those inspections much,
7 much easier because they were already familiarized
8 with that modification and the contents of the LAR.

9 So, I think that's something we need to
10 continue to do in the future.

11 MR. GALLETTI: Samir, I fully agree.

12 I think the continuity between
13 understanding the design and looking at the VOP and
14 the VOP summary and following that through to the
15 completion of the LAR documentation, and then carrying
16 that beyond into the inspection is important,
17 absolutely.

18 MR. JAIN: Any more questions for Greg?
19 If not, then we can move to regional inspection
20 lessons learned.

21 MR. DARBALI: Thanks, Greg, so Shiattin
22 will take over.

23 MS. MAKOR: Yes, I'm going to take over.
24 I'm going to switch it to mine, give me one second.
25 Is it showing now?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 MR. DARBALI: Yes.

2 MS. MAKOR: Good morning, everyone, my
3 name is Shiattin Makor, and I'm the team lead for the
4 regional inspection activities associated with the
5 Waterford III core protection calculator system,
6 better known as CPCS and, what I'll be referring to it
7 as throughout the rest of this presentation, digital
8 upgrade.

9 And I will be presenting our lessons
10 learned regional processes and the application of the
11 inspection procedure.

12 As I just mentioned, Waterford III is
13 implementing a digital I&C modification to upgrade
14 their CPC and their CEAC system using the previously
15 approved common-queue platform, This Spring.

16 Because Waterford III volunteered to be
17 the first site to you the alternate review process,
18 which relies heavily on vendor oversight and is
19 inspected using the revised inspection procedure
20 52003.

21 Region IV of the NRC Office has the
22 privilege of being the first to implement the revised
23 inspection procedure. To organize our assessment we
24 used key inspection milestones marked by the
25 completion of major deliverables.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 So, for this presentation I will cover how
2 we implemented the new inspection procedure, how we
3 inspected the alternate review process, and the
4 lessons that we've learned so far.

5 The first area that I would like to
6 discuss in the regional inspection process that we
7 chose to employ is how we decided to go about this
8 inspection. So, what we did is we divided the
9 regional project into these manageable steps to easily
10 control the inspection project.

11 We wanted to make sure we were able to
12 control the quality of the output and identify major
13 deliverables. So, the initial phase, which you see
14 blocked in the red was more of a familiarity-type
15 activity for us.

16 This is where in the licensing review
17 process we had to obtain regional administrator
18 approval.

19 And so for this part, during this phase,
20 NRR evaluated the proposed license amendment by
21 reviewing the design and capabilities of the
22 modification as part of the normal review process.

23 The region during this phase reviewed
24 specific documentation to gain familiarity with the
25 system which made it easier downstream to perform

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 documentation and functionality review once the system
2 left the vendor.

3 And it allowed us to be familiar with the
4 licensee's administrative programs for designing,
5 installing, testing, and maintaining modifications.
6 So, for the license review process, we would sit in on
7 the meetings, we weren't active participants, we were
8 very passive in it.

9 We listened in, we saw the type of
10 questions being asked with the request for additional
11 information. We saw the discussion for safety
12 evaluation and pretty much just shadowed the approval
13 of the license amendment.

14 For the regional administrator, we had to
15 obtain approval because this is, especially, an
16 infrequently performed activity and so this required
17 approval. So, for us to be able to get approval we
18 had to be able to brief management and stakeholders at
19 each phase and to get approval to do the project as a
20 whole.

21 So, in order to do that, we had to be
22 familiar with what the modification was. The next
23 phase of the regional process is the planning and
24 scoping essentially.

25 So, for this phase, the team used the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 inspection procedure requirements to identify what
2 documents were necessary to perform the inspection.

3 We use the license amendment review in the
4 inspection procedure to be able to determine our
5 inspection scope, and due to the dynamic nature of
6 these inspections, the team had to be flexible.

7 So, pinpointing dates, team composition,
8 and inspection in some cases was a moving target. Our
9 request for information was heavily based upon the
10 inspection procedure requirements.

11 And in our inspection planning and scoping
12 we identified our team composition, we used objectives
13 in the inspection procedure, scheduling we obtained
14 from the licensee for their master scheduling to see
15 when major activities were occurring.

16 And then specific activities and
17 assignments, those were based upon our team
18 composition, which as was mentioned before, we want to
19 maintain some of the continuity so our team
20 composition included a lot of the individuals who were
21 involved at the beginning.

22 So, the vendor inspections, the technical
23 reviews, our team had team members from that, so they
24 had an idea and understanding of what was already
25 going on.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 The next part of the process is the
2 implementation phase and what this essentially is is
3 the licensee was doing a factory acceptance testing,
4 the site acceptance testing, and the CPC modification
5 installation.

6 So, for this phase, the inspections are
7 all conducted by inspectors knowledgeable in the areas
8 of digital I&C and operations.

9 But because these inspections occur over
10 several weeks, actually months, the decision was made
11 to perform the inspection in phases which allowed the
12 team to keep track of what was assess and afforded a
13 level of transparency.

14 So, for our factory acceptance testing,
15 that was performed in July of 2021, and we were there
16 at the same time, as mentioned before, as the vendor
17 inspection. And so we were providing oversight of the
18 licensee, who was providing oversight of the vendors.

19 So, it was a lot of watching one another.
20 But there was value added in that phase because it
21 allowed us to see the equipment at the vendor facility
22 and started to get familiar with the process, the
23 testing, everything that we would need to address it.

24 If we would have waited until the very
25 final activity, which is installation, we wouldn't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 have some of the lessons learned and the awareness
2 that we do have.

3 In January of 2022, we performed the site
4 acceptance test activities and that was performed at
5 the facility. So, that was performed at Waterford and
6 then in May of 2022 we are preparing right now to
7 perform the installation inspection activities.

8 At this point, I want to pull up the
9 inspection procedure application and the two major
10 updates that affect and apply to regional inspections
11 particularly. So, Inspection Procedure 52003, digital
12 instrumentation and control modification inspection,
13 was issued July 1, 2021.

14 There are two major updates in here that
15 particularly affected us.

16 One of them was the revision allowed for
17 the confirmation of the digital I&C and software
18 development, integration, and testing to be stripped
19 from licensing activity to inspection activities as a
20 result of the ultimate review process.

21 So, under the new guidance, the licensee
22 has an option to use the alternate process or
23 traditional approach. Under the traditional approach,
24 the license amendment review would be completed after
25 the completion of a system design.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 Under ARP, the license amendment approval
2 relies heavily on vendor oversight and allows approval
3 prior to the completion of the design. This update
4 shifted some activities that fell under the licensing
5 activities to inspection.

6 So, in the past, digital mods such as
7 Oconee, Diablo Canyon, the FAT did not fall under
8 regional purview but this time it did.

9 Because of the reliance on the vendor
10 oversight plan, when using the ARP it's important to
11 note that when executed the VOP can be used to ensure
12 the vendor, one, executes the project consistent with
13 the LAR and, two, uses an adequate software or quality
14 assurance program.

15 The VOP when executed helps ensure the
16 vendor will meet both the process and the technical
17 regulatory requirements. But one thing to note is
18 that execution of the VOP is the responsibility of the
19 licensee.

20 So, this includes performance of oversight
21 activities on the design artifacts and development
22 activities for the requirements, design,
23 implementation, integration, and factory acceptance
24 test phases of the system.

25 So, as I mentioned before, this was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 something that was different in my previous
2 experience.

3 I was usually more of an observer during
4 the factory acceptance testing for the other two
5 facilities that I mentioned whereas this time around,
6 our team, we were active participants and it was an
7 actual team.

8 Usually, it was just the team lead that
9 participated in the FAT but now you'll have a full
10 complement that's actually providing oversight. Those
11 are the two major -- I did leave out the second one,
12 I apologize.

13 The second major change to the inspection
14 procedure 52003 was the formal inclusion of the
15 verification of commitments in the licensee's
16 cybersecurity plan.

17 So, I'm going to talk about that a little
18 later after I talk about the applications and I do
19 have my cybersecurity team member who will also add to
20 that, because we did feel there was some value in
21 talking about that a little bit more since it is one
22 of the major updates.

23 When it comes to the application of
24 inspection procedures 52003, it's divided into five
25 major areas that are listed below. Here I just

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 included major or key takeaways for each of the
2 sections.

3 For the inspection objectives, the
4 expectation is that the licensee has performed and
5 will verify that the licensee has performed enhanced
6 vendor oversight activities as defined by the vendor
7 oversight plan.

8 So, as I mentioned before, the vendor
9 oversight plan is very significant and very important.
10 That's something that we're looking at to make sure
11 that it's being applied and performed correctly.

12 The next part that we wanted to point out
13 is the inspection requirements, 52003 Section 2, all
14 requirements are not needed to be completed.

15 The team lead has the autonomy to look at
16 the applicability of items that are in the inspection
17 procedure and then if we're unable to do it, then they
18 don't have to be completed.

19 So, that section, Section 2, was pretty
20 extensive but some of the activities it may not apply
21 to the site.

22 So, that depends on the particular
23 inspection. For the Waterford inspection, what we did
24 is if it didn't apply, we note that so that there's no
25 wondering or no confusion later on.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 That was an important aspect for us. For
2 inspection guidance, I did say see the reference page.
3 I have a reference page at the end of my presentation
4 and some resources that will include the ML extensions
5 for all of the FAT and SAT and all of the documents
6 with ML numbers so that you can go back and look at
7 that.

8 But the main thing that we wanted to make
9 sure was emphasized when you look at the inspection
10 guidance section is that this is guidance for
11 inspectors. So, the reason why we wanted to emphasize
12 this is because we were in a training class for DGE
13 and there was an impression that this was the
14 requirement.

15 Section 3 is not the requirements, the
16 requirements are found in Section 2. Section 3 is
17 just guidance for inspectors, it includes references
18 and things that you can look at and use to inspect the
19 requirements in Section 2.

20 The next section in Inspection Procedure
21 52003 is in regard to resource estimates. So, the
22 resource estimates is 120 hours onsite activities and
23 if you're doing the ARP, then it's an additional 120
24 hours.

25 So, 240 hours total if it's using the ARP

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 process. I'm going to discuss this later in lessons
2 learned so I won't go or delve into it right now but
3 I did want to point out that information.

4 And then the last section discusses
5 procedure completion. And so it's conducted to
6 demonstrate the modification is implemented in a safe
7 manner.

8 So, satisfactory review of documentation
9 verification, testing, operations and training, and
10 plans for maintenance and repair are in accordance
11 with the inspection plan, and that will constitute
12 completion of this inspection procedure.

13 There's two things that I did want to
14 point out, one is that it may be completed over
15 similar inspections so there may be concern or
16 wondering why do we do it over several inspections.

17 And the inspection procedure does allow
18 for this. The other thing that I wanted to point out
19 which I'll talk about later is how do we call the
20 inspection or procedure complete?

21 How do we call it good? And so for this,
22 we have looked at using the major activities such as
23 the FAT, SAT, and installation as our methodology for
24 saying, okay, this portion is completed and moving on
25 from there.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 As I mentioned before, formally including
2 cybersecurity requirements in Inspection Procedure
3 52003 was another major update that did affect the
4 regional inspection team's inspection scoping,
5 planning, and composition.

6 Additionally, there are sections of the
7 cybersecurity plan that are particularly applicable to
8 the digital equipment upgrades and things the
9 inspection team saw during the FAT and the SAT.

10 So, my cyber team member, Kim, will
11 specifically discuss this area. Kim?

12 MS. LAWSON-JENKINS: Hi, I'm going to
13 briefly discuss the cybersecurity area where we
14 participate in these inspections and the factory
15 acceptance testing, and we will be participating in
16 the upcoming installation inspections.

17 The basis for almost all of the site
18 security plans and also for Waterford, which includes
19 Waterford, is NEI 08-09.

20 Appendix A, which talks about Section 313,
21 with identification of critical digital assets,
22 specifically in there it discusses technical security
23 requirements for security controls.

24 And those security requirements are
25 usually sent to the vendor because then the vendor

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 implements those security requirements and the
2 licensee will take credit for those as a part of the
3 cybersecurity plan.

4 So, one of the main things that we were
5 looking at as we went into the inspections were the
6 requirements that were sent down to the vendor and the
7 vendor received this information and it will be
8 information that is sent back to the licensee.

9 Also, we look at NEI 08-09, which is
10 Appendix E of 08-09 security impact analysis 10.5, and
11 that is verifying when the vendor determines that
12 they're going to use a new CDA or system, what would
13 be the impact to the security posture of the plant?

14 And that may be an ongoing process
15 documenting this information but most certainly it
16 should be done as you're sending those requirements
17 down to the vendor that certain mitigations are put in
18 place and technical requirements are implemented.

19 And that comes back up into going into the
20 overall CSP. But we looked at the security impact
21 analysis to get an idea of how the licensee is looking
22 at implementing this new equipment from a security
23 aspect.

24 A lot of the controls may leverage safety
25 protections that are put into the system but they are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 very specific security impacts that we are looking at
2 because as Samir mentioned earlier in his
3 presentation, we're looking at malicious harm that may
4 occur with the system, not just safety impacts.

5 Also, we looked at a series of controls
6 and in NEI 08-09, there should be Appendix E11 for
7 controls for the supply chain.

8 There's five controls that are in there
9 and specifically for the vendor, we were looking at
10 the security test and evaluation plan, which says how
11 did they test these security requirements that were
12 implemented based on the instructions they've gotten
13 from the licensee.

14 And the last control that we look at is
15 NEI 08-09, which is Appendix D 1.4, information flow
16 control, because when you install the new equipment,
17 there's going to be attack pathways that have to be
18 analyzed and addressed and mitigated if there's a
19 possible way to attack the system.

20 And that control, Appendix D.1.4, is very
21 important in the cybersecurity plan when you're
22 implementing new equipment.

23 The plan covers many more controls than
24 these but these are the base, I would say the
25 foundational controls that we look at going into a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 cybersecurity inspection.

2 So, the plan isn't in place until the
3 equipment is installed but the actual requirements,
4 especially when it comes to technical security
5 controls, have to be relayed to the vendor so they are
6 properly implemented.

7 And then that information is, like I said,
8 sent back to the licensee and then we will come and
9 perform oversight to verify that the complete
10 cybersecurity plan has been implemented for this
11 digital system.

12 That is patient in this. In the early
13 phases, this is for the factory acceptance testing and
14 the site acceptance testing, we may have had
15 observations but that wasn't the formal inspection.

16 The actual inspection will occur at the
17 installation when the plan is actually in place.
18 That's all I have today. Later on if there are any
19 questions I will be definitely glad to answer any
20 questions.

21 MS. MAKOR: Thank you for that, Kim.

22 MR. JAIN: Are there any questions for
23 Shiattin or Kim on inspection lessons learned at this
24 point? A question from Ted?

25 MR. QUINN: Hi, I'm really pleased at the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 reissue of the 5203 and the expanded role in the
2 region. The first question is does Region II take
3 care of all of them in the country or is it spread out
4 among the regions?

5 And then the second question is you have
6 what's called site-specific follow-up items that are
7 part of a safety evaluation report and they come from
8 the different divisions.

9 They come from I&C, they come from the
10 Vendor Inspection Branch, they come from Human Factors
11 Branch, they come from NSIR.

12 And I just saw what Kim did is a great job
13 in presenting the overview of where the cyber is done
14 in the breakdown between the role of I&C and the role
15 of NSIR in evaluating. You have a funnel and all of
16 your items come into the Vendor Inspection Branch, is
17 that correct?

18 Do you see your role as closing those
19 items in addition to completing your other actions in
20 5203?

21 MS. MAKOR: Yes, that would be an accurate
22 statement. We're more of a confirmatory follow-up-
23 type activities so I think your first question was in
24 regard to -- there was three of them, I lost the first
25 one.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 MR. QUINN: Region II did it for new
2 reactors and I was wondering are they also doing it
3 for current fleet?

4 MS. MAKOR: Region II, as far as it would
5 go in regard to Inspection Procedure 52003 and the
6 implementation, that's done regionally for your plant.
7 So, Region IV has everything west of the Mississippi
8 and so our facilities that are doing digital I&C, we
9 would implement IP52003 for it.

10 We would implement it for there and Region
11 I and Region III.

12 MR. WATERS: Region II there's
13 construction specifications for new build, I don't
14 know if that's where Region II gets involved often.

15 MR. QUINN: Right, that's what we saw
16 earlier.

17 And then the second one, really, was
18 you're a compendium, a collection of those site
19 inspection follow-up items and you relate what each of
20 the NRC divisions that have open items to close.

21 I assume you do that, right?

22 MS. MAKOR: What we do to handle that is
23 our inspection procedure or scope comes from the
24 IP52003 and then input from the technical reviewers
25 from the safety evaluation. So, items that weren't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 closed, they're not required for us to do it but these
2 suggest items to follow up on.

3 In our case, a lot of it was already items
4 that are in our requirements in the inspection
5 procedure requirements and then our team also has a
6 complement of an inspector that was in the vendor
7 group, an inspector who was the technical reviewer on
8 this, and then we had the cybersecurity role.

9 And then operations is followed up by
10 using our regional onsite inspectors. So, our
11 complement is how we maintain continuity and make sure
12 that we capture everything throughout this process.

13 So, we've built a team that included
14 people who were very aware or involved with the other
15 areas.

16 MR. QUINN: Thank you, you answered my
17 question. As more utilities go through SLR and
18 modifications, this is really a benefit that you're
19 expanding your role. Thank you, end of comment.

20 MR. JAIN: Samir?

21 MR. DARBALI: Yes, I just wanted to add to
22 what Shiattin was saying. What we do is we provide
23 the region with recommended inspection activities, and
24 like Shiattin said, those are optional.

25 So, they're not technically open items

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 from the review. Our review stands on itself and we
2 don't depend on inspections or inspection results to
3 determine the acceptability of a modification.

4 So, when Shiattin develops the inspection
5 plan, she's going to use IP52003, which is the
6 inspection procedure, and she's also going to use
7 those recommended inspection activities that we
8 provide as more targeted activities for the review.

9 And also I think Shiattin might cover this
10 in the lessons learned. She was involved throughout
11 the review so she was aware of the types of
12 modifications that were being performed.

13 So, it's a combination of different
14 factors that go into that inspection plan.

15 MR. JAIN: Jarrett, I saw your hand
16 raised?

17 MR. JARRETT: Yes, I know you haven't
18 performed the inspections for Waterford as far as
19 installation, but we have detailed outage schedules
20 and has there been the thought of planning and
21 integrating with the plants outage schedule and that
22 interface during the outage?

23 Has there been any thought on how to
24 interact during the outage? Because it's critical for
25 the plant and so how that will actually occur and what

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 will you all be looking at?

2 MS. MAKOR: We do this just like any other
3 inspection process, what we've done is we've been
4 communicating with Waterford since the FAT.

5 We found that communication was really
6 important and so we communicate frequently, we have a
7 master schedule so we know what is going on during the
8 outage, and then when we put our inspection plan
9 together and do our request for information, we
10 essentially announce our inspection with request for
11 information and that'll give an idea of where we're
12 going to be looking at.

13 And then also, with the inspection plan
14 for this part of it, the plan is to go ahead and have
15 that actually formally issued.

16 So, the inspection plans for the factory
17 acceptance testing and the site acceptance testing was
18 not formally issued but we figured this would be a
19 good resource not only for Waterford, but also for
20 other plants that this is coming down the pipeline
21 for.

22 So, we've been in communication with
23 Waterford, it's not an unannounced inspection, they
24 know we're coming. We're not going to disturb work or
25 bother them in those ways.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 We understand it's critical to have them
2 and we're making plans as we speak to be able to
3 perform our duties, our regulatory requirements,
4 without interfering with implementation and
5 installation.

6 Does that answer your question?

7 MR. JARRETT: Yes, thank you.

8 MR. JAIN: Ted had a follow-up question?

9 MR. QUINN: After Samir spoke, I just
10 wanted to ask a follow-up, in the back of the Diablo
11 LAR there was a section called site inspection
12 follow-up items and I just wanted to clarify, I
13 assumed that is a continued process for NRC that is
14 part of the SER so that those are followed up.

15 And I didn't quite understand if those are
16 followed up by Headquarters or if they're followed up
17 by the region, are you able to clarify?

18 MS. MAKOR: They're followed up by the
19 region. There was a change in how those items were
20 documented, so it was decided we would no longer put
21 it into -- since it's optional, we would not put it in
22 or recommend it, we would not include it in the
23 license amendment.

24 Because the license amendment should
25 standalone, it should be a standalone document.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 And Samir, if I'm misspeaking please
2 correct me but the decision was made to do it how
3 we're doing it now versus having it in the license
4 amendment.

5 So, there are changes from Diablo Canyon
6 until now.

7 MR. WATERS: This is Mike Waters, I'll
8 just jump in, you're absolutely correct.

9 There are some intense changes at Diablo
10 Canyon and stakeholders were concerned that having the
11 recommended inspection items, just having even the
12 optics of somehow being a basis for licensing
13 decisions.

14 So, we decided not to do that anymore and
15 it's not going to appear in the SE.

16 What we do is internally communicate in a
17 similar manner with the region and recommend
18 inspection items like Samir did to help on the
19 inspection plans.

20 MR. QUINN: So, the licensee, Mike, would
21 hear that in a different manner than was done for
22 Diablo, is that correct?

23 MR. WATERS: As part of the inspection
24 planning from the region, or if there's been
25 inspections after the license issuance, that could

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 possibly happen, we don't know but that's where you'd
2 hear it from, yes.

3 MR. QUINN: Thank you.

4 MR. JAIN: Dinesh, do you have any
5 comments to make?

6 MR. TANEJA: No, I'm just unmuting.

7 No, I think Ted's question and concern, I
8 think it's been addressed. What I was going to say is
9 when a LAR is issued, licensing is complete, we made
10 our safety finding.

11 And so the follow-ups and inspections are
12 confirmation that the implementation is being done in
13 accordance with the approved LAR. And there is not
14 really part of the ongoing licensing act and I think
15 Mike just clarified that, and that's what I'm going to
16 do, that's why I took my hand down.

17 MS. MAKOR: Yes, and if you look at the
18 Inspection Procedure Section 2 it's very general. So,
19 the information that we're provided is just more
20 specific.

21 Instead of it saying digital equipment,
22 now it's saying the CPCS, make sure the CPCS is doing
23 X, Y, Z versus make sure the digital equipment is
24 doing XYZ.

25 So, it just specifies what's already in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 the requirement section and it gives us a little bit
2 more pointed or detailed information.

3 MR. JAIN: Thank you, Shiattin.

4 MS. MAKOR: You're welcome, are there any
5 other questions? I can't see the hands.

6 MR. JAIN: Are there any more questions on
7 inspection lessons learned?

8 MS. MAKOR: I do have two more slides.

9 MR. JAIN: Go ahead.

10 MS. MAKOR: I broke the next two slides
11 down into one on lessons learned and the other on best
12 practices, so I'll try to get through this pretty
13 quickly. I see that we did take a little bit more
14 time.

15 But the first lesson learned is not really
16 a lesson learned, it's more of a challenge that was
17 only specific to the region and Waterford. So,
18 Inspection Procedure 52003 was actually not issued
19 until July 1, 2021.

20 And then the LAR was not approved until
21 after the FAT inspections. So, the challenge that it
22 presented to us was that, one, we didn't have an
23 inspection procedure until we were on site.

24 So, it was actually issued I think the
25 Friday before the Monday we were on site.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 And so I think that presented some
2 challenges to both the inspection team and to
3 Waterford, just because there wasn't the level of
4 detail or understanding of what's in the inspection
5 procedure.

6 So, for instance, the vendor oversight
7 plan expectations for that also just the licensee
8 didn't have that inspection procedure yet so you had
9 an inspection team come on site that's using the
10 inspection procedure and they didn't have the
11 opportunity to prep with that inspection.

12 So, that's really something that just
13 happened, it was the artificiality of having the
14 inspection procedure issued at that time but it was a
15 challenge and a lesson learned for us.

16 So, the three main lessons learned that I
17 wanted to cover quickly is, one, all the work is in
18 progress and documentation reviews such as test
19 results, procedure changes, all those are going on
20 throughout the entire process.

21 And it doesn't really catch up until the
22 installation and even at installation, there was not
23 any regulatory hooks or anything that we can address.
24 All we can do is observe and so until we return to
25 service, there's not going to be violations, only

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 observations at this time.

2 So, I wanted to point that out, that is a
3 challenge for us but it puts the onus to stay on top
4 of everything and get everything done because at the
5 end, when you return to service, then any issues or
6 concerns that we express that we had been looking at
7 can actually be addressed once you return to service.

8 The next item that I think is a really big
9 lesson learned is just inspection scheduling, how to
10 account for when to be on site, what activities we're
11 looking at, a lot of times we're not speaking the same
12 language, terminology is different between the
13 licensee and the region or just the NRC in general.

14 So, we struggled because initially we saw
15 the factory acceptance testing and the site acceptance
16 testing as when the testing is complete that's it.

17 So, we can call everything good and so we
18 struggled because what we tried to do initially was
19 call everything good or complete for that inspection
20 phase based off of the inspection report. Not the
21 inspection report, but the report that's performed by
22 the licensee.

23 So, Waterford would do their report after
24 the FAT was performed. They looked at the test data
25 and everything but we were trying to be complete

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 immediately when the testing was done.

2 And so that afforded some challenge and so
3 for the installation, the team is going to consider
4 return to service as complete. So, our inspection
5 won't end when the testing is done whereas for the FAT
6 and SAT, we did end when the testing was done.

7 Since we didn't see any anomalies or major
8 anomalies or issues, we were able to feel confident
9 that we could go ahead and say, okay, for the factory
10 acceptance testing this is done when testing was
11 completed and the same for SAT.

12 Whereas for installation, we'll be using
13 return to service as our metric for marking it
14 complete. And that's not clarified or detailed in the
15 inspection procedure so that's something that we
16 learned and decided to implement as a result of doing
17 the FAT and the SAT.

18 The other item lesson learned is
19 inspection procedure resource estimates. So, the
20 estimates, as I mentioned before, it was 120 hours
21 plus an additional 120 for ARP.

22 What we found is that with the team
23 composition that we have, one, it's a struggle to stay
24 under 240 hours.

25 If you have five inspectors in operations,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 a vendor, a technical reviewer, a cybersecurity, and
2 a team lead for even just one week that 40 hours or 30
3 hours for 5, 6 people, that already eats a big chunk
4 of your 240 hours.

5 One thing that we did notice is during the
6 factory acceptance testing, since it's more of a
7 familiarity activity, we didn't need as much resource
8 during that as far as time.

9 A lot of it we were able to charge to
10 prepping and just getting familiar with the system,
11 which I think the inspection procedure had it in
12 reverse, where the expectation is that you would spend
13 a lot of time and charge more during the FAT and
14 during the all the time less.

15 But we found it's the opposite. Because
16 everything is in progress and still being worked on
17 and changed, we just weren't able to call anything
18 done. So, we're going to be able to look at most of
19 it during the installation.

20 So, those are the later lessons learned.
21 For best practices, some of these I think the vendor
22 inspection, and Greg mentioned, but we found the
23 phased inspection approach is a better approach for
24 us.

25 It allowed the team to divide the project

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 into manageable pieces and then also it allowed us to
2 identify lessons learned and best practices as we went
3 along.

4 So, when we did the factory acceptance
5 test, we learned a lot and we were able to implement
6 that with the site acceptance testing.

7 And then now we're able to combine what
8 we've learned and practices to the installation that's
9 upcoming.

10 And we wouldn't have had that value or
11 that opportunity if we would have just waited, not
12 documenting and not formally doing it and waiting
13 until the installation.

14 During the FAT, the next best practice
15 that we notice is that during the FAT, I mentioned
16 this slightly before but for the major milestones, it
17 introduced overlapping priorities and it required
18 significant coordination from the licensee.

19 So, this is one of those things that
20 brought awareness for the licensee because during the
21 FAT you'll have both the vendor and the regional
22 inspection teams on site.

23 And so the regional team really tries to
24 focus on their interaction with and observations of
25 the licensee. We're not really trying to interact

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 with the vendor.

2 If we are asking quality assurance
3 questions, they're questions that are going directly
4 to the licensee, not the vendor. So, it may look like
5 we're providing oversight of the vendor but our focus
6 is really on how the site is interacting with the
7 vendor and providing oversight.

8 And one of the themes is just that
9 awareness so that you know when we're on site, that's
10 what we're doing. Because I think there was some
11 confusion on the roles and a little lack of clarity
12 there.

13 The next item is that best practice for
14 the SAT, we found that during the FAT our observations
15 weren't as substantial whereas during the SAT we did
16 Pareez substantial observations.

17 And so the documentation for that area,
18 the documentation in the FAT, is really just a summary
19 of the team's overview.

20 The documentation for the SAT will include
21 observation so if there are any significant
22 observations or things that we expected to already be
23 in process or completed, then we would document it in
24 the SAT.

25 It's not a finding, it's not a violation,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 it's just an observation and that way, we're able to
2 look back at that report and the previous one and see
3 what we've looked at and prep for the installation.

4 And the last best practice is just the
5 communication between NRC, all of the groups, that was
6 very significant and valuable. So, regional,
7 licensing, vendor and cyber, all of that interaction
8 helped to make this go smoothly.

9 And then communication with the licensee
10 is also critical just because of the dynamic aspects
11 and the fact that the biggest thing is this is a long
12 evolution, we started way before July of 2021 and we
13 won't be near completion until, essentially, June of
14 2022.

15 So, communication, staying on top of it is
16 very important, very significant and one thing that we
17 did is as we got closer to inspections, we would have
18 meetings with the site every two weeks.

19 And so we would have a biweekly call and
20 just a status, this is where we're at, this is what
21 we're doing.

22 And that helped to facilitate our
23 inspection activities.

24 So, those were best practices and the key
25 messages from our regional inspection activities is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 that, one, I mentioned this before but Inspection
2 Procedure 52003 had two notable changes, so that's in
3 adding the ARP option, and formalizing the
4 cybersecurity plan which we discussed earlier.

5 The next key message that I wanted to
6 emphasize is just that the execution of the VOP is the
7 responsibility of the licensee. And that's the focus
8 of what we're looking at, the inspection team.

9 So, this includes performance of oversight
10 activities on the design artifacts and developmental
11 activities for requirements, design, implementation,
12 integration, and factory acceptance testing.

13 And so this is the crux of it, this is
14 pretty important and significant and the focus of
15 inspection procedure 52003.

16 And then the last key message that I
17 wanted to deliver is that lessons learned during the
18 FAT, the SAT and installation are used in real time in
19 our inspection planning and scoping.

20 So, once we get enough run time from
21 Waterford, Limerick and Turkey Point, we can combine
22 lessons learned to improve their process, procedures,
23 identify best practices, learn from missteps, and make
24 overall improvements.

25 So, everything that I did cover I try to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 keep it focused on Waterford and the regional
2 inspection activities because we do have the NEI
3 comments and some of the observations and
4 recommendations and lessons learned that we had also
5 fall under there.

6 So, some of that will be covered. Is
7 there any questions or comments about my presentation?
8 And I apologize for taking up a little bit more time.

9 MR. JAIN: Ted has a question.

10 MR. QUINN: This is Ted, very good
11 presentation and I liked all of the work that's been
12 done to increase the coordination, for example,
13 between yourselves and NEI and C Branch, the Vendor
14 Inspection Branch, the Cyber Branch, there have been
15 real improvements.

16 Now my question is to the next phase which
17 is currently underway, the Human Factors Branch. How
18 do you see your interface? You just described the FAT
19 and the SAT and your activities, which in some of the
20 larger modifications will include a significant role
21 in cyber.

22 I know it will be addressed by Brian and
23 Pareez this afternoon but I wanted to ask how you see
24 it in your increased role in that area.

25 MS. MAKOR: So, I would say the way I see

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 that we are implementing is not formal but we went
2 ahead and we added our resident inspector as a team
3 member so you get that operations, that human
4 interface.

5 It ties it together.

6 And so even though we're not formally
7 performing those assessments, like the whole human
8 factor engineering looking at the procedures in that
9 way, we are looking at it from an implementation
10 aspect.

11 So, operations being included I think
12 covers it.

13 MR. QUINN: Thank you.

14 MS. MAKOR: And if anyone else on the team
15 has a comment contrary to that?

16 MR. WATERS: Shiattin, this is Mike. I
17 would offer I think for those human factors, the
18 regional coordination would be similar to the
19 coordination with I&C or other technical disciplines.

20 So, we would expect it to continue and I
21 think that's maybe part of your question, Ted.

22 MR. QUINN: Yes, thank you.

23 MR. WATERS: Samir, is that what you were
24 going to say?

25 MR. DARBALI: Yes, I was going to add that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 for Waterford there wasn't a major human factors
2 modification. We do have some recommended inspection
3 activities related to the operator modules and some
4 signals that are trained.

5 But it wasn't a major part of the review,
6 we do expect for the upcoming LARs that would be much
7 more involved as far as our recommended inspection
8 activities.

9 MR. JAIN: With that, Samir, do you want
10 to continue with your presentation and response to NEI
11 comments on Inspection Procedure 52003?

12 MR. DARBALI: Yes, Shiattin, you're done,
13 right?

14 MS. MAKOR: Yes, I am. Thank you,
15 everyone.

16 MR. DARBALI: I think that's a good segue
17 from Shiattin's presentation. We're going to take a
18 look at some of our responses to the comments that NEI
19 provided on IP 52003.

20 And Shiattin already talked about the
21 development of the revision -- let me turn my camera
22 on -- to IP52003 which was issued in July in 2020,
23 just in time to support the factory acceptance test
24 inspection of Waterford.

25 Now, public comments, like Alan mentioned

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 in his opening remarks, are not really part of the IP
2 development process but NEI felt the need to provide
3 those comments in August of last year and we're going
4 to be going through those comments in the following
5 slides.

6 Some of the key things to understand about
7 the IP, and Shiattin already went through some of
8 these, is that IP52003 is strictly for modifications
9 associated with a license amendment request, which
10 means it's only for safety-related modifications and
11 does not apply for modifications performed under 5059.

12 Like Shiattin said, Section 2 is
13 inspection requirements and identifies the inspection
14 activities to be performed as applicable. That means
15 that if there's a specific inspection activity that
16 doesn't apply to the modification, it doesn't have to
17 be performed.

18 And Section 3 is inspection guidance for
19 the inspectors in preparation for the inspection. So,
20 if there is an activity in Section 3 that calls for
21 review of a specific document, it is for the
22 inspectors to become familiarized with the
23 modification.

24 So, what I propose is as I go through each
25 individual comment, we can take questions on each

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 comment or comments. That way, we don't have to wait
2 until the end.

3 So, Comment 1 refers to the IP activities
4 that may have already taken place during the licensing
5 review, like activities that refer to the requirements
6 phase and the design phase, which again, they are
7 parallel with the licensing review.

8 So, why does the IP refer to these
9 activities?

10 Well, although a specific vendor oversight
11 activity may take place during the licensing review,
12 for example, the licensee could be performing an audit
13 of the vendor during the design phase, that audit
14 report from the licensee may not have been completed
15 until after the license amendment has been approved.

16 In this case, the licensee's audit report
17 is something that can be part of the VOP inspection.
18 Note that the inspection activities that rely on
19 direct observation will be as applicable and they will
20 be detailed in the inspection plan.

21 So, we don't see a change made to the IP
22 on this comment. Any questions or feedback?

23 I'll jump ahead and let me know if I need
24 to go back. Comment 2 has to do with SDOE and there's
25 two parts to the comment.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 The first part notices that there are two
2 sections in the IP that are related to verifying the
3 adequacy of a secure development in operations or
4 environment.

5 And NEI recommended these two sections be
6 combined. And the second part of the comment notes
7 that the wording in Section 22B8 ties SDOE to
8 cybersecurity requirements instead of software quality
9 requirements.

10 And NEI recommends the wording be
11 clarified to reference other quality requirements.
12 So, we agree with the intent of the comment, in
13 particular, Item 22B8. We think it fits better under
14 Subsection A rather than under Subsection Bravo of the
15 IP.

16 So, we'll consider rearranging that in the
17 next update to the IP.

18 Regarding the second part of the comment
19 on the term secure environment, as used in Section
20 02.02.b.8, the term being used is secure environment,
21 not SDOE and secure environment could apply to both
22 SDOE and cybersecurity requirements.

23 So, the way it is used in Section
24 02.02.b.8 is specific to cybersecurity. We'll try to
25 make that clear when we eventually merge those

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 sections.

2 I'll go to the next one. So, Comment 3
3 has to do with the inspection activity related to
4 power quality, which focuses on the verification that
5 harmonic distortion is measured.

6 NEI notes that plants don't typically
7 measure harmonic distortion and recommends removing
8 this criteria from the IP and instead refer to DGC 17
9 or an applicable IEEE standard.

10 We'll consider this comment in the next
11 update of the IP. I think the focus here is that it's
12 for the inspectors to verify how the licensee has
13 performed power quality measurements.

14 We'll consider that comment. On Comment
15 4, this has to do with two sections of the IP that
16 deal with the VOP and NEI recommends the two sections
17 be consolidated into a single section to avoid
18 duplication of inspection activities.

19 So, we don't see a change being made based
20 on this comment because Section 21C is focused on
21 inspecting the licensee's oversight of the lifecycle
22 activities, so more of a direct observation.

23 Whereas, Section 22E is focused on
24 inspection of the documentation generated by the
25 licensee as a record of their oversight activities.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 So, for example, their audit reports or
2 their letters reviewing vendor documents. So, we do
3 see those as separate activities that don't overlap.

4 So, moving onto Comment 5, this one refers
5 to some inspection items related to site acceptance
6 testing, installation, and startup plans that are
7 phrased using future tense.

8 And it gives the impression that the NRC
9 is approving the test plants, the comment also points
10 to some language that is some subjective, like using
11 terms like sufficiently or adequately.

12 And it calls for objective criteria for
13 inspections to be provided. So, regarding the future
14 tense, this is used because it's referring to the
15 inspection review of the planning documents which have
16 yet to be implemented.

17 The inspectors are not acting as approvers
18 of the plan, that's either a vendor or a licensee
19 activity. We are reviewing the plans to verify that
20 the plans are detailed and clear enough to perform
21 those activities.

22 This also helps the inspectors to confirm,
23 once the plan has been implemented and completed, that
24 the plan was carried out accordingly.

25 Regarding the use of the term sufficiently

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 and adequately, which could seem to be subjective
2 terms, they provide a range of acceptability but
3 please note that the inspections are performed using
4 an inspection plan, which is besides the inspection
5 procedure.

6 So, like we mentioned earlier, the
7 inspection plan is going to be more detailed, is going
8 to incorporate some of those detailed recommended
9 inspection activities and so the inspection plan will
10 carry the acceptance criteria for what needs to be
11 accepted and their acceptability.

12 So, we don't see a need for making an
13 update to the IP based on this comment. So, Comment
14 6 through 9 are regarding Section 3 of the IPEE, which
15 we already clarified is guidance for the inspectors to
16 prepare for the inspection, and they're not really
17 activities to be performed during the inspection.

18 So, Comment 6 reads the ARP was intended
19 to disconnect the license amendment, request approval
20 from completion of the factor acceptance test, and
21 that to a degree, the IP reconnects the factor
22 acceptance testing to the modification.

23 So, please note that the LAR approval is
24 still independent from completion of FAT under the ARP
25 and the sentence in question, what it does, it points

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 to inspection activities of FAT which are independent
2 from the licensing review.

3 And again, this is for the inspectors to
4 be prepared for the inspection. So, we don't see any
5 changes to the IP based on this comment. Comment 7
6 notes that a software development capability maturity
7 model is readily used in the U.S.

8 And it asks what would happen if such a
9 document doesn't exist? If it doesn't exist, it
10 doesn't exist. Again, this is in Section 3 so it's
11 one of the many documents listed for an inspector to
12 be aware of and familiarized with as they prepare for
13 the inspection.

14 So, if it's not listed specifically as an
15 item, it's not listed specifically as an item that is
16 going to be inspected. So, we don't see a chance of
17 the IP. Comment 8, it infers that the language in
18 Section 33B inserts the NRC into the implementation
19 planning activities.

20 Again, this is guidance for the inspection
21 team to help with the inspection planning. So,
22 understanding of the licensee's implementation
23 schedules helps the inspection team to prepare for and
24 schedule the inspection activities and balance
25 resources.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 So, we don't see a change to the IP based
2 on this comment. Comment 9 refers to another
3 preparation activity calling on the inspectors to
4 review the human system interface design as part of
5 their familiarization with the digital modification.

6 The comment points to this as an example
7 of the risk of combining non-safety-related,
8 safety-related, LAR and 5059 inspections all into one
9 IP. Again, this is guidance for the inspection team
10 to become familiarized with the modification.

11 And again, this IP is applicable to the
12 modifications associated with license amendment
13 requests only and only to safety-related
14 modifications. So, we don't see a change to the IP
15 based on this comment.

16 Comment 10 is a general observation and
17 refers to the terms verify and inspect. The comment
18 notes that ARP is inspection guidance and should be
19 mostly be used in the word inspect instead of verify.

20 So, a couple of things to note here, the
21 first is that the IP is inspection guidance for the
22 inspectors. The IP does not contain any licensing
23 review guidance and inspectors don't perform licensing
24 reviews.

25 So, any guidance in the IP, regardless of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 the term used, is referring to the inspection
2 activities. And secondly, the term verify is a
3 confirmation activity so all NRC inspections are
4 verifications.

5 So, the word verify doesn't imply a
6 licensing review. So, if we are reviewing a document,
7 we review a document to verify but if it's all done
8 under an inspection, you're reading a document to
9 confirm something.

10 You're not tying that to the licensing
11 review. So, we don't see a change being made to the
12 IP based on this comment.

13 Comment 11 is a general observation that
14 the structure of IP52003 combines IP52001 for digital
15 modifications that require a LAR and IP52002 for
16 digital modifications that do not require a LAR.

17 And it combines them into a single
18 procedure. And the comment states that the IP doesn't
19 differentiate between safety-related and non-safety-
20 related and doesn't differentiate between
21 modifications that require a LAR or those that are
22 under 5059.

23 So, please note that IP52001 and 52002 are
24 no longer applicable and IP52003 only is used for
25 modifications associated with a LAR. And we'll

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 consider making this more clear in the next update.

2 Comment 12 is a very good comment that
3 ISG-06 Revision 2 provides limited guidance on what
4 constitutes an acceptance vendor oversight plan.

5 And that given that the IP contains
6 guidance for performing VOP inspection, the IP
7 effectively establishes what the VOP content and
8 acceptance criteria are.

9 And so NEI recommends the Staff develop
10 regulatory guidance on the expected content and
11 acceptance criteria for a VOP.

12 So, we are considering developing VOP
13 guidance after we've completed the review and
14 inspection of these first few applications so that we
15 can incorporate those lessons learned.

16 The VOP guidance in whatever shape or form
17 it is developed, it will not be included as part of
18 the IP and therefore, we're not making changes to the
19 IP based on this comment. But it is well taken, we
20 understand the need for VOP guidance.

21 MR. CAMPBELL: Samir, this is Alan. I
22 just wanted to thank you for acknowledging that and,
23 you know, this is one of the more significant comments
24 that we had, and so appreciate the consideration there
25 and understanding our intent was not to have that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 included in the IP. It would be a standalone.

2 MR. DARBALI: Thanks.

3 MR. CAMPBELL: Thank you.

4 MR. DARBALI: Okay, thank you. Comment 13
5 is a general observation that the IP provide specific
6 cybersecurity criteria to be inspected and it requests
7 some clarity regarding the scope of cybersecurity
8 inspections specifically when using the ARP.

9 So, the cybersecurity inspection items in
10 the IP are there to verify the licensee's
11 implementation of those applicable cybersecurity
12 controls that are providing their cybersecurity plan
13 associated with acquiring a digital safety system.

14 Earlier, Kim described the NEI 08-09
15 appendices that are applicable to digital upgrades, so
16 it's just a confirmation that those cybersecurity
17 controls have been implemented according to the
18 cybersecurity plan, so we don't see a change to the IP
19 based on this comment.

20 Comment 14 is a general observation
21 regarding the use of terms like effective, properly,
22 and correctly, which the comment notes are subjective
23 terms and it recommends that a reference or objective
24 acceptance criteria be provided instead of using such
25 terms. This is similar to an earlier comment.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 Again, terms like effective, properly, and
2 correctly do provide a range of acceptability, but
3 again, the inspection plan will be containing the
4 detailed criteria for the inspection, so the language
5 provides that range of acceptability in the inspection
6 procedure. The plan will contain more detailed
7 criteria, so we don't see a change to the IP based on
8 this comment.

9 And then the last comment is a general
10 observation that calls for training to be provided to
11 regional inspectors on the intent of the ARP and it's
12 a comment that's also well taken.

13 You know, as we discussed earlier, you
14 know, Shiattin has gathered all of these great lessons
15 learned, but she's only in Region IV. You know, what
16 about the other regions? So, we understand the need
17 for training and uniformity for when those inspections
18 are carried out.

19 So, an introductory training was provided
20 to inspectors when the IP was revised and we are
21 considering providing more detailed training to the
22 regional inspectors, both on the intent of the ARP and
23 the use of the IP, and hopefully licensing and
24 inspection lessons learned helped to shape that
25 training.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 So, again, the comment is well taken. We
2 don't see a change to the IP based on this comment,
3 but we are considering that more detailed training.
4 And that is it for the IP comments. Any questions?
5 Alan, you still have you hand up.

6 MR. CAMPBELL: Yes, Samir, again thank you
7 guys for acknowledging the comments and responding as
8 you did. I think just the one, we had those two
9 comments regarding the subjective terminology there.

10 Our intent here is at the highest level
11 possible to kind of tighten in the bands of that range
12 of acceptability. When we get into regional
13 differences or differences with inspectors, you know,
14 that's what we're trying to minimize to the extent
15 practical.

16 As we move forward and as we have more
17 runtime with the inspection procedure, this is
18 something that, you know, we're sensitive to and will
19 be tracking, and as it matures, we'll continue to be
20 communicating with you as we see either examples or
21 additional comments.

22 Otherwise, you know, again, thank you for
23 acknowledging these. We just got the hard copies of
24 these with the meeting material, so if there's any
25 additional follow-ups that we have, we'll communicate

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 that to you.

2 MR. DARBALI: All right, thank you, Alan.

3 MR. CAMPBELL: Thanks.

4 MR. DARBALI: So, if we don't have any
5 other comments, I'll turn it over back to Shiattin.
6 Oh, Ted, go ahead.

7 MR. QUINN: Okay, thank you, Samir, and I
8 hope -- this was a very good summary. I'm sure NEI
9 will review and provide feedback.

10 Okay, so my question needs to go back to
11 the turnover of the SER to this 52003 series, and
12 maybe the word turnover is not appropriate, but what
13 I want to address is the lessons learned from Diablo.

14 One of them was that the site-specific
15 follow-up actions had a tracking mechanism, and I
16 heard what Mike said and what you said, and I'll take
17 a very simple example.

18 The very first one from Diablo said ensure
19 that a new key switch used for setting subsystem
20 operating mode is added to the key control procedure,
21 so there is an interface between the design team and
22 the site construction team that is also changing
23 station procedures.

24 If I just use that simple example, Samir,
25 how would that be tracked by the NRC as a turnover

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 from SER to, you know, to the inspection branch?

2 MR. DARBALI: Right, so what we did for
3 Waterford, we had similar recommended inspection
4 activities, and so we created that table, and I think
5 it was like an internal memo we sent from the
6 technical group to the respective region, so it went
7 to Region IV and said these are the recommended
8 inspection activities.

9 Now, what happened also is we were also
10 involved in the development of the inspection plan.
11 So, we provided feedback and input into the inspection
12 plan, both for FAT and SAT, for those activities we
13 had identified as recommended inspection items, and
14 that's how we've been able to maintain tracking, that
15 all of those recommended inspection items made it to
16 those plans.

17 MR. QUINN: Are those visible to the
18 licensee?

19 MR. DARBALI: So, for Waterford, those
20 were shared as an internal memo. It wasn't a public
21 document or a letter to the licensee.

22 MS. MAKOR: And Samir, can I add? The
23 plan for the installation is to share that with the
24 public, so we did recognize there is value in sharing
25 that publicly.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 So, typically for regional inspections, we
2 don't share our inspection plans, but for this one,
3 we're going to share our inspection plan for the
4 actual installation, so that will have the recommended
5 items as an attachment in the inspection plan.

6 MR. QUINN: But for the future, I really
7 think it's a tool that is of benefit to the different
8 portions of NRC staff. I think it's a valuable tool
9 and the question is how your licensees know what is on
10 those items so they can address them in a formal
11 manner.

12 (Simultaneous speaking.)

13 MR. DARBALI: Go ahead, Mike.

14 MR. WATERS: This is Mike. This is a good
15 comment to consider, and again, it's a multi-
16 dimensional thing here. One is, you know, the
17 wording, we don't want to imply that, again, that the
18 licensing decision is somehow dependent or even linked
19 to those specific recommended inspection items.

20 Now, the licensee has already committed to
21 do those, right? That's part of the plan and part of
22 the design, so they're obligated to do everything you
23 say, right?

24 But we didn't want to word it in a way
25 that made it sound like it was, you know, like ITAAC

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 or, you know, like a site-specific action item you see
2 in topicals. We wanted to get away from that because
3 the licensing decision is independent.

4 But we do communicate those recommended
5 items, and as Shiattin noted, those are considered by
6 the region and directly incorporated into the
7 inspection plan.

8 And your example of, what was it, key
9 switch, and I think when we recommend things, hey, we
10 know the design and we know what attributes, features,
11 elements of the plan that are more significant to us,
12 more important to us, more significant to the extent
13 we can do that, and those are the type of things we
14 tell the region that given your inspection times, here
15 is what we recommend the focus to be on.

16 Ultimately though, it is a region's
17 decision on what the scope is and how to inspect it,
18 but we are, as we've communicated, highly integrated
19 and we communicate on this and, you know, the I&C is
20 usually part of that inspection team to some degree.

21 MR. QUINN: Thank you. End of comment.

22 MR. DARBALI: Thank you, Ted. All right,
23 so, Shiattin, I'll turn it over to you.

24 MS. MAKOR: Okay, so this is just, it's
25 one slide, so I'll just go ahead and jump into it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 because it goes in line and kind of parallels the
2 conversations that we've been having as far as lessons
3 learned and then the NEI comments, and then this area,
4 I wanted to just briefly touch on it just because it
5 has a relationship.

6 So, with the implementation of digital
7 technology and safety in security systems, it's been
8 useful in resolving Ops lessons issues, but it also
9 presents challenges.

10 So, this workshop focused on inspection
11 procedure 52003, but there's also digital upgrades
12 that do not require a license amendment and those fall
13 under regional reactor and resident inspector baseline
14 inspections.

15 So, there is a working group that is out
16 there that's working on digital instrumentation and
17 control operating experience smart sample.

18 So, the purpose of this is to recommend
19 inspection activities and provide support for baseline
20 inspections. The working group has members from the
21 regions, headquarters, and we all came together to try
22 to work on drafting this guidance.

23 So, it kind of parallels IP 52003, but
24 it's more used with Inspection Procedure 71-111.17,
25 which is evaluation of changes, tests, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 experiments.

2 So, the modification inspections are
3 typically where the regional team will go and look,
4 and so we're having more and more digital activities
5 come up.

6 So, when we review them, one thing that we
7 are checking for is that should this have had a
8 license amendment, you know, request, or is this
9 something that the site can do on their own?

10 So, we're working on additional guidance
11 and, you know, resources to help inspectors, regional
12 inspectors, resident inspectors understand the
13 differences between digital I&C as it would be under
14 baseline Appendix A versus digital I&C in the
15 inspection procedure, the non-routine type inspections
16 that fall under Appendix C.

17 That's really all I want to emphasize with
18 that since we had a lot of conversations about
19 training for inspectors. This is another tool that
20 inspectors will have. And that will conclude my
21 comments on that. Any questions or comments? Ted?

22 MR. QUINN: Do you have a schedule?

23 MS. MAKOR: So, we don't have a schedule.
24 We were trying to get it out I would say late last
25 year, but we have had some delays in trying to include

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 lessons learned. You know, we just did the Inspection
2 Procedure 52003, so that's one that -- I think that
3 the focus shifted to that.

4 And so, the working group is still in
5 process and I think we'll have to revise the expected
6 date because we did want to try to complete it before
7 the end of last year, but that didn't occur.

8 MR. QUINN: Okay, thank you.

9 MS. MAKOR: You're welcome. And then I
10 think there was a question that I saw pop up on the
11 inspection procedure, and the inspection procedure is
12 71-111.17 and that's evaluation of changes, tests, and
13 experiments. That's typically where digital
14 modifications that don't require a license amendment
15 are covered.

16 One thing to note is that it could fall
17 under design basis. Just depending on what inspection
18 is being done, it could be covered in other areas, but
19 the main core one is the evaluation of changes, tests,
20 and experiments that we usually look at digital
21 upgrades or modifications, sorry. Any questions?
22 That would conclude that portion.

23 MR. JAIN: If there are no more questions
24 for Shiattin or any of what we have covered so far, we
25 are slightly ahead of our schedule. We will take an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 early lunch break for one hour and reconvene at 1:05
2 this afternoon with a session on HFE. See you then.
3 Thank you.

4 (Whereupon, the above-entitled matter went
5 off the record at 12:04 p.m. and resumed at 1:05 p.m.)

6 MR. JAIN: Hello, everyone. Good
7 afternoon. We'll start the afternoon session with a
8 presentation by the NRC staff on HFE reviews. Brian
9 Green of the NRR Operator Licensing and Human Factor
10 Branch will lead the presentation. Brian?

11 MR. GREEN: Thanks, BP. Hi, everybody.
12 Good afternoon. I'm Brian Green. I'm the team lead
13 for human factors.

14 Dave Desaulniers, the senior technical
15 assistant for human factors, is on the line with us,
16 and I know my branch chief, Lauren Nist, will be
17 joining us shortly, and I believe Jesse Seymour will
18 be here as well from the human factors staff.

19 I look forward to having a productive
20 discussion today so we can continue to keep making
21 progress with regards to human factors for modernizing
22 control rooms. Next slide, please.

23 So, here is a quick overview of what I
24 plan to present on this afternoon. I'm going to give
25 a kind of a rundown of some of the challenges we've

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 seen from our pre-application interactions with a few
2 licensees at this point.

3 I'm going to present a few potential
4 solutions, including a brief description of multi-
5 stage validation, it's a relatively new concept, and
6 also a discussion of using alternate test beds in that
7 process.

8 And I'm also going to discuss some of, you
9 know, our expectations for how the application will
10 come together in an LAR submittal and kind of go
11 through some of the guidance about what we have
12 available and what the expectations are there. Next
13 slide, please.

14 So, Chapter 18 of NUREG-0800 provides the
15 staff with guidance about how to conduct various types
16 of human factors reviews. Chapter 18 references
17 several guidance documents to consider when doing
18 various sorts of HFE-related reviews.

19 And of particular relevance to large-scale
20 control room modifications is NUREG-0711 which
21 describes a risk-informed and performance-based
22 approach to human factors design which is based upon
23 the systems approach to engineering.

24 So, in accordance with the guidance in
25 0711, the integrated system validation, one part of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 the human factors process, has been the accepted means
2 for validating the HFE of significant control room
3 modifications.

4 ISV is typically conducted on a full-
5 scope, high fidelity plant-referenced simulator, such
6 as those used for licensed operator training and
7 examination.

8 And ISV is perhaps, some of us would
9 argue, the most important aspect of the 0711 process
10 because it includes the use of performance-based
11 metrics to demonstrate that the HFE design is an
12 effective and safe means for the operator to monitor
13 and control the plant.

14 In addition, the ISV presents an
15 opportunity to identify issues with the HFE design,
16 and any issues that may have safety implications can
17 then be resolved in the final design. Next slide,
18 please.

19 Maintaining the availability of a
20 simulator meeting ANSI and ANS 3.5 for operator
21 training and examination limits the availability of a
22 modified simulator to use as a testbed for HFE
23 validation. So, one of the big challenges we've seen
24 is the timing of when the modification to the
25 simulator can actually occur.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 This is complicated when we look at the
2 design development and testing schedules that place
3 ISV near the time at which the actual control room
4 will be modified and it may provide insufficient time
5 for the NRC staff to consider ISV results when making
6 a safety determination.

7 It's really back loading -- it had the
8 potential to back load things a lot. And this is
9 something that's kind of come to our attention in the
10 last, you know, several months or so as we've seen the
11 more detailed schedules, and when we compare it to the
12 staff, the planning events that we do internally to
13 figure out how we're going to actually conduct our
14 review, we find that, you know, the timing of the ISV
15 is just not necessarily at a time when we can look at
16 it and conduct that.

17 So, that's -- the key challenge we're
18 finding is finding an ability to look at validation
19 results that works for both of the schedules for the
20 licensee and for the NRC. Next slide, please.

21 The alternative review process discussed
22 in ISG-06 is intended to be used if the NRC staff will
23 decide whether to issue or deny the license amendment
24 before completion of the detailed design,
25 implementation, and/or testing activities.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 And this poses a challenge where HFE is
2 concerned in that ISV testing would likely not be
3 performed until after the NRC would be expected to
4 issue a licensing decision, and the ISV results
5 typically relied upon would not be available for the
6 staff to consider while making their decision.

7 So, in other words, delaying the ISV until
8 after the staff needs to make a safety determination
9 robs the staff of key information needed to make that
10 safety determination.

11 And I'd just like to take a quick little
12 aside here to note that the NRC staff have substantial
13 experience conducting license reviews in which
14 detailed design of the control room is not complete at
15 the time of licensing.

16 The staff successfully licensed the AP1000
17 using DAC or design acceptance criteria, a special
18 form of ITAAC. Staff also completed a review of the
19 NuScale control room using a similar process, but was
20 able to avoid using DAC because the applicant
21 completed the design work while the staff was
22 conducting the licensing review.

23 So, in that case, the applicant submitted
24 a series of supplements, or result summary reports in
25 this case, that superseded and/or supplemented the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 implementation plans that had been docketed with the
2 application.

3 In both cases, the applicants and the NRC
4 staff were able to utilize the flexibilities inherent
5 in the NUREG-0711 process to evaluate the detailed
6 design while still providing the NRC staff an
7 opportunity to review final results.

8 Unfortunately, Part 50 does not have a
9 similar provision for the use of ITAAC. However, the
10 staff has been working to identify solutions that will
11 support the needs of the industry while still
12 providing a meaningful regulatory checkpoint for the
13 NRC to review human factors validation results needed
14 to make a determination of reasonable assurance of
15 safety.

16 Next slide, please. I think we can move
17 onto the next one and we'll discuss some solutions
18 here.

19 So, one potential solution that the staff
20 have identified to address this challenge is called
21 multi-stage validation or MSV. Multi-stage validation
22 entails a staged approach to validation testing where
23 results are obtained at stages throughout the design
24 process. ISV is still a part of MSV. It's just the
25 last portion of it would be the way we typically think

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 of just the final stage.

2 So, MSV incorporates successive,
3 coordinated validated efforts performed at multiple
4 points or periods during the development of a control
5 room design or design modification.

6 So, we think that MSV may provide an
7 opportunity to collect that performance-based data
8 that we would normally get during ISV earlier in the
9 process by looking at other testing that a licensee is
10 already planning throughout the design process.

11 So, in other words, using MSV may help to
12 move the opportunity for regulatory oversight to the
13 left and would make it more likely that the NRC could
14 support the types of project schedules that we're
15 seeing requested.

16 And I think it's important to point out
17 here that the goal of MSV is not to really make, you
18 know, a significant more amount of work. We're
19 thinking that there are lots of design activities that
20 are happening with the designers that typically do not
21 have the, you know, the regulator doesn't necessarily
22 look at.

23 But if we were to reconceive of it, we
24 might say hey, you know, we're going to run this
25 usability testing early on and maybe we can use this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 as -- a licensee could reconceive that and say hey, we
2 can start to use the results of this test to start
3 building our safety case to convince the NRC that
4 things are going to be safe as we progress through.

5 So, we're hoping to find those, you know,
6 those correct checkpoints where we can find those
7 efficiencies without creating a lot of extra work in
8 there as well. Next slide, please.

9 So, this is just a little, a picture of
10 the standard. The IEEE standard 2411 was released in
11 2021. So, if you need this as a reference, feel free
12 to look that up, but I want to point out that this
13 standard was based on the work conducted by NEA, and
14 several NRC staff were involved in a series of
15 workshops that were supporting the NEA work and Dave
16 Desaulniers was one of the key players in developing
17 the IEEE standard as well.

18 So, our staff are fairly well familiar
19 with the concepts in here and we do see this as --
20 we're well aligned that this is a valuable tool even
21 though it's not necessarily called out by name in our
22 guidance yet such of 0711. Next slide, please.

23 So, this slide summarizes at a high level,
24 and I don't want to dwell on this too long here, but
25 the defining characteristics of multi-stage

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 validation, and these key points include, you know,
2 the following considerations here.

3 The activities that comprise the MSV are
4 validation activities as opposed to simple tests and
5 evaluation, so there is some sort of goal to provide
6 a validation result at the end of it.

7 The thought is that they're conducted in
8 series and that they are constructed and coordinated
9 in a way that they build upon each other to support a
10 final validation conclusion.

11 We can come back to that more if we need
12 more discussion on that, but it kind of helps to frame
13 the concept of MSV to see some of these
14 characteristics. Next slide, please.

15 The IEEE standard describes a series of
16 guidelines, which you see on the slide here, that we
17 think may be suitable as acceptance criteria. We may
18 need to have some more additional discussion on that,
19 you know, that this may work in lieu of more specific
20 criteria.

21 So, let me read through these real quick.
22 The first one is that validations are conducted from
23 early, AKA conceptual, to detailed stages of the
24 design development and operations.

25 B, the subjects of validation comprising

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 an MSV include design concepts. Examples are
2 operations and automation, system elements such as
3 subsystem designs, and the integrated design.

4 C, results from each validation stage
5 contribute to an accumulated body of evidence for the
6 validation of the final design.

7 D, design changes made subsequent to a
8 stage of validation are addressed through testing or
9 analysis in the subsequent stages.

10 E, at each stage, validation methods,
11 controls and rigor are commensurate with the intended
12 use of the associated results and findings, and Annex
13 A of IEEE 2411 gives some examples of that, how that
14 can be done.

15 And validation testing of design elements
16 that are novel, complex, or critical to safety is
17 initiated early in the design process and confirmed in
18 the integrated testing.

19 I know from some of our discussions, you
20 know, that there is not an NRC guidance document that
21 describes how to do multi-stage validation, so in lieu
22 of that, this may be our best guideline. And we
23 recognize that there is some consternation about how
24 some of these criteria could be filled and I think
25 that would be an area we could have, you know, some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 further discussion on.

2 You know, my thought is personally that
3 point B here, the validation methods, controls, and
4 rigors, that's certainly one that I think, you know,
5 licensees would want to have some more discussion on,
6 and I believe we have the tools to do that within pre-
7 application meetings.

8 You know, NUREG-0711 currently has lots of
9 validation information in it about how to do it, and
10 I think one of the guiding principles is that to --

11 We are not necessarily insinuating that
12 every validation activity should be controlled the way
13 ISV is described in 0711, that there is room for some
14 reasonable grading, and we think that that would be
15 something that we could have more discussions on
16 perhaps in pre-application meetings so that we can
17 avoid any sort of misalignment between the
18 expectations of a licensee and the NRC. Next slide,
19 please.

20 So, some things to consider when we're
21 thinking about the early-stage MSV results,
22 recognizing the constraint that ISV testing can place
23 on the scheduling for significant and complex control
24 room modifications, staff sees that the potential to
25 leverage early-stage MSV results in evaluating an LAR

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 submittal for a proposed I&C modification.

2 Assuming we have sufficient information,
3 it's possible the NRC could reach a determination to
4 support approval of a proposed license amendment based
5 on the early-stage MSV results without the
6 availability of final results from ISV testing.

7 So, we would consider these results in
8 congruence with the final ISV testing. However, the
9 review of ISV testing may be relatively, you know,
10 relatively brief on the back end, assuming that we had
11 the opportunity to build the confidence using the MSV
12 data earlier on. Next slide, please.

13 To be considered as providing a sufficient
14 basis for the NRC's safety determination, early-stage
15 MSV testing should provide a reasonable assurance that
16 the eventual ISV testing will be successful.

17 Here are some examples of things to
18 consider, the conformance to the MSV guidelines that
19 I discussed earlier, the sufficiency of the testbed
20 scope and fidelity to support to the validation
21 objectives, the adequacy of the test scenarios that
22 would be used should address both the normal scope of
23 operations and emergency operations for which any HSIs
24 are to be used, and the extent to which the results
25 demonstrate the changes to HSIs will not have an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 adverse impact on the ability of operators to safely
2 conduct the risk-significant activities. Next slide,
3 please.

4 So, I just want to reiterate here that,
5 you know, if we move forward with an MSV approach, it
6 does not eliminate the need for ISV testing. It would
7 still be necessary within the program to show that the
8 final system actually performance as it's described.

9 However, we're just going to build our
10 case based on the implementation plans in addition to
11 the MSV data, so we still have kind of a method, a
12 balance between methodology and results to rely on
13 here.

14 We may also elect to conduct follow-up
15 inspections of the final ISV testing results along
16 with the resolution of any identified HEDs. Those
17 might be of particular importance if the ISV were to
18 run and any significant issues were to be addressed,
19 we would want to make sure those are closed. Next
20 slide, please.

21 One of the tools that we expect, you know,
22 that we have heard a lot from different licensees
23 about and we think that many will probably follow
24 suit, is an interest in using an alternative testbed.

25 So, alternatives to full-scope, high-

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 fidelity simulators as validation testbeds may be
2 acceptable depending on the stage of the validation
3 being credited towards the NRC's safety determination
4 and the nature of the control room modification.

5 The glass top panel, the glass top
6 simulators are one that we think are going to be
7 particularly popular. However, I want to note that
8 with MSV, there are -- you know, you can define
9 different stages in different ways.

10 So, you may be doing some sort of
11 conceptual, validation during a conceptual stage of
12 design in which, you know, a glass top simulator may
13 be overkill or may be unnecessary or unavailable. So,
14 in that case, you may use mockups, and given that it's
15 early stage, you know, that very well may be an
16 appropriate testbed.

17 So, we'd want to have some level of
18 alignment just to make sure we're not heading towards
19 a misalignment later on, to make sure that the scope
20 and fidelity of the testbed are adequate for the
21 purposes of the particular validation that we're
22 looking at in any particular stage. Next slide,
23 please.

24 If the credited validation testing will
25 not be performed on a traditional full-scope, high-

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 fidelity plant-referenced simulator, we think that
2 some justification should be provided as to why the
3 alternative testbed being used is adequate.

4 So, again, this would be an area that we
5 would probably want to have additional discussion,
6 perhaps in pre-application space, just to make sure
7 that we're aligning on what some of these tools are
8 and how they might be used.

9 If certain components or subsystems within
10 the testbed will be modeled using a low-fidelity
11 simulation, without full haptic fidelity per se,
12 sufficient justification should be provided to
13 conclude that the performance is not to be expected to
14 be adversely impacted when operators are interfacing
15 with the actual components or subsystems within the
16 integrated system. So, those are the sorts of
17 considerations we might have in that discussion. Next
18 slide, please.

19 Okay, so some things to consider, you
20 know, as a licensee puts together an application that
21 uses MSV is that staged testing, if it's used, should
22 be consistent with the MSV guidelines we discussed
23 earlier.

24 And the remainder of the HFE program
25 activities should be conducted consistent with the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 0711 process and the Standard Review Plan Chapter 18
2 with one note in that NUREG-0711 does not describe
3 MSV. However, we believe that MSV is consistent with
4 the validation activities described in that document,
5 and we believe some level of grading would be
6 acceptable, you know, based on the particular plan.

7 So, reading through that guidance would
8 provide, I'd say, some breadcrumbs about how to put
9 together an application that has MSV if you were to
10 pare down the ISV material to a level that was
11 sufficient to prove, sufficient for the objectives of
12 a particular stage of MSV, I think we would find
13 ourselves in the right place.

14 And the validation activities and results
15 should be assessed within the context of other HFE
16 program activities. Next slide, please.

17 So, this table here is a summary of -- in
18 the first column, you see a description of various
19 human factors program activities. These are described
20 in the 12 elements of 0711, and NUREG-0711 describes
21 basically two types of submittals.

22 There's an implementation plan and there
23 is a result summary report. An implementation plan as
24 we see it typically describes a methodology to conduct
25 one of the analyses, or design activities, or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 evaluations described in 0711.

2 And an RSR is, the corresponding RSR that
3 goes with an implementation plan describes the results
4 of that activity when it's carried out, and usually
5 has some level of summary of the process as well. And
6 0711 describes that a licensee has a couple of
7 different options as far as how to put the submittal
8 together.

9 The first one, and this one may not be
10 practical, but I'll start with it because it's the
11 easiest to explain, is that the licensee could come in
12 a result summary report at the time of a license
13 amendment and say hey, we've done the design work. We
14 have the design work. This is the results of that
15 design and the supporting analyses. Review it, NRC,
16 and move forward.

17 That is the easiest path through because
18 it is the most descriptive and it's easiest for the
19 staff to wrap their head around. However, we don't
20 expect we're going to see a lot of license amendments
21 that come in with that path given some of the
22 challenges and the timeframes needed to design these
23 sorts of mods.

24 So, the alternative approach is to submit
25 the implementation plans with the license amendment

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 which describe the methodologies about how the
2 analyses and design work will be done, and then follow
3 at some later point in time the RSR that describes the
4 outcome of those activities.

5 And that's how we end up closing the loop
6 here, and the real challenge, as I described before,
7 is that the human factors verification and validation
8 activity tends to occur outside of the time when the
9 staff will be conducting the license amendment review.

10 So, the challenge is how do we get an RSR
11 into the hands of the staff in the time they can look
12 at it? And that's why we think MSV allows us that
13 opportunity, to give the opportunity to the staff to
14 look at that data of the results of that important
15 element to us.

16 Let me see. There are a few exceptions.
17 Not all IPs have RSRs and those are dictated here. I
18 don't want to go into those a whole lot. If we have
19 questions on that, we can have those later. The ones
20 that we do see RSRs are clearly marked here and we can
21 get into that if we need a more specific meaning or in
22 the question section if we want to here. Next slide,
23 please.

24 So, this slide basically summarizes some
25 of the key points from the table on the previous

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 slide, so I'm going to run through these real quickly
2 verbatim here.

3 In accordance with NUREG-0711, applicants
4 should include within their LAR submittal an
5 implementation plan for each of the 12 elements of the
6 HFE program review model.

7 IPs, and I know we, the NRC likes to use
8 IPs as the inspection procedure, so I apologize for
9 having an inconsistent acronym here. When I use it,
10 it's implementation plans.

11 The implementation plans should describe
12 the methodology for conducting the activities
13 associated with that program element. The IPs are
14 subsequently expected to be followed up with a result
15 summary report once the activity is completed during
16 the licensing review period.

17 Alternatively, if the applicant already
18 has a completed RSR for a program element at the time
19 of the initial submittal, they should include that in
20 their LAR application. Next slide, please.

21 So, if an application relies on early-
22 stage MSV results to inform the NRC's safety
23 determination, the IP discussing the verification and
24 validation should include details as to how early-
25 stage test results will provide reasonable assurance

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 that subsequent ISV testing will be successful and
2 will not result in HEDs with safety consequences, so
3 that would be an appropriate place to put that level
4 of description.

5 Also, we should be confident that any HEDs
6 that come out of this process are going to be
7 resolved, well, any HEDs with safety consequences.
8 Not all HEDs necessarily need to be resolved, not
9 according to the 0711. Next slide, please.

10 If an application relies on early-stage
11 MSV results, information should be provided to
12 describe that those early-stage results are performed
13 under a sufficiently robust test program to ensure
14 credible results from early-stage testing.

15 Applicants should consider providing a
16 discussion of their program's conformance with the six
17 guidelines for effective MSV testing address in the
18 IEEE standard, and applicants should consider
19 discussing the 0711 criteria for ISV testing that are
20 applicable to the MSV program being used.

21 I said it before, but perhaps I wasn't
22 real clear about it, but the ISV criteria in the
23 staff's opinion are a very robust method, so if you
24 were planning an early-stage validation and you wanted
25 to scale that down, that would be one way to do it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 would be to pick those criteria that are of particular
2 importance.

3 For instance, the ISV criteria have some
4 discussions about the qualifications of the human
5 factors team, and maybe there is some early design
6 work where maybe you don't need a human factors expert
7 to be involved in it, or perhaps you don't need a
8 licensed operator to do some early testing, that you
9 might be able to do it with somebody who is not
10 licensed to do some early, you know, HSI usability
11 testing or something like that.

12 So, there may be some arguments to say
13 hey, we're going to reduce to a subset of these ISV
14 criteria, and we think that these particular ones help
15 to ensure that the results of the test are credible in
16 the long run. Next slide, please.

17 The initial LAR submittal should provide
18 an estimated timeline regarding when the V&V
19 information will be available for review.

20 After I looked at this slide, you know, it
21 says here they should be in the LAR submittal, but
22 really it would be preferable to have these
23 discussions in pre-application space at the earliest
24 point possible.

25 I know there is some frustration that this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 topic is coming out as late in the process as it is,
2 and, you know, I think that had we had more
3 discussions, substantive discussions about the
4 contents of the human factors program and how and when
5 those things would be submitted, we might have found
6 that earlier.

7 So, I just kind of want to undercut what
8 I have on this slide here to say the pre-application
9 space is really the best option to start this
10 discussion.

11 But we should have some consideration
12 about a timeline that clearly demonstrates what
13 information will be available at what points
14 throughout the NRC review period because we may need
15 to get in and do an audit or to look at some of this,
16 and with the short timeline, you know, we're shooting
17 at a very small window typically, so anytime we get to
18 plan is preferable.

19 The submittals should also discuss
20 contingency planning and expectations is there are
21 possible delays in the completion of validation
22 testing. For instance, you know, if a late-stage MSV
23 stage identifies a safety-critical HED or human
24 engineering discrepancy, that would be something that
25 we would expect to be fixed.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 Now, there's lots of ways to fix HEDs, but
2 in some cases, it may cause a design change, so we
3 would be looking to make sure that there is some sort
4 of ability to do that. Now, not all HEDs, you know,
5 warrant design changes. Sometimes they can be fixed
6 with procedures, or training, or other methods, but
7 sometimes design changes are necessary.

8 So, there is a concern that if an HED
9 comes up real late in this process, it's going to ruin
10 a lot of schedules, and clearly our position will be
11 leaning on the side of safety in those cases.

12 Such a discussion will help to support the
13 NRC consideration and acceptance of the proposed
14 approach discussed within the LAR submittal and
15 development of the NRC review timeline, and licensees
16 are encouraged to discuss the timing as early as
17 possible. Next slide, please.

18 So, this final slide here on, you know,
19 the LAR submittal is that the RSRs submitted for NRC
20 review should include the information indicated
21 throughout the 0711 for each of the associated HFE
22 review program elements.

23 As discussed in 0711, RSRs may include
24 summaries for the indicated information, provided that
25 the references given are for more detailed documents.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 Sometimes RSRs, you know, if there was an
2 implementation plan submitted, you know, on the early
3 side, an RSR can say hey, you know, refer back to the
4 IP. We followed everything in it, or, you know, we
5 had to modify it. We went through a change process
6 and made a change to the IP and this is what that
7 change was.

8 So, the RSR should have some level of the
9 final methodology tied to it, but if that's
10 incorporated by reference, that's typically okay.

11 And I know there was some discussion about
12 the electronic reading rooms. You know, to the extent
13 possible, the IPs should be on the docket. If there
14 are supporting documents, and this very well may be
15 the case, that other licensee procedures or documents
16 are to be used, you know, certainly those would be
17 things that we would look at in electronic reading
18 rooms.

19 We are open to finding appropriate
20 documents to be in there, into an electronic reading
21 room. One that is, you know, quite typically looked
22 at in there is the detailed scenario guides for
23 running validation testing tend to be things that the
24 licensees put a lot of time and effort into, are
25 usually proprietary, and they're often under exam

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 controls, so there is a lot of good reasons not to
2 docket that.

3 So, we have in the past been willing to
4 look at those in an ERR, and we can consider other
5 expectations, but typically the IPs themselves and the
6 RSRs would be something that would be docketed.
7 Anything aside from that, we would take under
8 consideration and willing to have that discussion.

9 So, those were the key points I wanted to
10 bring up. I want to just open the floor for Dave or
11 Lauren, if there was anything that I missed that they
12 wanted to add before I open it up for questions here.

13 MR. DESAULNIERS: Thanks, Brian. I don't
14 have anything to add. I'll just wait for questions.

15 MR. GREEN: Great, I see we've got a hand
16 here. Sorry, my computer is a little slow loading the
17 names here for some reason.

18 MS. GOLUB: Brian?

19 MR. GREEN: Pareez, yes, hi.

20 MS. GOLUB: Hi, first, thank you for your
21 presentation, appreciate that. I guess one of my
22 questions is we appreciate all of the dialogue on
23 multi-stage validation, but from an industry
24 perspective, it's difficult just looking at all of the
25 slide material and the NEA document to really

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 understand what would need to be done.

2 You know, it feels a bit overwhelming,
3 frankly, and so I guess I'm wondering is there any
4 examples of precedents or anything out there that
5 industry could take a look at so that we would have a
6 sense of what is necessary if anybody wanted to go
7 this path?

8 Is there anything out there or is it
9 really just guidance and then, you know, folks are
10 going to have to take their best shot at it?

11 MR. GREEN: So, I'll start to answer that
12 and Dave may want to jump in. I don't know of a
13 particular precedence where this has been applied yet.
14 I do know that, I believe it was the NEA document, and
15 Dave, correct me if I'm wrong on this reference here,
16 provides some examples. I know there was one example
17 about how the MSV stages might be considered.

18 When we were putting that together, we
19 were hesitant to prescribe what stages should be used
20 because we recognized that different designers
21 approach design in different ways and we did not want
22 to, you know, tell a designer that uses one approach
23 that their approach is somehow not adequate or not
24 appropriate because it's inconsistent with the
25 prescribed stages that we had put together.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 So, we chose to put an example in that
2 report and that particular one, it was kind of a four-
3 stage MSV that started with a conceptual design stage,
4 moved to a subsystem design stage, and did some
5 integrated system design stage, and then, you know,
6 worked itself into a deployment and operation stage.

7 And then, you know, as we would envision
8 it, and my memory is kind of rusty about how this gets
9 built out, would be that, you know, the designers
10 would consider the objectives within those stages and
11 propose the validation tests that would conclude each
12 of the stages.

13 So, and that, you know, that particular
14 example, I had suggested, you know, the integrated
15 system design stage might be a test very similar to
16 the ISV that we see, but in the stage that precedes
17 that, the subsystem design stage, there might be, you
18 know, perhaps the full simulator is not available yet,
19 but large-scale or large semi-functional level
20 simulations of different systems might be available
21 and you might be able to run some desk tests, or, you
22 know, maybe not with a licensed operator.

23 Maybe you've only got some design
24 engineers at that point or, you know, so there is some
25 kind of wiggle room to make those determinations about

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 who the appropriate people are and what that test
2 looks like.

3 And, you know, I think the guiding
4 principle as I see it is to understand what the
5 objective is within the defined stage that a licensee
6 makes, and then to, you know, design an appropriate
7 test to conclude that stage, you know, using some of
8 the ISV tools that are available or similar.

9 You know, it doesn't necessarily have to
10 be the ISV criteria from 0711, but put that together
11 in a way that creates a creditable, sorry, not
12 creditable, a credible result.

13 You know, from a regulatory standpoint,
14 when I go and look at one of these stages, I want to
15 believe the results and I want to see that, you know,
16 if you say that, I don't know, the updated rod control
17 system works, I want to see a test that gives a good
18 flex to that using whatever simulation or tool is
19 available at the time, and I want to understand what
20 limitations there are to that test.

21 You know, maybe the rod motion doesn't go
22 all the way or you don't have all of the interfacing
23 systems connected yet. You know, if I understand some
24 of those limitations, I can say okay, well, this is a
25 good early-stage test. It might not be enough to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 convince me that, you know, we don't need to look at
2 anything else down the line.

3 So, you know, it's a matter of do you have
4 enough control that, you know, a reasonable person is
5 going to look at it and say, yeah, I believe the
6 results that came out of that test because you
7 controlled the methodology that went into it.

8 I know that's still a little vague and I'm
9 going to turn to Dave here to see if he has a better
10 or maybe a more concrete example to answer your
11 question.

12 MR. DESAULNIERS: Okay, sure, Brian.
13 Well, I think that an example that we can point to,
14 while not identified specifically as multi-stage
15 validation, may not have all of the, meet all of the
16 check boxes of multi-stage validation, but I believe
17 is just really quite consistent with what we're, the
18 notion that we're trying to put forward here is a
19 recent review example we had with NuScale and the
20 design certification for their small modular reactor
21 where early on in the process, NuScale engaged with us
22 on their staffing and it was a unique staffing
23 approach.

24 And therefore, they undertook efforts to
25 do preliminary testing to show that indeed the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 staffing concept that was being used there was a
2 viable approach and gave confidence for both the
3 applicant and the NRC that we were proceeding down a
4 path towards success.

5 So, you know, those tests were being
6 conducted, not with licensed operators and with their
7 fully developed procedures, but they were robust tests
8 consistent with the level of design development that
9 was available at the time and controlled in ways, as
10 Brian noted, such that the individuals going through
11 the scenarios for the staffing validation didn't have
12 prior knowledge of what those test scenarios were
13 going to be.

14 And so, I think if you're looking for an
15 example within the NRC and, you know, that's been
16 reviewed, within the U.S. that's been reviewed by the
17 NRC, that, you know, I think gives some indication of
18 the type of thing that is done under a multi-stage
19 validation type approach.

20 There, we're not talking about a
21 subsystem, but really it was a staff concept that was
22 being validated, and it aligns with, you know, the
23 early-stage validations of design concepts.

24 MR. GREEN: Yeah, that's a great example,
25 Dave. Thank you for bringing that one up. I should

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 point out that NuScale provides a unique approach that
2 may work for some licensees in that they submitted the
3 implementation plans with the, along with the license
4 application.

5 And there was an agreement that we had
6 come to with them at one point in pre-application
7 space where, you know, they were not interested in
8 having a lot of DAC as part of their strategy, and
9 their proposal to do that would be to provide an
10 implementation plan with a license amendment, but then
11 conduct all of the validation activities, all of the
12 design and evaluation activities before the staff
13 would be done reviewing that implementation plan.

14 So, it occurred within the scope of a
15 licensing process, in which case the staff were able
16 to go and audit the validation testing that we saw,
17 and it provided a high level of confidence and was
18 relatively easy to move forward with.

19 Now, that may not work for all licensees,
20 but it might work for some and it was a fairly
21 successful strategy, I think.

22 MR. JAIN: With that, I see three hands
23 raised. I will go with first Bill Hannaman. Please,
24 go ahead with your question.

25 MR. HANNAMAN: Hi, can you hear me?

1 MR. GREEN: I can hear you, Bill. Thanks.

2 MR. HANNAMAN: Okay, thank you. I was
3 really impressed with your slide 17 where you actually
4 kind of laid out all of the 0711 activities and then
5 you can kind of see a pathway in there depending on
6 the complexity of the design and so forth, but it
7 looks like if you put the IP plans in with the
8 submittal, with the LAR submittal for a change, that
9 that would allow you to do the approval of the LAR at
10 that point in time, and then I don't know the role
11 exactly of the regional inspectors, but would they do
12 something related to the HFE plans?

13 MR. GREEN: Yeah, see the challenge that
14 we have with what you say about making the licensing
15 determination on the IPs alone, you know, that's kind
16 of -- Bill, I've never had you over for dinner, but
17 I'm not much of a cook, but if I showed you a nice
18 recipe, you know, you may or you may not get a good
19 meal out of it, and so that's why this validation part
20 of it is a key part. Sorry, we're getting some -- we
21 got somebody on the line, Mike. Okay, there we go.
22 Thank you.

23 So, yeah, you know, that's why the
24 verification and validation activities has always been
25 a really key part of our decision, and that's one of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 the challenges here is that for the staff to write a
2 safety evaluation, we have to make our conclusion with
3 the information we have in hand, and we have a -- we
4 can't really bump that into the regional inspectors to
5 confirm that. It leaves us lacking on a key bit of
6 information needed for the safety evaluation.

7 So, I mean, I think, you know, NEI is
8 going to give a presentation here about how, you know,
9 perhaps a license condition might work. We have had
10 some discussions on that and, you know, we're
11 skeptical, but we'd like to hear it through and see if
12 there is a path there, but that's generally been, you
13 know, something we've not been able to pursue, to
14 delay --

15 MR. HANNAMAN: Okay.

16 MR. GREEN: -- that part of the decision
17 into that level of inspection, but I appreciate your
18 question.

19 MR. HANNAMAN: Okay, well, thank you.

20 MR. GREEN: Thanks.

21 MR. JAIN: The next question is from
22 Richard Paese. Richard?

23 MR. PAESE: Yes, can you hear me okay?

24 MR. GREEN: Go ahead, Richard. Thanks.

25 MR. PAESE: Yes. Thank you. So I'm not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 sure if this topic has come up before, so my apologies
2 if it has, but my question is related to the basis for
3 the LAR expectations. So my understanding in reading
4 the rule for 50.34(f) is that this regulation isn't
5 applicable for many of the operating plants that are
6 doing these plant upgrades. And as I understand it,
7 NUREG-0800 Chapter 18 and NUREG-0711 were largely
8 written to give guidance for review and compliance
9 against this regulation of 50.34(f). So what's
10 confusing to me it's not clear why NUREG-0711 is
11 expected if 50.34(f) doesn't strictly apply.

12 And the reason I ask this is because many
13 utilities' licensing basis say don't reference NUREG-
14 0711 or 50.34(f) but they go into a lot of discussion
15 about the orders and generic letters that were issued
16 to them back in the 1980s and how their design
17 complies with those orders and letters including
18 things like NUREG-0737 Supplement 1. For example,
19 many of them go into a lot of detail about how they
20 address the control room design review requirement
21 from NUREG-0737 Supplement 1, but these types of
22 requirements from their license and from these orders
23 and generic letters, they're not really specifically
24 discussed here in this LAR expectation.

25 So my question is how these two ideas are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 being addressed together, namely, the expectation to
2 use 0711 and the commitments that were made in the
3 licensing basis for these plants which don't
4 specifically include NUREG-0711 or have expectations
5 to meet 50.34(f).

6 NUREG-0711, obviously, is a good process
7 and I'm not advocating for -- for not using it, but my
8 question is really going back to the actual regulatory
9 and licensing requirements that are -- that we're
10 using to tie back to the safety case. This seems to
11 be a slight disconnect to me. So maybe the assumption
12 is that 0711 is to be used to show how these licensees
13 are determining the acceptability of the changes that
14 they're making to how they previously -- to the
15 previous requirements that the orders and letters that
16 they have referenced in the license. But this idea
17 isn't clear to me. So that's my question.

18 I was wondering if you could speak to
19 that?

20 MR. GREEN: Dave, do you want to take a
21 first stab at this or would you prefer for me to?

22 MR. DESAULNIERS: You can go ahead, Brian.

23 MR. GREEN: Okay. So, yes, it is -- it's
24 a great question, Richard. So the first place I would
25 start is GDC 19 does say that they have a control room

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 where they can safely monitor the plant. Not all
2 plants are GDC plants, but those that are, you know,
3 that is another -- there is a position, I believe it's
4 -- I believe we wrote in the advanced reactor world,
5 but you know, these principles are the ones that help
6 us confirm that the operators can, and safely, operate
7 the plant under the normal and emergency conditions.

8 50.34, as we know, does have some
9 limitations about the dates in which the applicability
10 is there. I know there is some rulemaking going on to
11 fix that. I'm not sure what the correct interim
12 answer is to those that fall outside of that scope
13 though.

14 MR. MARSHALL: So Brian, would you mind if
15 I took a stab at this? This is Michael Marshall.

16 MR. GREEN: Oh, yes. Please do, Michael.
17 Thanks.

18 MR. MARSHALL: You're right about the
19 applicability of 50.43(f), but the thing to keep in
20 mind and you're also correct in pointing to the TMI
21 orders as being the basis for the requirement for the
22 many of the operating plants being the human factors
23 requirements there.

24 50.34(f) wasn't backfitted on the existing
25 fleet because of the TMI orders that are in place.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 And in some ways, depending on the plant, the TMI
2 order might be a little more restrictive or -- not
3 restrictive -- has more specifics in it than 50.34(f).
4 But generally, the NUREG and the guidance that NRC
5 staff is using applies equally to both 50.34(f) and
6 the plants to have TMI orders as to requirements for
7 human factors activities.

8 Dave, Brian, did I get that correct?

9 MR. GREEN: I appreciate you jumping in
10 with that, Michael. Thank you.

11 MR. MARSHALL: Okay.

12 MR. PAESE: Just a quick follow up. So
13 the way I understand it is that -- so these licensees
14 have committed to these orders, these generic letters,
15 these are the -- these are their actual requirements.
16 These are the things that are referenced in their
17 license. They've performed actions according to those
18 orders and those letters.

19 And the idea here is that 0711 is the
20 document that is expected to be used to show how their
21 changes to those -- to their compliant -- potential
22 changes to the compliance to those requirements, 0711
23 is being used as the means to show why those changes
24 are acceptable.

25 MR. MARSHALL: Yes, but one thing to be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 mindful of, even though most of the plants got similar
2 TMI orders, there might be some uniqueness and an
3 individual's plant TMI order that might bring into
4 question the NUREG applicability, but generally the
5 NUREG-0711 should be applicable to the plants that
6 received the TMI orders.

7 But again, there was a lot of
8 correspondence after the initial order, I would say
9 modify what licensees are expected to do or required
10 to do. But you would have to recreate that paper
11 trail to make a determination that the NUREG-0711
12 wasn't applicable.

13 MR. PAESE: Yes, I guess the concern that
14 I have is that I think -- it seems to me that we might
15 be getting lost in what the actual requirements are in
16 focusing so much on 0711. Again, I'm not saying 0711
17 isn't an important document and a good document to
18 use, but I think it's important to always remember to
19 go back to what the licensing and regulatory
20 commitments are and how 0711 might be used to satisfy
21 showing continued compliance to those -- to those
22 regulatory licensing requirements.

23 MR. MARSHALL: Yes. I agree. And again,
24 it's good to acknowledge that even though the orders
25 went out to everybody, again, there was subsequent

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 correspondence that might have customized how
2 individual licensees responded to the requirements in
3 the order.

4 So that would be wise for licensees to
5 make sure they understood what their human factors'
6 requirements were with regards to the TMI order, as
7 they're assembling their amendment packages for
8 submittal to the NRC.

9 MR. JAIN: Okay, with that, the next
10 question is from Jacek Nowakowski.

11 Jacek, you can unmute.

12 MR. NOWAKOWSKI: Yes, good afternoon.
13 Yes, this is Jacek Nowakowski. I'm with Framatome,
14 Inc. And my question was regarding the definition of
15 validation in your 0711 and in IEEE 2411.

16 Does the staff consider that word
17 validation means the same thing in both documents and
18 it will be interpreted the same way, meaning it can be
19 used interchangeably as meaning as used in integrated
20 system validation and as used as part of the multi-
21 stage validation where it's broken up into somehow,
22 substance of a validation. Is that word -- would you
23 advise that we use that word when referring to the
24 components of MSV or would you advise that we use a
25 different word like analysis or test or something of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 that sort?

2 MR. GREEN: I would have to go back and
3 compare those definitions. I don't have them in my
4 memory enough to contrast the two of them right now.
5 And if maybe Dave is more familiar with them, but I
6 guess I would question is this -- is it a matter of --
7 I'm trying to understand like the nature of the
8 question. Is it that they perceive there to be some
9 difference between the two of them? And you think we
10 may be getting disaligned or is this more so a matter
11 of how to communicate with the staff?

12 MR. NOWAKOWSKI: I think it's mostly about
13 how to communicate not to cause any problems, you
14 know, during the process. So just the question up
15 front -- the validation definitions are slightly
16 different. One of them kind of reads, it's kind of
17 leading you into a degraded system validation and the
18 IEEE one it talks about, like you said, components,
19 subsystem, and system, so implying that there is
20 multi-stages to validation.

21 So it's kind of a -- can we assume that
22 the word validation is well understood and it's kind
23 of colloquial at this point and we can use it for
24 components of MSV, as well as we can use this for ISV,
25 or would you advise that we use alternative words for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 that?

2 MR. GREEN: You know, there might be
3 something worth some more discussion. I'd want to
4 think on it a little bit, but Dave, if you have
5 anything to say -- I mean I don't see a problem with
6 it, but I've not had a chance to digest it either.

7 MR. DESAULNIERS: Right, unfortunately, I
8 haven't had an opportunity actually to bring up the
9 differences in definitions, but as I seem to recall,
10 I believe, 0711 provides a definition for integrated
11 system validation whereas the IEEE standard provides
12 a definition for validation.

13 MR. GREEN: That's right.

14 MR. DESAULNIERS: Am I correct? And so I
15 guess where you see the differences in the definition
16 may be that -- I think we're getting a little feedback
17 there.

18 Okay, integrated system validation is a
19 specific type of validation. So the IEEE definition
20 I expect was written to be broader and incorporate ISV
21 whereas ISV is going to be more specific to a
22 particular stage of validation where your focus is on
23 validating integrated operations.

24 So the bottom line is probably would not
25 want to consider the two definitions -- I would want

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 to pull them up again to be certain on this, but I
2 wouldn't necessarily see them as interchangeable in
3 that ISV, or integrated system validation, is a more
4 specific concept than validation.

5 MR. JAIN: Are there any more questions
6 for Brian on his HFE presentation or the staff?

7 MR. NOWAKOWSKI: Sorry, I was muted and I
8 was trying to reply to the answer if that's okay.

9 MR. JAIN: No, you go ahead.

10 MR. NOWAKOWSKI: Okay, so if I understand
11 it correctly that the two definitions of validation
12 should not be understood as interchangeable? I guess
13 that was my question. So thank you very much for that
14 answer.

15 And I have one more quick question
16 regarding slide 18 that's currently up on the screen.
17 Does staff have any preferences to seeing individual
18 implementation plans or is it standard practice to
19 combine them into documents that include multiple
20 elements and multiple implementation plans in one?

21 MR. GREEN: That's a great question. It
22 is convenient for us to have them separate, but
23 there's nothing that requires that. And to some
24 extent it may make good sense to combine some of them.
25 For instance, and I'm just speaking off the cuff here,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 this isn't anything that anybody has to do, but the
2 HFE program management one, that's one that really
3 stands off well by itself and I think from what I hear
4 from licensees, that seems to be a stand-alone
5 document.

6 It's unclear to me if we're going to get
7 a single document that's going to -- to submit the
8 operating experience review function analysis and
9 allocation, task analysis, staffing equals, and
10 treatment of important human actions. It could be --
11 this could be separated into six documents or in a
12 single document. There's not a big difference to us.
13 However, given the tight time lines that industry
14 seems to have, it might be better to send them
15 individually and get them into the staff's hands to
16 look at them as quickly as possible. If they're all
17 going to come at once, then I don't know that it makes
18 a big difference though.

19 MR. NOWAKOWSKI: Okay. I appreciate that.
20 Thank you.

21 MR. JAIN: Pareez, you can go ahead with
22 your question.

23 MS. GOLUB: Thank you. Just on this same
24 slide, I guess I want to make sure I understand what
25 the expectations represented on the slide are. I had

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 thought from reading 0711 that the IPs being submitted
2 with the LAR was sufficient. If you could address the
3 V & V element to make sure that ISV was addressed
4 either as part of the -- during the review stage or
5 after the review stage if you had a sufficient
6 argument for why that was so and your MSV was being
7 one example of that argument.

8 But when I look at the slide, it almost
9 seems like the RSRs are still required prior to the
10 staff issuing the SE. I just wasn't clear on the
11 answer that was provided when that question was asked
12 earlier.

13 MR. GREEN: Yes, so thank you for the
14 question if that was not clear. So the staff would
15 expect to -- we need to come to a determination of a
16 reasonable assurance of safety. And within the
17 validation aspect, you know, we're still having the
18 discussion right now on if -- let's just say, you
19 know, a licensee was going to conduct a relatively
20 sophisticated multi-stage validation and they were
21 going to say, Brian, come out, you can watch us do the
22 testing. I can go and watch that and I can write an
23 audit report that says, you know, I saw that they were
24 using the good controls, the right sorts of controls,
25 and the results that I saw were positive and support

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 safe operation. And I can cite that in my safety
2 evaluation. So that gives us the performance-based
3 part of the process.

4 Now it would be preferable to have the
5 RSRs that has the licensees' perspective on that.
6 We're still discussing internally can we live without
7 that and the answer is maybe right now. But I don't
8 know that we've determined that.

9 One of the reasons, the justification
10 behind that is the licensee would run their tests and
11 draw their conclusions and their conclusions might be
12 different or there might be some HUDs identified that
13 we don't see in the week that we're there. So it's
14 just a matter on how much of that information -- how
15 much confidence do we have at the time that we make
16 that observation.

17 And you know, if we go in and we see a
18 test that has lots and lots of issues come up, and the
19 operators can't safely control the plant, then we're
20 not going to have lots of confidence at that point.
21 But if we get in there and we do see that things are
22 working as expected and the HSIs are conforming with
23 the guidelines and things like that, then perhaps our
24 audit report is enough to get us across the finish
25 line. That might be something for some additional

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 discussion on both sides, but we are considering that
2 right now.

3 As far as for the other elements go, you
4 know, we can get in and audit those. We don't
5 necessarily look at all of them. For instance, task
6 analysis is one that we typically find to be an
7 important part of that process. Specifically, because
8 it feeds into the verification and validation
9 activities real nicely. It tells exactly what the
10 operators have to do and those get built into the
11 procedures and those procedures are the ones that the
12 operators tend to run in the V & V. So there's a
13 direct nexus there.

14 You know, function allocation could be
15 really important if a particular modification is going
16 to be automating lots of things that were not
17 previously automated or vice versa, making lots of
18 manual actions instead of things that were automated.
19 But it may not -- you know, depending on the mod, it
20 may not be as important. So we would have to figure
21 out how we would handle that RSR as well. So those
22 discussions there.

23 I don't think those are necessarily going
24 to be challenging ones, but there is some room for
25 discussion there.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 MS. GOLUB: Okay. Thank you.

2 MR. JAIN: Are there any more questions
3 for the staff on HFE? If none, then we can ask NEI to
4 make its presentation on HFE.

5 MR. GREEN: Jacek has one more.

6 MR. JAIN: Go ahead.

7 MR. NOWAKOWSKI: Sorry to be monopolizing
8 your time. Just quickly, do you understand that HFE
9 analysis elements of NUREG-0711 to be prerequisites to
10 the human system integrate design element? And then
11 also to the MSV components or do you think that MSV
12 components can happen prior to the completion of HFE
13 analysis, you know, like its function analysis, task
14 analysis, and all those other elements?

15 And do you think is there a precedence of
16 going through the HFE analysis as the design of the
17 project matures or is it something that should be
18 locked down before any kind of MSV element is
19 attempted?

20 MR. GREEN: That's a great question. I'm
21 really happy you brought that one up. I probably
22 should have put that on the slides although I didn't
23 think of it. So this is how we've handled this in the
24 past because this is meant to be an iterative process.
25 So, for instance, let's say you're going through your

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 design process and you know, you identify some issue
2 with the way the operator is interacting with the
3 automation. You may need to go back and revisit the
4 function allocation and make changes to it so -- or
5 perhaps the task analysis changes or the HSI design.
6 All of these things have the potential to circle back,
7 if and when issues are found.

8 So how we have treated this in the past is
9 not that you necessarily need to lock down those
10 analyses and have them be complete and never touch
11 them again, but they need to be relatively
12 sophisticated and you should have at least done a
13 first pass on the task analysis and these other
14 analyses. If you need to go back and revisit them, by
15 all means. I think that's the expectation that you
16 will, but it's not -- you don't tie up all around it
17 and never come back to it.

18 Now that being said, you know, you can
19 especially with a compressed schedule, that may make
20 it tempting to start some of the design work very
21 early and that may cause you problems, but there's
22 nothing that says you can't do these in parallel.
23 However, the MSV guidelines do say that those
24 validation activities should happen in discrete
25 stages. So you would want to propose how you were

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 going to do that, you know, and how you were going to
2 control for that and there are multiple ways in which
3 that could be done.

4 But I want to let Dave jump in here in
5 case he sees that any differently than I do, but I
6 think that's a great question.

7 MR. DESAULNIERS: No, Brian. I think you
8 answered it well in that you commented on the analysis
9 stages are not necessarily prerequisite to the design.
10 And there's an iterative process here where there will
11 be naturally feedback between the design and analysis.
12 And the other part of the question was with respect to
13 multi-stage validation. I think the question was does
14 analysis need to precede multi-stage validation? Did
15 I hear the question correctly?

16 MR. NOWAKOWSKI: That is correct.

17 MR. DESAULNIERS: And no, that would not
18 be the case. The general guidance for multi-stage
19 validation is to start your validation work as early
20 as possible such that again, you know, you could
21 consider doing validations of conceptual design in
22 which case you're clearly still in the analysis
23 process. And so we see these processes, the design
24 development and multi-stage validation as processes
25 that go hand in hand and should be complementary.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 MR. NOWAKOWSKI: Okay.

2 MR. DESAULNIERS: I'd only note that I
3 will agree with Brian that the strict definition of
4 multi-stage validation is taking it from early in the
5 process and doing it in discrete stages. The bottom
6 line criteria that I think is important to our
7 discussions today is keeping in mind the notion that
8 these validation efforts could use some performance-
9 based information that can support the final
10 validation conclusions.

11 So there's quite a bit of flexibility
12 there in terms of how it's constructed for a
13 particular design modification or new design. So I
14 wouldn't see that as necessarily being a strict
15 constraint if that's a source of concern.

16 I did want to take -- I'll stop, pause
17 there. I wanted to make sure I answered your question
18 and then I wanted to go back and modify an answer I
19 provided previously to whomever asked the question
20 about the definitions of validation.

21 MR. NOWAKOWSKI: Yes, that was me.

22 MR. DESAULNIERS: That was you, okay. Did
23 I answer your question here about MSV?

24 MR. NOWAKOWSKI: Yes. Thank you,
25 appreciate it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 MR. DESAULNIERS: And going back to the
2 question on validation, I did pull up the two
3 documents to see where there might have been some
4 point of confusion. And I just wanted to clarify that
5 under 0711 we provide definitions for both validation
6 and integrated system validation. And so right there,
7 that should show that we consider those as two
8 separate concepts.

9 I think where the alignment is is that
10 IEEE defines validation. It does use different
11 terminology for validation. It does specifically
12 refer to performance-based testing and to various
13 aspects of a design. I think, in fact, NUREG-0711
14 definition of validation is a little bit more open.
15 So just be sure you're comparing the two different
16 definitions of validation right now. For NRC
17 purposes, we use the 0711 definition, although I don't
18 think in a practical perspective that there's much
19 difference between the two definitions.

20 MR. JAIN: Okay, we have a question from
21 David Hooten.

22 David, you go ahead.

23 MR. HOOTEN: Yes, thank you. When the
24 industry was working with the I&C Branch staff to
25 develop ISG-6 Rev. 2, one of the ideas that was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 discussed related to what level of detail needs to be
2 achieved in the conceptual design to support the LAR
3 submittal. Was this idea of the -- the conceptual
4 design needed to be bounding relative to the future
5 detail design. In other words, whatever was done in
6 conceptual design, the detail design, as long as it
7 stayed within the boundaries that were defined by
8 conceptual design, that that would be okay.

9 Does the Human Factors Branch view that
10 similarly relative to the HSI design that you would do
11 the conceptual design of the HSI to be bounding
12 relative to the detail design phase activities?

13 MR. GREEN: Let me think on that before I
14 respond here. My initial thought is that with an MSV-
15 type approach that, you know, if you were to have a
16 conceptual design and work through the design process
17 and find yourself in a place where that design has
18 evolved to something different, you know, if you were
19 following the data on that that would seem to be the
20 reasonable and prudent path forward there, but I'd
21 have to think a little bit more on that. I'm not sure
22 how that's all necessarily used within the ARP. I'm
23 not sure if that's creating an inconsistency there.

24 But I believe the MSV standard does say
25 that if you find yourself in that place where you're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 moving away from those concepts that you know, you
2 would measure that and take -- you would try to -- I
3 don't know if you necessarily go backwards, that's
4 probably the wrong way to say it, but you would
5 reevaluate where you are with the changes to the
6 design.

7 MR. DESAULNIERS: Brian, I'll just add on
8 to I think the notion that you were trying to capture
9 there. I think it's an interesting question in terms
10 of starting with a conceptual design. I think what's
11 underlying that question is would a conceptual design
12 be sufficient for the staff to be able to complete its
13 HFE review is what I'm reading into the question. And
14 so maybe I'll pause there and make sure that I'm
15 answering the right question.

16 MR. HOOTEN: Well, the idea with the I &
17 C Branch folks was that a LAR could be submitted based
18 on the completion of conceptual design, but not the
19 completion of detail design. So the idea was that if
20 during detail design you change the design to the
21 point that it was no longer bounded by the conceptual
22 design, then you would need to either alter the LAR,
23 pull it back and resubmit it, or possibly do a 50.59
24 on it, whatever the various regulatory options might
25 be there. But I guess I just wanted to see if the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 human factors folks would do things the same way as
2 the I & C Branch folks along those lines and I guess
3 so far I've heard we're not sure. We have to think
4 about it, maybe.

5 MR. GREEN: I guess if I could -- it seems
6 to me that the conceptual design is kind of a
7 different place than where we are or at least as I've
8 conceived on it thus far and maybe there's room for
9 different opinions here.

10 But the conceptual design happens at a
11 very early stage and our thoughts are that the MSV
12 would have some sort of point later on into that, into
13 the detail design portion. Perhaps the detail design
14 is maybe not -- not 100 percent complete at that point
15 which is the benefit of the MSV approach is that we'd
16 be getting some preliminary validation prior to the
17 ISV. But if you were to get to the ISV and find that
18 you had significant changes from the final MSV stage,
19 then I think that some -- the change process would be
20 the right way to look at it to see if there's a
21 significant difference.

22 One part of the human factors process that
23 gives us some insight on this, although it might read
24 a little funny in the MSV world is the design
25 implementation program activity. It does have a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 change control process built into it that is meant to
2 capture any changes to the design that happened after
3 ISV, but before the design is implemented. So there
4 are a couple of criteria in there that help evaluate
5 that. And I think maybe the way to conceive of that
6 is to open up the scope between -- instead of marking
7 ISV at the entry point into that, that the final MSV
8 point would be the entry point.

9 MR. DESAULNIERS: And Brian, previously
10 you started alluding to a process with an MSV. One of
11 the criteria that's in the IEEE guidance essentially
12 speaks to if your early testing of a design results in
13 changes to the design, subsequent testing has to take
14 a look at have you changed the design to the point
15 where you've basically invalidated the earlier
16 testing?

17 And so, I guess that's the closest I can
18 think about how we've thought about whether you've
19 somehow gone outside the bounds of the conceptual
20 design. We've thought about it in terms of, not the
21 conceptual design as the boundary, but the extent to
22 which you can credit the testing, and whether you've
23 changed the design in such a way that, as I said, the
24 prior testing done would no longer be able to be
25 credited as a valid test of that design.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 MR. JAIN: Any more questions for the
2 staff on HFE? If not, then I would once again wave to
3 NEI to make the presentation on HFE.

4 MS. GOLUB: Yeah, thank you, I appreciate
5 that. So, first, again, thank you to the staff for
6 giving us the opportunity to participate in this
7 workshop. As you can tell from the questions, and all
8 of the interest, this is a big topic for industry,
9 especially for some of the earlier adopters of the
10 alternate review process trying to get protection
11 systems, do digital upgrades for their systems.

12 So, very important, I appreciate the staff
13 taking the time to really explain in that last
14 presentation as much as they did. Next slide please.
15 We're going to go through these slides, and actually
16 a number of the topics we've already started
17 discussing, so that's kind of perfect. We created
18 these slides prior to seeing the NRC slides, so while
19 this presentation follows the NRC's, they're not in
20 response to the NRC's.

21 They were really done independently just
22 based on industry's first attempt to try to get their
23 arms around this issue. So, just a little bit of
24 background, and I think we've covered some of this,
25 but NEI members acknowledge that when doing the NRC's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 integrated action plan, modernization plans, in
2 particular MP4A, when that work was going on in 2017,
3 there wasn't a lot of discussion on the part of NEI
4 members regarding significant main control room
5 modernizations.

6 Those discussions primarily focused on
7 digital I&C, and we're with the digital I&C branch of
8 the NRC, so we do recognize that that was the focus
9 area of industry at the time, and the staff was very
10 responsive to industry input, and industry concerns,
11 and we appreciate that. However, as time has moved
12 on, five years later, and these larger modifications
13 are being scoped, and being undertaken, there's also
14 recognition that to continue to improve plant safety,
15 reliability, we do need to address the main control
16 room, that modernization is needed there as well.

17 And so while we didn't think about it as
18 much in 2017, or focus on it as much in 2017, we are
19 where we are, and we do need to make sure that we're
20 addressing equipment reliability, and other concerns
21 in that area as well, again with a focus on continuing
22 to improve safety. A key industry objective for the
23 industry in providing input to the staff for MP4A was
24 about earlier issuance of license amendments.

25 This was really to support overall

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 reduction of project risk for industry in terms of
2 getting these larger modifications underway, and
3 making sure that we keep that budget risk in a place
4 that was acceptable. And the NRC was very responsive
5 to that. And so we're hoping in that same light of,
6 again, trying to improve safety, and trying to manage
7 risk, that we can find a solution for this HFE, this
8 ISV issue as well.

9 Next slide please. Okay, so again, this
10 is just a little more background. So, under the
11 alternate review process, the licensee is submitting
12 design information earlier in the project life cycle.
13 We recognize that the LAR includes an NRC approved
14 software life cycle process, or information provided
15 in the LAR that describes life cycle activities,
16 there's allowances to that.

17 The pilot LAR relied on the vendor
18 oversight program, and regulatory commitment for some
19 of those later life cycle activities, so there was
20 acknowledgment within ISG6, and this has to do with
21 the question Dave Hooten asked as well. Dave was part
22 of those discussions under MP4A about making, about
23 providing staff information that was bounding, and
24 then making sure as the detailed design was being
25 undertaken, that the design was either staying within

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 those bounds, or if they were changes, those were
2 evaluated, and communicated.

3 We're hoping that the same process can
4 apply here in the world of HFE, and that if there are
5 more significant design changes which impact the
6 information that was submitted, or even information
7 that was part of the NRC's SER, so the approval of the
8 LAR, that the same process we would apply for the
9 design information for digital I&C, would also apply
10 for HFE.

11 So, we're really looking at it not as two
12 discrete areas, but for industry, it's all one
13 project, it's all one system. So, we would view them
14 in a similar lens. And just when we were going
15 through the MP4A work with the staff, providing input
16 to the staff, this was a caution that the NRC did
17 raise. That you're providing this information, this
18 bounding, if it changes, you need to be aware that
19 there could be an impact.

20 So, I think that's a risk that industry
21 has already acknowledged is a possibility, whether
22 it's in digital I&C, or in the HFE area. The next
23 major bullet is on -- we recognize of course the NRC
24 intends to use NUREG-0711 for the review of
25 information, and this kind of ties into the question

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 that Rick Paese asked about what is the underlying
2 regulatory requirement?

3 And so, in a previous public meeting, we
4 thought we had heard the NRC say that the underlying
5 regulation is 50.9 for completeness, and accuracy, and
6 that's why that bullet is on there, because we thought
7 we had heard that in a previous meeting. Brian, I see
8 you have your hand up, do you want to ask a question
9 right now, or?

10 MR. GREEN: I thought you were looking for
11 a response on that, because I saw that in the slide.
12 I can hold the question if you want.

13 MS. GOLUB: No, that's okay, if you have
14 a response, go ahead.

15 MR. GREEN: Yeah, so we did discuss 50.9
16 at a recent meeting, and that was in response to there
17 seemed to be some confusion about the implementation
18 plans, and when they get submitted. So, that was how
19 we have treated it before, is that in order to submit
20 an LAR, an LAR needs to be complete when it's
21 submitted. And one way that we have interpreted that
22 is either with an IP, or an RSR at the time that it
23 comes in.

24 So, that's the basis for why it would be
25 a part of the application, because in that particular

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 case, there was thought that the IPs would not be
2 submitted, and they would be audited in an ERR at some
3 other point. And that begged the question on if we
4 would be able to accept the application when it came
5 in for the acceptance review. So, that was where the
6 50.9 discussion came in, and I see how that would be
7 a confusion.

8 So, that's more of an administrative
9 requirement than some stand up to the argument.

10 MS. GOLUB: Yes, okay, and that's helpful
11 Brian, I appreciate that, because I guess we were --
12 and that's why Rick asked the question as well, just
13 struggling a little bit with what is the underlying
14 regulation, because as we try to find a path forward,
15 it's always helpful to know what target you're
16 shooting at. So, okay, that's helpful. The next item
17 is, and this kind of ties back to what Dave Hooten was
18 referring to, where we were trying to tie the content
19 we provide in the area of HFE to a similar place for
20 what we're providing in the area of digital I&C.

21 Again, from an industry perspective, these
22 are not separate areas. HFE, digital I&C, these are
23 really all the same projects, same system. And so we
24 were trying to draw kind of a similar place, and
25 similar line in the sand perhaps, that we provide this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 type of information in the area of digital I&C, of
2 guided information. We'd like to provide something
3 similar for HFE.

4 And so these items here tie to the
5 framework in the EPRI Digital Engineering Guide, which
6 as you know, the bulk of the industry is using as the
7 design framework. And under that framework, these
8 activities already experience functional analysis,
9 task analysis, staffing qualifications tied to this
10 same area that the conceptual design information,
11 requirements information, which forms the basis for
12 the design information provided with the LAR edits.

13 And so that's why these activities were
14 chosen here. And then similar, again to the way the
15 I&C is handled, for later HFE life cycle activities,
16 the LAR would describe that process for completion of
17 those activities. So, there could be implementation
18 plan type information, program plan type information,
19 that's what we were looking for. And then the NRC
20 could decide whether that was acceptable, how we were
21 handling those later life cycle activities.

22 Okay, next slide. Okay, topic of the
23 hour. So, for the integrated system validation, first
24 NEI members are concern that the MSV approach provided
25 by the staff doesn't really have a clear precedent,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 and it's not clear to us exactly how it fits into the
2 regulatory framework. Certainly appreciate, Brian,
3 especially the presentation you made, it's clear that
4 the NRC is also looking for a solution to try to
5 preserve maybe some of the objectives that were
6 achieved as part of the alternate review process.

7 And we appreciate that, really appreciate
8 the fact that the NRC is also offering solutions to
9 industry, not just kind of saying it's your problem,
10 figure it out. So, appreciate that. Having said
11 that, MSV is difficult, especially listening to all of
12 the different criteria at the different stages, it's
13 unclear how that would work. Now, you're going to
14 hear in the presentation that follows my few slides,
15 Idaho National Labs has kindly supported this call.

16 Supported providing some results from
17 their research in this area in determining what leads
18 to a successful integrated system validation. And I
19 will say while the terminology is different, multi
20 stage validation, from some of the terms that you're
21 going to hear in the INL presentation, I can't help
22 but feel there's a lot of similarities in the two
23 approaches.

24 And one other thing that's kind of become
25 clear to me through talking to both I&C people, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 HFE people is that the term validation may be used
2 differently between these two sets of technical
3 people. And so that could also be a source of maybe
4 -- I don't want to say some confusion, but perhaps a
5 perception that the two approaches are not as aligned
6 as they are.

7 And so I ask the staff, when you hear the
8 INL presentation, I don't know, maybe look at it from
9 the lens that it may be closer to the approach that
10 the staff has offered, than maybe the initial glance
11 would tell. So, I'm looking forward to staff's
12 feedback from that. And so one option for
13 consideration, since the ISV is such a critical
14 activity, and as has been acknowledged, the RSRs for
15 all, or some of the earlier activities will likely not
16 fit within that window of the license amendment review
17 approval requested by industry in accordance with the
18 alternate review process.

19 And I recognize that's a staff decision to
20 determine what that schedule really looks like. But
21 understanding that those RSRs may not fit within that
22 category, and that ISV is so important, one option
23 that industry is kind of offering is potentially
24 including a licensed condition that the ISV will be
25 completed in accordance with the process laid out in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 the LAR.

2 So, trying to make it clear that it's not
3 that industry does not intend to do the ISV, an ISV is
4 part of these projects. But simply that the time
5 lines may not align with what was discussed, or what
6 was included for the alternate review process in ISG6.
7 We do want to acknowledge that we do understand that
8 the NRC's safety determination cannot depend on a
9 license condition.

10 That unlike say ITAAC, or DAC, or some of
11 the regulatory mechanisms in Part 52, a license
12 condition is different. But the NRC does have to
13 conclude in their SER that adequate safety has been
14 achieved. And so, we want to be clear that we're not
15 proposing that the safety determination depend on the
16 license condition. But simply that it's one way to
17 show that industry is going to complete this activity
18 in accordance with the process described.

19 The strategy for addressing the VNB
20 element will be included in the LAR, as I mentioned,
21 and that's what the INL presentation is also going to
22 cover, what does that strategy look like, and the INL
23 presentation is one attempt to provide that strategy,
24 but an attempt that has behind it, research showing
25 that it would be successful. So, I think that's very

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 positive.

2 But we're going to keep the NRC apprised
3 of any ongoing activity, so recognizing again that
4 because there's not finality of all of these
5 activities at the time of LAR submittal, if there are
6 activities that the NRC wants to audit, or even review
7 results of in some kind of an e-room, industry
8 understands that we do need to continue to communicate
9 when these activities are taking place.

10 And make sure we have that good
11 communication so staff can participate, and do their
12 audits, or inspections as the LAR review continues,
13 and some of these other activities are continuing, or
14 even ones outside of that LAR review scope. And then
15 the last bullet here, that we request that the NRC
16 consider making their safety determination for these
17 alternate review process LARs based on the early HFE
18 activity.

19 And then the plan based on INL research,
20 which describes how completing these activities,
21 performing these activities could lead to a successful
22 integrated system validation. Okay, next slide
23 please. Okay, so this is a little bit of kind of a
24 summary. So, the LAR, and I put 50.9, because just
25 from our earlier discussion we were trying to pick out

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 what the underlying regulation is.

2 So, we could show the staff that we
3 thought we were meeting that underlying regulation, so
4 that's why 50.9 is here. It would include these early
5 HFE activity IPs, RSRs, or similar information. It
6 would include the program plan based on INL research
7 describing that the rate of HFE activities would
8 assure a successful integrated system validation. It
9 would include a license condition to perform this ISV
10 in accordance with the LAR.

11 We note that the implementation plan for
12 the ISV would be available for audit prior to the
13 execution of ISV, industry of course would perform the
14 ISV to close the license condition, and that the
15 result summary report for ISV would be available for
16 inspection. So, that's just a little bit of a summary
17 for those activities. Next slide. Is that the end of
18 mine?

19 Yeah, okay. And then, so we could pause
20 here, or we could, maybe I would suggest we have
21 Jeffrey, Joe, and Ron Boring go through their
22 presentation first if it's okay, BP, and then take
23 questions from the staff. How does that sound to you
24 guys?

25 MR. JAIN: Sure, we can do that.

1 MS. GOLUB: Okay, all right, thank you.
2 And I'm going to turn this over to INL.

3 MR. JOE: Okay, this is Jeffrey Joe, can
4 you hear me?

5 MS. GOLUB: Yes.

6 MR. JOE: Okay, great. Yeah, so I am a
7 senior human factors researcher at Idaho National
8 Laboratory. I've been at INL for just about over 22
9 years now. I also want to thank NEI, and the NRC for
10 the opportunity to talk about the human factors
11 engineering, or HFE. R&D that my colleagues, and I
12 have been doing at INL for the Department of Energy's
13 light water reactor sustainability, or LWRS program.
14 Next slide please.

15 Yeah, so the LWRS program conducts
16 research to develop technologies, and other solutions
17 to extend the operation of our nation's fleet of
18 nuclear power plants primarily by improving their
19 economic competitiveness. The part of this though, is
20 that this is the programmatic context that undergirds
21 both what Ron Boring, and I have to say in the next
22 few slides. And so with that, I'm going to hand it
23 over to Ron, and have him introduce himself.

24 MR. BORING: Thank you Jeffrey, can
25 everybody hear me okay?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 MR. GREEN: We can hear you.

2 MR. JOE: Yes.

3 MR. BORING: Excellent. If we could
4 proceed to the next slide then? My name is Ron
5 Boring, so I am the manager of the Human Factors and
6 Reliability Department at INL, and I was heavily
7 involved in the LWRS program in some of the earlier
8 stages, primarily 2012 through 2018 where we were
9 doing a lot of this foundational control, and
10 modernization work.

11 Most of this work has to be understood in
12 the context of different pathways of LWRS, and this
13 work falls under the plant modernization pathway,
14 which has a focus really to engage human factors
15 researchers to support those types of I&C control room
16 upgrades that we're talking about in this general
17 meeting. So, really we're looking to do modernization
18 that obviously is technically sound, that supports
19 regulatory requirements, and is safety focused.

20 And really what we were doing in this
21 process is trying to help utilities to have a roadmap
22 for how to go about these activities. And you can see
23 there on the right, we have this figure that depicts
24 the four quadrants, where we're really taking it from
25 initial engagement with utilities to find out their

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 needs, all the way through deploying it as a control
2 room modernization activity.

3 And along the way, we were working on
4 developing principles, many of those, which are found
5 in the DHG that EPRI released to back end state of the
6 art guidance specifically on control room
7 modernization. Collaborating with industries, and
8 that means many partners, owners, operators, and
9 suppliers. And more importantly then, disseminating
10 those lessons learned back to industry, and the
11 regulators.

12 So, we would work with particular industry
13 partners to develop the template for how we would go
14 about control, and modernization, and then we would
15 publish guidance on that to make sure that that would
16 be a benefit to everyone. Next slide please. And so,
17 really this was, if you go back to 2012 as we were
18 kicking these activities up, this was a chance to
19 address some of the technological obsolescence issues
20 that we were experiencing in the industry
21 specifically.

22 As we extended the life of reactors, and
23 had a need to come up with upgrades for the then,
24 mainly analog systems. Along the line of course,
25 there was the opportunity to do more than for life.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 So, there's the opportunity to figure out what, with
2 the advent of digital technologies, what could be
3 introduced that might actually be a benefit towards
4 efficiency of the plants for example?

5 And so the industry in particular
6 expressed a need for human factor support for
7 modernization, and so we developed guidance on
8 applying NUREG-0711. We captured the experience on
9 how to incorporate human factors in design, and then
10 kind of one of our capstone activities, you can see
11 there in our photograph, was the development of the
12 human systems simulation lab, which is really a test
13 bed for design, and evaluation.

14 It's an engineering simulator that can be
15 tied reconfigurably to the existing plant simulators,
16 but gives plants an opportunity to stage those types
17 of validation exercises, design validation exercises.
18 And then next slide. And so, Jeffrey, and I are going
19 to talk about a few of the examples, just very high
20 level to captures -- apologies, it was very quiet on
21 the street before I started speaking.

22 So, Jeffrey, and I are going to talk about
23 some of the examples of these activities. And really
24 what you can see here, you see our steadfast NUREG-
25 0711 in the top right, and we developed some tools to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 align design to ensure that it was meeting NUREG-0711
2 guidance. And so there was a lot of emphasis in here
3 on how to go about doing those evaluations.

4 And in particular then, we found as we
5 were doing those early stage evaluations on conceptual
6 designs, a lot of the information was qualitative.
7 This is not your traditional thing that makes its way
8 into a LAR. It's qualitative information that helps
9 to inform the design of the system, and then as you
10 move along in the 0711 stages, which are on the upper
11 right axis there, you can see that you get to that
12 point of ISV, at which point you're looking at
13 confirming the design.

14 And really what we found was this high
15 level of confidence, as we did those early evaluation,
16 and design activities, we would go into ISV with high
17 confidence, because we had already tested all of the
18 elements, and refined them. And with that, I believe
19 that's my last slide Jeffrey, so I turn it over to you
20 to continue the story.

21 MR. JOE: Yeah, thanks, we can go to the
22 next slide please. So, Ron just described the
23 iterative design evaluation processes that we created,
24 these design processes align with the NUREG-0711
25 phases. This side is a continuation of what Ron was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 describing before. This slide just shows some
2 examples of R&D activities that we have done in that
3 context.

4 So, the top picture shows ergonomic, and
5 HFE analysis that we performed of I&C hardware, and
6 its human system interface, or HSI to help identify
7 the anthropometric, and other design issues. And so
8 by improving the ergonomics, and human factors of the
9 HSIs, we were helping improve the performance of the
10 new digital control system, or DCS, digital control
11 system.

12 So, we're improving the performance of the
13 DCS, and the overall performance of the plant. The
14 two pictures on the bottom half of this slide show how
15 we conduct operator workshops to iteratively evaluate
16 the HSI design, and other HFE elements of the DCS.
17 So, the photo on the left shows a tabletop review of
18 the HSIs by operators, other plant personnel, HFE
19 experts, and the DCS vendor.

20 And so this is a static evaluation on the
21 screen, something that we can do earlier in the
22 upgrade process, rather than later of course. But the
23 photo on the right shows how we developed a functional
24 prototype of the upgraded control system, which we
25 then iteratively evaluated with operators in the loop

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 as they dynamically interact with the system on the
2 full scale simulator that Ron mentioned in our human
3 systems simulation laboratory.

4 So, these dynamic operator in the loop
5 workshops give the operators, and give the human
6 factors engineers, the evaluators, an opportunity to
7 evaluate, and also work with the new DCS currently in
8 the upgrade process. And this, as Ron mentioned,
9 provides the opportunity to modify the design, and
10 further improve it. And in general, improve the plant
11 performance prior to implementation.

12 And so these are the things that we can do
13 that can be thought of as a lead in to the ISV aspects
14 that was also a point that Ron had made. So, next
15 slide please. So, this slide is perhaps a little bit
16 redundant, but this slide shows where the HFE R&D
17 activities that we have done under the LWRS program,
18 how those activities fit within the existing HFE
19 phases, and elements of 0711.

20 So, in this will be the items in black are
21 the HFE elements of up to NUREG-0711, they should be
22 of course very familiar. But of course the way these
23 elements are listed in this table is a little
24 different than how they're typically portrayed, but
25 all of the elements of 0711 are shown in black. The

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 blue items are what we have done, and continue to do
2 in our research to enhance human centered design.

3 These items are somewhat duplicative of
4 the examples I showed on the previous slide, so I
5 won't repeat them in detail. What I'm pointing out
6 here though is INL researchers have adopted an 0711
7 framework, and our collaborations with our utility
8 partners, we've done all these elements, but in
9 addition to that we've done some other things that
10 we've found to be very helpful.

11 So, for example, the 3D modeling, the
12 development of prototype HSIs, these activities have
13 proven to be beneficial from our view in the research
14 to improve the overall HFE effort, and contributions.
15 So, combined, these activities provide a staged, or
16 iterative approach that helps provide confidence in
17 the HFE aspects of the final design. Next slide
18 please.

19 So, that really takes me -- that's really
20 the take home message for me. The LWRS program, its
21 goals, and objectives undergird the work that we've
22 done to research, develop, demonstrate, and deploy HFE
23 methods, and to make HFE design recommendations for
24 all of the industry to use. And I just want to
25 mention there are reports that we have, these

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 additional -- and additional details on what Ron, and
2 I have presented can be found in these technical
3 reports that are publicly available.

4 There's actually a website address cited
5 on the next slide where you can find these reports.
6 And these reports show how collectively the HFE
7 methods, and recommendations address all elements of
8 NUREG-0711, and increase the confidence in the final
9 design of the upgrade control room. And that's really
10 where I wanted to stop. There are some other slides
11 where we provide some information. But I think the
12 plan at this point was to open this up for questions.

13 MR. JAIN: So, there are questions for
14 NEI's presentation?

15 MR. GREEN: Yeah, this is Brian, sorry, I
16 was just finishing taking a note here. Yeah, if you
17 wouldn't mind Jeffrey, do you mind going back to, I
18 think it was one of the slides that Ron had spoke to,
19 the formative, summative one. Next slide actually.
20 Yeah, I like this slide a lot, and I find this to be
21 very helpful, because I like the evaluation continuum
22 that you have here between the formative, and
23 summative.

24 And I think it shows, what we're trying to
25 find with the MSV suggestion is some appropriate

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 checkpoint within the summative activities to get the
2 confidence -- I think we agree that together, both the
3 formative, and the summative process give us high
4 confidence in the results, and that's why 0711 is
5 structured the way that it is. We're just trying to
6 find that right checkpoint to get some of the
7 summative information for us to consider.

8 And keep it so that we don't just have
9 formative information. And I was wondering if you
10 could speak to -- maybe on the next slide, if there
11 are places in the next table -- I'm sorry, one more
12 slide, the one with the blue, and the black. Are
13 there activities on this table that might provide us
14 with opportunity for the NRC to observe, or see some
15 of this?

16 My initial thought was maybe those initial
17 prototypes, or the iterative evaluations of the I&C
18 seem really reasonable to me. But I don't know if
19 those are within the time frames, or if we have any
20 thoughts on that. Is there a good checkpoint from
21 your perspective?

22 MR. JOE: Yeah, Brian this is Jeffrey. I
23 can certainly give an initial answer, I would also
24 invite Ron Boring to also jump in as well. So, I
25 understand that the question is where in these

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 additional R&D activities might there be good
2 checkpoints for the NRC? Off the top of my head, it's
3 a good question, and I'm not sure -- I'm not as
4 familiar with what a licensee would need to do, just
5 because I don't work for a licensee.

6 But I would say that as researchers, for
7 every activity that we do, we always want to write a
8 technical report, and that has always been the goal of
9 the LWRS program, is to research these activities, and
10 then write a report that not only describes what we
11 did, but reports out on the findings of that
12 particular activity. I would think offhand, that
13 those technical reports could be a way for the NRC to
14 accomplish this checkpoint thing that you're
15 requesting.

16 But that's just what came to my head, Ron,
17 do you have anything that you want to say in response
18 to that?

19 MR. BORING: Well, it would be up to the
20 individual utilities how they want to do that. Most
21 of the blue here is still at some phase of the
22 formative. So, you can see things like the ergonomic
23 analysis is probably at the planning, and analysis
24 stage, right? And that would obviously have
25 documented artifacts coming from that, initial

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 prototypes, you can see how that moves from the
2 conceptual getting it very close to that finalized
3 design.

4 So, again, I would refer to Pareez, or NEI
5 as to when might the appropriate checkpoints be. When
6 we've done this more generally, of course we publish
7 reports at each stage, and part of that dissemination
8 was to get the ideas out there, and see are we
9 capturing the right information? So, from my
10 perspective, it would always be welcome, but utilities
11 would have to figure out when the best intervals are.
12 Pareez, any comments on that?

13 MS. GOLUB: Yeah Ron, and I think that
14 makes sense. Certainly as we go through this process
15 with the NRC, we can talk about what those checkpoints
16 are, and determine the right ones. And that was part
17 of what I was saying earlier about making sure we have
18 good communication as we go through this, to make sure
19 that we provide that confidence to the staff.

20 MR. GREEN: Yeah, I think, and I'm just
21 kind of working through these for the first time here,
22 but my initial thought is that if we were able to
23 identify a checkpoint, or two, and that may be, for
24 the way we had described it earlier, that may be the
25 early MSV stage. I mean these may not be terribly

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 different in concept. So, there may be some room to
2 align there, but I'd like to -- maybe that's a
3 discussion for another time.

4 But if we could find a couple of those, I
5 think Dave may have thoughts on it as well, but that's
6 my initial impression.

7 MR. JAIN: There are three questions here.
8 One, I'll have Bill, you go ahead with your question.

9 MR. HANNAMAN: If you can hear me, this is
10 Bill Hannaman, and I'm with Paragon. I thought this
11 was a very good presentation, and it brought to mind
12 -- this may be a little bit redundant, but you said
13 that you would produce research reports when you did
14 an activity. Would that research report fall into the
15 category of a validation?

16 That's where I think you can do a lot of
17 early stuff that would fit into the MSV approach. But
18 you would call, instead of a research report, can you
19 put the term validation on it?

20 MR. JOE: This is Jeffrey, I'll jump in,
21 if anyone thinks that question was directed to them as
22 well, please speak up. I think of this as a
23 researcher, and I think of these as potential
24 artifacts for referenceable, technical documents that
25 could be included in whatever additional documentation

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 that might need to be provided to the NRC. So, for
2 example, little that I know about license amendment
3 requests, there's a license application that a
4 licensee would submit.

5 These technical reports, along with either
6 results on reports, or implementation plans could be
7 referenceable artifacts. But that would again, as Ron
8 had mentioned, that would be up to the licensee to
9 make that call as to what it would be. I actually
10 can't really speak to whether, or not we would call
11 these research reports validation reports, or not.

12 I don't think I am versed enough in the
13 nuanced differences in terms of how one discipline of
14 engineering might define validation, versus how it's
15 defined in 2411, versus how it might be defined in
16 0711, or just at large in human factors. That's all
17 I needed to say, anybody else on the human factors
18 side want to jump in? Yeah, go ahead Pareez.

19 MS. GOLUB: So, I probably am not on the
20 human factors side, but I guess I just wanted to go
21 back to something I had mentioned in my presentation,
22 which is that I think that there's a lot in this
23 approach that's being put forward by INL, and industry
24 of course, that isn't that far different than the MSV
25 stuff. Even -- like letting go for a moment on the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 exact terminology of validation.

2 But more on this idea that there are these
3 earlier insights that show that this approach would be
4 successful. And so I think if we can try to come to
5 some alignment for these different licensees on what
6 this approach would be, and describe it appropriately
7 in the LAR, that's why I'm hoping there is a success
8 path. The terminology is only one aspect, but I know
9 it's more of a general approach.

10 MR. HANNAMAN: Thank you. I think that
11 gives a broad picture of a kind of report that fits
12 into the MSV framework. So, I like the ideas.

13 MR. JAIN: Okay, so the next question is
14 from David. David, do you want to go ahead?

15 MR. DESAULNIERS: Thanks BP, actually it's
16 not a question, and the time is perfect.

17 MR. JAIN: A comment?

18 MR. DESAULNIERS: Yes, it's a comment, and
19 it follows directly on this conversation here, and the
20 comments of Pareez, and Bill. With respect to where
21 we see commonality between what INL is proposing as an
22 HFE program, and what might fit into multi stage
23 validation. So, there certainly is commonality in
24 terms of types of activities. There are differences
25 though, and Bill, you asked a good question.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 Could you call these validation? What
2 I'll try to summarize briefly here, but I'll point the
3 audience to as a resource to consider that question,
4 is that was an important aspect of what we considered
5 when we were working on the NEA effort to further
6 develop the MSV concept, and tried to distinguish
7 multi stage validation from some similar, but
8 competing concepts.

9 Because in developing multi stage
10 validation, we often went back to this discussion of
11 well, what in fact is the difference between what we
12 are proposing to develop in terms of multi stage
13 validation, and what you might call a design test in
14 the general sense. And I believe that what you have
15 here on the screen, and prior to getting into VNB is
16 design testing.

17 And if you go to the NEA report,
18 specifically section 2.4, there is a section
19 specifically dedicated to describing the relationship
20 between multi stage validation, and design testing.
21 They are different concepts, but complementary. And
22 the distinction gets into largely the controls that
23 are put in place on the nature of the testing, and the
24 objectives of the testing.

25 Design testing has some very broad -- can

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 have many different types of objectives. As for an
2 example, you might be looking at comparing concept A
3 against concept B, and trying to decide which is the
4 more effective design to use for your particular
5 application. Whereas invalidation, really your focus
6 is -- your objective is more focused, and that's
7 determining will this design successfully meet its
8 intended use?

9 And the way you go about the testing may
10 require, in order to have results -- and this is where
11 I'll take a moment to just maybe correct my colleague
12 Brian's -- he actually corrected himself, and I'd say
13 he corrected in the wrong direction relative to how
14 the terms are used say in the IEEE document with the
15 difference between credible, and creditable. What is
16 being produced perhaps in design testing, if done
17 properly, is producing a credible result.

18 But for purposes of having something that
19 we can use for a regulatory decision, what we want is
20 something a little more that's a creditable result,
21 and that means it has the pedigree associated with it
22 in order to be able to support our decision. And that
23 may mean for instance whereas a test under design
24 testing is done by the individuals that are directly
25 involved in the development of that design under a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 validation test, it might be the same test.

2 But it's being done by an independent
3 group of individuals developing that test, and
4 evaluating the results, as just one particular
5 difference. I think in the end though, when you
6 appreciate those differences, there are ways to take
7 what is being done by INL, and with appropriate
8 adjustments, elevate design testing to something that
9 would be considered a validation.

10 So, this is where we said -- and Brian
11 alluded to earlier with respect to not trying to add
12 a whole lot more work to it, but looking at what's
13 being done. Does it actually -- what portions of your
14 testing actually support the final conclusion, as will
15 this design support its intended use? Not just
16 improve it in some way. And provide the level of
17 rigor, and documentation to that testing.

18 Such that it can then be part of the basis
19 for the application. I'll pause there to see if I
20 rambled on too much, and confused everybody, or made
21 some clarification.

22 MR. HANNAMAN: Thank you for that
23 response.

24 MR. JOE: That was helpful to me David,
25 this is Jeffrey, and that's all I'll say, very

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 helpful, thank you.

2 MR. JAIN: Our next question from Warren.
3 Warren, you want to go ahead with the question?

4 MR. ODESS-GILLETT: Thank you, and I'll
5 lower my hand here. So, this is -- so Pareez, on
6 slide three of the presentation, I just want to sort
7 of simplify in my own head, the proposal. So,
8 basically the idea on -- actually slide three of the
9 NEI presentation, yeah. The idea is that for the
10 operating experience, functional analysis, and
11 allocation, task analysis, staffing qualifications,
12 both an IP, and an RSR would be provided during LAR
13 review?

14 MS. GOLUB: In this case, the RSR would be
15 provided, yes. Yes, I shouldn't speak, so yeah, it's
16 really either one, yeah. The licensee would have to
17 decide, yes.

18 MR. ODESS-GILLETT: Okay, and then
19 afterwards, those later life cycles, if you go to
20 slide -- I'm on the wrong -- let's see.

21 MS. GOLUB: I think it's slide four of the
22 NEI presentation, I think is where Warren is going.
23 Here that bottom bullet Warren, is that where you're
24 going?

25 MR. ODESS-GILLETT: Yes. That the --

1 actually, it was I think on the next slide. Yes, and
2 the major bullet, and the second sub bullet says the
3 HFE program planned based on INL research describing
4 the later HFE activities assuring a successful ISV.
5 My understand is that what would be submitted would be
6 implementation plans based on the INL research that
7 was presented that have demonstrated that the
8 activities that INL had discovered contributed to a
9 successful ISV.

10 These would be incorporated in
11 implementation plans as part of the -- either as part
12 of the LAR, or LAR review, is that true?

13 MS. GOLUB: Yeah. So, I guess I want to
14 be clear, part of the implementation plan, or that
15 content. Whether it's called an implementation plan,
16 or it's just described in the LAR, but yes. Because
17 the INL research of course has been -- I mean it's
18 been, this is not sort of -- and please, Jeffrey,
19 correct me if I'm wrong, but I mean that research has
20 a basis, it's been proven.

21 There's been -- I think we have good
22 confidence that that methodology leads to a successful
23 ISV. And so that's -- what we're trying to say is
24 that based on that research, not just something that
25 industry is making up in an attempt to find some way

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 to resolve this issue with the staff, but based on
2 that research, we believe that's the right approach.
3 Did I answer your question?

4 MR. ODESS-GILLET: It did, thank you.

5 MR. JOE: Pareez, did you want me to jump
6 in on that as well, or?

7 MS. GOLUB: Please do, yeah, I would
8 appreciate that.

9 MR. JOE: I would only speak in general
10 terms. Our research has shown in certain cases steady
11 improvement in the overall design from the conceptual,
12 to detailed, to final implementation, and we have
13 confidence that the research that we do in support of
14 0711 activities, as well as additional things that we
15 have added to the HFE process contribute to that
16 steady improvement.

17 I don't want to get into any specific
18 results, or describe any detailed methodologies in
19 detail. I would just only comment that I think it's
20 a fairly common anecdote in the industry where some
21 upgrades are implemented, and operations, and human
22 factors are only brought in at the very end, when the
23 plant is going into -- or the simulator is being
24 modified.

25 And the common finding from that approach

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 is that that's too late to get operator input, and
2 oftentimes when the operators, who are quite frankly
3 the end users of these new systems, when they want to
4 make design change recommendations, it's too late in
5 the engineering process, it becomes very expensive,
6 and then we find that we have to solve those problems
7 in other ways.

8 And what I think our research generally
9 points to is that we have a different way that gets
10 around that, I think particularly common anecdotal
11 finding.

12 MS. GOLUB: Yeah, and thank you Jeffrey,
13 I appreciate you clarifying. Because I don't want to
14 draw conclusions from the research that aren't there.
15 But I also just want to point out this slide is kind
16 of perfect. It's certainly not that industry is
17 proposing to do the ISV. This is simply trying to
18 provide the staff confidence that we're doing
19 everything that needs to be done to make sure it's
20 successful, so that the license amendment review can
21 conclude without the ISV results being necessary.

22 And that's exactly why a license condition
23 is being offered in addition, for that very reason,
24 yeah.

25 MR. JAIN: Okay, Michael, you have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 comments to make? Michael Marshall?

2 MR. MARSHALL: Yes, I had one question,
3 and a comment. And I'll start with the comment first.
4 I think this has been addressed, but I just want to
5 make sure. With regards to 50.9 not being a technical
6 requirement for a licensing decision, and that's just
7 not limited to human factors, it's I&C, and others.
8 50.9 is a pretty broad requirement that governs a lot
9 of correspondence between the NRC, and the licensee,
10 and the documentation they maintain on site.

11 It's not a licensing requirement. But I
12 think Brian addressed that by referring to it at the
13 end as an administrative requirement. But someone
14 else mentioned earlier before, especially for all the
15 plants that were operating at the time of the TMI
16 accident, your human factors requirements, your
17 control room requirements, those are in TMI waters,
18 and those aren't clean in a sense that it's in a
19 single document.

20 Or single piece of paper, or single piece
21 of correspondence. And it would be advisable for
22 licensees to go back, recreate that if they have not
23 done so already, to see what the requirements are for
24 them when it comes to control rooms. I've only done
25 it for a couple of plants, but again, I don't think

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 anything that we have been discussing with regards to
2 0711 is inconsistent with at least a couple orders.

3 Or the paperwork that comprise those
4 requirements for the two plants I'm familiar with.
5 The actual question I had was with regard to the
6 license condition. I agree with the statement that an
7 MSV approach is untested, but I would say the same
8 would be true with a license condition approach, that
9 would also be untested. Brian mentioned that there
10 are challenges with license conditions.

11 And typically it comes down to how the
12 license conditions are worded, and what exactly are
13 governed by the license conditions. And right now, I
14 don't know if you have specific language you were
15 planning on sharing with us today, but I'm not sure we
16 can give you a lot of meaningful feedback on the
17 concept of a license condition versus the actual
18 requirement as its written.

19 So, I don't know if you guys had thought
20 as far as specifically what's the language that NEI is
21 proposing to put in this license condition, because
22 I'm not sure -- folks here on the NRC can argue both
23 ways, because some of us have seen poorly written
24 license conditions, which would be totally
25 unacceptable. And then there are more better written

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 license conditions that tip toe that fine line of
2 deferring actions that the staff are required to
3 complete before it makes a regulatory finding.

4 Versus it being a confirmatory action just
5 to ensure what was communicated, and what was reviewed
6 by the staff is actually implemented by the licensee.

7 MS. GOLUB: Yes, and Michael, you're
8 raising a very good point. And to be clear, this is
9 not a small thing industry is offering, right? A
10 license condition is a pretty significant regulatory
11 mechanism. And so yes, the wording of that would
12 definitely need to be something carefully thought
13 through, and probably discussed in presubmittal
14 meetings phase.

15 Similar to what we did for Waterford with
16 the regulatory commitments. There was discussion
17 between that licensee, and the NRC in presubmittal
18 meeting space to make sure that the language was
19 appropriate, that it was achieving that goal. And so,
20 that should be the same case here. If a license
21 condition is necessary, then -- necessary for industry
22 to achieve the goal of getting the early approval in
23 accordance with the alternate review process as we're
24 trying to.

25 Then that language would need to be

1 carefully discussed in advance, and not just put into
2 the LAR.

3 MR. JAIN: Next question is from Steve
4 Kenney. Steve Kenney, can you unmute?

5 MR. KENNEY: Thank you JB. I'm a human
6 factors consultant supporting the Dominion team
7 currently. I have a question for Mr. Desaulniers, and
8 Green. In the discussion of the iterative nature of
9 the process, and the multi stage approach to
10 validation, what are the margins of safety that would
11 be considered relevant to the testing that needed to
12 be demonstrated as part of acceptance criteria for the
13 testing that would be part of such a multi stage
14 process?

15 MR. GREEN: So, I'll start with that.
16 It's hard to prescribe it, because the stages would be
17 handled differently by different licensees. But I
18 think some of the things that we would be concerned
19 about -- or a good place to start of the discussion,
20 I guess maybe that's the best way to put it. Is if
21 there are any credited operator actions, or important
22 human actions that are credited, some level of
23 consideration on the feasibility of those within any
24 sort of relevant time frames.

25 Could I tell you what kind of margin to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 put on that? Not immediately, but you would put some
2 thought into creating a validation that would test to
3 see what those margins were, perhaps would be one way
4 to do it. That's the first one that comes to mind,
5 I'm sure we probably could think of some more. But
6 again, it would all depend on what your stages were,
7 and what your modifications were getting into, the
8 sorts of modifications that were being made. Dave, if
9 you wanted to expand on that?

10 MR. DESAULNIERS: Yeah. I don't know if
11 we want to get down into too much detail here, if this
12 is what you're really going for sir. But Brian
13 commented on credited operator actions, and so a way
14 to -- let me back it up. Under validations, we only
15 have so many opportunities to test a certain operator
16 action, and determine whether, or not it can be
17 completed in the time required to -- before you have
18 adverse consequences to the plant safety.

19 So, in conjunction with those, yeah, if
20 we're taking that as a particular example, we're
21 typically looking for margins associated with that.
22 And as Brian said, it's difficult to prescribe a
23 margin that might determine. Factors that go into
24 determining that margin tend to be -- first off, how
25 short of a period of time from onset of the event to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 time that the operator needs to take action?

2 Are we talking about an action that needs
3 to be taken in the realm of a couple minutes, or 30,
4 or more minutes? And the further you go out, the
5 nature of the margin consideration can change. One
6 common guideline that we've used in looking at margins
7 is to consider is time available to recover from
8 credible errors associated with that event? In other
9 cases, percentage time frames are used. But it does
10 vary according to the case.

11 MR. JAIN: Thank you David.

12 MR. KENNEY: As a follow up then, is it
13 reasonable to expect some clarification on this
14 subject matter area as NRC proceeds with the
15 formulation of these ideas around the multi stage
16 validation?

17 MR. GREEN: I think that right now we're
18 still evaluating options. So, I don't know that multi
19 stage validation is the sole answer. So, if this
20 license condition approach is the way that goes
21 forward, then we may have to rethink that. There may
22 be other options on the table as well. So, I don't
23 know that we'd be putting forth guidance imminently on
24 that.

25 However, there is, with regard to operator

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 actions, we do have existing guidance that has
2 information on that. NUREG-1764 talks ad nauseam on
3 the topic, and there is an appendix to NUREG-1852 that
4 actually, it's fire human actions guidance, but it
5 actually does a really nice time line analysis. That
6 if we were to put forward some sort of guidance, I'm
7 going to say we'd probably lean on one, or both of
8 those documents.

9 MR. KENNEY: Thank you gentlemen.

10 MR. JAIN: David, do you have something to
11 add?

12 MR. DESAULNIERS: Well, I have a question
13 that goes back to thinking about the INL HFE program.
14 And gaining clarity on what the NEI proposal is with
15 regard to that program. But just as this last
16 question raised, the devil is in the details on some
17 of these things, on many of these things. And I think
18 one concern that I see, and just thinking about the
19 program as described at a general level, as we have in
20 the slide, and I realize there's only so much you can
21 do in the course of a brief presentation, and a
22 PowerPoint.

23 But I guess the concern that I have is
24 maybe a potential expectation that what we could come
25 up with is a generic set of tests, or processes that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 might apply that would say okay, this is the NEI
2 endorsed INL program, and it will work for all
3 applications coming in. And I think the -- what tests
4 are necessary to show that a design is in fact going
5 to be acceptable is going to depend from one design to
6 the next.

7 And what level at which you need to do
8 this testing at. So, I don't know if the expectation
9 is that this would be modified from one application to
10 the next, then this is just an example. I'm a little
11 confused as to maybe what's exactly being proposed.
12 But I am concerned that you might be missing the point
13 of looking at the particular modification, and what's
14 necessary for that modification in terms of testing.

15 These are good, all good HSI design,
16 development activities. But frankly, pretty much what
17 would have been expected under 0711, just drawn out as
18 particular instances of the types of activities that
19 could be done. So, I'm not sure it's adding new
20 information, just maybe some specificity to a
21 particular approach that may, or may not be applicable
22 for a particular modification.

23 MS. GOLUB: I guess I'm not sure what to
24 do with that feedback David. But you know, we're
25 trying to put something forward, because there are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 people who are in the middle of -- licensees in the
2 middle right now of trying to get these mods done, and
3 so we're trying to put something forward to get staff
4 feedback. So, this is not information that NEI made
5 up, we're trying to base our approach on research
6 that's been done.

7 And so of course, all of this has to be
8 adapted, the same way the MSV approach would have to
9 be adapted to whatever the modification is. I mean
10 everything has to be adapted to that modification.
11 So, I guess I'm not sure what you are saying. Are you
12 saying that you're not sure that this approach applies
13 to the modifications, all of them, or -- could you
14 please clarify a little bit?

15 MR. DESAULNIERS: My question was whether
16 you're looking for NRC to endorse some general high
17 level approach, or --

18 MS. GOLUB: Yeah, I don't think this is --
19 this is not endorsement, this is an approach we would
20 like to describe in individual license amendment
21 requests for particular designs. So, the scope is,
22 this is not a generic scope, licensees will describe
23 this in their LARs for their designs, and use that as
24 the basis for the NRC to draw their safety conclusion
25 if this process is followed.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 But this is not a generic endorsement
2 conversation, this is not like an NEI guideline that's
3 being put forward. We're trying to find a way to help
4 these early movers, early adopters find a success
5 path. So, it would be LAR-specific, does that help?

6 MR. DESAULNIERS: Thank you, that does
7 help. So, it would be LAR-specific, and yeah. Again,
8 I think that it does -- we end up in the same place
9 though in the end, when we're talking about MSV, or
10 something, more guidance, and detail with respect to
11 the focus of the testing, and the rigor with which
12 it's applied would be needed in order to be able to
13 determine if this is a viable pathway.

14 MS. GOLUB: Yeah, and I appreciate that.
15 But I guess, I offered this to the agency in general,
16 that we're here because we're trying to get feedback.
17 We're trying to find a path forward, trying to offer
18 things that are not always easy to offer, like license
19 conditions, and try to enlist INL to help us find this
20 path forward. So, yeah, I would say that --

21 MR. JAIN: Pareez, this is BP. We are
22 running late, and perhaps do you want to schedule
23 another public meeting on this topic? This very
24 interesting topic. I get why --

25 (Simultaneous speaking.)

1 MS. GOLUB: I don't know if there's enough
2 information here for licensees to move forward. So,
3 I agree, I think we may need one. I don't want to
4 speak on behalf of NEI, Alan can certainly speak to
5 that, but just in my opinion as a member of industry,
6 it doesn't seem needed.

7 MR. JOE: BP, this is Jeffrey, I'm sorry,
8 if you could provide just a little more latitude, I
9 noticed Bruce Hallbert had his hand up, I would very
10 much like to hear what he wants to say here,
11 recognizing that we are over time.

12 MR. JAIN: Okay, go ahead.

13 MR. HALLBERT: Thanks. Hi, my name is
14 Bruce Hallbert, I'm the national technical director of
15 the LWRS program, and I appreciate being invited to
16 listen to this interesting discussion. I wanted to
17 just respond to, first of all, say hello again to Dave
18 Desaulniers, and I'll respond to the comment, or the
19 question that he had. Our presentation wasn't so much
20 to propose an approach, or even a path forward
21 necessarily resolving whatever the perspectives are on
22 this issue of 0711, or multi stage validation.

23 But really just to say we've been
24 addressing human factors engineering issues as a part
25 of sustainability efforts sponsored by the Department

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 of Energy that are needed to address the aging, and
2 obsolescence of control room systems in place today.
3 And we've been using 0711, I think that was one of the
4 main points we wanted to just communicate. We've been
5 using 0711, and 0711 does tell us the kinds of things
6 that NRC is looking for.

7 It's good information, but it doesn't
8 always tell us exactly how to do things for example.
9 It says you need to do an operational experience
10 review, but it doesn't say what you should do to do
11 that. So, we've been working with a number of
12 vendors, suppliers, and utilities owners, operators,
13 and working out some of the details on a variety of
14 different design projects fundamentally.

15 And what we've learned is that 0711 is
16 very complete with regard to the guidance it provides.
17 We know what NRC expects from a regulatory review.
18 There are sufficient human factors methods out there
19 for us to be able to conduct these activities, and
20 overall, like Jeffrey was saying, it really does
21 enhance the confidence you have in the final design
22 once you get to integrated system validation.

23 So, I think that was the intent of the
24 remarks that we were trying to provide today. I don't
25 think there's a way for us to really resolve the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 question of what is validation? We're using the
2 definitions that are supplied in 0711 currently, but
3 it sounds like there is a lot to be discussed as well.

4 MR. JAIN: Thank you Bruce, thank you.
5 So, perhaps, like Pareez was saying, industry needs to
6 offer if they want to discuss any further, a public
7 meeting where we can discuss all this stuff. With
8 that, I'll ask Entergy to make its presentation on the
9 Waterfall experience.

10 MR. CHAMPAGNE: Hi, this is Jacob
11 Champagne with Entergy, I'll share my screen here in
12 a second. So, while this loads up I'll introduce a
13 couple people we have in the room. So, my name is
14 Jacob Champagne, I'm an Entergy project engineer. I'm
15 the responsible engineer for the core protection
16 calculator system here at Waterford. Also in the room
17 we have Dave Moody, who is the manager of project
18 engineering.

19 And we have William Truss, who is another
20 I&C engineer on the project. My Teams system is
21 loading, Entergy's system doesn't love Teams, so it's
22 loading, it's thinking right now, so just give me a
23 second.

24 MR. DARBALI: Hi Jacob, this is Samir, I
25 have your slides up, do you --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 MR. CHAMPAGNE: Samir, I was going to ask
2 if you could share it, I think the system just
3 completely locked up.

4 MR. DARBALI: All right, will do.

5 MR. CHAMPAGNE: Appreciate it. Okay, I
6 can't even see it right now, but I'll continue on.
7 So, like I said, this is for the Waterford core
8 protection calculator project, and again, I'm Jacob
9 Champagne, and you can go to slide two. It's a pretty
10 brief presentation, but what I tried to do is break it
11 up into a project background, and this is to give you
12 an idea of the system, and a rough idea of the time
13 line of events.

14 So, this is the replacement of the
15 existing Interdata 7/16 digital computer system, and
16 we're replacing it with the Westinghouse Common Q
17 platform. If you have any familiarity with the
18 Interdata 7/16 system, it is a 1960s, or 70s era
19 system, so quite outdated, and obsolete. Our
20 engineering change, if you're interested, it is
21 documented in CMSBP, and it's 83843, and that was
22 approved in April of 2021.

23 One big piece of this whole design is
24 there's no impact to the existing safety related
25 algorithms. The hardware, and those related changes

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 are the primary changes. The LAR was submitted in
2 mid-2020, and there was some revisions, and follow up
3 meetings. I also glossed over, we had plenty of
4 presubmittal meetings since we filed a project in this
5 process, where we met with the NRC prior to COVID, and
6 after virtually to discuss how our submittal was
7 going.

8 And the approval of the amendment, and our
9 safety evaluation was received in August of 2021. We
10 conducted our factory acceptance test at the
11 Westinghouse testing facility, that went from late
12 July to early August 2021. The NRC was involved, they
13 observed us, and Westinghouse, and basically our
14 vendor oversight of Westinghouse. We had our site
15 acceptance testing at the Waterford location.

16 We had a testing location in one of our
17 training buildings that we made a CBA extension of our
18 warehouse. This was also observed over a number of
19 days by the NRC. Our implementation is planned for
20 refuel 24, which starts on April 22nd, so it's very
21 soon. If you can go to the next slide for me Samir.
22 So, this summarizes some lessons learned. We tried to
23 keep it high level, and we can discuss further.

24 But basically I'll cover the Entergy
25 lessons, and then I believe Warren Odess-Gillett will

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 talk with the Westinghouse. So, first of all is the
2 vendor oversight plan, and the summary. So, our
3 project had a formal vendor oversight plan for the
4 process, and the summary was what we actually
5 docketed. This was meant to be a shorter version of
6 the vendor oversight plan covering high level details,
7 but very specific details that were important to the
8 oversight process.

9 One of the lessons learned was early on
10 defining what would be in each, and identifying what
11 was requested in each. Because it's a vendor
12 oversight plan, I don't want to call it nebulous, but
13 it's kind of a document that doesn't have a direct
14 template, it can differ from project, to project. If
15 you have a discussion early on, and identify what's
16 needed in each document, I think that can save some
17 revisions of those documents.

18 The next bullet is an involvement of
19 regional inspectors early in the process. So,
20 obviously early on in the design phase, you're dealing
21 with the NRR as you work through the license
22 submittal, and all those details. And then as you
23 transition to the FAT, and the SAT, the reason we
24 became involved, and we did finally have to redo some
25 things, and fill in some gaps that we had provided in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 previous submittals, and things.

2 And it wasn't a huge burden, or anything,
3 it just I think some efficiency could be gained, and
4 some consistency in the process if we did involve
5 region inspectors earlier in the different audits,
6 inspections, presubmittal meetings, just so they're
7 aware of what's been discussed, and even some of the
8 technical details behind the system.

9 The next one is a little more generic, but
10 clarifying terminology. So, obviously each fleet is
11 going to have its own terminology with regards to
12 engineering changes. So, in the standard design
13 process, you have a conceptual, and you have a
14 detailed design, and a final design, but a lot of the
15 terminology can be based on the actual product you're
16 getting.

17 And the conceptual design for the product
18 is different from the conceptual design in your
19 engineering change package. So, sometimes when we
20 would get questions for a particular life cycle phase,
21 some of those documents may not have been available,
22 some of the products weren't there yet that may have
23 been expected. So, there was quite a few calls that
24 I can remember that we had to clarify when things
25 would happen, and how they fit in our process.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 So, I think maybe early on in the process
2 lining up the different life cycles with the fleet,
3 the supplier, and the NRC, and making sure that
4 everyone's on the same page with what's going to be
5 available when, I think that would probably be
6 efficient. And the last one is really from an Entergy
7 side of things, the side river seat warehouse, and
8 custody control, for Waterford this was really the
9 first major digital upgrade of this kind of scale.

10 So, it just was learning to use our
11 existing fleet processes to that scale of things. So,
12 receipt inspection at the warehouse, storing it in our
13 testing location, making sure that we have proper
14 custody control per our procedures, and documenting
15 that appropriately. And we took an action from,
16 basically our factory acceptance test to our site
17 acceptance test, and we created a cyber-receipt
18 custody control document.

19 That's a project specific document that
20 just lays out as we move it into the plant, how we're
21 going to meet all those procedures that we have that
22 are oftentimes spread out all over the place. And I
23 think that'll help the NRC see exactly what we're
24 doing, but it definitely was something that we had to
25 learn to do on the fly, and apply those specific

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 procedures to this scale of a project. Warren, did
2 you want to pick up from here for a Westinghouse
3 lessons learned?

4 MR. ODESS-GILLET: Thank you Jacob very
5 much. So, contrary to the Entergy experience with the
6 region inspectors, we were not expecting to engage
7 with the vendor QA branch until somewhat toward the
8 end of the detail design. But in fact though, we
9 started engagement with the vendor QA branch nearly
10 immediately after the LAR was accepted. It's not a
11 bad thing. I mean early engagement's a good thing.

12 But we weren't prepared for the
13 engagement, and so now we know that when a LAR is
14 submitted, and accepted, that the vendor should start
15 expecting engagement with the vendor QA branch. And
16 we did have a struggle understanding the swim lanes
17 between what the vendor QA branch was going to review,
18 and what the LAR review was.

19 We were a little confused there, because
20 we were the first out of the box. So, it was a little
21 confusing. So, as described at the last February
22 meeting in 2021, that was given to us early on to help
23 us understand what's a vendor QA inspection role, and
24 what is a law review role? Because they actually were
25 starting to occur concurrently during the law review.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 And then as I think Shiattin had mentioned, the FAT
2 was really quite a logistical challenge.

3 We hosted the NRC vendor QA branch. We
4 hosted the regional inspection branch, and we hosted
5 the licensee. And the licensee was overseeing the
6 vendor. The region branch was overseeing the
7 licensee, and the vendor QA branch was inspecting the
8 vendor. And so there was a lot of interplay between
9 the organizations.

10 And it was a challenge because at a vendor
11 site, unless you have unescorted access, you've got to
12 be prepared to have a number of resources to escort,
13 I would say -- I don't know how many people were there
14 at that time, maybe 15, or something like that. Maybe
15 even more, because now I'm thinking the Entergy party
16 was quite significant.

17 So, we needed to really make sure we had
18 the resources not only to answer all the questions
19 from all of the different organizations, but also from
20 a logistical perspective, making sure we had the
21 escorts we needed to have all the various parties go
22 from one location to another at the vendor site. So,
23 that's all I have Jacob.

24 MR. CHAMPAGNE: Thanks Warren, appreciate
25 that. Samir, you can go to the last slide, which is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 really just questions, and comments. But I'll just
2 follow it up by saying, obviously this being a pilot
3 process, there was going to be lots of room for us to
4 find things that could be better. But I give credit
5 to both Westinghouse, and the NRC. It was always
6 flexible, we were always willing to work with each
7 other to make sure we got the documents, the
8 information that needed to be given.

9 I will mention that we used Certrec to
10 track all the questions, and provide those responses,
11 and I think that works well. Especially if you're
12 working virtually, which we were a lot of times. It
13 can be harder to make sure that you have those
14 questions documented. So, making sure that all those
15 things are documented well, and you can provide your
16 response, I think that was definitely something that
17 benefitted us all. So, with that I'll leave it for
18 any questions, or comment.

19 MR. JAIN: Are there any questions for
20 Entergy?

21 MR. WATERS: Yes.

22 MR. JAIN: Yes Mike, go ahead.

23 MR. WATERS: This is Mike Waters, this is
24 a great lessons learned presentation, thanks. And you
25 actually mentioned Certrec, and I recollect we were

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 confused -- confused might not be the word, but at
2 first because there were two separate rooms, or
3 portals for an inspection versus the licensing, and I
4 was running -- but any additional insights on the use
5 of open item process?

6 And the way we communicated open items,
7 and the frequency? We had bi-weekly meetings, and
8 sometimes I think both parties felt those were too
9 frequent sometimes, or not enough, anything to add
10 weight on there?

11 MR. CHAMPAGNE: Yeah, so I know especially
12 going into the FAT, and the SAT, we definitely had
13 multiple inspections open in Certrec, which can be
14 confusing. So, it does take some communication
15 between the site, and the NRC just to make sure that
16 we're in the same process. Because I know for the FAT
17 specifically, we loaded in a bunch of details, and I
18 don't think the right permissions were in Certrec, or
19 something administrative like that.

20 So, it definitely can be confusing, it can
21 become a burden, but I think with the proper
22 communication, it can definitely be a valuable tool.
23 For the meetings, I think the meetings were usually
24 very valuable, because we got to see what information
25 we provided, where the gaps were, or where the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 information we provided, maybe we missed the
2 interpretation of the original question.

3 And it broke down some of those barriers,
4 that sometimes you have to wait awhile to get that,
5 and you end up being kind of inefficient, because you
6 could have answered that question earlier if you knew
7 the question better, or understood it better. But
8 it's one of those things where you setup a bi-weekly
9 meeting, and there's going to be parts of the project
10 where they're not going to require that bi-weekly
11 meeting.

12 But it still was useful, because you can
13 still, ahead of time kind of judge if you want to
14 cancel those, or if people are unavailable, or
15 something. I do think it was valuable, and I think
16 Entergy gained a lot of insight from those meetings.

17 MR. WATERS: And I just wanted to follow
18 up with one other comment here, and this is where I'm
19 the broken record in all the application meetings, for
20 future applicants, to inform us as much as you know,
21 when you're in long cycle phases, when you're doing
22 activities, it's more so a point in itself, and what
23 was said is right on, it was very challenging to
24 choreograph, and I know it was confusing to Entergy.

25 We see it in hindsight, but I think that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 one of the issues is that the true RP -- I think there
2 was assumption that NRC's design approval would
3 happen, and then all of these, the implementation,
4 testing would happen after that. And we're already a
5 given fact of life those would happen in parallel with
6 the licensing, it was an extra challenge to coordinate
7 between the licensing review as one mode that we
8 developed on, and develop swim lanes on what was
9 licensee, and what was inspection. So, it was truly
10 a lesson learned.

11 MR. JAIN: Thank you Mike. Are there any
12 more questions, or comments? Yes, Richard?

13 MR. STATTEL: I think I heard you mentions
14 that one of the challenges had to do with figuring out
15 what information to provide at what point in the
16 development life cycle, I think. And this kind of
17 relates back to something that Pareez said during her
18 presentation. I'm not sure I really understand that,
19 because in ISG6, for the alternate review process, we
20 expect all the information that's needed for a safety
21 evaluation to be provided as part of the initial LAR.

22 And what Pareez had mentioned earlier was
23 that somehow you're saying the alternate review
24 process, the licensee is expected to submit design
25 information earlier in the project life cycle. But

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 I've been looking at ISG6, and it really doesn't --
2 it's pretty silent on what part of the project life
3 cycle the developers are at. Really what ISG6
4 identifies is what information is to be put into the
5 LAR.

6 And the other point I would like to make
7 is even with the tier one process, the exact same
8 information for design information is required at
9 exactly the same time, at the time of the LAR
10 submittal. That's not phase two information. So, I'm
11 trying to understand what the point was during
12 Pareez's presentation, and I'm not quite sure I
13 understand what your lesson learned was with regard to
14 that.

15 MR. CHAMPAGNE: Yeah Rich, thanks, this is
16 Jacob again. I'll speak to ours. So, ours was
17 specifically -- there's a difference in life cycle
18 when it comes to, for instance Westinghouse developing
19 the TCP system, their conceptual design, and detailed
20 design is a different part of the process than when we
21 get into our engineering change, which documents the
22 design basis, and the impacts of that.

23 Which as a conceptual design, we're really
24 implementing, and reviewing their design, and
25 incorporating it, making sure it meets our

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 requirements, making sure what design basis documents,
2 and requirements, licensing basis documents, and
3 there's a difference between those two.

4 MR. STATTEL: Okay, so you --

5 MR. CHAMPAGNE: Go ahead.

6 MR. STATTEL: I'm sorry, so you're
7 referring to the interactions between your design
8 processes, and Westinghouse's processes?

9 MR. CHAMPAGNE: Yes Rich. I think the
10 reason we put it on here is because sometimes when we
11 would get questions from you guys on a particular life
12 cycle phase, it fit where Westinghouse was in their
13 design more than it did in our engineering change
14 process. We didn't have those documents in our system
15 yet, we were still processing in Westinghouse, but it
16 was just a gap in time frame between those two
17 processes.

18 MR. STATTEL: Okay, thank you, that's
19 helpful.

20 MS. GOLUB: Richard, it's Pareez. I think
21 your point is well taken. I guess the only thing I
22 meant, and I really shouldn't have said earlier,
23 because it makes it sounds like it's earlier, as
24 compared to other processes, which is not the case.
25 What I really meant was just --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 MR. STATTEL: I mean it's your choice,
2 right? You can --

3 MS. GOLUB: Yes, that's exactly right.
4 Because it's not -- matter of fact it's not that as
5 soon as one phase ends, you just submit everything,
6 right? You really have to pick the right time to
7 submit when you feel confident that the material
8 you're submitting won't change, that it is founding.

9 MR. STATTEL: Right, okay.

10 MS. GOLUB: And so that, I think was just
11 -- that's what I intended to say, however it came out,
12 it may not have been clear.

13 MR. STATTEL: Okay, thank you.

14 MR. JAIN: Thank you, any more questions
15 for Entergy on this topic? If not then we will move
16 on to, I'll request NextEra to make its presentation
17 on (telephonic interference) experiences.

18 MR. FREWIN: Good afternoon, this is West
19 Frewin, I'm just doing a microphone check first.

20 MR. JAIN: We can hear you.

21 MR. FREWIN: Okay, thank you. Samir,
22 could you also put my slides up as well please?

23 MR. DARBALI: Yes, give me a minute.

24 MR. FREWIN: Thank you. And while he's
25 putting those up, my name is Wes Frewin, I work for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 NextEra Energy at the Jupiter West Corporate Office.
2 We're presently working on a safety related digital
3 upgrade for Turkey Point units three, and four. The
4 scope involves reactor protection, system engineering,
5 safety features, actuation systems, and nuclear
6 instrumentation system replacement.

7 So, it is a sizeable budget, there are a
8 lot of aspects to it, and just getting our arms around
9 it has been a challenge. What I want to go through
10 with my presentation is more of a focus on ISG6 from
11 a process standpoint. I'm not going to get into any
12 technical, or regulatory areas specific to a license
13 amendment request, it's still in development. And
14 we're still working with the NRC in the area of
15 presubmittal meetings.

16 That is not an area that I will be going
17 into at all. On the Teams call with me is Warren
18 Busch, he is the lead project engineer at NextEra
19 Energy, and we do have individuals from our
20 independent third party review team, as well as our
21 vendor. Our vendor is Framatome, and they're on the
22 Teams call as well. Samir, I don't see the
23 presentation up yet.

24 MR. DARBALI: I apologize, I thought I was
25 sharing.

1 MR. FREWIN: No, that's okay. You can go
2 to slide two please. So, the approach I'm taking is
3 just to share some plus deltas challenges, improvement
4 opportunities as we see specific to ISG6, and any
5 comments, and questions at the end. Go to the next
6 slide please. So, the first area I want to get into
7 are the deltas. And so what we've been doing is
8 working with the NRC, and presubmittal meetings
9 without face to face engagement with the staff.

10 I do mention this as a delta because I
11 know I've worked with the NRC face to face before, I
12 was part of an NEI working group working on 50.59, and
13 changes to 9601 Rev 1. And I know working face to
14 face is far more efficient than via conference call.
15 So, that by itself does create a challenge. We have
16 obviously made it work because we've had to, but it is
17 something that I think -- face to face is a far better
18 way to engage, and get work done.

19 Scheduling has been a moving target, a lot
20 of it is because of the scope. Scope, as I mentioned
21 is sizeable, and unfortunately when it comes to a
22 schedule that becomes a moving target, that in turn
23 turns into challenges from an engineering standpoint,
24 as well as regulatory uncertainty. And so we've been
25 working very closely with the NRC, keeping them

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 informed of how things are going, and also seeking any
2 clarification on any regulatory issues that we need to
3 be aware of as we go along.

4 One of the other delta areas is a large
5 time gap between presubmittal meetings. We did see
6 this in one particular area between a presubmittal
7 meeting that occurred in August of 2021, and then the
8 next meeting was in March of 2022. The problem with
9 that is we end up with different plays that come into
10 the phone call on the second call that we're not
11 familiar with, and we start to hear expectations that
12 at least sound different than what we've understood
13 previously.

14 And so, that creates a challenge I think,
15 not only for us, but it creates a challenge as we try
16 to understand those perceived changes, or expectations
17 from the regulator side. So, there's kind of a
18 lessons learned as well, is to make sure your
19 presubmittal meetings, you keep them scheduled close
20 together, obviously at reasonable times, but keep them
21 close together, so that you do have continuity from
22 one presubmittal meeting to the next.

23 Next topic is screening between the
24 ultimate review process, and the tiered process.
25 Although it is straight forward, we understand it, it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 is narrow in the way that it's defined within ISG6.
2 Some of the project specific considerations -- it
3 doesn't seem to give us a whole lot of flexibility
4 when it comes to perhaps moving to a hybrid approach.
5 So, this has been challenging.

6 And again, we've decided to work very
7 closely with the NRC, and in our presubmittal
8 meetings, keeping them informed, of what our LAR
9 submittal is going to look like, and how we will
10 accomplish making sure that they get the documents
11 they need as part of the LAR submittal, and any
12 subsequent documents that they would need in order to
13 ensure the approval of a license amendment request.

14 So, that's just one area that -- from an
15 ISG6 standpoint, it just gives us a little bit of
16 difficulty in working through that process. And the
17 background of ISG6 being an infrequently performed
18 process. It's not a procedure, or a regulatory
19 document that you pick up every day, and exercise as
20 you would other procedures that you have in house.
21 The ARP process is -- the way it was, combined with
22 the tiered process, it is very difficult to follow,
23 there are sections within sections.

24 And it made it very difficult to determine
25 okay, is this part of an ARP discussion, or is this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 just part of a tiered approach discussion? And you
2 combine that with enclosure bravo, and some of the
3 topics that are discussed in the text are different
4 than those discussed in enclosure bravo. Some of
5 those are semantics, in other words, the words are
6 different, or the titles are different. But it still
7 required us to do some translation work with ISG6 in
8 order to make sure we understood what documents were
9 being referred to, and ensured that was going to be
10 part of our LAR submittal.

11 Then last lastly, human factors, I know
12 this has been brought up before, where it's brought up
13 as an outside of scope. It just seems out of place,
14 I guess is the best way to describe it. It seems out
15 of place within ISG6, given that human factors is
16 mentioned throughout ISG6 quite frequently actually.
17 And Rich Stattel had just brought up about where it
18 says in section C.2 that include necessary information
19 at time of the LAR submittal.

20 So, obviously necessary information is
21 going to include human factors documentation, so we
22 know that that has to be part of it. So, it just
23 seemed an odd example, I guess is the best way to say
24 it. Next slide please. If you could back up one
25 please. Or -- okay, something's out of order here.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 I'm on the slide that talks about pluses. Either
2 that, or I guess -- I'm sorry, my slide deck's out of
3 order, sorry about that.

4 MR. DARBALI: Is this one it?

5 MR. FREWIN: Yeah, that's it, I'm sorry
6 about that, I had slipped one side out of order. So
7 the pluses, the presubmittal meetings are a plus, gave
8 us an opportunity to work very closely with the NRC,
9 and continues to be an area that we can meet the NRC
10 teams, and get to know them, and understand what their
11 expectations are for ISG6, and the LAR submittal.

12 The NRC has been very open in the
13 discussion, which has been very helpful in
14 understanding ISG6, and the expectations of the
15 regulator. And it also gives us an opportunity to
16 hear the NRC perspective firsthand, as opposed to
17 either translating them through some guidance, or
18 through email, or some other way. Obviously hearing
19 it firsthand has been very helpful to us.

20 Although ISG6 does not talk about
21 independent third party review teams, I do have to
22 mention that is a plus. Not necessary for ISG6, but
23 order to navigate through ISG6, we have an independent
24 third party review team that is knowledgeable. There
25 are members that have been part of the development of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 ISG6 Rev 2.

2 Those have been very helpful in order to
3 help us translate what the requirements are, what's
4 behind the words, the discussion that occurred during
5 the working teams with NEI, and the NRC on the
6 development. So, that gave us really a firsthand
7 perspective of understanding the direction we're going
8 in, and make sure that we're getting it right the
9 first time. Also their involvement in industry groups
10 such as NEI, EPRI, and INL.

11 That in combination has just been a
12 tremendous asset to the project team. And also the
13 abundance of technical reports, there's a boatload of
14 documents out there from various organizations such as
15 EPRI, IEEE, and the regulator themselves. One thing
16 ISG6 does is it helps us navigate through those
17 documents, and points out documents that are important
18 to putting together the LAR submittal, and the
19 approaches that are recommended by the NRC for those.

20 If you go to the next slide please. So,
21 this one I just wanted to show the audience the
22 various topics that we've discussed over the eight
23 presubmittal meetings that we have had to date. The
24 top two sub bullets are actually the most popular,
25 which is vendor oversight plan, and the ISG6 Rev 2

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 process, and LAR content. So, that shouldn't be a
2 surprised, based upon what we heard this morning from
3 the NRC.

4 And a close second of course is human
5 factors, and there are a couple others such as D3, and
6 the life cycle phase process. So, that just gives you
7 at least kind of a look at the topics that we've
8 brought up during the presubmittal meetings. Next
9 slide please. Can you go to page six? Thanks. So,
10 the ISG6 challenges, just a couple things, these kind
11 of echo what I've presented before, is the criteria
12 between alternate review process, and the tiered
13 process is trying to navigate our way through that.

14 And determine whether, or not a hybrid is
15 more of where we are, and then defining what that is,
16 making sure that that's crystal clear to the
17 regulator, so that they understand that path that
18 we're working through, and can support from a
19 regulatory standpoint, the alternate review process
20 from their standpoint. So, that is a challenge, it
21 continues to be presently.

22 But we are working through that actively
23 right now. NRC representatives, primarily during the
24 presubmittal meetings have provided background on the
25 various ISG06 statements, and often times what we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 perceive is that there is a -- it's favored -- in
2 other words the regulator tends to favor using the
3 tiered process over the alternate review process.
4 That just seems to be the impression that we get.

5 We still think we are in the alternate
6 review process, we think it's appropriate, we think we
7 screen into it. So, we are working with the
8 regulator, obviously very closely, to make sure that
9 we have all the right things in place for that, and to
10 support it. And then what I brought up earlier with
11 regard to the alternate review process, and the tier
12 process, is the way editorial it's put into ISG6 that
13 does offer some challenge there in understanding it.

14 So, improvement opportunities for ISG6,
15 again, does not define necessarily the limitations of
16 the alternate review process. We're kind of learning
17 that as we go. We're learning that from the
18 presubmittal meetings, our independent third party
19 review team, and workshops like this, where we can
20 hear firsthand from the NRC their position on certain
21 things. But we understand that there are other
22 attributes, such as complexity.

23 And what information is desired for
24 docketing, and also as we've been discussing for the
25 afternoon, human factors. And that concludes my

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 presentation, pending any comments, or questions.

2 MR. JAIN: Are there questions on
3 NextEra's presentation?

4 MR. JAIN: I see a hand, Justin. Justin,
5 do you have a question?

6 MR. VAZQUEZ: Hey yes, this is Justin
7 Vasquez, I'm the lead technical reviewer for the
8 Turkey Point application, the human factors team. I
9 work with the Brian's group. I did want to speak to
10 just one point really quick,, I think it was slide
11 five with the deltas listed. Yeah, that's the one.
12 So, just looking at the third bullet here. We did
13 want to speak to just one really quick point, to that
14 gap between that August meeting, and the March
15 meeting.

16 We do recognize that that is a significant
17 gap between I guess what we're technically classified
18 as the presubmittal period, it was some engagement. In
19 August of 2021, we learned some new information about
20 the scheduling, and expected timing, and that's kind
21 of what triggered us into having the internal
22 discussions about how to consider the human factors
23 engineering, and validation review, which we've been
24 discussing quite a bit today.

25 And during that time period that we see

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 discussed in this bullet, we did have some engagement
2 leading up to the end of the year period with the
3 licensee, just kind of talking to them about some of
4 our initial thoughts. We also had an additional
5 meeting in early February to talk initially about the
6 multi stage validation concept, and also hear some
7 additional feedback from the licensee.

8 And we appreciate this discussion, so we
9 just want to recommit that. We are committed to -- I
10 mean engaging as efficiently, and as consistently as
11 possible, and there also was mentioned the fact that
12 we had some staff changes on the assignment. And I
13 just wanted to clarify that a certain amount of that
14 can be expected with these long term projects.
15 Because with the NRC, I mean we do have our own staff
16 movement currently, so sometimes we will have
17 reassignments.

18 But we do maintain communication within
19 our teams, and we try to keep things as consistent as
20 possible throughout the process. So, we just wanted
21 to say -- I mean we appreciate the point that's made
22 here, and we also appreciate the frequent engagement
23 with the licensee, and then keeping us up to speed on
24 developments, but I just wanted to say that we have
25 been making an effort to stay as engaged as we could,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 even through those gaps between meetings.

2 Making sure that we have as common an
3 understanding about expectations as possible. So,
4 thank you.

5 MR. JAIN: Thank you Justin. Are there
6 any more questions on NextEra presentation? If not,
7 then I'll request Constellation to make its
8 presentation on Limerick.

9 MR. DARBALI: We have a couple of
10 questions.

11 MR. JAIN: Please, go ahead.

12 MR. WATERS: Hey, this is Mike. First,
13 great presentation again, and to compliment NextEra,
14 I think the pre-application meetings, although
15 extensive, were beneficial, and again, I think NextEra
16 was great about being open about what they were doing,
17 were considering, and willing to engage us when we
18 said we need the following information on this, or
19 suggested topics for the next submittal of
20 information, so thanks for that.

21 Yes, good comments on the ARP versus
22 tiered process, that's something we need to chew on,
23 and think how we could communicate better. I think
24 one of the challenges here, and we can't solve the
25 problem here, is alternate review process, and tiered

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 process, it's both what is the content, but also what
2 is provided to us, right? So, there's differences,
3 there's at least two axes here.

4 And sometimes we may be focused one, the
5 timing versus the content, or vice versa. So, that's
6 something that we may need to think about how to
7 communicate it better down the road. Rich, did you
8 have something to add?

9 MR. STATTEL: Yeah, I just wanted to
10 respond to the process, the decision of which process
11 to use. The object of the process, the goal of each
12 process is the same. So, it's really just a matter of
13 which is more applicable. The tiered process is
14 oriented towards a product based evaluation. Whereas
15 the alternate review process is more based on a
16 process based evaluation.

17 So, the safety conclusions are the same,
18 it's just what do we base our safety conclusion on?
19 What information is provided to base your safety
20 conclusion on? So, it's not our intent to express a
21 preference for one, or the other, but we want to use
22 the process that's most appropriate for the
23 application, and the stage that you're at at the time
24 of the submittal.

25 That's what we want to really get out

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 there. The alternate review process is not
2 streamlined, it's not shorter, it's not less
3 resources. It's the same, it's just a different
4 process that uses different information as a basis for
5 the safety conclusions. So, neither one is beneficial
6 in terms of schedule, or commitments, or things like
7 that. They're just different in that way. I just
8 want to mention that.

9 MR. JAIN: any other comments from the
10 staff? If not, then I will request Constellation to
11 make its presentation on the Limerick.

12 MR. CONNELLY: Okay, Samir, can I ask you
13 to present? Got it, thank you. Well, good afternoon
14 everyone, I'm John Connelly, I'm the engineering
15 manager for the Limerick Modernization Project. As
16 has been stated multiple times during this meeting, we
17 really do appreciate the NRC providing the opportunity
18 to exchange information. This forum is particularly
19 valuable as we're putting new processes into motion.

20 ISG6 alternate review, standardized
21 digital engineering process, or NSBN04. Digital
22 engineering guide, and then obviously inspection
23 procedure 52003 as was discussed earlier. For those
24 who are not familiar with the Limerick Modernization
25 Project, we are digitizing the reactor protection

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 system, the nuclear steam supply shut off system,
2 emergency core cooling system.

3 All of which will be replaced with the
4 Westinghouse Common Q platform, and the redundant
5 reactivity control system, or ATWS will be replaced
6 with the Ovation platform. I'll be sharing some
7 licensee learnings and observations. We've covered a
8 lot of ground today, so I apologize in advance if
9 there's any overlap with presentation materials. So,
10 with that I'm going to touch very briefly on ISV
11 versus MSV.

12 There's been a lot of good discussion
13 today on that topic. I'll move forward into
14 presubmittal meetings, learnings from that, and the
15 NRC review process, and presubmittal discussion. So,
16 if you could proceed to the next slide. Okay, again
17 I'm going to cover this in very brief form. It's very
18 clear that this is a work in progress, and that the
19 industry, and the NRC are working to find a viable
20 solution.

21 I did want to share a couple of thoughts
22 that are pertinent to the subject. The multi stage
23 validation introduces a degree of what we perceive to
24 be some regulatory uncertainty in the form of neither
25 any IEEE 2411, or the NEA 7466 having been endorsed by

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 the NRC. I know there is some degree of adaptation
2 for that, but neither is an approved document. The
3 second sub bullet here, the potential applicability of
4 NuScale MSV is an interesting thing.

5 And may change the content for that second
6 sub bullet, but it's going to take a bit of research
7 to correlate two very different designs. And then to
8 circle back on a point that Brian Green made earlier,
9 from Chapter 18, that the ISV has to be complete
10 before the implementation. We do recognize that this
11 does put a timing constraint on both the licensee, and
12 the NRC, so I thought it worth pointing out here.

13 One of the key takeaways from this is the
14 development, and execution of a standalone MSV to be
15 mated up with an ISV implementation plan, we're trying
16 to figure out if that's more burden, or value. And
17 one of the things that's kind of a chief concern for
18 us, there's been a lot of discussion today around the
19 need to do research, and negotiate a process, and
20 create a path forward, and there's a lot of that kind
21 of discussion going on.

22 But for purposes of the Limerick
23 Modernization Project, our LAR submittal schedule has
24 very limited margins. So, delays may emerge from the
25 execution of a first of a kind activity does create

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 somewhat a degree of urgency to getting resolution
2 behind this. With that I'll move on to the next
3 slide. Okay, there's some pluses, and deltas. So,
4 using the presubmittal meeting to determine the LAR
5 content has been very helpful.

6 I think that was mentioned by the previous
7 presentation. This is particularly important, because
8 there's no single document from the NRC that lists
9 exactly what content has to go in for complex visual
10 modifications as the Limerick project does. Again,
11 the interactions with the NRC staff during the
12 presubmittal meetings is highly beneficial. But one
13 of the things that's been a bit of a struggle for us
14 is determining when the topic has been covered in
15 sufficient depth as to take it off the to do list so
16 to speak.

17 So, we want to make sure that we're
18 covering topics to the staff's satisfaction without
19 over performing on a given topic. The next
20 observation is the NRC post-meeting summaries are
21 sometimes at a level that's high enough that it's hard
22 to determine whether, or not we've fully addressed NRC
23 questions, comments, and concerns. So, deeper detail
24 would be advantageous for both us, and the NRC, the
25 licensees, and the NRC.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 Three way communications is a good thing.
2 Strictly following the alternate review process
3 becomes a bit more complicated as we're introducing
4 tangent processes to it. Human factors engineering is
5 a really good example, and we've talked about that at
6 length today. One thing I'll say that's been very
7 advantageous for us is getting early staff comments on
8 the presentation material in advance so that -- in
9 advance the presubmittal meeting.

10 So that we have the capability to do
11 whatever research is necessary, and formulate
12 responses to the staff's questions in very timely
13 fashion, so that's been very advantageous for us. And
14 with that, I'll move on to the next slide. Okay, one
15 of the other concerns we have, now we do understand
16 that the license submittal review is a complex, and
17 time consuming undertaking.

18 There's no way to minimize that. But
19 there may be some opportunities worth exploring that
20 could reduce the total time require for LAR review,
21 and this in turn would reduce, or could reduce project
22 risk. As Warren Odess-Gillett, and Mike Waters
23 mentioned earlier this morning, providing a licensed
24 amendment, and draft form in advance of submittal does
25 provide an opportunity to give early staff feedback.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 This would be similar to the approach for
2 I believe Waterford, and Vogtle 3, and 4 for their
3 tech spec reductions. If there are areas that do
4 require additional content, or detail, it's better to
5 find them in advance, so that they can be addressed in
6 the LAR, rather than being addressed through avoidable
7 RAI. And we can leverage the presubmittal form as a
8 good place for that kind of closed loop
9 communications.

10 Second thing to consider, while every
11 licensed amendment is going to be unique, there may be
12 some opportunities to structure the presubmittal
13 meetings in a way that provides more efficiency, or
14 maximizes efficiency to ensure that specific topics
15 are addressed to staff satisfaction. This would
16 reduce the likelihood of avoidable RAIs. And the
17 thinking would be, the structure could be framed
18 around the scope of the project.

19 Not every project is similarly scoped,
20 some of them require HFE considerations, others do
21 not. So, there's going to be -- it's not intended to
22 be a one size fits all, but there may be some value in
23 coming up with somewhat of a framework that licensees,
24 and the NRC can operate to. So, that's the first
25 major bullet. The second major bullet I wanted to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 talk about is something I just wanted to kind of put
2 on everybody's radar.

3 As this audience knows, the industry has
4 adopted the standardized digital engineering process,
5 or NSB104, and the EPRI Digital Engineering Guide
6 under the auspices of delivering the nuclear promise.
7 It goes without saying the price of admission is that
8 the design is at a level of maturity that is ready for
9 staff review at the time the LAR is submitted. One
10 thing to be aware of however, the complexity to be
11 aware of.

12 It's that the DEG is an iterative systems
13 engineering based process. This may create situations
14 where design artifacts may have minor evolutions over
15 time, and during the license amendment review. These
16 would be refinements, they would not be functional
17 changes. But this could create a degree of
18 discontinuity between the design process, and the
19 review process that the licensee, and the staff just
20 need to be aware of, and communications are going to
21 be essential as we progress here.

22 With that, that concludes my presentation.
23 And I'll move forward to any questions, comments?

24 MR. JAIN: Yes, Mike? Mike, you have to
25 unmute.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 MR. WATERS: Thanks, did you get that
2 John? I'm joking. Great presentation, interesting
3 comment on approving the pre-application process,
4 that's something we should explore further. It's a
5 good point, I think -- I personally view it as the
6 ramp up, or ramping up to a LAR, and of course we want
7 a LAR, no surprise to anyone except in the pre-
8 application process as the way we're doing it, it
9 helps us ramp up to that, and gives us that stage.

10 I think you're suggesting something maybe
11 more structured, or formatted, or can you maybe
12 elaborate a little more on what you're thinking there?

13 MR. CONNELLY: Yeah, so to a degree, the
14 presubmittal meetings are -- I won't call them ad-hoc,
15 but they're flexible, and there's a lot of benefit to
16 that to be honest. We can canvas the NRC for topics
17 that they would be interested in hearing at the next
18 meeting. There's -- it's a flexible way to exchange
19 information. But if you -- and here's just one
20 consideration, the human factors was basically off
21 everybody's radar early on in the process.

22 And it would have been beneficial both for
23 the NRC, and the licensees to bring that forward early
24 on. So, if there was somewhat of a structure for
25 things like that that may come into play, that could

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 be advantageous. That was my thinking.

2 MR. WATERS: Thanks.

3 MR. JAIN: Yes Richard, you can go ahead.

4 MR. STATTEL: Yeah, I was just going to
5 mention the process that we use for pre-application
6 meetings, we essentially create an account. So, we
7 have something we charge our time to, but it's very
8 limited resources. We don't have a lot of resources,
9 so I think there's a little bit of difficulty involved
10 with spending more time, and effort, and resources on
11 pre-application activities.

12 And I think that's probably part of the
13 reason why our meeting summaries are at the high level
14 they are. And this also creates a problem when you
15 talk about free draft submittals. We really don't
16 have a process for that, and we don't have a real
17 means of allocating resources for that kind of
18 activity. So, we hear you, and we kind of went
19 through a pseudo review of a draft version.

20 We did that for Waterford, but again,
21 there's some opposition to doing this kind of out of
22 process activity for which we don't have the real
23 ability to allocate the necessary resources for it.
24 So, I'm not saying it can't change, but it's somewhat
25 problematic in our current environment.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 MR. CONNELLY: Thanks Rich, that's exactly
2 the kind of feedback that we're looking for.

3 MR. WATERS: Yeah, just to add on,
4 resources will be getting tighter for NRC when we
5 actually have these in house for future applications,
6 but the ultimate challenge, you always hear the
7 regular disclaimer, no decision will be made, and for
8 pre-application meetings, we don't make final
9 decisions that what you're going to submit is going to
10 be okay until we actually see it.

11 So, there's a limit to the feedback we can
12 give, and what we can document in the meeting
13 summaries in terms of if there's an intent to look
14 for, I guess closure to certain issues. And
15 obviously, I think on most topics we leave the
16 meetings with a greater understanding of what's going
17 to be submitted, and I think there's an understanding
18 based on NRC insights, and questions of whether you
19 all will hit the mark on certain topics. But it's
20 certainly something to think about, and improve upon
21 going forward.

22 MR. CONNELLY: Yeah Mike, I agree. We're
23 not looking for a regulatory commitment in the
24 presubmittal meetings, that's not the right forum for
25 that. Decidedly not asking for that, but the more

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 information that we can exchange, and getting closure
2 to a particular item, it could be something as simple
3 as okay, you've addressed this issue, we understand
4 your position, and we move on from there. It could be
5 something that simple.

6 MR. WATERS: Okay, absolutely.

7 MR. STATTEL: Yeah, part of the problem --
8 this is Richard again. Part of the problem is it's
9 difficult for us to provide formal feedback because
10 that can be used back against us, right? So, it's all
11 pre-decisional, it's pre-application, it's pre-
12 decisional. So, if we were to provide formal feedback
13 to you, I think it's a legalistic problem, because
14 that can be construed as being some kind of approval.

15 Or some preempting decision that is made
16 during the license review itself. And so I think
17 there's some legal ramifications that would have to be
18 considered before we're able to do that.

19 MR. CONNELLY: Okay, thank you Rich.

20 MR. WATERS: This is Mike, and I want to
21 leave on a positive. So, I think they've been very
22 beneficial, and I think, I know Turkey Point, and
23 Limerick, Maine. I have great views here, and the
24 real test is when we get the LAR for acceptance
25 review, right? That's the real test, and that's when

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 we'll know. And I would say, I believe Waterford was
2 really successful.

3 I know looking backwards, after we issued
4 the license, I think that the biggest surprise, and
5 where we needed to align afterwards on the LAR was the
6 DOP for example. That was brand new, but I felt for
7 all the topics for example, Waterford the D3 that
8 required more specifications, and software
9 development, we had a great understanding of what was
10 going to be submitted through pre-application, and got
11 generally what we expected.

12 There were some open items, and RAIs, a
13 little more work for VOP, but in that regard I thought
14 it was pretty successful. I'm hoping that it'll be
15 true for these NextEra, and Constellation, to the
16 extent that we can on all these topics. But it's
17 something that we can continually focus on right up to
18 the LAR.

19 MR. CONNELLY: We share that hope.

20 MR. JAIN: We are pretty close to our
21 workshop schedule, so now the floor is open for any
22 question on any topic anybody might have. Would like
23 to discuss. If not, then I'd like to ask if any of the
24 participants would like to provide closing remarks.

25 MR. WATERS: Well BP, are you asking me,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 or someone else?

2 MR. JAIN: Well, first we give a chance to
3 the stakeholders, if anyone of them want to make --

4 MR. WATERS: Yes, please, if there are any
5 members of the stakeholders, or the public that want
6 to make comments.

7 MR. JAIN: So, I see a hand raised. Yes
8 Alan, please go ahead.

9 MR. CAMPBELL: BP, I just wanted to again
10 thank the NRC for the opportunity to have this forum.
11 I think very helpful for many as prospective, and our
12 members. Just note that we had representatives from
13 I&C, cyber, HFE, vendor QA, safety analysis, the
14 regions, this is a very integrated process, and I
15 think that the ability to get us all together, and
16 share information is just invaluable, and so
17 appreciate that.

18 We do look forward to further discussion,
19 specifically on human factors, there's definitely some
20 interest there. Regarding furthering the discussion
21 at the industry level to ensure that we can continue
22 to provide the regulatory confidence using this
23 alternate review process. So, again, thank you all
24 very much for the engagement, and we appreciate the
25 time.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 MR. JAIN: Thank you Alan. Mike, can you
2 provide the closing remarks for the NRC?

3 MR. WATERS: Well, in a similar manner, a
4 few things, these are my perspectives. Yes, we do
5 need to engage more. And my view on human factors,
6 I'm not a supervisor of human factors, so I'll have to
7 defer to them, but I think a couple things in that
8 area, we recognize human factors is a topic, and I
9 think there's two tracks, and our PM can communicate,
10 well if the licensee is in the hopper on these
11 questions, you know who you are, and we can engage on
12 that in the pre-application submittal conversations
13 that we have ongoing, so we should do that.

14 And yes, if we need to engage further on
15 a joint, more generic basis on human factors, or
16 anything else related to I&C, let's do that. Second,
17 I thought it was a great meeting today. Awesome
18 participation from industry, and as you noted Alan,
19 all the NRC staff, so thanks to them. I did
20 appreciate the presentations, personally from NextEra,
21 and Constellation, Entergy on their perspectives.

22 I honestly wish we had more time to talk
23 about it in a more expanded discussion, so we could
24 really hone down on some improvements here, and
25 perhaps we can do that. Third, please in the next few

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 days, weeks, provide BP any feedback on how the next
2 workshop can be better. What can we talk about, can
3 the format be different? And what can we do to
4 improve a future workshop?

5 The what, where, when, why, and how is
6 something we look for feedback as well. So, please
7 feel free to email BP, or even me, or Jeanne Johnston
8 on those topics. But that's great, I would offer
9 Brian, or Lauren, because HFE was a significant topic,
10 do you have any other closing remarks?

11 MR. JAIN: Brian?

12 MS. NIST: Hi, this is Lauren Nist, sorry.
13 I am the Operator Licensing and Human Factors Branch
14 Chief, and unfortunately Brian had to leave the
15 meeting. But I think I'll just echo your comments
16 Mike, and thank you everybody for your discussion
17 today.

18 MR. JAIN: Okay, I'd like to thank
19 everyone for their time, and if you have any comments,
20 or feedback on any aspect of this workshop, please
21 contact me, or Michael Marshall. We will provide you
22 the necessary forms. With that, the meeting is
23 adjourned, thank you everyone.

24 (Whereupon, the above-entitled matter went
25 off the record at 4:37 p.m.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309