Official Transcript of Proceedings NUCLEAR REGULATORY COMMISSION

Title:	Advisory Committee on Reactor Safeguards Kairos Power Subcommittee
Docket Number:	(n/a)
Location:	teleconference
Date:	Thursday, April 21, 2022

Work Order No.: NRC-1938

Pages 1-197

NEAL R. GROSS AND CO., INC. Court Reporters and Transcribers 1716 14th Street, N.W. Washington, D.C. 20009 (202) 234-4433

	1
1	
2	
З	
4	DISCLAIMER
5	
6	
7	UNITED STATES NUCLEAR REGULATORY COMMISSION'S
8	ADVISORY COMMITTEE ON REACTOR SAFEGUARDS
9	
10	
11	The contents of this transcript of the
12	proceeding of the United States Nuclear Regulatory
13	Commission Advisory Committee on Reactor Safeguards,
14	as reported herein, is a record of the discussions
15	recorded at the meeting.
16	
17	This transcript has not been reviewed,
18	corrected, and edited, and it may contain
19	inaccuracies.
20	
21	
22	
23	
	1323 RHODE ISLAND AVE., N.W.
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

	1
1	UNITED STATES OF AMERICA
2	NUCLEAR REGULATORY COMMISSION
3	+ + + + +
4	ADVISORY COMMITTEE ON REACTOR SAFEGUARDS
5	(ACRS)
6	+ + + + +
7	KAIROS POWER SUBCOMMITTEE
8	+ + + + +
9	THURSDAY
10	APRIL 21, 2022
11	+ + + + +
12	The Subcommittee met via Video-
13	Teleconference, at 1:00 p.m. EDT, David A. Petti,
14	Chairman, presiding.
15	COMMITTEE MEMBERS:
16	DAVID A. PETTI, Chairman
17	RONALD G. BALLINGER, Member
18	VICKI M. BIER, Member
19	CHARLES H. BROWN, JR. Member
20	VESNA B. DIMITRIJEVIC, Member
21	GREGORY H. HALNON, Member
22	JOSE MARCH-LEUBA, Member
23	WALTER L. KIRCHNER, Member
24	JOY L. REMPE, Member
25	MATTHEW W. SUNSERI, Member
	I contract of the second s

I		2
1	ACRS CONSULTANTS:	
2	DENNIS BLEY	
3	STEPHEN SCHULTZ	
4		
5	DESIGNATED FEDERAL OFFICIAL:	
6	WEIDONG WANG	
7		
8		
9		
10		
11		
12		
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		
1	•	

	3
1	A-G-E-N-D-A
2	ACRS Chairman Introductory Remarks
3	Chairman 4
4	NRC Staff Introductory Remarks
5	NRC Staff
6	Design overview
7	Kairos Power
8	Summary of Application Review
9	NRC Staff
10	Public Comment
11	Adjourn
12	
13	
14	
15	
16	
17	
18	
19	
20	
21	
22	
23	
24	
25	

	4
1	P-R-O-C-E-E-D-I-N-G-S
2	1:00 p.m.
3	CHAIRMAN PETTI: The meeting will now come
4	to order. This is a meeting of the Kairos Power
5	Licensing Subcommittee of the Advisory Committee on
6	Reactor Safeguards. I'm David Petti, Chairman of
7	today's Subcommittee meeting.
8	ACRS members in attendance are Jose March-
9	Leuba, Joy Rempe, Matt Sunseri, Walt Kirchner, Vesna
10	Dimitrijevic, Vicki Bier, and Greg Halnon.
11	Ron, are you on? Yes, I see Ron
12	Ballinger. And I haven't seen Walt Kirchner yet.
13	MEMBER BROWN: I'm here, Dave.
14	CHAIRMAN PETTI: Oh, and Charlie, you are
15	there. Okay, good.
16	MEMBER BROWN: Yes.
17	CHAIRMAN PETTI: Thank you. Steve Schultz
18	and Dennis Bley, our consultants, are also present.
19	Weidong Wang of the ACRS staff is the Designated
20	Federal Official for the meeting.
21	During today's meeting the Subcommittee
22	will get an overview of the Kairos Hermes Testing
23	Facility construction permit application and the NRC
24	staff approach to the safety review. The Subcommittee
25	will hear presentations by and hold discussions with

(202) 234-4433

	5
1	NRC staff, Kairos Power representatives, and other
2	interested persons regarding this matter.
3	The part of the presentations by the
4	Applicant and the NRC staff may be closed in order to
5	discuss information that is proprietary to the
6	Licensee and its contractors pursuant to 5 U.S.C.
7	552(b)(c)(4).
8	Attendance at the meeting that deals with
9	such information will be limited to the NRC staff and
10	its consultants, Kairos Power, and those individuals
11	and organizations who have entered into an appropriate
12	confidentiality agreement with them. Consequently, we
13	will need to confirm that we have only eligible
14	observers and participants in the closed part of the
15	meeting.
16	The rules for participation in all ACRS
17	meetings, including today's, were announced in the
18	Federal Register on June 13th, 2019. The ACRS section
19	of the U.S. NRC public website provides our charter,
20	bylaws, agendas, letter reports, and full transcripts
21	of all full and subcommittee meetings, including
22	slides presented there.
23	The meeting notice and agenda for the
24	meeting were posted there. We have received no
25	witness statements or requests to make an oral
1	I Contraction of the second

(202) 234-4433

	6
1	statement from the public.
2	The Subcommittee will gather information,
3	analyze relevant issues and facts, and formulate
4	proposed positions and actions as appropriate for
5	deliberation by the full committee in the future.
6	A phone bridge line has been opened to
7	allow members of the public to listen in on the
8	presentations and the Committee discussion.
9	Additionally, we've made an MS Teams link available,
10	and there will be an opportunity for comment at the
11	conclusion of the prepared presentations for the
12	public that is interested in making such a comment.
13	A transcript of the meeting is being kept,
14	and it's requested that speakers identify themselves
15	and speak with sufficient clarity and volume so that
16	they can be readily heard.
17	Additionally, participants should mute
18	themselves when not speaking. To mute or unmute on a
19	phone, push Star 6. If you're on Teams and want to
20	make a public comment, you can just raise your hand
21	when we ask for public comments.

We'll now proceed with the meeting. And I'd like to start by calling up NRR management, Duke Kennedy. I understand you're going to say a few words.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

7 1 MR. KENNEDY: Good afternoon, everybody, of the ACRS, members of the public 2 members in 3 attendance. And I'd just like to give a few opening So my name is Duke Kennedy, and I am the 4 remarks. 5 acting chief of the Advanced Reactor Licensing Branch. And it's my pleasure to be here today to provide 6 7 introductory remarks on behalf of the Division of 8 Advanced Reactors and Non-power Production and 9 Utilization Facilities in the Office of Nuclear 10 Reactor Regulation. With me today is Mr. Ed Helvenston of the 11 Production 12 Non-Power and Utilization Facility Licensing Branch who is one of the project managers 13 14 for the Hermes review. And he'll provide the staff 15 presentation. Also here is Jeff Schmidt of the Advanced 16 Reactor Technical Branch, who's the lead technical 17 reviewer, as well as Ms. Michelle Hart, another 18 19 technical reviewer, and other NRC staff who are involved in the Hermes review. 20 So I'd like to thank the ACRS Subcommittee 21 for convening this meeting today to provide the staff 22 an opportunity to introduce the ACRS to the staff's 23 24 approach to the Hermes review. 25 So we recognize that Hermes represents the

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

8 confluence of two uncommon attributes and that it's a 1 non-light-water reactor design, and it's proposed to 2 3 be licensed and operated as a testing facility under 4 Section 104(c) of the Atomic Energy Act of 1954. 5 So recognizing this unique, novel situation, the staff is pursuing a deliberate risk-6 7 informed approach to this review with a focus on 8 safety and reasonable assurance of protection of 9 public health and safety. So the staff and Kairos Power have had the 10 opportunity to brief the ACRS on Kairos Power topical 11 Some of these are applicable to both the reports. 12 power reactor design and the non-power Hermes design. 13 14 So the staff has appreciated helpful comments from the 15 ACRS on topical reports covering different areas such as reactor coolant, scaling methodology, the licensing 16 17 modernization project, and more recently fuel qualification and mechanistic source term. So many of 18 19 these topical reports are or will be referenced in the Hermes application. 20 So the staff looks forward to continued 21 interactions with the ACRS Subcommittee as this review 22 proceeds. Of course, we're at the initial meeting 23 24 here to kick things off and look forward to hearing

presentations from Kairos and questions and comments

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

25

	9
1	from the ACRS members as well. So thank you very
2	much. I'm looking forward to an informative meeting.
3	CHAIRMAN PETTI: Thank you, Duke. Before
4	we turn it over to Kairos, just to reiterate for
5	members, we do have a closed session if we want to get
6	into more technical details, so just note that.
7	Kairos, the ball's in your court.
8	MEMBER REMPE: Dave, this is Joy.
9	CHAIRMAN PETTI: Yes?
10	MEMBER REMPE: Could I ask a question of
11	Duke before we go to Kairos?
12	CHAIRMAN PETTI: Okay.
13	MEMBER REMPE: Are you still there? Oh,
14	okay. So I've been pondering the last few weeks here
15	about what the NRC does to decide whether a facility
16	is a test reactor or a demonstration reactor. Because
17	we hear about, well, it's a lighter footprint with a
18	test reactor with respect to licensee.
19	And if I actually read, like, in Section
20	10 of the DCA, it says that the test reactor is being
21	constructed to demonstrate this new technology and
22	there aren't any special test facilities. You'll do
23	startup testing, but we do startup testing for
24	commercial reactors in some respects.
25	How does the NRC decide? And then what's
	I contract of the second se

(202) 234-4433

10 the cutoff with respect to power levels where you suddenly say, no, come on guys, this is not going to be a test reactor? It's a demonstration facility, and you have a power level that shouldn't go through a certain type of process. Are there some hard and fast MR. KENNEDY: Well, Ed Helvenston will

8 touch on some of that in his presentation. But in 9 questions, response to your first, the term 10 demonstration reactor actually has a fairly particular meaning when it comes to the Atomic Energy Act. 11 And it typically includes connection to an electrical grid 12 and demonstrating that the reactor technology can be 13 14 commercialized.

So Kairos Hermes will not be connected to 15 16 electrical qrid. They will not produce an 17 electricity, and therefore wouldn't fall under that definition of -- it's not a definition, but the 18 19 classification as a demonstration reactor per the 20 Atomic Energy Act. So it is а research and development facility. 21

demonstration 22 It is not а reactor, although it may be used to demonstrate some of the 23 24 technologies or safety features. It doesn't fit under 25 those clauses in Section 202 of the Energy

> **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

1

2

3

4

5

6

7

rules?

Reorganization Act that talk about demonstration reactors. So I think that's the answer to your first question.

4 To the second question, there is a few 5 criteria that determine whether a Class 104(c) 6 research and development facility is a research 7 reactor or a testing facility. The easiest one is the 8 ten-megawatt thermal power cutoff limit. Above ten 9 megawatts, a facility is a testing facility. Below ten megawatts, it would be research reactor. 10

So at or below ten megawatts it would be research reactor unless it meets certain conditions that are laid out in 10CFR Part 50. And those relate to other features such as a liquid fuel, Kairos does not have a liquid fuel, or a large cross sectional area in the core that could be used for experiments.

And so these features would be restricted to reactors with a power level of one megawatt. So if these features, none of these features existed, and the reactor power was greater than one megawatt, it would also be classified as a testing facility.

22 So Kairos, being greater than ten 23 megawatts thermal, the Hermes reactor, it is clearly 24 a testing facility, or that's where it would fall 25 under section 104(c) of the Atomic Energy Act.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

1

2

3

There is no actual upper bound to power level in the Act or the regulations. The designation of testing facility is based on the facility being useful for research and development. So if it were 100 megawatts or 200 megawatts, it would still be eligible be classified as a testing facility under the Act and the regulations.

categorization would 8 The next be а 9 commercial facility, and that would be dependent upon the types of activities that it's carrying out. And Mr. Helvenston will explain this more in his part of 11 12 the presentation.

So the answer is there is not an upper 13 14 bound, and the staff recognizes this, and the guidance 15 recognizes this. And so we are prepared to be able to apply our review at the right level considering the 16 17 risks of the facility which can increase as power And so we have the flexibility to level increases. 18 19 this case with the due diligence needed treat respecting the potential risks. 20

MEMBER REMPE: Thank you. 21 That helps a Have you had any experience in the past of ever 22 lot. applying the regulation to a testing facility of this 23 I know NRC was involved in the FFTF 24 magnitude? approach, but have you ever had the responsibility to 25

> **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

1

2

3

4

5

6

7

10

	13
1	license a testing facility of this power level?
2	MR. KENNEDY: Not that I'm aware of. As
3	far as I know, the National Institute of Standards and
4	Technology reactor at 20 megawatts is the closest that
5	NRC has licensed. If I'm incorrect about that, I will
6	provide that information to the Subcommittee. But to
7	the extent of my knowledge, we have not.
8	MEMBER REMPE: This helps. Thank you very
9	much.
10	MR. KENNEDY: Thank you.
11	CHAIRMAN PETTI: Okay, Kairos.
12	MR. PEBBLES: All right, thank you, Mr.
13	Chairman and members of the ACRS. My name is Drew
14	Pebbles, and I'm a licensing manager here at Kairos
15	Power.
16	As Duke mentioned, we have the opportunity
17	to engage the Subcommittee on several of our topical
18	reports that we submitted in pre-submittal phase. And
19	we look forward to engaging as you begin your review
20	of the Hermes PSAR.
21	Before we get started on the presentation,
22	I did want to provide some context for the level of
23	detail that you can expect in this presentation as
24	well as the level of detail that you can expect in the
25	PSAR that you'll begin to review.

(202) 234-4433

	14
1	First it's worth noting that we are
2	following the Part 50 process which is a two-step
3	process. And the construction permit application is
4	based on a preliminary design and a preliminary safety
5	analysis report.
6	Because of that, you won't see the same
7	fidelity in design or the safety case that you could
8	expect to see with the operating license application.
9	And today's overview reflects some of that level of
10	detail.
11	Second, it's worth noting that Hermes is
12	a non-power reactor. So the requirements in Part 50
13	are slightly different for non-power reactors than
14	they are for power reactors. We recently got approval
15	of our topical report with KP-TR-004, which is a
16	regulatory analysis topical in which we broke down all
17	of the requirements in Part 50 and which ones apply
18	and do not apply to the Hermes reactor.
19	And then finally, just due to the past
20	constraints of today's meeting, we won't be able to go
21	into detail in every system that you would expect to
22	see in the PSAR. But we tried to pick the major and
23	most important structure systems and components that
24	if you do have any specific questions on supporting
25	systems that you don't see in the presentation feel

(202) 234-4433

	15
1	free to ask.
2	Michael, are you sharing your screen?
3	MEMBER REMPE: Dave, this is Joy. I have
4	another question. I can't raise my hand very easily.
5	It was okay to ask it?
6	CHAIRMAN PETTI: Sure.
7	MEMBER REMPE: While you're getting the
8	slides up, I became aware of last week that you guys
9	had submitted some updates to your construction permit
10	where, you know, there were some substantial changes,
11	like you eliminated an intermediate cooling loop. And
12	you changed the operating number of years from ten to
13	four years.
14	Could you talk a little bit about what
15	made those substantial changes, you know, what
16	motivated you to make such changes? And should we
17	expect similar changes coming down the pike here?
18	Because, you know, we have limited time to do this
19	review.
20	And I know Applicants often complain about
21	how much it costs to go through an NRC review. And
22	when you're making that kind of change, that increases
23	costs. And so it'd be good to have some confidence
24	that we are expending our review time at the right
25	time.
1	

(202) 234-4433

	16
1	MR. PEBBLES: Sure. Thank you for that
2	question. As far as the getting rid of the
3	intermediate loop, we don't think it had a materially
4	large impact on the application. We were in very
5	close contact with the NRC reviewers as we made the
6	change.
7	It turns out that there is very little
8	safety significance to that part of the plant. So
9	where it showed up in the application was actually
10	relatively minor compared to some of the other systems
11	that play a more important role in the safety case for
12	Hermes.
13	As far as the operating life, that came
14	about from the NRC review of some of the associated
15	topical reports that are currently under review with
16	the NRC. And it turned out, in the case of operating
17	life, that it could have slowed down our development
18	path which I'll talk about a little bit in the
19	introduction slide. But again, this wasn't a large
20	material change to the application.
21	CHAIRMAN PETTI: Just a follow on question
22	on the lifetime, you know, pebble beds can take a fair
23	amount of time to get to equilibrium. Is it four
24	full-power years, or four calendar years? And how
25	long, you know, relative to when you're going to get
1	

(202) 234-4433

17
to equilibrium, how much are you projecting in terms
of operating beyond equilibrium?
MEMBER MARCH-LEUBA: Somebody answering?
MR. PEBBLES: So it is calendar years.
I'm going to ask one of my subject matter experts for
the timing to equilibrium.
MR. SATVAT: It depends, it's close to a
year.
CHAIRMAN PETTI: So introduce yourself.
MR. SATVAT: This is Nader Satvat, manager
of Core Design. The residence time of Hermes reactor
is about close to 200 days. So if the reactor
operates steadily, it will get to equilibrium in about
a year.
CHAIRMAN PETTI: Yeah, but when you start
up, are you starting up like a traditional pebble-bed
where you start out with graphite pebbles and slowly
add lower image pebbles and then, you know, as those
burn, add higher image pebbles? So there's this
period where there's a lot of stuff going on with,
let's say, but not the steady state fuel element, if
you will.
MR. SATVAT: It's an area that we are
studying. But effectively, your assessment is
correct. We will adjust the effective abridgement of

(202) 234-4433

	18
1	the core to stay within a reasonably small excess
2	reactivity, whether using solar enriched fuel or
3	additional natural uranium to the core at the startup,
4	to bring the effective enrichment down.
5	CHAIRMAN PETTI: Okay. It's just, you
6	know, you'd like to get a I'm assuming you guys
7	want a fair number of pebbles to get to full burn-up
8	in the four years. That would seem to be a very good
9	goal.
10	MEMBER REMPE: So I heard answers to my
11	first two comments about the changes and that you
12	viewed them to not be significant. I didn't hear
13	about are we going to see some additional changes in
14	the construction permit, or you think it's fairly
15	stable here?
16	MR. PEEBLES: We think it's stable. There
17	may be minor changes that result from the discussions
18	with the review staff as we get through the current
19	audits that are open and any requests for additional
20	information that could come from the staff. But we
21	are not planning any major changes to the construction
22	permit application. Yes, sorry.
23	CHAIRMAN PETTI: Okay, keep going. If you
24	hear silence march forward.
25	(Laughter.)
	1

MR. PEEBLES: Okay, next slide please. All right, Kairos is a very mission-driven company, so we like to start every presentation by reiterating our mission which is to enable the world's transition to clean energy, with the ultimate goal of dramatically improving people's quality of life while protecting the environment. So, in order to achieve this mission, we have to prioritize our efforts to focus on our clean energy technology, specifically the KP-FHR, and make sure that it is affordable and safe. So a quick look at Next slide, please. I'll give a brief introduction to Kairos the agenda. and where the Hermes reactor fits in our development path. I'11 it And then turn over to technical team to discuss the fuel and core design, the reactor vessel and internals, the heat transport systems, including the normal primary heat transport system and the safety-related secure heat removal system, as well as the pebble handling and storage system. Then we'll talk about some of the safetyrelated structures like the reactor building, the I&C and electrical, and then we'll follow-up with an

> **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

www.nealrgross.com

19

the

	20
1	overview of the safety case.
2	Next slide. Oh, delay, okay.
3	So a little bit about Kairos Power. Like
4	I said on the mission statement, we're singularly
5	focused on commercializing our clean energy technology
6	which is the fluoride, salt-cooled, high-temperature
7	reactor, or FHR. We were founded back in 2016, and
8	we're at a current staffing level of about 269.
9	That number is probably already out of
10	date, because we're growing every day. And it's also
11	worth noting that 90 percent of that staff is
12	engineering-focused which just underscores how
13	committed we are to achieving our mission.
14	We're privately funded, and our schedule
15	is driven by a goal to commercially demonstrate by the
16	2030s. That target date is based on when a large
17	capacity of natural gas is expected to retire. So our
18	cost targets are also in line with those natural gas
19	plants.
20	In order to meet those aggressive costs
21	and schedule goals, we've adopted a rapid iteration
22	approach to developing our technology. We use rapid
23	iteration throughout our development process, but on
24	this slide we depicted several of the major hardware
25	milestones that will occur from these iterations.

(202) 234-4433

	21
1	So if we start over on the left part of
2	the slide, you see the engineering test unit
3	demonstration experiment which is a non-nuclear water-
4	based system that's up and running here in our
5	facility in Alameda.
6	Next is the engineering test unit which is
7	a non-nuclear Flibe-based system. It's a scaled down
8	version of our commercial reactor. And the scale is
9	actually very close to the Hermes reactor. It's in
10	the final stages of being completed and should be
11	operational within the next couple of months. And
12	that is located at our facility in Albuquerque.
13	We will be able to incorporate a lot of
14	that learning into the next iteration, which is our
15	first nuclear demonstration, which is the Hermes
16	reactor that I'll talk a little bit about on the next
17	slide.
18	And then following the Hermes reactor, we
19	have a full scale version of the commercial plant
20	that's non-nuclear that will be used for user training
21	and other purposes, that's our U-facility, and then
22	finally, the first commercial plant.
23	Next slide.
24	MEMBER REMPE: This is Joy. I had a
25	question or a comment on the past slide. When you go
1	

(202) 234-4433

	22
1	from the 35 megawatts thermal up to the 100 and, well,
2	when you go up from the Hermes reactor to the 140
3	megawatt electric plant, how do you know that the
4	Hermes is going to be of sufficient scale that you'll
5	have confidence in the commercial plant?
6	I mean, we've got a long history in the
7	US, as well as Germany when they went from AVR to
8	THTR. We went from Peach Bottom to the Fort St. Vrain
9	reactor. And scale up led to problems that the larger
10	plants weren't commercially viable. What gives you
11	confidence you've captured enough of the salient
12	features in the Hermes that your scale-up's going to
13	work?
14	MR. HAUGH: Thanks, Joy, this is Brandon
15	Haugh, Director of Modeling and Simulation.
16	Classically when you look at the LWR fleet especially,
17	I think you picked some that were, you know, gas
18	reactor types that have their own challenges.
19	You know, this type of scale above 10-X is
20	very common. They went from very small, to medium, to
21	large. And large is very large. We're not making
22	those kind of leaps. So we figured this 10-X step is
23	very reasonable compared to previous technologies.
24	And also the safety features, and
25	behaviors, and systems are pretty much identical at
	1

(202) 234-4433

	23
1	the Hermes reactor which has some small changes in
2	scale. Particularly around safety systems and safety
3	features, they're nearly identical. So that's the
4	reason we think that step is not too big, and it
5	doesn't present any undue risk.
6	MEMBER REMPE: You're telling me you think
7	that the molten salt reactor is more similar to a
8	light-water reactor than a non-LWR type of scale-up,
9	huh?
10	MR. HAUGH: No, I'm not saying that, I'm
11	just saying there is precedents. And in the
12	confidence in our technology, we believe that's a
13	reasonable step.
14	MEMBER REMPE: And that confidence comes
15	from the molten salt reactor experiment at Oak Ridge
16	or
17	MR. HAUGH: It comes from a combination of
18	all the technology development activities we're doing,
19	and the safety case we're presenting, along with our
20	whole reactor program.
21	MEMBER REMPE: Thank you.
22	MR. HAUGH: Thanks.
23	CHAIRMAN PETTI: Just a quick
24	clarification that the U-facility will be the same
25	power as the commercial?
	I contract of the second se

(202) 234-4433

	24
1	MR. HAUGH: The U-facility is an
2	electrically heated facility to demonstrate the full
3	scale primary system and to help with training on
4	operators and maintenance. So the electrical power
5	level is not determined yet, because it won't be
6	there. It's not to produce power, and it's
7	CHAIRMAN PETTI: Right. But thermally, in
8	terms of heat fluxes, you're going to try to match,
9	you know, those sorts of things?
10	MR. HAUGH: We haven't determined that
11	yet. Because it's not necessarily a facility that
12	tests in terms of safety and things. It's more to
13	demonstrate the physical capability to manufacture it
14	and also to train people to work on the full scale
15	equipment.
16	CHAIRMAN PETTI: Okay. So it could be a
17	step between the 35 megawatt Hermes and the
18	commercial?
19	MR. HAUGH: Yes. I would very much expect
20	that the electrical load we put in to heat the U-
21	facility is much smaller than a commercial and nuclear
22	heat load we would have in the KPX reactor.
23	CHAIRMAN PETTI: Okay. Thanks.
24	MEMBER REMPE: And the
25	CHAIRMAN PETTI: That was Brandon Haugh,

(202) 234-4433

	25
1	the director of Modeling and Simulation.
2	MEMBER REMPE: And, Brandon, I guess I
3	just have one final comment, I think, about the steam
4	generators at San Onofre when you talk about the
5	confidence in scale-up with the light-water reactor
6	industry.
7	MR. HAUGH: Well, there's a whole other
8	set of reports on what went wrong there. And that has
9	nothing to do well, it had something to do with
10	the scale-up, but a lot of other things, I don't
11	think, are comparable.
12	This is Brandon Haugh again, I used to
13	work there, so
14	MEMBER REMPE: I know.
15	MR. PEEBLES: All right, so on this slide,
16	just a little more about Hermes. The figure on the
17	right gives you an idea of scale between both the non-
18	nuclear ETU, and the nuclear Hermes, and the non-
19	nuclear U-facility and KPX.
20	So what are we trying to demonstrate with
21	this reactor? First and foremost, cost, establishing
22	a competitive cost through our iterative learning
23	cycle, which is part of a deliberate and incremental
24	risk reduction of the design and testing iteration
25	loops.
1	

(202) 234-4433

1 We're also flexing the supply chain which 2 also has an effect on cost, but making sure that we're 3 advancing the supply chains for specialized KP-FHR 4 components and materials. The licensing approach, 5 although the non-power reactor licensing approach will slightly different, licensing certain safety 6 be 7 concepts with Hermes will help inform the licensing 8 process for the KPX reactor. And then finally, operations, providing a 9

And then finally, operations, providing a
complete demonstration of nuclear functions, including
reactor physics, fuel, structural materials,
irradiation, an radiological controls.

MEMBER REMPE: This is Joy ---CHAIRMAN PETTI: So just a ---MEMBER REMPE: Oh, go ahead Dave.

Just, I would imagine, 16 CHAIRMAN PETTI: 17 you don't actually say it on the slide, but I would imagine that any sort of specifications and procedures 18 19 that are used for Hermes will certainly inform what needs to be done in the power reactor, so that it 20 provides basically a knowledge base so that you have 21 confidence that your procedures are sort of the right 22 You're starting, you know, up the learning 23 ones. 24 curve, if you will.

MR. PEEBLES: Absolutely. And that's a

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

13

14

15

25

	27
1	great example of where the iterative learning approach
2	come into play.
3	CHAIRMAN PETTI: Right.
4	MEMBER REMPE: So, Dave, I had question I
5	wanted to ask. So I ran something through the CP
6	application. I didn't see anything about your plan.
7	I don't know if you call it a capacity or availability
8	for the Hermes reactor. Do you have any idea how much
9	you're going to run it with respect to available time?
10	Are you planning to run it once a week or, you know,
11	an hour a week. Or have you guys thought about that
12	very much yet?
13	MR. PEEBLES: No, we don't have that
14	detail at this time.
15	MEMBER REMPE: Because I think that would
16	be important if you're going to demonstrate how, you
17	know, again I'm thinking about what happened with Fort
18	St. Vrain and availability to have it operating a lot.
19	MR. PEEBLES: Right, appreciate the
20	comment.
21	MR. PEEBLES: All right, so next I'm going
22	to turn it over to Brandon Haugh, the senior director
23	of Modeling and Simulation.
24	MR. HAUGH: Hi, thanks. This is Brandon
25	Haugh again. I'm going to introduce the first slide
	I contraction of the second seco

(202) 234-4433

here where we just introduce the fuel form, and then I'll turn it over to the manager of Core Design, Nader Satvat, to go into a little bit more detail on the design of the core and tools.

5 So as some of us have seen before, we're This pebble fuel form has 6 using a pebble fuel form. 7 three regions. It's got a lower density graphite in 8 the center of it, that's to maintain the buoyancy of 9 the fuel in the side coolant. It's got a fuel region 10 that's on the outside of that low dense region, and then it's got an outer fuel-free shell designed to 11 protect the fuel region and prevent salt ingress. 12

That fuel region contains particles that are based on the AGR program for qualification, very similar specifications. For sizing, you can see on this slide that that pebble is roughly the size of a ping pong ball, about four centimeters in diameter.

design then is a pebble-backed 18 Core 19 concept where the pebbles circulate from the bottom to the top of the core, since they're buoyant in Flibe. 20 And then that core consists of a mixture of graphite 21 22 moderator pebbles and fuel pebbles for optimum moderation. 23

24 MR. SATVAT: This is Nader Satvat, manager 25 of Core Design. The specifics of the design of the

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

	29
1	core of Hermes are listed in the table on Slide 10.
2	The power of the reactor is 35 megawatts thermal. The
3	fuel cycle of the core is 190 days average residence
4	time, about four to six passes. This is not fully
5	determined, but that's the range of pass for a pebble.
6	The discharge burn-up of the reactor is
7	six to eight percent FIMA. The safety parameters of
8	the core, overall negative temperature reactivity
9	coefficients, and also negative fuel and moderator
10	temperature reactivity coefficients, also the void and
11	coolant temperature coefficients are negative.
12	The methods were calculations for using
13	high fidelity methods, such as Monte Carlo, and also
14	internally developed tool, KPACS, for sharpening of
15	the core. There is a slide about methodology here in
16	a few slides. I'll touch in this a little bit with
17	more detail.
18	(Simultaneous speaking.)
19	MR. SATVAT: The power per pebble
20	MR. HAUGH: Is there a question?
21	CHAIRMAN PETTI: I said yeah, I had a
22	quick question. Enrichment, are you going up to the
23	LEU limit even though the burn-up's only six to eight
24	percent?
25	MR. SATVAT: We're using the upper limit
l	

(202) 234-4433

	30
1	of HELU.
2	CHAIRMAN PETTI: Yes, okay. So it's
3	relatively over-enriched relative to burn-up?
4	MR. SATVAT: Yes.
5	CHAIRMAN PETTI: Yes, I got you. Thanks.
6	MR. HAUGH: Thank you.
7	MR. SATVAT: The power per pebble is about
8	1,000 watt per pebble. That is to say within the
9	qualification limit of TRISO. The pebble figure
10	factor in this core is approximately two. The coolant
11	is Flibe, enriched with Lithium-7. And the level of
12	impurity in the Flibe is also a parameter that needs
13	to be adjusted, in part, to heavy metal at a ratio to
14	get the desired temperature reactivity coefficient for
15	Flibe.
16	MEMBER MARCH-LEUBA: Yes, this is Jose
17	March-Leuba. Obviously the Hermes core is tenth of
18	the volume of the real reactor. How do you get to
19	critical? What parameters do you change to obtain
20	criticality?
21	MR. SATVAT: Thank you for the question.
22	There are two approaches that we're considering. One
23	of them is similar to how HDR10 went to criticality.
24	So we call that a layered approach. So slowly
25	inserting so the core at the beginning is filled
	1

(202) 234-4433

	31
1	with graphite pebbles and slowly inserted fuel and
2	graphite with a desired ratio until we get to a
3	critical weight (phonetic). So that's one approach.
4	The other approach is called mixed
5	approach. And step by step, we are going to increase
6	the ratio of fuel to graphite and natural uranium
7	pebbles until we get to criticality.
8	In both approaches, the prediction of next
9	step is very similar to how all conventional reactors
10	are done with one-over-M approach to get there safely.
11	MEMBER MARCH-LEUBA: But doing some
12	correcting, are you planning to change the
13	configuration of the core, that you run into graphite
14	dramatic concentrations?
15	(Simultaneous speaking.)
16	MR. SATVAT: ratio of the pebbles, yes.
17	MEMBER MARCH-LEUBA: So if you are going
18	to do it experimentally with one of them, it's going
19	to take you a couple of years to do the startup.
20	MR. SATVAT: The layered approach is not
21	going to be time consuming as opposed to the mixed bed
22	approach. Currently PHSS is capable to re-circulate
23	the whole core in less than 72 hours. And currently
24	the calculations we have done, it takes about six to
25	ten steps to get to criticality.
I	1

(202) 234-4433

So you are correct. The mix of that is going to be taking time. But it also allows us to do some tests on the way they're specifically checking on the condition of the fuel as they circulate through the core.

MEMBER MARCH-LEUBA: How fast can you re-6 7 circulate the whole core? I'm concerned about the 8 homogeny to your core, that you start filling it up 9 from the bottom, and you risk criticality. And now 10 you still have a non-critical pump that you are going to go super critical when you put more. You see what 11 You have to swap it and make it homogeneous. 12 I mean?

That is a very good point. 13 MR. SATVAT: 14 At each step of the mixed bed approach, the whole 15 rod system is fully inserted. control So the 16 prediction for next step, the next step starts with all the rods in and slowly withdraw. The predictions 17 calculated based on fully withdrawn control 18 are 19 So if in any case that next step we're system. additional, extra pebbles, 20 mismatching and the control reactivity will basically compensate that. 21

As far as answering your question for PHSS, I'll hand it over to Nico to respond to that question.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

MR. ZWEIBAUM: Yes. Well, so hi, this is

25

1

2

3

4

5

33 1 Nico Zweibaum. I'm the director or Salt Systems Design which encompasses the pebble handling and 2 3 storage system. 4 But as Nader was just mentioning, we are 5 currently dimensioning the pebble re-circulation system to be able to re-circulate the full core in 6 7 about 72 hours. These parameters may be adjusted 8 based on what comes out of core design optimization 9 and alterations, but the reality is that the hardware 10 is pretty flexible to adapt to what the needs might be on the core physics side. 11 MEMBER MARCH-LEUBA: Yes. And I'm sure 12 you've thought about this. And I certainly would like 13 to see all the details. But when you do the re-14 15 circulation, do you remove uranium pellets and replace 16 it with a carbon pellet? Or how do you ensure 17 homogeneity if you are doing it on the fly? I'm sure you thought about it, but I want to see the details. 18 19 MR. SATVAT: Sure. far As as the mechanical design, you'll see an animation that will 20 give you a better sense of how we are sorting pebbles, 21 and extracting them, and reinserting them. 22 And then we may follow-up with more specifics after that. 23 24 MEMBER MARCH-LEUBA: Right. And the other 25 thing is will you use the Hermes reactor, which a

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

	34
1	fantastic thing that we're doing it, to calculate all
2	those relativity coefficients. But there will be
3	how do you measure on, you run into carbon ratio that
4	is different than in the real reactor. So we'll have
5	to extrapolate, based on calculations, to what 140
6	megawatt electric will do, right?
7	MR. ZWEIBAUM: Yes, that's correct.
8	MEMBER MARCH-LEUBA: Okay. Thank you.
9	MEMBER REMPE: I have a question about
10	your rods that are in the core that are designed to go
11	in the core. As I recall, the THTR had some damaged
12	pebbles from that. And why are you sure you're not
13	going to have the same problem? Because actually that
14	led to some unavailability with the THTR.
15	MR. SATVAT: This is Nader Satvat, manager
16	of Core Design. I'm going to hand it to Chad Nixon,
17	the responsible engineer for the testing around that
18	component.
19	MR. NIXON: Hi, this is Chad Nixon. We've
20	done testing already with shutdown elements. And one
21	of the main things here is that the elements are
22	inserting into a bed that the pebbles are positively
23	buoyant. There's much less force required to insert
24	into our pebble bed since the pebbles can't depress
25	down into the core at the point the elements are
	I contraction of the second

(202) 234-4433

www.nealrgross.com
	35
1	inserted.
2	MEMBER REMPE: That's good. And the,
3	quote, pebbles in your test were actually the same
4	material that will be in the core.
5	MR. NIXON: The preliminary testing we've
6	done is scaled testing with plastic polypropylene
7	pebbles.
8	MEMBER REMPE: They are floating in some
9	sort of fluid, I guess?
10	MR. NIXON: In water, yes.
11	MEMBER REMPE: Is some write-up about that
12	available for us to see? Again, I only looked at the
13	CP and a couple of the topical reports. Because I
14	didn't see anything about we've done testing, and we
15	have confidence that this is going to be okay.
16	MR. NIXON: No, we're not including that
17	as part of the construction permit application.
18	MEMBER REMPE: Okay, thank you.
19	MEMBER MARCH-LEUBA: Well, I'm reading
20	ahead, and I read this slide. And I'm looking at the
21	Slide 11. The shutdown margin we're shooting for is
22	k-effective of .99, which I assume is a non-
23	proprietary number. I realize this is with one full
24	rollout. But that's only two rollouts from critical.
25	We will not make any mistakes while we're rolling all
	I contract of the second se

(202) 234-4433

	36
1	those graphite pellets. And it doesn't sound like too
2	much margin to me. But, just a comment.
3	MR. SATVAT: This is Nader Satvat. Thank
4	you, Dr. Jose March-Leuba. That's a very good point
5	that you're bringing up. If you look at our
6	application, there is a lot of margin in our control
7	system. That is just the bare minimum. But, on top
8	of that, we're actually recognizing it's first-of-a-
9	kind reactor, we do have, I believe, about 4,500 PCM
10	extra margin in our control rod system.
11	MEMBER MARCH-LEUBA: So then those 4,000
12	PPM is control rod systems you don't credit, but
13	exists.
14	MR. SATVAT: It does exist, precisely.
15	MEMBER MARCH-LEUBA: Okay, thank you.
16	MR. SATVAT: Yes. And just to add one
17	more point to previous question, in this reactor, the
18	fusion length is about to eight to ten diameter.
19	There's some level of biasing in the bed, not complete
20	homogeneity. It's not going to change parameters in
21	the core. However, recognizing that mixing the bed
22	during operation is a parameter that we need to take
23	into account, we do have an uncertainty analysis
24	which looks into perturbing or biasing carbon to have
25	a metal atom ratio across the core and observing the

(202) 234-4433

	37
1	impact on safety parameters.
2	Now I'm going to go to Slide 11. The
3	other reactivity control and shutdown system is, as
4	demonstrated on the right picture, has three shutdown
5	elements going directly to the bed, and four
6	reactivity control systems in the reflector. For that
7	to run, the director of reactor systems will go into
8	more detail about the release mechanisms and the
9	diversity right after this session.
10	The shutdown margin compensates power
11	defect, xenon decay, operational excess reactivity,
12	and depletion of the rods. As was just discussed, the
13	shutdown margin takes into account a single most
14	reactive rod failure and 1,000 PCM to k.1.
15	The sources of operational excess
16	reactivity, core composition is one of them. And it's
17	determined for different core states to compensate
18	change, for changing power levels, or manage other
19	transients. The method, we do have a high validity
20	method to calculate the power defect which combines
21	Monte Carlo and Kairos media using Star-CCM as the
22	tool.
23	Other notes. Drive mechanism sets limit
24	on withdrawal rate, which is the rate of insertion of
25	reactivity. And, also, KP-FHR has a strong prompt
	1

(202) 234-4433

www.nealrgross.com

	38
1	effect to reduce regular use of the RCS.
2	The next slide is the core design
3	methodology. There are three boxes here. The box on
4	the left, which is the green box, light green is the
5	safety tools. And as discussed earlier, due to lack
6	of operational data for FHRs, pebble bed FHRs, we are
7	relying on high fidelity methods, SERPENT as other
8	Monte Carlo engine reactor physics calculations, and
9	Star CCM for our pedal. The core, core is media
10	approximation.
11	Also Star-CCM is used for discrete element
12	modeling which determines the flow of pebbles in the
13	core and their distribution of resident's time which
14	is an input to KPAX. KPAX is an internally developed
15	tool to do field cycle analysis for pebble, but very
16	similar to VSOP but higher fidelity. KPATH is another
17	internally developed tool which connects a couple,
18	SERPENT and Star-CCM.
19	We do generate we do process of our own
20	ACE (phonetic) libraries for input to AXIOM, PSAB, and
21	SERPENT. That process is a part of our software
22	quality domain.
23	We also do have a light red box called
24	Support Tools. They're not used in our safety
25	analysis domain, but they are used for design purposes
1	I contract of the second se

(202) 234-4433

	39
1	or understanding the transient behavior of the
2	reactor. And KP-AGREE is a familiar code to threat
3	advanced gas for reactor evaluation. The KP version
4	of that is for Flibe system which is a time-dependent,
5	thermal-hydraulic, and kinetics tool couple.
6	And the next slide, there are some
7	representative information about the behavior of the
8	core with steady state data. Just for some
9	understanding of these numbers in Hermes' core, on the
10	left side we do have thermal plugs and ASP plugs. As
11	it can be seen, the thermal plugs peak in the
12	reflector, the reflector agent. At the middle there
13	are two temperatures for Flibe, and also the surface
14	temperature, and the distribution of that.
15	And on the right side is the power
16	distribution in the core, power density distribution
17	in the core, and also in the de-fueling region above
18	the core. And with that
19	CHAIRMAN PETTI: I just have a question,
20	given the small size of Hermes, I assume it's
21	relatively leaky in terms of, you know, neutrons are
22	outside the vessel. Is that
23	MR. SATVAT: Yes, precisely. That's
24	accurate.
25	CHAIRMAN PETTI: Yes. So the shielding is
I	

(202) 234-4433

	40
1	going to have to take care of that.
2	MR. SATVAT: That kind of hits, that's a
3	correct point. In the Hermes says design,
4	reflector does a relatively good job for reducing
5	that, but still, you're right, we're taking that into
6	account for sure.
7	CHAIRMAN PETTI: Okay. So before we move
8	on to Oded, I just wanted to point out that we're
9	slightly behind schedule on our planned time allotment
10	for each slide presentation. So I just wanted to
11	check with Weidong and make sure that's that okay if
12	we start eating into the closed session time, maybe
13	take some of that back.
14	MR. WANG: I think up to Dave. Dave, how
15	do you think?
16	CHAIRMAN PETTI: No, let's just keep
17	going. Okay, Obed?
18	MEMBER MARCH-LEUBA: Yes, the time this
19	is Jose. The time estrangement is always the fault
20	of the members, and you can blame us for that. Keep
21	going.
22	(Laughter.)
23	CHAIRMAN PETTI: Got it.
24	MR. DORON: Okay, can you hear me okay?
25	CHAIRMAN PETTI: Yes.
1	I contraction of the second seco

41 1 MR. DORON: Okay. I'm Oded Doron, 2 Director of Reactor System Design. I'll be mainly focusing today on high level overview of the vessel 3 4 internals and reactivity control and shutdown system. Again, the content here is relatively high level. 5 We've tried to pull things directly from the PSAR 6 7 whenever possible so just give you a summary. So a simple diagram here where you can see 8 9 on the left a vessel, lower head, coolant inlet 10 nozzles, and the vessel top head. Onto the right we get into the internals. 11 The core structure is formed by graphite 12 Starting at the bottom we have a reflector 13 blocks. 14 support structure that initially the reflector blocks 15 will sit on until the Flibe enters the system. And then the blocks will -- they're 16 17 buoyant, so they will float, fueling chute, lower fueling chute, the active core region, graphite 18 19 reflector, the core barrel which is concentric with the vessel, downcomer region which is formed between 20 the core barrel and the vessel, upper plenum regions, 21 fueling chute, and the flow diode which 22 the is utilized for a natural circulation shutdown event. 23 24 CHAIRMAN PETTI: Just a question. Go You probably may not be there, but you probably 25 back.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

	42
1	know, pebble beds, the stress on the support plate,
2	you've got a lot of the pebbles to come through. You
3	have less graphite there. Have you guys gotten to the
4	stress analysis stage to see that you don't have any
5	problems exceeding limits on the support plate?
6	MR. DORON: Yes. So the support plate
7	will only we have to hold the weight of the
8	graphite structure until the Flibe enters the system,
9	and then the Flibe will float. And so the support
10	plate will be essentially stress free, the lower head
11	in general. It will have to support the weight of the
12	Flibe but not of the pebbles or the graphite. You'll
13	have to remember that they're buoyant.
14	CHAIRMAN PETTI: Yes, okay.
15	MR. DORON: Okay. And the weight of the
16	pebbles that are inserted, I think Nico will be
17	touching a little bit on that earlier. But they do
18	not go through that support plate. And yes, we have
19	started conducting stress analysis on the graphite.
20	CHAIRMAN PETTI: Okay. Thanks.
21	MEMBER REMPE: How big is what was the
22	diameter and height of the vessel? I didn't see it in
23	the PSAR.
24	MR. DORON: I don't believe it was
25	provided.

(202) 234-4433

	43
1	MEMBER REMPE: It doesn't have to be
2	exactly. I mean, is it three feet or
3	MR. DORON: Eight-ish feet in diameter,
4	you know, let's say 12 to 16 in height, something like
5	that.
6	MEMBER REMPE: Thanks.
7	MR. DORON: Yes.
8	MEMBER BROWN: Can you stay on that? This
9	is Charlie Brown. I'm now back to the Slide 15 again.
10	I don't understand pebble bed reactors. You've gone
11	through this before, and I think I've forgotten. All
12	of the pebbles are inside the thing you called the
13	active core. They come up from the bottom, they go
14	out the top. Is that correct?
15	MR. DORON: Yes, sir. That is correct.
16	MEMBER BROWN: And the cooling means the
17	Flibe, is that outside, or does that get mixed with
18	the pebbles as well?
19	MR. DORON: The Flibe is everywhere.
20	MEMBER BROWN: So it's within the vessel
21	as well as external to the vessel?
22	MR. DORON: Not outside of the vessel, no.
23	Inside the vessel, within the vessel structure.
24	MEMBER BROWN: Well, you said the graphite
25	reflector is outside the vessel

(202) 234-4433

	44
1	MR. DORON: Right.
2	MEMBER BROWN: and when the Flibe comes
3	in, that the graphite floats.
4	MR. DORON: If I said that, I misspoke.
5	So let me say it a little different maybe. The
6	graphite is in the vessel. Initially when we load, we
7	load without Flibe. We load dry.
8	MEMBER BROWN: Well, hold it. Maybe I'm
9	calling the vessel the wrong thing.
10	MR. DORON: Okay.
11	MEMBER BROWN: I'm talking about that
12	little tube in the center.
13	MR. DORON: Oh. No, sir. That is the
14	core region that is formed by the graphite structure.
15	So you have a lower plenum or fuel chute and then
16	upper plenum and de-fueling chute.
17	MEMBER BROWN: Oh, okay. So it's not like
18	there's a container that the pebbles sit in. They
19	MR. DORON: No.
20	MEMBER BROWN: come up through an
21	annulus within the graphite reflector.
22	MEMBER MARCH-LEUBA: Charlie, this is
23	Jose. Maybe you can show us the Slide 16, show us the
24	flow of the coolant.
25	MR. DORON: Yes, that can help.

	45
1	MEMBER MARCH-LEUBA: And we'll understand
2	better.
3	MR. DORON: Yes.
4	MEMBER BROWN: See, I looked at that one
5	to see if I could I'm sorry, I looked at that one.
6	I was lost there too, so I apologize. Go ahead to 16
7	if that'll help.
8	MR. DORON: That might help. And let me,
9	yes, so let me make a comment here and maybe this
10	comment will help you, make it a little clearer, is
11	that the internal structure is formed by the graphite
12	structure, okay.
13	MEMBER BROWN: Okay, but this little
14	barrel in the middle
15	MR. DORON: That is formed by the
16	graphite.
17	MEMBER BROWN: Okay. And that's where the
18	pebbles are contained as they flow in
19	MR. DORON: Correct.
20	MEMBER BROWN: and then up through.
21	And that's the blue stuff in the left-hand side? Or
22	is that the coolant flow path?
23	MR. DORON: That is the coolant flow.
24	This is all coolant here. This is not pebbles.
25	MEMBER BROWN: Okay. But the pebbles and

(202) 234-4433

```
www.nealrgross.com
```

	46
1	coolant mix, right?
2	MR. DORON: Yes. So again, Nico will
3	touch on that later in his presentation. So we have
4	pebble insertion lines. And so pebbles are inserted
5	through, and essentially through the graphite
6	structure, if you could think of it like that. And
7	then they enter through the lower fueling region. And
8	they float their merry way up through the core.
9	MEMBER BROWN: Does the graphite or the
10	Flibe go out along with the pebbles?
11	MR. DORON: The Flibe out of the free
12	surface at the top, at the top of the vessel.
13	MEMBER BROWN: So somehow the Flibe and
14	the pebbles get separated?
15	MR. DORON: Correct. Nico will go into
16	that.
17	MEMBER BROWN: Okay, all right. I'll stop
18	then. I won't slow this process down.
19	MR. DORON: Okay.
20	MEMBER BROWN: I'm sorry, I just don't
21	know pebble bed reactors.
22	MR. DORON: These are good questions.
23	These are good questions.
24	MEMBER REMPE: This is Joy. And I am
25	thinking about what I saw in the PSAR about the vessel

(202) 234-4433

1 being fabricated and tested to have an extremely low probability of leakage. And of course, I know you're 2 3 only talking the portion the vessel that holds the 4 coolant. Because I know you want to keep the coolant 5 above the core to make sure that it provides a fission 6 product release barrier. And I'm curious if you have 7 a specification for what an allowable leakage is. 8 Because everything leaks a little bit in life, it 9 seems like.

And secondly, how much above the core is -- I never saw something like would give me an idea whether it has to be an inch above the core, a millimeter above the core, or a foot above the core. Can you give me an idea of what you guys are thinking about? Because I, again, didn't see it in the PSAR.

MR. DORON: Yes. Let me take those one a time. So first of all, we are not assuming that the vessel will leak Flibe. That is not an assumption we're going with. So --

20 MEMBER REMPE: That's zero leakage, they 21 can't have any sort of leakage at all. 22 MR. DORON: I mean, if you think of it as

a -- it is the vessel that is containing the, you
know, all of the structure and all of the Flibe. And
so if I were to have leakage, it would be some kind of

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

	48
1	a failure. It's not, I mean
2	(Simultaneous speaking.)
3	MEMBER REMPE: Let me interrupt you and
4	put it in a different way. I used to do leak testing
5	on sensors. And so even when we did leak testing,
6	there was a little bit of leakage. And that was
7	considered acceptable. And you're saying you're going
8	to have a perfect system that just isn't going to leak
9	at all.
10	MR. PEBBLES: So this is Drew Pebbles
11	again. That is correct, that there is no leakage
12	that's going to be allowed from the vessel. And all
13	the penetrations are above the free surface of the
14	Flibe.
15	MEMBER SUNSERI: I would add that's not
16	unlike a PWR that has zero pressure boundary leakage
17	as a criterion. And if you do get a leak, you have to
18	shut down.
19	MEMBER REMPE: When we used to do it, it
20	was like something like ten to the minus ten or
21	something
22	MEMBER SUNSERI: No, I know, but there's
23	controlled leakage, there's pressure boundary leakage.
24	MEMBER REMPE: Having the penetrations
25	above helps, I can get that, and your wielding below.
	1

(202) 234-4433

	49
1	So I get that. But go ahead and answer the other
2	questions, please, about how much above the core.
3	MR. DORON: I'm not sure if we defined
4	that in the PSAR, whether or not, but the fuel will
5	remain covered. So the coolant cannot drain lower
6	than covering the fuel.
7	MEMBER REMPE: Okay. So I think that's
8	going to be important to understand, because you're
9	going to have to have instrumentation to understand
10	when to get worried about that it's getting too close
11	to the top of the core. And I'm guessing you don't
12	want it just right level with the core.
13	But it'll be interesting as we evaluate
14	the instrumentation to make sure that there is enough
15	above the core that the sensors give signals to the
16	operators saying we've got a problem, and we need to
17	do something.
18	MR. DORON: Yes. And when Anthony, our
19	director of Instrumentation, Control and Electrical
20	speaks later, maybe he could touch on that just a
21	little bit. But you're correct.
22	CHAIRMAN PETTI: So but just to ask the
23	question a slightly different way, how far from the
24	top plate is the Flibe level?
25	MR. DORON: I don't believe we define that

(202) 234-4433

	50
1	
2	CHAIRMAN PETTI: Okay.
3	MR. DORON: in the PSAR either. But,
4	I mean, you know, you could throw a number out. I
5	mean, some several inches, something like that if you
6	like it, during normal operations.
7	CHAIRMAN PETTI: Yes. Only if you want to
8	stay below those penetrations, you know, you've been,
9	yes. Okay.
10	MR. DORON: Correct. Good questions.
11	Okay. Let me jump into the flow here, okay. So if
12	you look on the left, normal operation coolant flow
13	path, I have the flow entering through the inlet
14	nozzles. And you'll recall I mentioned that the core
15	barrel is concentric with the vessel and the gap
16	between the core barrel and the vessel forms our
17	downcomer.
18	So I have a cold inlet coming through the
19	nozzle, through the downcomer, all the way down,
20	coming around and up through the core region that's
21	formed by the graphite, up through the upper plenum
22	and out the top.
23	So during natural circulation, I have
24	similar flow path, except I don't have my pump
25	anymore. And so it's not coming through the inlet,
1	I Contraction of the second

(202) 234-4433

	51
1	and it's not coming out the top.
2	Instead I have the flow coming naturally
3	up through the core, heating up and then making its
4	way through the flow diode, and then into the
5	downcomer region where the heat is pulled out with our
6	DHRS, or decay heat removal system which is on the
7	outside of the vessel. And Nico will touch on that
8	later. It cools down through the downcomer, and then
9	repeats the process.
10	MEMBER MARCH-LEUBA: So let me see if I
11	understand. This is Jose. On the left, see on the
12	left when you're pumping, when you have a flow diode,
13	the red coolant goes out of the vessel to the DHRS,
14	correct, and then comes back? I don't see a red arrow
15	coming out.
16	MR. DORON: Right. So the DHRS does not
17	take the actual coolant. The DHRS removes the heat
18	from the vessel wall.
19	MEMBER MARCH-LEUBA: That is for natural
20	circulation.
21	MR. DORON: Yes.
22	MEMBER MARCH-LEUBA: I said the inside as
23	decay heat. I meant the normal operation of
24	MR. DORON: Normal operation, the PHTS,
25	yes, the coolant comes out the top, out of the top
	I

(202) 234-4433

	52
1	around and back through the inlet.
2	MEMBER MARCH-LEUBA: Okay. That's
3	MEMBER BROWN: And so going back, it's
4	only back pressure from the inlet that keeps the hot
5	stuff from going out through the diode.
6	MR. DORON: Yes, sir, that's correct.
7	MEMBER BROWN: In the left-hand one.
8	MR. DORON: Correct.
9	MEMBER BROWN: And is there something up
10	at the top where the red arrows, the red stuff goes
11	out through one of the pipes up at the top?
12	MR. DORON: Yes, there's a pump. But
13	we're not showing the pump here in this diagram
14	MEMBER BROWN: Oh, okay. And then it goes
15	back, it goes around and gets cooled?
16	MR. DORON: Correct.
17	MEMBER BROWN: Is that Flibe only, or is
18	that are there pebbles mixed in with that as well?
19	MR. DORON: Flibe only, hopefully. Yes,
20	Flibe only.
21	MEMBER BROWN: So even though the Flibe
22	and the pebbles are mixed down in the core region
23	MR. DORON: Correct.
24	MEMBER BROWN: They just
25	MR. DORON: They cannot enter the hot
1	I Contraction of the second

(202) 234-4433

```
www.nealrgross.com
```

	53
1	plenum.
2	MEMBER BROWN: That little triangle at the
3	top?
4	MR. DORON: Okay, so let's go back a
5	slide, Drew.
6	MEMBER BROWN: How does he get separated?
7	MR. DORON: So do you see where it says
8	upper plenum there?
9	MEMBER BROWN: Yes.
10	MR. DORON: Yes, so flow makes it into the
11	upper plenum, but pebbles do not. So graphite is
12	extremely machinable, extremely machinable. We can
13	make almost any shape to our heart's content within
14	reason, obviously. But we have it designed in such a
15	way that flow enters the upper plenum, but pebbles do
16	not.
17	MEMBER BROWN: Is it based on physical
18	size?
19	MR. DORON: Correct.
20	MEMBER BROWN: And, oh, geez. Okay.
21	MEMBER MARCH-LEUBA: So can I say that
22	this reactor is going to be 3D printed?
23	(Laughter.)
24	MR. DORON: You could say that, but it's
25	not going to be, no. It going to be
1	•

	54
1	MEMBER MARCH-LEUBA: Three-D hulls.
2	(Simultaneous speaking.)
3	MR. DORON: I mean, it's worthwhile to say
4	that, you know, we're machining a full graphite
5	structure currently for our engineering test unit
6	that, you know, drew had in his model there. So this
7	is not conjecture here. We're actually doing this.
8	And what I will tell you here is that
9	and if there's more I think I'd prefer to take it to
10	the closed session. The graphite is extremely
11	machinable, very, very machinable to very, very high
12	tolerances.
13	MEMBER BROWN: But how does the Flibe and
14	the pebbles get differentiated? I mean, is there
15	something
16	MR. DORON: The pebbles can't there's
17	coolant paths that restrict flow, that don't allow
18	pebbles into there.
19	MEMBER BROWN: But the pebbles can't block
20	it?
21	MR. DORON: Well, correct. Because the
22	pebbles are continuously moving.
23	MEMBER BROWN: Well, so is the Flibe.
24	MR. DORON: So is the Flibe.
25	(Laughter.)
	I

	55
1	MR. DORON: Yes. Yes, sir. Yes. Again,
2	I think I'm hopeful, maybe we can circle back after
3	Nico's presentation when you see a little bit
4	MEMBER BROWN: All right.
5	MR. DORON: Let's circle back after that
6	and see if this, in combination with his presentation,
7	help answer, help shed some light on your questions.
8	MEMBER BROWN: Okay.
9	DR. BLEY: This is Dennis Bley. Is there
10	any chance, for the closed session, you guys have some
11	movies that would let people understand this better?
12	MR. DORON: I'll leave that to Drew. We
13	have some PHSS movies that we've done. I don't know
14	
15	MR. PEBBLES: Yes, we have some animation
16	for the PHSS presentation. So we can circle back
17	after that and see if it helps clear up some
18	MR. DORON: Yes.
19	MR. PEBBLES: We don't have any backup
20	slides though, only what we submitted on the topic.
21	MR. DORON: Okay, shall we continue? All
22	right. This is the head layout. So, I mean, I can go
23	through every one or not here. But the big items, you
24	know, the pump is on the head. You mentioned the
25	coolant level sensors. You could see the allocated
	1

(202) 234-4433

	56
1	space for those.
2	The shutdown elements that are in the
3	core, there's three of those. They're indicated by
4	the red dash circles there, and then the 4X for
5	control elements by the yellow dash circles there.
6	And then you could see we currently have two means of
7	pebble insertion, material sampling boards, reactor
8	thermocouples, a location for a neutron source.
9	MEMBER BROWN: So you have two types of
10	-
11	MR. DORON: Sorry.
12	MEMBER BROWN: You said this earlier. So
13	you've got two types of reactor. Okay, one of them's
14	a shutdown, okay, so one of them's shutdown, the other
15	one's control elements.
16	MR. DORON: Correct. And the next slides
17	are going to be discussing those.
18	MEMBER BROWN: And if one and you all
19	are doing, I think you mentioned this earlier, but if
20	one reactor shutdown accident element doesn't operate,
21	that's a pretty thin margin. I think Dave or somebody
22	made a comment about that.
23	MR. DORON: Yes. But we are allowing for
24	that.
25	MEMBER BROWN: And where are your sensors,
1	

(202) 234-4433

57 1 your neutron sensors? Those are the purple things? Yes, source range neutron 2 MR. DORON: detectors. 3 MEMBER BROWN: What about power range or 4 5 in between, whatever your ranges are? 6 MR. DORON: I can let -- Nader, do you 7 mind speaking to the power detectors quickly? MR. SATVAT: Sure. This is Nader Satvat. 8 9 The power range detectors are in the cavity, in the bio-shield structure. 10 MEMBER BROWN: In the what structure? 11 They're outside of MR. 12 SATVAT: the 13 reactor vessel. 14 MEMBER BROWN: Oh, so they're external to the vessel. These are in core -- the source range are 15 16 in core, the other ones are ex-core. 17 MR. SATVAT: Yes. Ex vessel, rather. MR. DORON: 18 19 MEMBER BROWN: Ex vessel, that's fine. Ι meant ex vessel. 20 21 MR. DORON: Okay. MEMBER BROWN: Okay. Well, not okay, I'm 22 just saying I got you. 23 24 (Laughter.) This question might 25 MEMBER MARCH-LEUBA:

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

58 1 not relate certainly in your presentation, but I notice there are three detectors. I'm thinking I&C. 2 3 Are we going to have two out of three detection 4 systems? looked at that, 5 MEMBER BROWN: Ι and there's no definition of what there's going to be. 6 7 It's just a box. 8 (Laughter.) 9 Well, if you have MEMBER MARCH-LEUBA: 10 only three detectors you're going to have close to four. So think about it. We'll need to know. 11 And maybe Anthony can MR. DORON: Okay. 12 take that later. 13 14 (Simultaneous speaking.) 15 MEMBER REMPE: What is the reserve 16 instrumentation? What are you going to put in there? MR. DORON: You know, whatever it is that 17 we think is appropriate at the time. This is a first 18 19 of a kind facility. MEMBER REMPE: So I have seen thermal 20 couples listed, and I've seen the level detectors. 21 MR. DORON: 22 Yes. MEMBER REMPE: I'm kind of wondering what 23 24 else you're going to put in. There's lots of things we're 25 MR. DORON:

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

```
www.nealrgross.com
```

	59
1	discussing. We're leaving it available.
2	MEMBER REMPE: Okay.
3	MEMBER BROWN: What's a neutron source?
4	MR. DORON: I don't know if we
5	specifically discussed which one is our neutron source
6	in PSAR.
7	MEMBER BROWN: I thought uranium fissioned
8	and produced its own neutrons.
9	MR. DORON: This is just for startup
10	(Simultaneous speaking.)
11	MR. DORON: the neutrons are the
12	startup source.
13	(Simultaneous speaking.)
14	MEMBER BROWN: You need an external source
15	in order to start up the reactor?
16	MEMBER KIRCHNER: Charlie, you always put
17	a external source in the core to start up.
18	CHAIRMAN PETTI: Yes. It's either PuBe or
19	americium-beryllium, usually.
20	MEMBER KIRCHNER: Yes, americium-beryllium
21	is a common one. But almost all reactors have that.
22	So you have the signal when you begin startup. And
23	this goes towards those earlier questions.
24	MEMBER BROWN: I will not make any
25	comments on that.

(202) 234-4433

```
www.nealrgross.com
```

	60
1	(Laughter.)
2	MEMBER REMPE: So have you thought what
3	type of coolant level of the sensor you're going to
4	use yet?
5	MR. DORON: We have thought about it. And
6	again, I don't know if Anthony's going to go into that
7	level of detail.
8	MEMBER REMPE: Well, it's actually not in
9	the PSAR too. I mean, you mentioned thermal couple,
10	I don't know what kind of thermal couple, but the
11	other detectors are pretty much undefined. And I
12	assume it's not going to change before the PSAR is
13	finalized.
14	MR. DORON: Drew, do you want to let
15	Anthony go here, or do you want to take a note to
16	discuss those later?
17	MR. PEBBLES: Let's get to Anthony's
18	presentation, just in the interest of time. And he
19	can speak to the level of detail that we have in the
20	PSAR for the InP system.
21	MR. DORON: Okay. Okay, so Hermes
22	Reactivity Control and Shutdown System, again, this is
23	relatively high level. It's from the PSAR. So the 4X
24	core in the reflector, and 3B core shutdown elements,
25	so the ones in the reflector are control elements, the

(202) 234-4433

	61
1	ones in the bed are shutdown elements.
2	The drive mechanism is a motor-driven
3	sheave. It's to position the elements. And release
4	mechanism is those two release, essential release
5	mechanisms. One is an electromagnetic clutch, and the
6	second is a motor isolation.
7	If you look at the little diagram there on
8	the right, we have the elements, a counter weight, the
9	wire rope. There's a housing there, connector, the
10	elements to the wire rope, the sheave, the clutch, and
11	the motor. That is all.
12	On the left we have the control element,
13	and on the right we have the shutdown element. So
14	again, the control element enters a dedicated path in
15	the reflector structure, the element connector there
16	that connects it to the wire, we have the cap, the
17	element connection plates, control element segments.
18	The control element is a segmented annular
19	design. It's got individual capsules, argon filled.
20	The absorber is B4C, the cladding is stainless, 316H,
21	a little diagram there showing what a cross section of
22	the control element might look like.
23	The shutdown element is cruciform. It's
24	got, again, the connector on the top plate there, it's
25	cruciform design, inner cladding, it contains the

(202) 234-4433

	62
1	absorber. It's argon filled. And the absorber is
2	B4C. And the cladding is stainless steel 316H.
3	That is all. I appreciate all the
4	questions. Thank you very much for your time.
5	MEMBER REMPE: So you don't have to answer
6	it now but later. I know I saw in the PSAR the
7	comment about the B4C melting temperature was more
8	than 1,000 degrees C above the operating temperatures.
9	But I didn't see anything about liquefaction
10	temperatures with B4C and stainless steel.
11	And are you considering that too? Because
12	it seems like that's a lower temperature than the
13	melting temperature. It's still probably not a
14	problem, but you might want to think about it.
15	MR. DORON: Okay. We can take that one as
16	a note in the interest of time.
17	MEMBER REMPE: The other one to think
18	about, that I was wondering about was reading about
19	this. The PSAR dismisses any concern about
20	combustible gas generation. And I get that you may
21	not be so concerned about hydrogen, but what about, is
22	there no concern about any sort of carbon-related
23	combustible gas generation?
24	MR. DORON: You know, a good question. I
25	would go to our salt chemistry team to answer that.

(202) 234-4433

	63
1	I don't know, I'm not
2	(Simultaneous speaking.)
3	MEMBER REMPE: And even if it's not today,
4	it's just something to think about for future
5	discussions.
6	MR. DORON: Okay.
7	MR. PEBBLES: We'll take that back. Thank
8	you.
9	MR. DORON: Yes, appreciate that.
10	MR. ZWEIBAUM: All right, good afternoon.
11	My name is Nico Zweibaum. I'm the director of Salt
12	Systems Design at Kairos. I'm going to be talking
13	about heat transport as well as pebble handling and
14	storage system in Hermes. So my mission here is for
15	everyone to understand where the Flibe goes, where the
16	pebbles go, and everything around that.
17	So starting with our primary heat
18	transport system, or PHTS in short, that system in
19	Hermes is responsible for transporting the heat from
20	the reactor to the ultimate heat sync, which is air,
21	during power operation and during normal shutdown.
22	That system is carrying Flibe around. It
23	operates near atmospheric pressure. It does not
24	provide a safety-related heat removal function. The
25	safety-related heat removal system is our decay heat
	1

(202) 234-4433

64 1 removal system which I'll be talking about next. One safety-related function of the PHTS 2 3 though is a hot lag anti-siphon feature. And that is 4 performed by the geometry of our primary salt pump. 5 That pump, which we alluded to but did not show in Oded's talk, it's sitting on the vessel head. 6 The reactor vessel has this upper head, and the pump 7 8 connects to it. 9 it has a downward facing And inlet. 10 That's here the Flibe is going through the pump and out to the hot laq. When the level drops, that pump 11 essentially deprimes, and this what's providing that 12 anti-siphon feature. So we're not draining coolant 13 14 outside of the vessel, especially not below the normal 15 operating levels to keep the fuel covered. A number of additional functions for that 16 17 PHTS, it contains the reactor coolants and directs the flow between the reactor vessel and the heat rejection 18 19 equipped to manage sub-system. Ιt is thermal transients, maintain overall thermal balance that's 20

21 occurring as part of normal operations.

Since our coolant has a relatively high freezing, melting temperature, it is equipped with features to ensure that we maintain acceptable minimum temperatures through makeup heating as necessary

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

	65
1	during operations. It is able to drain to reduce for
2	acidic heat losses when we run into overcooling
3	transients. And it does provide for in-service
4	inspection, maintenance, and replacement activity.
5	MEMBER BROWN: How hot do you have how
6	high do have to keep the temperature for the fluoride
7	salt to keep it from solidifying?
8	MR. ZWEIBAUM: So the freezing temperature
9	of our Flibe is, I believe, around 460 degrees
10	Celsius. You'll see on Slide 23 our normal operating
11	temperatures, but the minimum nominal temperature
12	during operations is 550 C, so almost 100 C above
13	freezing.
14	MEMBER BROWN: So you have to keep it 100
15	degrees C above freezing at all times with another
16	system?
17	MR. ZWEIBAUM: You don't have to keep it
18	that high. That's the nominal temperature. You do
19	want to maintain a healthy margin above freezing
20	though, and this is what that makeup heating system
21	does, so maintaining it above the freezing temperature
22	of 460 C.
23	MEMBER BROWN: And how do you maintain
24	that uniformly throughout the system.
25	MR. ZWEIBAUM: We do have a thermal

(202) 234-4433

66 1 management system that consists of a combination of heaters and insulation. And we'll have a number of 2 demonstrations along the way to ensure that we know 3 4 how to handle Flibe and keep it molten in those 5 systems. Is it stationary during 6 MEMBER BROWN: 7 that period of time? Or is it still being pumped? 8 MR. ZWEIBAUM: It will be pumped at most 9 times except during a number of transients like system 10 blackout, for instance, where you would lose your And this is when we would get into the more 11 pump. safety-related decay heat removal which I'll 12 be talking about in a moment. 13 14 MEMBER BROWN: Okay. Thank you. 15 Just a question. CHAIRMAN PETTI: This 16 whole issue of the draining, and preventing freezing, 17 does that make that part of a system safety grade or not? 18 The safety case is 19 MR. ZWEIBAUM: No. really around keeping the vessel and the fuel intact. 20 And so it's really about maintaining low enough 21 temperatures to not compromise the integrity of the 22 vessel service. 23 24 CHAIRMAN PETTI: But if you were to freeze the coolant, that would not be a good day, right? 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

	67
1	MR. ZWEIBAUM: Hold on a second.
2	(Simultaneous speaking.)
3	CHAIRMAN PETTI: Would that lead to an
4	event you need to
5	MR. ZWEIBAUM: That is more of an
6	investment protection feature and less of a safety
7	concern. It is something that we'll want to maintain
8	for our own, I mean, to maintain the plan. But that
9	is not in the safety space.
10	MEMBER KIRCHNER: Dave, this is Walt.
11	Could we ask anyone, everyone on the line who is not
12	a speaker to mute their microphones. We've got
13	background noise. Someone's having lunch somewhere
14	out there.
15	MEMBER REMPE: This is Joy. And I think
16	from the way the colors are flashing on the screen
17	this is coming from the conference room which may make
18	it hard to mute yourselves if you're talking, but
19	think about it, okay.
20	MR. ZWEIBAUM: Yes, I think people are
21	being pretty disciplined here, but we'll keep it in
22	mind.
23	I'll keep going here, talking through what
24	that PHTS system is made of as far as subsystems or
25	components. We have our reactor coolant, obviously,
	I contraction of the second seco

(202) 234-4433

	68
1	which is Flibe, that primary salt pump I mentioned
2	before, which is a variable speed cartridge-style pump
3	that's attached to the vessel head. It's inlet
4	extends downwards through the free surface, and this
5	is how the coolant gets into the pump and out to the
6	PHTS.
7	We have a heat rejection subsystem. That
8	subsystem provides for heat transfer from the reactor
9	coolant to atmosphere. It consists of a radiator, a
10	heat rejection blower that circulates air across, and
11	associated ducting and thermal managements.
12	We have our primary loop piping which is
13	what the Flibe is circulating through, and primarily
14	thermal management which, as mentioned earlier,
15	provides non-nuclear heating and insulation as needed
16	for various operations to keep the system at desired
17	temperatures.
18	On the next slide, this is a table and a
19	figure that, I believe, are actually strictly from the
20	PSAR but giving you a very, very rough sense of how
21	the system is configured on the right. So you do see
22	the reactor vessel in a much less exciting fashion
23	than what Oded was showing.
24	But you do see the primary salt pump on
25	the upper right of that vessel, through which the

(202) 234-4433

coolant goes out off to the side to the heat rejection radiator. This is where heat transfer occurs to the atmosphere with that heat rejection blower and stack. And the coolant comes back through coal bags back into the reactor vessel.

The thermal duty, as mentioned in the core design portion, is 35 megawatts thermal. We do plan on having a single heat rejection radiator, single hot lag, two coal bags to return into the vessel. The primary loop line size is generally envisioned to be somewhere between 8 and 12 inch nominal pipe size.

The hot lag temperature, if you will, 12 before the coolant gets into that heat rejection 13 14 radiator, will be somewhere between 600 and 650 15 Celsius, depending on operational modes. The cold lag 16 temperature is 550 C. Nominal flow rate is 210 17 kilograms per second, and the design pressure is generally estimated at 525 kilopascals. 18

So this was for the PHTS which is our non-safety-related heat transport system.

21 MEMBER BROWN: How many kilopascals did 22 you say? 23 MR. ZWEIBAUM: Five hundred and twenty-24 five.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

MEMBER BROWN: Do you have that in pounds

(202) 234-4433

25

1

2

3

4

5

	70
1	per square inch?
2	MR. ZWEIBAUM: I will in one second, 76
3	psi.
4	MEMBER BROWN: Okay, thank you. I came
5	that close to that. All right, I just want to make
6	sure I was right, thank you.
7	MR. ZWEIBAUM: That is the design pressure
8	though, that is not the anticipated operating
9	pressure.
10	MEMBER BROWN: How much lower do you
11	anticipate that to be?
12	MR. ZWEIBAUM: We'd be closer to
13	atmospheric pressure during normal operations.
14	MEMBER BROWN: Okay. All right, thank
15	you.
16	MR. HUGHES: This is Joel Hughes. I'm the
17	responsible engineer for the primary heat transfer
18	system. So just maybe one quick clarification. So
19	the carbon gas pressure at the inlet of the pump is
20	quite near atmospheric pressure. But the pump
21	obviously does add some pressure to it. It will be a
22	fair bit below that 525 kilopascal.
23	But it kind of depends on what your
24	definition is in terms of close to atmospheric
25	pressure. But it certainly adds some pressure at the

(202) 234-4433
	71
1	outlet there. And that's consumed along the flow path
2	back around the PHTS through the vessel back to the
3	inlet of the pump.
4	MEMBER BROWN: Okay, thank you.
5	MEMBER KIRCHNER: Joel, while you're on
6	the line, this is Walt Kirchner, how does the layout
7	break the seal? You've got the pump inlet stuck, not
8	stuck, intentionally positioned under the free
9	surface. Under normal operation, how many inches, or
10	meters, or whatever measurement you use, is that? And
11	what breaks the suction if you have a break in the
12	primary loop?
13	MR. HUGHES: Excellent question. So I
14	think as Oded mentioned, we'd have to define the exact
15	elevation of the pump inlet. But that downward
16	facing, basically, inlet of the pump would break the
17	suction on the hot leg side. So if we had a break in
18	the primary salt piping, you could pull a siphon,
19	right, and then down as the level of Flibe in the
20	vessel kind of travels downwards, and Flibe is leaving
21	the system. At some point it would break at the inlet
22	of the pump, specifically above the core level. I
23	don't know exactly how many inches above.
24	MEMBER KIRCHNER: Okay, okay.
25	MR. HUGHES: And then there's always a
	1

(202) 234-4433

	72
1	similar
2	(Simultaneous speaking.)
3	MEMBER KIRCHNER: above the core?
4	MR. HUGHES: Yes, that's the idea. And
5	then there would be, like, kind of a similar feature.
6	It might look geometrically different, but
7	functionally similar on the cold leg side as well so
8	that we don't siphon through the downcomer.
9	MEMBER KIRCHNER: Right, right. Okay,
10	thank you.
11	MR. HUGHES: Sure.
12	MR. ZWEIBAUM: So on to our safety-related
13	decay heat removal system, that is our DHRS, you see
14	a diagram of the configuration here on the left. So
15	the purpose of that system is to provide vessel
16	protection during postulated events for which the PHTS
17	we were talking about previously, is unavailable.
18	How this system works is based on in-
19	vessel natural circulation. Oded mentioned that
20	before as part of what happens inside the vessel. So
21	you see the vessel represented here. But really what
22	this system is about is what's around it.
23	So it's a water-based ex-vessel system,
24	and the heat transfer modes are via thermal radiation
25	and convection. It is a system that operates through
1	

(202) 234-4433

continuous direct roll-off when the decay loads exceed for acidic losses. That system is actually shut off and isolated from the system when we're operating at no or low power levels. In that case, we can rely on heat removal via for acidic losses only. We're not relying on the roll-off feature.

7 And the main thing on operation is that 8 this system gets activated when we cross some power 9 But after that, the system's status has threshold. 10 not changed. The state of that system does not change on reactor event initiation. So when that DHRS, which 11 is a passive decay heat removal system, is called upon 12 for decay heat removal from the vessel, the system is 13 14 already containing water and ready to boil off.

15 This is kind of a self-regulated mechanism in that the removal rate is directly a function of 16 17 vessel temperature. Since the primary mode of heat transfer between the vessel and the DHRS is by thermal 18 radiation heat transfer, which is directly dependent 19 on temperature, which is important since the main 20 metrics that we're trying to control are going to be 21 22 peak temperatures of that vessel surface.

23 So you can see the configuration on the 24 left with the vessel that is facing those annular 25 thermosiphons. Those are connected to a water storage

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

1

2

3

4

5

6

	74
1	tank via some piping and a separator where there is
2	the separation between the liquid water that comes in
3	and steam that comes out after boil off.
4	The storage tank is vented to atmosphere,
5	and so as the steam comes out, we do have that getting
6	out from the system through that upper penetration
7	MEMBER MARCH-LEUBA: I have a couple of
8	questions.
9	MEMBER BROWN: Yes, that cavity the vessel
10	sits in, is that just air? And therefore you said
11	radiation from the vessel to the rods or whatever, the
12	annular thermosiphon.
13	MR. ZWEIBAUM: Yes.
14	MEMBER BROWN: So there's nothing in
15	there. It's just a dead air space, and then depending
16	on radiation and whatever convection flow of the air
17	within that space?
18	MR. ZWEIBAUM: That is correct.
19	MEMBER BROWN: So it's not a wrap-around,
20	is what I'm trying to get, where it's in contact with
21	the vessel?
22	MR. ZWEIBAUM: That is correct.
23	MEMBER MARCH-LEUBA: So this is Jose. How
24	many thermal cycles are there, I assume when you
25	designed it? I'm sure there is not only two.
	I contraction of the second

(202) 234-4433

	75
1	MR. ZWEIBAUM: No, there is not only two.
2	There is a bit more detail on the next slide. So
3	maybe we can go through that. And as far as the
4	MEMBER MARCH-LEUBA: Hold on, let me ask
5	my second question. Maintaining the inventory in the
6	storage tank up there, is it a safety function?
7	MEMBER MARCH-LEUBA: No.
8	MEMBER MARCH-LEUBA: Because if you run
9	out of it, then you have a problem. And if you are
10	constantly operating, you are constantly boiling it
11	off.
12	MR. ZWEIBAUM: Yes. So the system is
13	sized for that.
14	MEMBER BROWN: Pardon?
15	MR. ZWEIBAUM: The system is sorry, I
16	don't want to talk over you.
17	MEMBER MARCH-LEUBA: Yes, you said that
18	the system is sized for it, but things tend to go
19	wrong sometimes. I mean, I would have, at least in
20	the protection system, or certainly in the alarm
21	system, the level is too low.
22	MR. ZWEIBAUM: Yes. So there would be
23	some level where we would need to shut down. I may
24	we have the responsible engineer for the decay heat
25	removal system, Casey Tompkins, on the line. So maybe
	1

(202) 234-4433

	76
1	he can speak to that specific question.
2	MEMBER MARCH-LEUBA: No, just so you're
3	thinking about it, then we'll look. When we have
4	details, we'll look into it.
5	MR. ZWEIBAUM: Okay. That's all right
6	then. We'll keep going.
7	MEMBER BROWN: The point is you're venting
8	to atmosphere, so you're going to be losing water when
9	you're really hot.
10	MR. ZWEIBAUM: Yes. That is part of the
11	operations. We are expecting that.
12	MEMBER BROWN: And therefore you're going
13	to lose water.
14	MR. ZWEIBAUM: Can we get to the next
15	slide? Maybe that will get into a bit more detail
16	here that might explain some of this.
17	So maybe, speaking to the point that was
18	just made, before I go through the contents of the
19	slide, but you can see that that storage tank is
20	actually connected to a feed water system.
21	So during normal operation, you'll
22	constantly be replenishing that storage tank.
23	However, you're not relying on that feed water when
24	the system is called upon during a transient. So
25	there will be a normal operating mode where you do

(202) 234-4433

	77
1	have feed water and, I guess, a transient mode or a
2	postulated event mode where you would not have that
3	feed water. And you would be boiling off your
4	inventory that's in there.
5	MEMBER MARCH-LEUBA: And are you planning
6	to size it for the conventional 72 hours, or those 30
7	days or
8	MR. ZWEIBAUM: Yes.
9	MEMBER MARCH-LEUBA: It was an either/or.
10	MR. ZWEIBAUM: Seventy-two, sorry. I
11	started replying after the first half of your
12	sentence.
13	MEMBER MARCH-LEUBA: Okay, thank you.
14	MEMBER HALNON: Yes, this is Greg Halnon.
15	Is it just one storage tank, or do you have two,
16	three, just one?
17	MR. ZWEIBAUM: There are four. So let me
18	go through the contents of this slide. The first
19	point, but obviously by now this is clear, is that
20	that DHRS is independent from the primary coolant.
21	It's a water-based system, so it's isolated from the
22	Flibe system.
23	One other thing that I mentioned earlier
24	is there is no change of state on setup postulated
25	events. So that system is always on when we cross

(202) 234-4433

	78
1	some set power level.
2	But to a question that was asked multiple
3	times, there are four independent cooling loops. And
4	there is a three out of four kind of logic here where
5	we are sizing the system so we can lose one of those
6	four and still be within our envelope.
7	There is also a dual walls configuration
8	here. So if you look at the symbol, it is contained
9	within a deeper kind of shroud, if you will, so that
10	we can continue to have heat removal in the presence
11	of a water leak within this.
12	And there is one active component to note
13	here which is an isolation valve between the storage
14	tank and the thimbles, which is closed at no to low
15	power, that gets opened when we cross some threshold
16	power but then remain open.
17	And so this isolation valve failing in
18	place means that the operating system continues to
19	operate during a postulated event. And then we have
20	a flowed valve inside the separator that passively
21	regulates the flow of water from the storage tank to
22	the thimbles so as not to clog them. But that's
23	during normal operations. But that flow valve not
24	only failed to open so that we don't risk dry out of
25	the thimbles during a postulated event.

(202) 234-4433

	79
1	MEMBER KIRCHNER: This is Walt Kirchner.
2	Just a further detail. Go to the next slide. It's
3	fine. Yes. Is the system required, probably this
4	would be more tech specs kind of issue, to keep the
5	reactor vessel within its designed thermal limits?
6	MR. ZWEIBAUM: Yes, we will have tech
7	specs around that.
8	MEMBER KIRCHNER: Okay, thank you.
9	MEMBER BROWN: So this, you said there is
10	no change in state relative to postulated events, but
11	it's always on when you cross some power level. So
12	when you startup and you get to some predetermined or
13	calculated power level, then that's system is placed
14	and it's always on configuration.
15	So it's removing heat during all power
16	range operations
17	MR. ZWEIBAUM: Yes.
18	MEMBER BROWN: except if you go below,
19	whatever the number is, and then it goes off again?
20	MR. ZWEIBAUM: Yes.
21	MEMBER BROWN: So, some type of sensors
22	tell you that?
23	MR. ZWEIBAUM: Yes.
24	MR. PEBBLES: So that's correct. This is
25	Drew Pebbles. I just wanted to make that

(202) 234-4433

80 1 clarification. We're going to have a tech spec on DHRS operability, which will likely include level and 2 other things in the tank. 3 That is for the initial conditions, but 4 it's not for maintaining reactor vessel temperatures 5 during normal operations. 6 7 MEMBER BROWN: So you'll also need them, 8 because you've got to feed into it, there has got to 9 be some type of minimum level you allow in the storage 10 tank? I mean, I presume that's part of your overall configurations? 11 That's likely what MR. PEBBLES: it's 12 going to be for the PSAR level. We're only required 13 14 to mention the operability tech spec. The specific --15 Yes, that's fine. MEMBER BROWN: 16 MR. PEBBLES: Yes. We'll be providing 17 that with the operating license application. MEMBER BROWN: Okay. Thank you. 18 19 MR. PEBBLES: Yes. MR. ZWEIBAUM: So the next three slides 20 kind of illustrate, in hopefully more clear ways, what 21 I was trying to describe as far as the three main 22 modes of operation. 23 24 So initially, as the core is at low to no power, that isolation valve between the water storage 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

	81
1	tank and the thimbles is closed. So the storage tank
2	is full of water, the thimbles are dry. And the only
3	heat that comes out of the vessel is for acidic heat
4	loss, but there is no direct heat transfer to water
5	and the thimbles.
6	MEMBER BROWN: You said the valve closes,
7	or opens. So it's, somehow it's designed such that
8	it's always going to go open if something fails?
9	Whatever that something is.
10	MR. ZWEIBAUM: Well, it would fail as is.
11	So in this case we are not relying on having water in
12	the thimbles to extract enough heat. So if there were
13	any failure in, in the current configuration that
14	you're seeing on the slide, then we're not relying on
15	the DHRS for decay heat removal anyways.
16	MEMBER BROWN: Yes, so the valve would be
17	closed if you go to low power, right?
18	MR. ZWEIBAUM: Yes.
19	MEMBER BROWN: But so, something has to
20	make it open.
21	MR. ZWEIBAUM: Yes.
22	MEMBER BROWN: If we go up above a certain
23	power.
24	MR. ZWEIBAUM: Yes, absolutely.
25	MEMBER BROWN: And what, the failure mode
1	I contraction of the second seco

(202) 234-4433

	82
1	you're saying is open, but if you're at low power and
2	so it's powered to stay shut, and then
3	theoretically if you lose power it opens up? That's
4	just a possible. Is that what you're saying?
5	MR. TOMPKINS: Hi, this is Casey Tompkins
6	
7	MR. ZWEIBAUM: Also yes, go ahead.
8	MR. TOMPKINS: responsible engineer for
9	the decay heat removal system. So the valves fail in
10	place. So like if it's open and we lose power or
11	signal to it, it remains open. If it's closed, it
12	remains closed.
13	MEMBER BROWN: Ah.
14	MR. TOMPKINS: So if we don't, so if the
15	system is not running it's because we don't need it on
16	a postulated event. So then there is no reason for it
17	to change positions. And vice versa.
18	MEMBER BROWN: Okay.
19	MR. TOMPKINS: If it's open, then we need
20	it so it stays open.
21	MEMBER BROWN: So once it opens it will
22	stay open, if power goes away, and once it's closed it
23	will stay closed if whatever closed it goes away?
24	MR. TOMPKINS: Correct.
25	MR. ZWEIBAUM: So this is Nico Zweibaum

(202) 234-4433

	83
1	again. So, the transition between this slide and the
2	next slide is really what happens as you get above
3	those, this threshold power level.
4	So this is really normal operation of
5	Hermes. Your core is operating, well, it says high
6	power but really is power above that decline
7	threshold, but is nominal power for instance.
8	So in this case you got your line between
9	your feedwater and your storage tank that is open.
10	You also open the, or your isolation valve that was
11	between the storage tank and the thimbles is open.
12	And you're continuously flowing water through those
13	thimbles, boiling up and the steam gets vented out to
14	the atmosphere.
15	And then if you go to the next slide.
16	During the postulated event where you have a reactor
17	trip and you can't rely on your primary heat transport
18	system to extract heat, then you would have this
19	continuous boil-up of the inventory that was in your
20	storage tank.
21	So we're sizing to not be relying on the
22	feedwater system feeding water into the storage tank,
23	but instead we're boiling up the inventory of water
24	that is in those storage tanks.
25	MEMBER KIRCHNER: So, might I ask a
	1

(202) 234-4433

	84
1	question on this? This is Walt Kirchner again. What
2	limits your design here in the three modes of
3	operation, is it the concrete temperature, is it
4	vessel temperature or is it decay heat removal?
5	MR. ZWEIBAUM: Well, the system is spliced
6	to protect against the main metric that we're after
7	is the vessel heat temperature. To avoid failure of
8	that structure.
9	MEMBER KIRCHNER: Right. Is that during
10	normal operation as well or just under the transient?
11	MR. ZWEIBAUM: Just under the transient.
12	During normal operations, your main means of heat
13	removal is through the primary heat transport system.
14	MEMBER KIRCHNER: Of course. But is
15	there, does that keep the temperature, well, I guess
16	the downcomers, the inner wall actually of the vessel.
17	So
18	MR. ZWEIBAUM: That's right. Yes. And
19	that's where you have
20	MEMBER KIRCHNER: Yes.
21	MR. ZWEIBAUM: coming back around 550
22	Celsius.
23	MEMBER KIRCHNER: Yes. Yes. So then what
24	about the concrete in the cavity. What temperate is
25	the concrete steam?
1	I contract of the second s

(202) 234-4433

	85
1	MR. ZWEIBAUM: Let me ask our manager to
2	answer this one if we
3	MR. SONG: We did a
4	PARTICIPANT: Who are you?
5	MR. SONG: Oh, sorry.
6	MEMBER KIRCHNER: It's kind of a leading
7	question because you would have to stay below you, you
8	know, your ACS or ACI. I forget the code.
9	(Simultaneously speaking.)
10	MEMBER KIRCHNER: American Concrete
11	Institute limits. If that, if indeed, the chamber
12	here is concrete.
13	MR. SONG: Yes. This is manager of steel
14	structure, Brian Song. And yes, we are considering
15	that. And considering to have the concrete
16	temperature beyond the limit of ACI 39 that you
17	described.
18	So that will be considered with the
19	thermal management system, so we will, that is a
20	consideration that we have.
21	DR. BLEY: This is Dennis Bley.
22	MEMBER KIRCHNER: Thank you.
23	DR. BLEY: On this sketch you show the
24	feedwater valve closed. Now, you wouldn't have
25	feedwater, but do you actually close it in case you do
	1 I I I I I I I I I I I I I I I I I I I

(202) 234-4433

	86
1	have feedwater? This is covered in several different
2	kinds of events.
3	MR. ZWEIBAUM: I mean, if we have
4	feedwater available then we could be constantly
5	replenishing the storage tank. We're not forcing that
6	closed. But we are designing the system
7	DR. BLEY: That's what I thought.
8	MR. ZWEIBAUM: to operate with it
9	closed.
10	DR. BLEY: You're just saying there might
11	not be feedwater and you're fine then. Okay.
12	MR. ZWEIBAUM: Correct.
13	DR. BLEY: Thanks.
14	MEMBER KIRCHNER: And just one follow-up
15	question. This is Walt Kirchner again. The way
16	you're showing the system there with the tank outside
17	the primary, poor choice of words, whatever the
18	reactor building is called, then this would be a
19	safety grade, or a safety-related system and be
20	hardened and protected against missiles, et cetera?
21	MR. ZWEIBAUM: Yes. The entire DHRS is
22	safety-related.
23	MEMBER KIRCHNER: Right. So then that
24	would have to be in a hardened enclosure.
25	MR. ZWEIBAUM: Yes. To be more precise,
	1

(202) 234-4433

	87
1	the portions of the DHRS are required to perform the
2	safety-related heat removal function, will be
3	protected by the structure.
4	So, the feedwater portion, which is not
5	required for the safety-related heat removal function
6	may not necessarily be protected.
7	MEMBER KIRCHNER: Yes. No, I get that
8	part. I was thinking of the tank itself.
9	MR. ZWEIBAUM: Right.
10	MEMBER KIRCHNER: For missile protection
11	and seismic considerations.
12	MR. ZWEIBAUM: Yes. That is protected.
13	MEMBER BALLINGER: This is Ron Ballinger.
14	I keep looking at this and I keep thinking t to the
15	forth radiated heat transfer. And I keep wondering
16	what kind of uncertainty might there be in all of this
17	system because much of a change in temperate means a
18	lot of changes in heat transfer.
19	I'm assuming that there will be an
20	uncertainty analysis done of this whole system.
21	MR. ZWEIBAUM: Yes. Casey, do you want to
22	take this one for more detail?
23	MR. TOMPKINS: Yes, sure. This is Casey
24	here. So, because the temperature of the DHRS in our
25	operation is pretty low, changes in that temperature
I	1

(202) 234-4433

88 1 don't really effect heat removal too much. The temperature heat removal is mostly driven by 2 the 3 vessel temperature. 4 But in terms of the heat and defectors, 5 there is uncertainty there, so we'll have to look at that. But for the most part we'll have correct test 6 7 data on the anticipate heat removal from individual thimbles under prototypical cavity conditions that 8 will give us higher confidence in what our removal 9 10 rates are. And we have codings that we're looking into that give us more predictability. 11 And this is Drew Pebbles MR. PEBBLES: 12 Just to be clear, these are forward looking 13 aqain. 14 statements right now for the PSAR. We don't have that 15 level of detail in the application. But qualification 16 of the system is done for the operating license 17 application. MEMBER BALLINGER: Thank you. 18 19 MEMBER KIRCHNER: This is Walt Kirchner Just a, this is probably a detail for the 20 aqain. But with these thimble enclosures inside the 21 future. cavity, the large flat plates that maximize the area 22 and protect the concrete, were they just around 23 24 annually, annulus structure of --They're around annulus 25 MR. ZWEIBAUM:

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

	89
1	structures, but you have a fair amount that's around
2	the vessel.
3	MEMBER KIRCHNER: Okay. Which four
4	MR. ZWEIBAUM: We're obviously only
5	showing one here but
6	MEMBER KIRCHNER: Yes. Okay. Thank you.
7	MEMBER REMPE: You know, when I think
8	about Ron's question and Dave's earlier question at
9	the beginning of the meeting, this mockup that you're
10	getting ready to build, can you use it?
11	I know it's not in the PSAR, but is there
12	a vision that you might try and mock that up in that
13	facility and quantify some of the uncertainties?
14	MR. ZWEIBAUM: Are you referring to the
15	engineering test unit?
16	MEMBER REMPE: Yes. The one that's right
17	before Hermes that looked like it was going to be the
18	same scale, but when Dave was asking about surface
19	heat transfer, or heat fluxes, I don't think we heard
20	an answer to it. It's the
21	MR. ZWEIBAUM: Right.
22	MEMBER REMPE: called the U-facility.
23	That's what it's called.
24	MR. ZWEIBAUM: So the U-facility is after
25	Hermes. The ETU

	90
1	MEMBER REMPE: Oh, you're right.
2	MR. ZWEIBAUM: is isothermal so we're
3	not including the DHRS. But there will be a separate
4	testing program for the DHRS to qualify it.
5	MEMBER REMPE: You're right. It's the one
6	that was before Hermes I was asking for. But you have
7	another test program that will be used for this?
8	Okay, got it.
9	MR. ZWEIBAUM: Right.
10	MEMBER BALLINGER: Just
11	CHAIRMAN PETTI: Can you
12	MEMBER BALLINGER: there's got to be a
13	lot of uncertainty. You know, plus or minus an inch,
14	excuse me, 2.54 centimeters would make a heck of a
15	difference.
16	CHAIRMAN PETTI: So just, I'm just
17	wondering if you, you guys are probably aware of the
18	tests that were done at Argonne for these types of
19	heat removal systems. They did air. And then I
20	believe they were going to do steam. Whether or not
21	that geometry would be helpful here with what they're
22	doing.
23	MR. ZWEIBAUM: Do we want to get into the
24	details?
25	MR. PEBBLES: I think we'll take that
I	1

(202) 234-4433

	91
1	back.
2	CHAIRMAN PETTI: Okay.
3	MR. PEBBLES: But
4	CHAIRMAN PETTI: Yes, I just, I don't
5	know, I've lost track as to whether or not they got
6	funded to do the steam. I know they did the air. But
7	there may be something
8	MR. PEBBLES: We did work with Argonne, we
9	did work with that facility. And we are also planning
10	on our internal campaigns to compliment that with more
11	prototypic conditions.
12	CHAIRMAN PETTI: Ah. Okay, thanks.
13	MR. ZWEIBAUM: Okay, so
14	MEMBER MARCH-LEUBA: Another question.
15	All this is contingent on natural circulation of flow
16	working inside the vessel. How much margin do we have
17	on the Flibe volume?
18	I mean, how much inadvertent draining of
19	the Flibe can you tolerate? I mean, I'm working the
20	PRA here in my head and inadvertent drain of the
21	vessel by a couple of inches will stop the, not the
22	circulation and you're dead in tracks.
23	MR. PEBBLES: So the
24	MEMBER MARCH-LEUBA: And I realize that
25	you have a procedure to drain it, but the PRA should

(202) 234-4433

	92
1	have one branch on the tree to handle that.
2	MR. PEBBLES: So, a couple of points
3	there. The detailed analysis wouldn't be until OOA.
4	But for a PSAR we are committing to keeping the active
5	core covered.
6	Nico mentioned the anti-siphon device,
7	which does define a lowest level for the postulated
8	event that we consider.
9	MEMBER MARCH-LEUBA: Right. But the
10	preliminary potential conceptual cartoon design, I
11	need to be convinced that you don't have inadvertent
12	draining that stops the natural circulation. I need
13	to be convinced that you have looked at it.
14	MR. PEBBLES: Yes. So if the core, if the
15	fuel remains covered, than the path for natural
16	circulation will be active. We are designing with
17	that logic in mind since we have to maintain the fuel
18	covered, in that condition the natural circulation
19	test will be there.
20	MR. ZWEIBAUM: I'm also going to let
21	Darrell Gardner weigh in here.
22	MR. GARDNER: So this is Darrell Gardner.
23	I'm the senior director of licensing for Kairos Power.
24	I think it's important, as I listen to conversation,
25	lots of good questions.
1	

(202) 234-4433

	93
1	Many of these questions are related to
2	details of the design that are appropriate for a final
3	safety analysis report. I think it's also important
4	to remember that the findings at the PSAR stage are
5	different than those at the FSAR stage.
6	And so, conclusions and determinations
7	about safety acceptability are completely different.
8	So while I understand the comment, I think we need to
9	sort of pull back and remember what's required by the
10	regulations at this phase.
11	MEMBER MARCH-LEUBA: So the regulations
12	don't require the thing work?
13	MR. GARDNER: I'm sorry, I didn't
14	understand the question.
15	MEMBER MARCH-LEUBA: The regulations don't
16	require that the thing work safely?
17	MR. GARDNER: The regulations require that
18	we describe the safety, that we describe the systems
19	and the design criteria and the margins to safety.
20	That's what's required to get a construction permit.
21	When we come back for the FSAR, the
22	demonstration of how these things work is, that's
23	where that demonstration is satisfied.
24	MEMBER MARCH-LEUBA: Okay.
25	MR. GARDNER: There is no, there is not a

(202) 234-4433

	94
1	determination of safety acceptance at this stage of
2	the review.
3	MR. PEBBLES: Unless it's requested by the
4	applicant.
5	MR. GARDNER: Unless we request that. And
6	we have not requested that the staff make a
7	determination of safety acceptability at this time.
8	MEMBER MARCH-LEUBA: Okay. And I will
9	make sure that the ACRS letter says that in the first
10	paragraph. That we have no idea about the safety of
11	these reactors.
12	MR. GARDNER: Well, I'm not sure I would
13	necessarily agree with that comment. I think I would
14	suggest that you may not know all the details of how
15	it's satisfied at this stage.
16	MEMBER MARCH-LEUBA: You're I'm giving
17	you a, have you thought about this possible accident
18	in your conceptual design and you're telling me to get
19	lost. So I receive your comment.
20	MR. GARDNER: I don't think we're saying
21	that at all. I think we're trying to set the
22	framework for the questions that need to be resolved
23	at this stage of the review versus at a different
24	stage of the review.
25	MEMBER MARCH-LEUBA: I'll reserve my

(202) 234-4433

	95
1	questions
2	CHAIRMAN PETTI: Fair enough.
3	MEMBER MARCH-LEUBA: for the Staff.
4	CHAIRMAN PETTI: Fair enough at this
5	point. Can I just ask a question? In terms of your
6	slides, A, we need a break. We'll also need the Staff
7	to talk. Where are we in terms of slides left?
8	MR. PEBBLES: So, two/thirds into it.
9	CHAIRMAN PETTI: Two/thirds?
10	MR. PEBBLES: Yes. We had, we have
11	another hour's worth of slide material.
12	CHAIRMAN PETTI: Another hour. That would
13	put us at 3:00. Okay, let's just keep going. We'll
14	also probably want a break. I thought the natural
15	break would be between you guys and the Staff, but so,
16	Members, if anyone feels like we need a break before
17	that, let me know. But let's just keep going because
18	I fear we are falling further behind. Is that
19	probably true?
20	MR. PEBBLES: Yes.
21	MR. ZWEIBAUM: Yes.
22	CHAIRMAN PETTI: This always happens, so.
23	(Laughter.)
24	CHAIRMAN PETTI: We're just so interested
25	in all the details. Let's keep going. Thanks.

	96
1	MR. ZWEIBAUM: Okay. Next system is
2	changing gears a little bit, but this is about the
3	pebble handling and storage system.
4	Again, our fuel comes in pebble form. So
5	this is really the system that handles, moves the fuel
6	around and stores it. From initial onsite received
7	through in process circulation down to final onsite
8	storage.
9	A number of key sub-systems, one is the
10	pebble extraction machine that sits on top of the
11	reactor vessel and extracts pebbles from the core.
12	This is a single screw mechanism that removes the
13	pebbles from the molten salt.
14	We have a pebble inspection system that
15	will perform flaw detection and burn-up measurement of
16	removed pebbles. We have a processing system that
17	will sort pebbles into appropriate buffer storage
18	channels based on pebble types.
19	We have an insertion system, which is a
20	separate wheel feeder mechanism that inserts pebbles
21	back into the reactor via an in-vessel insertion line.
22	We have a number of storage system
23	canisters. Each canister can store around 2,000
24	damaged or spent fuel pebbles in a non-critical
25	configuration.

(202) 234-4433

	97
1	We have a storage cooling area. That area
2	will be passively cooled in building for spent fuel
3	canisters. And we have a new pebble addition system
4	which stores fresh fuel and prepares them for
5	circulation via high temperature bake out.
6	The next slide is a set of animations to
7	show you kind of the journey of the pebble through the
8	system. So if we start at the bottom right is where
9	you can see this rough diagram of the reactor core.
10	That red dot here would be a fuel pebble.
11	If we go next, that pebble goes up the
12	pebble extraction machine through an off head
13	penetration down to the inspection station that I
14	mentioned earlier. At that stage the pebbles are
15	inspected.
16	We make the determination between fuel and
17	moderator pebbles. If a pebble is a moderator pebble
18	then next it gets sent to a moderator storage bin.
19	If it's a fuel pebble next it goes to the
20	burn-up measurement station. This allows us to know
21	what the burn-up level of the fuel is to know if we're
22	below or above the threshold where the pebble has
23	reached its end of life, or effective life for Hermes.
24	Then next that pebble would get into
25	processing. And next into buffer storage.

(202) 234-4433

	98
1	Now if we, next, we have other pebbles,
2	and that could be of any different type, then that
3	could also get stored into a number of other buffer
4	storage canisters.
5	And the last case, next, would be if,
6	through burn-up measurement we find that this is a
7	spent fuel pebble then it gets discarded and sent into
8	one active storage canister that is connected to the
9	PHSS inner gas boundary at all times.
10	Next. If you look at the bottom towards
11	the bottom right you can see the new pebble insertion
12	canister. This is where new or fresh pebbles would be
13	stored. Whenever we send pebbles to active storage we
14	insert new pebbles.
15	Those go through the same inspection
16	station that recirculated fuel goes through. In case
17	we can detect any flaws then those pebbles would be
18	discarded immediately. Otherwise, they get processed.
19	And next go into one last storage bin that would

20 contain pebbles with no burn-up. Essentially fresh21 fuel.

22 CHAIRMAN PETTI: So can I ask a question? 23 What differentiates a new pebble from a moderator 24 pebble in terms of the inspection?

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

I'm assuming you were using gamma to

(202) 234-4433

25

	99
1	determine moderator from fuel, from irradiated fuel.
2	MR. ZWEIBAUM: Gareth, do you want to take
3	this? We have our, the responsible engineer for our
4	pebble handling system.
5	MR. WHATCOTT: Sure. No problem, Nico.
6	When we insert new fuel we will do those in sort of a
7	sequential fashion. So we'll be able to know that
8	this line of pebbles coming in are all new.
9	CHAIRMAN PETTI: Ah, okay.
10	MR. WHATCOTT: That way we can maintain an
11	inventory of how many pebbles we've introduced.
12	CHAIRMAN PETTI: Okay.
13	MR. WHATCOTT: To differentiate between a
14	moderator and fuel pebbles, you mentioned gamma.
15	That's certainly one option. Another option we're
16	looking into currently is temperature since moderator
17	pebbles won't have decay and so they should be
18	thermally at a different temperature.
19	CHAIRMAN PETTI: Ah.
20	MR. WHATCOTT: And we can detect that
21	earlier on before having put it through a gamma
22	spectrometer.
23	CHAIRMAN PETTI: Yes. I mean, you
24	probably are aware of, in pebble beds, this
25	measurement is critical and is not as easy as it
1	1

(202) 234-4433

	100
1	sounds or looks in a simple diagram like this.
2	You have, at least for the pebble beds
3	that I was aware of, you had like 30 seconds to make
4	the measurement. And signal to noise ratio, looking
5	for the cesium-137 peak, which is generally a good
6	strong peak, but in fuel with all the other stuff it's
7	not as easy as it sounds.
8	So anything, another measurement could be
9	quite, quite useful in case that one is difficult.
10	Yes.
11	MR. WHATCOTT: Yes. No, we certainly
12	recognize the challenge with making this burn-up
13	measurement. We engaged with Sandia National
14	Laboratory and are working on some experimental work
15	with them to make sure that we can, we provide enough
16	time to develop this technology because as you
17	mentioned, other pebble bed systems have shown that
18	it's a challenging measurement to make on freshly
19	removed fuel that has high radioactivity.
20	So, yes. Looking at, using something like
21	a thermal, a thermal camera to screen out pebbles is
22	something we'd like to do as well so we're not having
23	to scan moderator pebbles and waste that time of the
24	gamma specter spectrometer.
25	CHAIRMAN PETTI: Yes.
	1

(202) 234-4433

1 MEMBER REMPE: Dave, I had a couple of questions here. And I know we're behind so answer 2 3 what you can in a hurry and save the rest of them for 4 later.

But first of all, the construction permit indicates that the canisters for the spent fuel 6 storage pebbles are flooded. And then it also talks 8 about during a full core offload that the pebbles 9 aren't sorted, you just put them in a canister.

And I was curious whether those canisters 10 would be flooded, and if so, then I am curious about 11 how you dry them out. And if you're going to measure 12 the off gas, then how that system is going to work in 13 14 any details of interest.

finally, 15 Ι believe And then, NEIMA 16 requires that folks think about the whole fuel cycle. 17 And I was curious about what you will ultimately do with these canisters of pebbles. 18

19 Back in the GA days they talked about pushing the rods out of the fuel assemblies to try and 20 reduce the volume of the waste. I'm not sure what you 21 do with the pebbles. Maybe you even know, Dave, what 22 they've done in Germany. I've seen articles where 23 24 people talked about trying to break them and separate the particles from the graphite to reduce the volume, 25

> **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

5

7

or is this not part of the Kairos plan to think about 1 what they're going to do with spent pebbles? 2 3 MR. ZWEIBAUM: I'll just answer the first 4 question because I think is very relevant to the 5 current conversation and safety piece. I think as far 6 as the fuel cycle we might table that to a later 7 discussion. So, to clarify, the idea of flooding, if 8 9 I know what you're referring to in the PSAR, is purely 10 based on the analysis that was done to ensure that we don't have any critical configuration. So in a worst 11 case scenario, where the canisters would be flooded, 12 we are conserving that we are still not in a critical 13 14 configuration. 15 said, That being this is not an 16 intentional flooding of the canisters. The canisters, 17 I think the current baseline is that they would be stored temporarily in a storage pool, 18 but the 19 canisters would be sealed. So we wouldn't have any water ingress into those canisters. 20 The flooding, in the context of the PSAR, 21 was only related to the analysis that was done to 22 ensure that we don't have any critical configuration 23 24 of the fuel at any point. Okay, so that helps. 25 MEMBER REMPE: So

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

102

	103
1	this would be a rare event, and if you did have to do
2	something with those pebbles it would be a rare event
3	and it's not something that's a planned operational
4	thing where you have to worry about drying out pebbles
5	that
6	MR. ZWEIBAUM: That is right.
7	MEMBER REMPE: That helps.
8	CHAIRMAN PETTI: Okay
9	MEMBER REMPE: And then at some point I am
10	curious about what you're going to do with the fuel
11	from this when it's
12	CHAIRMAN PETTI: So I can just tell you,
13	Joy, the Germans just, in AVR and THTR, they didn't do
14	anything to the pebbles. And it's, you know, it's the
15	one thing that a prismatic has as a benefit is you can
16	take the compacts out and reduce the volume.
17	They didn't do anything to burn the pebble
18	matrix off or anything. So they just had a really
19	large volume of waste to deal with.
20	MEMBER REMPE: But it was only a couple of
21	reactors and I assume people want to do more than one
22	or two reactors with this. And so, again, we need to
23	think of the whole fuel cycle now because I guess
24	congressmen folks put that in the bill when they were
25	thinking about these new reactors.
	I contract of the second se

(202) 234-4433

	104
1	MR. ZWEIBAUM: Yes. The end of the pebble
2	journey, for those of you who wants to know, the
3	pebble insertion hopper that is sitting at the top of
4	the reactor vessel, that would take the recirculated
5	fuel, take it down a pebble insertion line and the
6	pebbles are reinserted through the bottom of the core.
7	And repeat. So that is it for the PHSS.
8	CHAIRMAN PETTI: And you do plan to mock
9	this up, right, somewhere along the line?
10	MR. ZWEIBAUM: Mock this up as far as
11	physical testing?
12	CHAIRMAN PETTI: Yes. Yes.
13	MR. ZWEIBAUM: Yes. We've done a number
14	of scaled tests already. And we will continue to do
15	that. This is in scope for the engineering test unit.
16	And we'll have a number of other tests to confirm
17	those processes.
18	CHAIRMAN PETTI: Great. Thanks.
19	MR. PEBBLES: All right. So just real
20	quick, Dave, we just wanted to check with you and see
21	if this is where you wanted to take the break or if
22	you wanted to wait till the end?
23	CHAIRMAN PETTI: No, let's at least get
24	through yours.
25	MR. PEBBLES: Okay. All right.
1	

(202) 234-4433

MR. SONG: All right, so I'm Brian Song, I'm manager of civil structures. And I'll go over the Hermes civil structural stuff. Mainly Chapter 3 of PSAR.

5 So, as you can see here, the reactor building is approximately 250 feet long and 100 feet 6 7 wide. And the philosophy here is to design, to separate the design and decouple the safety-related 8 9 portion of the building and the non-safety-related portion of the building, which contains the SSCs, to 10 consolidate protection. 11

safety-related 12 The portion of this building is approximately 180 feet long and 50 feet 13 14 wide. And the design strategy of modulated 15 inflexibility is considered to allow for speed of 16 construction. And it is a, we are trying to make that 17 as simple possible. So, it's simple as а configuration. 18

19 The safety-related building structure uses isolation. the non-safety-related 20 based And а surrounded the isolated 21 building is of super 22 structure.

The safety-related reactor building base slab is approximately at grade with isolator basement below. And the foundations are transferred to loads

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

	106
1	of stiff rock.
2	The safety-related structure and
3	reinforced concrete structure that is hybrid of casts
4	in place, and also pre-cast concrete structure
5	elements. The safety-related person is designed to
6	protect safety-related SSCs from internal and external
7	events. Including potential damage from the non-
8	safety-related portion of the building.
9	To credit, safety function, safety-related
10	reactor building is to protect and support the safety-
11	related SSCs. And is not confinement or containment.
12	The building is applying performance based
13	design principles to align criteria with credited
14	safety function.
15	As you can see here, the safety-related
16	portion of the reactor building is divided into cells.
17	And the cells contain all the safety-related SSCs in
18	the facilities. And also some of the non-safety-
19	related SSCs.
20	And I think there was a question about the
21	DHRS, so the DHRS is included in the reactor building
22	cell that you see here.
23	The message related portion of the
24	building is comprised of maintenance halls, including
25	high-bay shelves, maintenance corridors, truck bay
I	1

(202) 234-4433
auxiliary worker inhabited areas. And it is a steel frame construction with an independent foundation system that will consist of a max slab with grade beams.

5 And the non-safety-related portion of the reactor building does not contain any safety-related 6 7 SSCs. And this portion of the building is designed so 8 that the payload does not interfere with the safety 9 functions of safe SSCs located in the safety-related 10 portion of the building. Or, yes. That's what, yes. So that's kind of what this slide is. Any questions? 11 MEMBER BALLINGER: Yes. So, this is Ron 12 13 Ballinger. So the moat is just a separator? 14 MR. SONG: The moat, the moat is, yes. It has a -- so the moat wall has two functions. 15 So

because it's base-isolated so it will protect from the displacement of the safety-related portion. And yes, it is a separation of the building.

So a separation from the safety-related to the non-safety-related portion of the building. Yes. MEMBER BALLINGER: So is it seismically significant? MR. SONG: So, currently we're considering this not to be safety-related. Maybe I will ask one of my subject expert, Ben, if you want to add on to

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

1

2

3

4

	108
1	the comment there. Ben Koslow.
2	MR. KOSLOW: Sure. Thanks, Brian.
3	MR. SONG: Yes.
4	MR. KOSLOW: The moat is sized so that
5	under the ground motions inspected for the site that
6	we have ample physical space so that the safety-
7	related building does not come in contact with the
8	non-safety-related building. And then any of the
9	distribution systems that cross that gap have adequate
10	flexibility to accommodate that expected deformation
11	as well.
12	MEMBER BALLINGER: Does it have any
13	function to deal with thermal expansion because you're
14	dealing with very significant temperature differences
15	in various parts of that building?
16	MR. KOSLOW: So by the time you get out to
17	the moat, which is a fair distance away from the
18	reactor, it's not anticipated to have extreme
19	temperature fluctuations.
20	MEMBER BALLINGER: Okay.
21	MR. KOSLOW: Certainly the temperature
22	profile is accounted for when sizing things.
23	MEMBER BALLINGER: Thanks.
24	CHAIRMAN PETTI: Sometimes people might
25	call the moat a seismic gap. I've seen that in other
1	

Í	109
1	designs.
2	MEMBER BALLINGER: That's what I was kind
3	of thinking is what it was.
4	CHAIRMAN PETTI: Yes. Yes.
5	MEMBER KIRCHNER: Yes.
6	CHAIRMAN PETTI: So let me just ask a
7	(Simultaneously speaking.)
8	MEMBER KIRCHNER: Dave, can I ask a
9	question?
10	CHAIRMAN PETTI: Yes, go ahead.
11	MEMBER KIRCHNER: This is Walt Kirchner.
12	Are you planning, for the safety part of the building
13	there, the inner part that's isolated, are you
14	planning on using steel plate composite concrete
15	construction?
16	MR. KOSLOW: Currently we're not. We are
17	considering precast concrete and cast in place as a
18	hybrid. However, that can be considered during our
19	design iteration we might, we'll see if that is
20	appropriate.
21	MEMBER KIRCHNER: It's just that this is
22	just an observation, not a request. It's just one
23	member.
24	You might look at that as an option for
25	the building that's isolated in terms of just ease of
	1

(202) 234-4433

	110
1	construction vis-a-vis casting concrete and isolating
2	the concrete cast, complete cast structure. It's just
3	a thought. It's an observation, it's not a request.
4	MR. KOSLOW: Yes. Thank you for that.
5	MEMBER REMPE: Dave, I have a question too
6	on this building layout before you switch. Oh, Dave,
7	excuse me, I have a question about the reactor
8	building layout on the prior slide.
9	When I look at the CP application on saw
10	in Section 9.8.1 that they mentioned that there is
11	going to be a hot cells and a PIE and materials
12	testing laboratory facilities in the, could you tell
13	me where those are located? Are they in this
14	building?
15	MR. SONG: So currently the layout, it's
16	not so this is more preliminary based on the image
17	that is in the PSAR. That I don't think we actually
18	located that yet.
19	MEMBER REMPE: But it will be in this
20	building somewhere, is that a true statement? Or is
21	it going to be in a different building? Or are they
22	going to be in a different building?
23	MR. SONG: So, what was the system again?
24	Sorry, I
25	MEMBER REMPE: Well, in Section 9.8.1 of
1	1

(202) 234-4433

	111
1	the PSAR it says that there is a hot cell, there is a
2	PIE and materials testing laboratory facilities. And
3	I was curious where they were all located.
4	They did say, I believe, that there was a
5	crane located, associated with them, and I was just
6	kind of curious where all of these facilities are. I
7	guess we can save the question till later, but I'm
8	just curious because, again, is there a potential you
9	could have any sort of radiation releases in the hot
10	cell facility.
11	How do you get stuff from the reactor to
12	the hot cell? I mean, there's a lot of those kind of
13	questions that we'll have to be thinking about as we
14	go through this review.
15	MR. KOSLOW: Yes, we'll double check the
16	words in the application and get back to you later in
17	the meeting.
18	MEMBER REMPE: Thank you.
19	MR. SONG: Thank you for the comment. So
20	the design considered is meteorological loads, such as
21	rain, snow, wind, tornado, and windblown missiles for
22	the site per local building code and NRC guidance for
23	the site.
24	The safety-related building is designed
25	without crediting the non-safety-related exterior
	1

(202) 234-4433

	112
1	shell for protection from snow, wind, rain, and
2	missile loads. The exterior shell of the safety-
3	related building is designed with a thickness to
4	protect the safety-related SSCs from high-wind
5	missiles, including debris from potential damage of
6	the non-safety-related reactor building.
7	Flooding loads. The safety-related
8	dumping will be protected from internal and external,
9	I'm sorry, internal flood with shields, curves and
10	drains, et cetera. Safety-related reactor venting
11	protects the safety-related SSCs from credible
12	external flood.
13	And the external envelopes uses water
14	tight flood protection features as well. There is
15	also isolator in the basement. However, the maximum
16	credible flood elevation is higher than that, but the
17	isolators will still perform with their function.
18	What's being provided.
19	So let's go to the next slide please. For
20	seismic loads we have been using risk-informed
21	performance based insights to determine the seismic
22	design criteria. For instance, ASCE 43-19 and we
23	define SDC 3 to be the criteria for the safety-related
24	SSCs.
25	The seismic design basis earthquake is

(202) 234-4433

	113
1	based on site specific seismic hazards considering
2	other recent nearby seismic hazard analysis. And site
3	specific geotechnical characteristics. And we will
4	confirm the data in the OOA.
5	The safety-related reactor building
6	incorporates spring dash pot (phonetic) seismic
7	isolation system, which lowers seismic demands of the
8	safety-related building and safety-related SSCs in
9	both horizontal and vertical directions.
10	And the moat wall and the flex connections
11	are considered to accommodate the displacements of the
12	isolated safety-related building. And also the and
13	the safety-related portion of the reactor building
14	will be represented by a three-dimensional FEA
15	developed in accordance with Chapter 3 of ASCE (audio
16	interference).
17	So that's I think that's
18	MEMBER KIRCHNER: Another question, may I,
19	Dave? This is Walt.
20	Is the safety-related portion of the
21	reactor building also a functional containment or
22	confinement or does it
23	MR. SONG: No, it's not. Yeah.
24	MEMBER KIRCHNER: So, where do you protect
25	it against leaks of Flibe in the system? At that

(202) 234-4433

114 1 inner cavity is the place where you isolated? For example, you showed isolation valves 2 3 on penetrations for the Flibe fluid lines. You show 4 a penetration for the pebble introduction and removal 5 systems. I didn't see isolation valves on that. 6 Where do you -- what do you try and 7 control any kind of fission product or Flibe leakage, where is that done in terms of creating a "like a 8 9 confinement boundary" where you can control the 10 atmosphere because you're dealing with а toxic material? 11 This is Jordan Hagaman, 12 MR. HAGAMAN: director of reliability engineering. 13 In terms of 14 Flibe, the primary priority is to preserve enough Flibe in the reactor vessel itself to maintain the 15 cooling function. 16 17 With regard to non-nuclear safety considerations, we haven't discussed any of that in a 18 19 preliminary safety analysis report. And we're not using the building for any physical confinement 20 functions for nuclear safety. 21 MR. GARDNER: So this is Darrell Gardner. 22 I would add one more thing there, that I think the 23 24 question you're asking really is more along the lines of what we would consider contamination control, it's 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

	115
1	not a confinement function.
2	MEMBER KIRCHNER: Okay. But it's a, let
3	me back off functional containment and just say
4	confinement. But some control, wouldn't your design
5	philosophy try and have a, how should I say it, a
6	barrier such that if you had fission product leakage
7	and/or leakage of Flibe, that you would have some
8	ventilation capability to have ventilation that would
9	be effective. It drives you to have kind of a minimal
10	leakage from that reactor building, right?
11	MR. GARDNER: Darrell Gardner again. Just
12	to reiterate, it would be from the contamination
13	control perspective, not from a dose consequence to
14	the public perspective.
15	MEMBER KIRCHNER: Okay.
16	MR. GARDNER: The Flibe is retaining the
17	fission product. It's
18	MEMBER KIRCHNER: Yes. That's under
19	normal operation considerations. I'm just, I'm trying
20	to think of the fact
21	CHAIRMAN PETTI: But the tritium
22	MEMBER KIRCHNER: you have leakage the
23	tritium is going to come out.
24	CHAIRMAN PETTI: You've got ventilation,
25	right? And you've got a, what do you call it, traps
	I contraction of the second seco

(202) 234-4433

	116
1	to, if there is any tritium in the vapor, in the
2	building.
3	MR. GARDNER: That's correct. There is a
4	non-safety HVAC system. That's why I said, this is
5	part of contamination control and effluent control,
6	it's not a dose consequence control.
7	MR. ZWEIBAUM: So before we move on, I did
8	want to circle back to Dr. Rempe's question about
9	Section 9.8.1. I did look at that section. And we do
10	say that that system is located in the reactor
11	building.
12	So like Brian said, the specific location
13	in the reactor building hasn't been nailed down, but
14	it is in the reactor building.
15	MEMBER REMPE: So thank you for that
16	clarification. I guess then I'm kind of thinking that
17	as part of a construction permit evaluation that it
18	would be behooves to know where it's located and how
19	material would come from the reactor in to some of
20	these facilities because that, I would think, would
21	fall under the purview of what we're thinking about
22	since you're pouring concrete to accommodate this and
23	we're supposed to understand the safety margin, I
24	believe, associated with some of these things.
25	And although we won't have all the
I	1

	117
1	details, it seems like we need to know where it's
2	located. And there is a pathway that's adequately
3	protected. Does that seem reasonable to you?
4	MR. GARDNER: So, this is Darrell Gardner.
5	I'll speak to that quickly. Again, I think the kinds
6	of things that you're broaching over into is worker
7	protection and Part 20 requirements. Which are not
8	traditionally part of the PSAR.
9	We have addressed some bounding effluent
10	considerations, but as we note in the application,
11	those sort of details on things like shielding and
12	contamination control will all be addressed in the
13	FSAR.
14	MEMBER REMPE: Okay. Again, the Staff
15	will help decide this I guess too, but I'm thinking of
16	what we've seen in other construction permits we've
17	reviewed for other NPUFs in recent times. And we at
18	least kind of knew where the various rooms were
19	located in the building for some of the processes
20	involved. But we'll explore that further as we go
21	along in this review.
22	MR. GARDNER: Okay.
23	MR. CILLIERS: I'm going to go. Hi.
24	Thank you for the opportunity. This is Anthonie
25	Cilliers. I'm director for instrumentation controls
I	1

(202) 234-4433

	118
1	and electrical.
2	I'm going to start leading us into the
3	principles that we used to design the system and then
4	we'll move on to have a look at the architecture.
5	I'll also try and address some of the questions that
6	has come up before throughout the presentation, and
7	then we can have a further discussion.
8	Our I&C system is very much designed based
9	on the primary functions of the KP-FHR technology of
10	the reactor that we are designing. These include
11	features like a system so there is no depressurization
12	when you trip. And there's a large heat capacity in
13	the coolant. And pretty slow transients changes
14	inside the reactor itself. And of course, large
15	safety margin for the fuel integrity as well as for
16	the coolant. And these features are very important
17	for us when we were designing our reactor protection
18	system.
19	We have separated our I&C system into
20	various areas. First, we have our reactor protection
21	system. And they have been very deliberate to detect
22	an act on the fundamental metrics that might challenge
23	the integrity of the key system structures and
24	components.
25	And it relies on shutting down systems.

(202) 234-4433

	119
1	So it does rely on active power systems to shut it
2	down. So it relies basically on detect and shutdown
3	of various systems.
4	Then the next one we have is the plant
5	control systems, which is a non-safety-related system.
6	In this area this system relies of exhaust of hosts of
7	additional instruments throughout the plant. And that
8	is used to control plant operation, as well as early
9	detection of component failures to act on that before
10	we move into the safety space or any of the safety,
11	the SSCs integrity is challenged.
12	And we also have an intelligent health
13	monitoring system building. Again, non-safety-
14	related, another safety-related system. This system
15	uses computational technics combined with
16	instrumentation data to detect component degradation
17	over time to assist us with operations and
18	maintenance. And also, keep us further away from
19	safety scenarios.
20	There has been questions about the

There has been questions about the instruments specifically. Our instruments for the plant, for the reactor protection system include discrete level sensing in the core itself. That is an in-house development process that we're going through for custom detection working with the Flibe itself.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

	120
1	We will use thermal measurements in the
2	core. And again, we've been very deliberate in the
3	PSAR not to specifically talk about specific
4	technologies as we are evaluating various options in
5	these areas.
6	Neutron flux measurements as well is
7	inputs to the reactor protection system. At the
8	moment we are analyzing the exact location of them, so
9	you would have seen that some locations already
10	specify these locations to be specified.
11	But we have determined that our power
12	range detectors will most likely be outside of the
13	core. Almost definitely be outside of the core. So
14	is range detection is still, is still something that
15	we are finalizing.
16	And then we will also have indication for
17	a break in the pebble handling line, which is not
18	specified in the PSAR currently, but specific
19	measurement we'll be using there. But we have a
20	couple of different options that we are evaluating.
21	I think we can go to the next slide from
22	here.
23	MEMBER MARCH-LEUBA: Sorry.
24	MR. CILLIERS: Yes.
25	MEMBER MARCH-LEUBA: This is Jose again.

(202) 234-4433

	121
1	The use of ex-core detectors will be outside the core
2	but inside the vessel in the
3	MR. CILLIERS: Outside the vessel.
4	Outside the vessel, yes.
5	MEMBER MARCH-LEUBA: Outside the vessel
6	where the DHRSs are?
7	MR. CILLIERS: Yes. Correct. It's with
8	the bioshield. Yes, likely in the bioshield area
9	outside of the vessel.
10	MEMBER MARCH-LEUBA: We still don't have
11	all the nomenclature of everything you call, but, so
12	it's not going to be in the reflectors it's going to
13	be outside
14	MR. CILLIERS: It's not going to be in the
15	reflector, it's going to be outside the structure of
16	the vessel itself.
17	MEMBER MARCH-LEUBA: Very, very far away
18	from the core?
19	MR. CILLIERS: Yes. Yes. And the
20	temperature is also indicative of that, the
21	temperatures that those instruments will see. So it's
22	much lower temperatures that will be exposed to,
23	compared to what they will, that instruments inside
24	the core will see.
25	MEMBER MARCH-LEUBA: And this core has a

(202) 234-4433

	122
1	relatively low power auxiliary. Have you done some
2	estimates that you have sufficient signal to have to
3	drive the detectors?
4	MR. CILLIERS: Yes, that's correct.
5	That's where that's how we decide on the exact
6	location of these detectors.
7	Of course the source range detectors is a
8	little bit different because it also relies on the
9	size of the source itself and the location. But we
10	are very encouraging information there that they could
11	also probably be moved outside of the vessel itself.
12	CHAIRMAN PETTI: I'm glad you said that
13	MR. CILLIERS: But the analysis
14	CHAIRMAN PETTI: because I was going to
15	recommend that you look at that specifically. I think
16	in these small cores you could even put source range
17	stuff outside of the
18	MR. CILLIERS: Yes.
19	CHAIRMAN PETTI: reactor which would
20	simplify a lot of things.
21	MR. CILLIERS: That's correct. So yes, we
22	will plan that out once we have more information on
23	the analysis from our mod safety (phonetic).
24	MEMBER MARCH-LEUBA: And this is Jose
25	again.
l	1

(202) 234-4433

	123
1	MR. CILLIERS: Yes.
2	MEMBER MARCH-LEUBA: On the cartoons
3	earlier we saw only three detectors for both level and
4	power.
5	MR. CILLIERS: Yes.
6	MEMBER MARCH-LEUBA: Have you decided that
7	you're only going to have three protection channels?
8	MR. CILLIERS: No. At the moment we are
9	deciding between two and three. You will see in the
10	Chapter 7 of PSAR we always expect four channels. So
11	most likely we will move them outside to have four of
12	them.
13	We are planning to have neutron flux
14	mapping inside the core. And those will not be
15	safety-related instruments that may use only the three
16	detectors.
17	MEMBER MARCH-LEUBA: Those are equivalent
18	to the SPDMs or the LPRMs in BWRs?
19	(Simultaneously speaking.)
20	MR. CILLIERS: The flux mapping.
21	MEMBER MARCH-LEUBA: Flux mapping. In
22	BWRs they're called LOCA power range monitors.
23	MS. CROWDER: Yes.
24	MEMBER MARCH-LEUBA: In PWRs they're
25	called SPDMs.
1	I Contraction of the second seco

124
MR. CILLIERS: Yes. So, yes, that's for
flux mapping to determine what the flux shape is
inside the core.
MEMBER MARCH-LEUBA: Okay. Okay.
MEMBER BROWN: Can you back a slide?
MR. CILLIERS: Can I continue?
MEMBER BROWN: Yes. What do you mean a
MR. CILLIERS: Okay, next slide.
MEMBER BROWN: No, no, no, no.
MR. CILLIERS: Oh, sorry.
MEMBER BROWN: Go back to
MR. CILLIERS: Okay, I'm sorry.
MEMBER BROWN: What do you mean by semi-
autonomous control room?
MR. CILLIERS: Oh, I apologize, I should
have continued there. So our control room does not
have any, we do not create any safety functions by
operators. So the control room itself acts as a view
into the reactor and into the plant itself.
So the operators are operating the plant
under normal operational conditions. But it does
and some of the functions of operations is automated.
But the reactor protection system acts
completely separate from the control room itself. So
we are moving away from the relying on operator

(202) 234-4433

	125
1	actions for safety functions.
2	MEMBER MARCH-LEUBA: So what you're saying
3	is that the operators are not relied upon for any
4	safety function?
5	MR. CILLIERS: None at all.
6	MEMBER MARCH-LEUBA: And can you
7	MR. CILLIERS: In the same way we would
8	(Simultaneously speaking.)
9	MR. CILLIERS: Yes, go on.
10	MEMBER MARCH-LEUBA: Yes. Yes, then you
11	would have to worry about the force inside the core.
12	Anything the operator can do to make it go bad.
13	I mean, there are errors of omission and
14	errors of commission. Have you considered those?
15	MR. CILLIERS: Sorry, you have to repeat
16	that, I
17	MEMBER MARCH-LEUBA: There are some things
18	called errors of omission when the operator doesn't do
19	something. And then this error of commission where
20	the operator does the wrong thing.
21	MR. CILLIERS: Yes. I will explain in the
22	next slide what the principles are of that.
23	MEMBER MARCH-LEUBA: Okay.
24	MR. CILLIERS: And then of course on the
25	electrical
1	

(202) 234-4433

126 1 MEMBER REMPE: Excuse me. you Are planning to have the operators licensed by the NRC? 2 MR. CILLIERS: 3 At this stage we are 4 considering that, but we have to consider what is 5 actually the functions of the operators to have them 6 licensed. But yes, we are working through how they 7 will be licensed. 8 MEMBER REMPE: Thank you. 9 Then the last point there MR. CILLIERS: 10 on the electrical supply system, we'll have a slide on that architecture. It's important to say that we, to 11 state that we do not have safety-related electrical 12 supply because we do not rely on the electrical supply 13 14 for any safety functions. And so that's outside of 15 the safety-related scope as well. 16 MEMBER MARCH-LEUBA: Are you planning to 17 have battery backup for monitoring? MR. CILLIERS: We do have batter backup. 18 19 And I'll show that when we get to the layout of the --MEMBER MARCH-LEUBA: 20 Okay. I'll wait then. 21 -- electrical system as 22 MR. CILLIERS: Although it's on safety-related. 23 well. 24 So here is а little bit of a, the 25 principles that we have. As I mentioned, we are very

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

	127
1	deliberate in the fundamental matrix of what we want
2	to measure for the reactor protection system so that
3	we can predict the integrity of the system itself.
4	You'll see on the left-hand side that's a
5	depiction of a operating envelope. The blue area is
6	the pump control system. And that is where the
7	operators is acting within.
8	And that brings us to the point where the
9	question came from the omission of operators or the
10	operators deliberately or by accident doing something
11	incorrectly. As long as the operations, both
12	operational parameters remain inside that blue, the
13	light blue area, the reactor protection system does
14	not intervene and the operators can actually operate
15	and make mistakes if that should happen without
16	challenging the integrity of the system itself.
17	Once it crosses the boundary into the red
18	space, the reactor protection system, those very
19	specific measurements, metrics will determine that the
20	plant is now in a space where it could challenge the
21	plant integrity. And automatically the reactor
22	protection system will intervene and shut the reactor
23	down.
24	At the same time it will also block all
25	operations coming from the plant control systems. So

(202) 234-4433

	128
1	it will take over complete control of the system. And
2	I will show you in the architecture how that is done.
3	Now, you'll see on the right-hand side
4	there is a graph of the different temperatures that
5	we're looking at and different instruments and that
6	will operate in specific ranges.
7	An important point to take away there is
8	our fuel integrity is 1,600 degrees. It's a very,
9	very high temperature, and we're staying far away from
10	that. Flood boiling point temperature is 1,430
11	degrees. Again, very far away from that. As well as
12	the vessel integrity, which is 850 degrees.
13	So our whole analysis of early detection
14	of operations that could challenge that revolves
15	around staying far away from that temperature as well.
16	And so we'll be operating in the range below 700, 705
17	and above 460 degrees.
18	And the real principle of the operating
19	system, of the plant control system is to maintain our
20	operating parameters in that blue boundary. And if it
21	crosses over at any time that's where we will check
22	the reactor. Any questions on that?
23	MEMBER BROWN: Yes.
24	MEMBER REMPE: Yes. Go ahead, Charlie.
25	MEMBER BROWN: Basic reactivity control
	I

(202) 234-4433

	129
1	and plant condition control, is that done by the
2	operator?
3	MR. CILLIERS: Yes. That can be done by
4	the operator inside the blue space.
5	MEMBER BROWN: I heard you use, you said
6	can be.
7	MR. CILLIERS: Well they can be. The
8	plant control system will be automated to maintain
9	that at certain levels. But the operator will be able
10	to control the reactivity inside the blue space. Yes.
11	MEMBER BROWN: So, startups are done
12	automatically. You punch a button, the plant starts
13	up and everybody goes to sleep, is that the way they
14	envisioned it?
15	MR. CILLIERS: No, that's not the way we
16	envisioned it.
17	(Laughter.)
18	MEMBER BROWN: I'm being
19	MR. CILLIERS: We will have a step-by-step
20	approach to get the plant up to temperature. And as
21	soon as we are in the blue space, then the operators
22	will be able to operate it. When the plant is heated
23	up and we can go to criticality.
24	MEMBER BROWN: Is the plant operating
25	condition maintained automatically without any

(202) 234-4433

```
www.nealrgross.com
```

	130
1	operator input? That's all I'm saying. Once you get
2	into the blue space
3	MR. CILLIERS: Yes.
4	MEMBER BROWN: is it hands off?
5	MR. CILLIERS: Not in the blue space. In
6	the blue space the plant conditions will be
7	automatically controlled. But the operators can
8	change those conditions. As long as they remain
9	within the blue space.
10	CHAIRMAN PETTI: But they don't have to,
11	right?
12	MR. CILLIERS: They don't have to, no.
13	CHAIRMAN PETTI: Okay.
14	MR. CILLIERS: We could change modes.
15	There is a number of modes that it can move into. But
16	the operators, as long as they're in the blue space
17	the operators do have autonomy to be able to make
18	decisions in that space.
19	And it's important to note, once they get
20	into the red space the operators do not have any
21	control over what, to change any of those parameters.
22	And I'll explain that. I have a couple of examples in
23	the next slide.
24	MEMBER REMPE: So maybe you're planning to
25	mention this in the next few slides, but in Table 7.2-

(202) 234-4433

	131
1	1 it lists some control parameters. And I just was
2	curious why the coolant level isn't listed as a
3	control parameter?
4	MR. CILLIERS: The coolant level within
5	the vessel itself?
6	MEMBER REMPE: Right. Because it seems to
7	me, again, you want to keep that coolant above the
8	core for natural circulation, as well as for fission
9	product retention.
10	MR. CILLIERS: Right. I will have to have
11	a look at that. I think, I believe the coolant level
12	is maintained through the syphon system, as well as
13	our full drain system. And then of course we've got
14	the trips on low and high level of the coolant. But
15	I will have to have a look, because I think -
16	MEMBER REMPE: Okay. Maybe I missed some
17	things too because it seems like it ought to be there.
18	Thank you.
19	MR. CILLIERS: Yes. Okay. So the next
20	slide you see, this is our architecture. And you see
21	in the PSAR as well.
22	You can see the separation between the
23	blue areas, which is non-safety, and the red areas,
24	which is the safety system. It's really important to
25	note that they are absolutely isolated from one
1	

(202) 234-4433

	132
1	another. And this is achieved in two ways.
2	The reactor protection system in red
3	communications information out through a one-way, we
4	call it a data diode. But the reality is, there is
5	only one-way communication out of the reactor
6	protection system. It does not have hardware that can
7	take signals from the outside.
8	So it's a one-way communication to the
9	operators so that they can see what the indications
10	inside the reactor protection system. The reactor
11	protection system knows about itself and the
12	indications that it's getting from the reactor, which
13	I mentioned before includes the discrete level
14	indication, temperature indication, neutron detection,
15	as well as the DHRS line break. Those indications are
16	used for trips.
17	There is another output from the reactor
18	protection system, which is a slightly different one
19	from normal trips. And that is the DHRS activation.
20	And I think Nico explained some of that earlier on.
21	And what happens with DHRS is, once we've
22	reached a certain power level or accumulated a certain
23	level of fission products in the core, based on the
24	count of the neutron detectors the DHRS will be
25	activated by the reactor protection system
	1

(202) 234-4433

	133
1	automatically and it will be locked so that the
2	operators are unable to deactivate it.
3	After shutdown, should a shutdown occur,
4	if the temperature is, goes low enough, that the
5	reactor protection system will then release that lock
6	so that the DHRS can be deactivated. But although it
7	won't be deactivated automatically. It will just
8	allow deactivation. So that's a spatial nuance to
9	what the reactor protection system does.
10	As for the rest, the reactor protection
11	system, it measures level temperature flux. And based
12	on that it activates the RCCS control safety elements
13	that will drop into the reflector, into the core based
14	on their design using gravity. So it actually removes
15	power from the system to drop those rods.
16	It also removes power from all the active
17	systems that the plant control system is operating.
18	That includes the primary salt pump, the PHSS, the
19	pebble handling system, as well as the other flood
20	coolant systems.
21	It's very much designed around using the
22	DHRS as our active cooling system. Having said that,
23	this is when we reach that great levels in the
24	operating envelop, the plant control system in the
25	blue space has got access to a whole host of
1	•

(202) 234-4433

instruments.

1

2

3

4

5

6

7

And should anything, any failure be detected through those instruments, the plant is also, can also be shut down, or power can be reduced as necessary, long before we reach the level where the reactor protection system is required to intervene. Any questions on that?

8 MEMBER BROWN: Absolutely. I notice in 9 your diagram that all your main plant control systems, 10 all your non-safety control systems, are directly 11 connected to the internet, through gateways and 12 ethernet connections. So a hacker can come in and 13 turn your plant upside down.

14 MR. CILLIERS: That is a really good We talk about that quite a lot. 15 question. It is -we are all feeding information -- or the plant will be 16 17 feeding information to our support systems outside. We rely heavily on the required cybersecurity features 18 19 that we're building in, but the same scenario, if you go one slide back maybe, the -- as long as you stay in 20 the blue side, the blue space, the reactor cannot be 21 turned upside down. The reactor protection system 22 will always intervene if something like that should 23 24 happen.

Go on to the next slide. And you can see

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

25

	135
1	there that the rate system is not connected to any
2	part of the outside world whatsoever. That being
3	said, we are not taking cybersecurity lightly, and
4	implementing all the needed cybersecurity
5	implementations of making sure that yes?
6	MEMBER BROWN: You could make it really
7	clear if you take that cloud away and don't put
8	anything in there. You can assess that issue when you
9	get down to the details.
10	MR. CILLIERS: Yes.
11	MEMBER BROWN: Very heavily detailed.
12	That is I probably shouldn't say anything, but to
13	me, that's totally unacceptable. I'm just passing on
14	one member's conclusion from reading this.
15	MR. CILLIERS: So noted. Thank you.
16	Next slide. Okay, I think this is a bit
17	of animation, so you can go to the first animation.
18	MEMBER BROWN: Can I give you one other
19	observation before you go on?
20	MR. CILLIERS: Sure.
21	MEMBER BROWN: You can go to is this
22	the picture, the next slide?
23	MR. CILLIERS: That's the next slide, it
24	should show pretty much the same system.
25	MEMBER BROWN: Yeah, well, you have the
1	I contraction of the second seco

	136
1	one I've got, Slide 39, shows pictures of operators
2	sitting at screens.
3	MR. CILLIERS: Yes, that's coming up. So
4	that's the animation.
5	So, okay, just to give you an example of
6	the path that we are going through, with our
7	engineering test unit, we are actually building all of
8	these systems and testing them with all the features
9	that we require.
10	So the first animation, that is our flood
11	control system. That is actually being tested right
12	now. That includes controls of the primary salt pump
13	and various others, so basically all the non-safety
14	features.
15	Next slide.
16	MEMBER BROWN: So they're all integrated?
17	MR. CILLIERS: At the moment, they're all
18	integrated, yes.
19	MEMBER BROWN: So one or two processes
20	integrate all the plant-controlled functions into
21	those areas, totally? Even though they're non-safety-
22	related, you've totally integrated that system? So if
23	a box goes up in flames, you're toast?
24	MR. CILLIERS: Yes, but for the reactor
25	system as well, that we will not integrate it in that

(202) 234-4433

	137
1	way. So the functions are separate, but they run on
2	a single box.
3	MEMBER BROWN: I saw that in your non-
4	animation. Go ahead.
5	MR. CILLIERS: Okay. So, at the bottom
6	you can see our instrumentation test unit. That's
7	where we are testing all our salt-wetted instruments
8	at temperature and that's being conducted right now.
9	Next slide. The next one. That is our
10	remote support room where we are sourcing data through
11	from the control system where that's located in
12	our headquarters here in Albuquerque and that's
13	supporting for the engineers to support the operations
14	of the system.
15	Next slide. That's our project control
16	room that's in Albuquerque, New Mexico, where we are
17	developing the human-machine interfaces for the system
18	itself, as well as connecting that to the simulators
19	to test all our operations.
20	Next one. This is a couple just a
21	picture of the different instruments that we are
22	actually implementing in our engineering test unit.
23	You can see the little green one at the bottom right
24	corner. That is our in-house-developed level switch,
25	which uses two probes that, when the Flibe touches the
1	I Contraction of the second

(202) 234-4433

	138
1	two probes, it indicates a level indication. So it
2	operates really fast and it's custom made for the
3	Flibe application specifically.
4	Next slide. We've developed a simulator
5	model that incorporates, at the moment, all the
6	thermal-hydraulic aspects of the system. And it's
7	connected directly to the HMI that we are developing
8	for the operators to use. And this will be used for
9	operator training, as well, as we move on. It will
10	also be expanded to include the neutronics processes
11	as well.
12	The last one. That is our reactor
13	protection system. We are using the HIPS platform
14	that is the license platform by Rock Creek Innovations
15	and we are testing that out as well with all the
16	safety indications. And as I said it's already
17	completely separate from all the other systems.
18	MEMBER BROWN: Are you using the HIPS
19	system right out of the HIPS topical report?
20	MR. CILLIERS: At the moment, yes. We're
21	not making changes from the
22	MEMBER BROWN: With the volatile/non-
23	volatile processors or FTGAs. Okay.
24	(Simultaneous speaking.)
25	MEMBER MARCH-LEUBA: Yes, this is Jose.
I	

(202) 234-4433

	139
1	On the topic picture, I see five work stations in the
2	control room. You don't really expect five operators
3	per reactor, do you?
4	MR. CILLIERS: No, not at all. This is
5	for development purposes. We are most likely going
6	down to three, so the three seats in the front is the
7	operator screens and the two in the back are
8	instructor screens for operation.
9	MEMBER MARCH-LEUBA: And it looks like a
10	control room for operating a reactor for a light-water
11	reactor, right? I would have expected you to be
12	shooting for one operator at most.
13	MR. CILLIERS: We are using iterative
14	development. As we learn more, we will implement
15	those type of reductions.
16	MEMBER MARCH-LEUBA: And that again will
17	be maybe accomplished at the operating license step?
18	MR. CILLIERS: Yes.
19	MEMBER MARCH-LEUBA: We have no idea now.
20	Okay.
21	MR. CILLIERS: Next slide. I think this
22	is the last slide. So this is the indication of our
23	electrical architecture. Our electrical architecture
24	in the PSAR is currently limited to the I level
25	electrical supplies. We don't exactly know all of
	1

(202) 234-4433

1 those blocks what the exact power demands would be and voltages required for each different 2 the one. Important, yes, is I think the question that came 3 4 earlier, you will see there is uninterruptable --5 uninterrupted power supplies supplied to various systems such as the plant control system, the reactor 6 7 protection system, the main control room.

All 8 of those have qot 72-hour 9 uninterrupted power supply capacity. Should we lose complete power, although we do have normal power 10 supply coming in from a feeder from the utility, as 11 well as backup generators with automatic transfers 12 switching between our normal to backup supply, that 13 14 automated transfer switch is specified to transfer 15 power within 20 seconds from the normal supply to the 16 backup supply. And for that reason we have a small, 17 short duration capacity to prevent interruption during the transfer, so that the systems that require power 18 19 do not trip. This is important. They require power to not trip, will not trip during a transfer such as 20 that. 21

If the transfer fails, that 10 to 20 seconds lapses and then they will trip, so the plant will trip without power if they don't have normal, backup power supply.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

	141
1	MEMBER BROWN: You said a time. You said
2	20 seconds?
3	MR. CILLIERS: Yes, that's correct.
4	MEMBER BROWN: So you're going to have
5	enough built-in capacity in whatever systems, they'll
6	hold up during that open period?
7	MR. CILLIERS: Yes. It's a very small
8	power supply that's required. They just keep the
9	relays open.
10	MEMBER BROWN: So you get the backup
11	MR. CILLIERS: Until the backup is
12	running, that's correct, yes.
13	And that's an important point to raise.
14	This is for the safety-related system, but it gives
15	you a better idea of what the architecture looks like
16	to supply the system so that you can monitor for 72
17	hours after complete loss of power, although in most
18	cases our backup for normal power supply will be
19	available.
20	I think that was the last slide. Any
21	questions?
22	MEMBER BROWN: There will be more. This
23	is just an overview, right?
24	MR. CILLIERS: Of course.
25	CHAIRMAN PETTI: This is the end of the
	1 I I I I I I I I I I I I I I I I I I I

(202) 234-4433

	142
1	let's just call it the hardware discussion. And then
2	we're going to transition to safety cases?
3	MR. CILLIERS: Yes.
4	CHAIRMAN PETTI: Maybe this is the right
5	time to take a break then.
6	MEMBER BROWN: Good idea.
7	CHAIRMAN PETTI: So let's come back at 10
8	after the hour.
9	(Whereupon, the above-entitled matter went
10	off the record at 3:51 p.m. and resumed at 4:10 p.m.)
11	CHAIRMAN PETTI: Okay, it's ten after.
12	Kairos, are you ready to continue?
13	MR. PEEBLES: One second. We're pulling
14	up the slides.
15	All right, so last up is Jordan with the
16	safety case.
17	MR. HAGAMAN: All right, good afternoon.
18	My name is Jordan Hagaman. My role is Director of
19	Reliability Engineering at Kairos Power and in the
20	next few slides we'll be discussing the approach to
21	demonstrating margins for nuclear safety for the
22	Hermes construction permit design. I'll explain the
23	approach and the strategy to the design of the safety
24	case, but we're going to rely on other subject matter
25	experts at Kairos to address discipline-specific
1	I Contraction of the second

(202) 234-4433
	143
1	questions.
2	The safety case for the Hermes reactor is
3	described in Chapter 13. First, it's important to
4	understand the overall design of the safety case
5	(audio interference) accident and its relationship to
6	other postulated events.
7	Coming up, we'll talk about specific
8	events in the safety case and further discuss the MHA
9	analysis itself as well as the approach to analyzing
10	the consequences of postulated events.
11	The focal point of the safety case is the
12	maximum hypothetical accident analysis which is
13	presented as a bounding demonstration of margins to
14	the dose limits in Part 100 siting criteria.
15	The MHA is specifically designed to be
16	bounding in a non-physical way which means it's
17	decoupled from many of the specific design details of
18	the future Hermes plant. This should give confidence
19	that the MHA analysis results and conclusions remain
20	consistent over time as the Kairos teams learn from
21	non-nuclear hardware demonstrations and make perfected
22	changes to the Hermes design before it's built.
23	As we'll discuss, the design of the MHA
24	has built in conservatisms that stress the components
25	of the Hermes' functional containment to overestimate

(202) 234-4433

1 the postulated release of radionuclide material in the 2 source term. 3 The maximum hypothetical accident by 4 design bounds the consequences of all postulated 5 events considered for the Hermes safety case. We'll get to the list of postulated events next. 6 7 The list of postulated event groups is 8 comprehensive such that the consequences of any 9 postulated initiating event are bounded by the 10 limiting case in one of those groups or the strategy to preclude or prevent that initiator is described and 11 that's also in Chapter 13. 12 Although the MHA assumptions are largely 13 14 decoupled from the design features of the to be built 15 Hermes, the postulated event analyses will be more 16 dependent on the final design. Because of this, the 17 preliminary safety analysis at the construction permit stage focuses on qualitative descriptions of how the 18 19 transients will be bounded by the performance of the 20 plant. The detailed, quantitative results of 21 safety analysis for the postulated events will provide 22 the final demonstration that the consequences of all 23 24 of the PEs are bounded by the consequences of the MHA. All of that information will be available in support 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

144

1 of the operating license application itself. To get confidence at the construction 2 3 permit stage that the final safety analysis is 4 achievable, acceptance criteria are provided that 5 define figures of merit specific to each postulated event group. These criteria are specifically defined 6 7 as surrogates that will be used to demonstrate that 8 the bounding case for each event group is bounded by 9 the MHA analysis. 10 To begin -- take that to the next slide. introduced earlier, the MHA is the 11 As centerpiece of the Hermes safety case and the MHA is 12 the tool used to quantify margins of safety in the 13 14 preliminary Safety Analysis Report. 15 We'll discuss the actual assumptions and 16 margins for the MHA in the next slide. The other 17 seven groups are postulated events that will be demonstrated to be bounded by the MHA. In each of 18 19 these events, the reactor protection system which we just heard about in the last presentation is available 20 to remove power from key systems to initiate trips of 21 the RCSS, the primary pump, the pebble extraction 22 machine. And passive decay heat removal is available 23 24 to bring the Hermes reactor to a safe state without 25 recourse to operator actions.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

145

1 In each event group, the analysis will leverage the high-thermal margins of the TRISO fuel 2 and of the salt coolant to demonstrate mitigation of 3 4 radionuclide release consequences to lessen those from 5 the MHA. So I'll describe each event class at a 6 7 high level and we can come back to it if there's any 8 questions about the strategy for any of these. 9 CHAIRMAN PETTI: So Jordan, I had a 10 question. If you've seen anything that we've written on the concept of figuring out what events to look at, 11 we talk about starting with a clean sheet of paper and 12 rarely thinking hard about this. 13 14 How much of what you did, did you look at 15 other reactor types? Because, you know, this is a It's neither feast nor foul or whatever 16 unique one. 17 that expression is. For instance, you know, there are a number 18 19 of fast reactor transients that are out there that one could think about for a system like this. There's a 20 pebble bed transients or 21 number of qas reactor transients that have been done on every small gas 22 reactor that's ever been built in the world. 23 24 Did you look at, you know, those sorts of events to come up with a list? Because specifically, 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

5 My perspective here is you quys have an amazingly robust technology because you're marrying 6 7 two really good technologies, TRISO fuel and salt. 8 And you can be bold in some of these events and show 9 how the inherent features of those two technologies 10 keep the design safe, even in some pretty severe events, more severe than what you've looked at. 11 And 12 yet, you haven't done that.

I just personally think that, from a public safety perspective, that would be a very good position, given you guys have really the first advanced non-LWR to come into the system, that you would be able to demonstrate very robustly with events that even are a little bit more severe than what you've considered.

20 MR. HAGAMAN: Thank you for that comment. 21 What we're trying to do with the first nuclear 22 demonstration hardware at Kairos is we're trying to 23 develop a safety analysis that can largely bound a lot 24 of the detailed trade space right now which means that 25 we're trying to decouple the safety analysis from a

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

147

148 1 lot of specific design considerations and further, we're working on a pathway to demonstrate all of our 2 methods. And I believe at this point, it would be too 3 4 much of a step in one iteration trying to go all the 5 way to, for example, usinq inherent reactivity feedback to reduce power without shutdown elements. 6 7 Right now, we think that it's an easier 8 step to credit reactivity shutdown via shutdown 9 elements rather than inherent reactivity feedback and 10 things like that, so we -- we're not looking to be too aggressive with all of our margin at this point with 11 our very first reactor. 12 Is that addressing your question? 13 14 CHAIRMAN PETTI: I understood that. I was 15 thinking, as I read it, well, maybe you guys plan on 16 doing some transient testing in the reactor, like EBR2 17 did, or like the small gas reactors did. But then I'm worried that, in a four-year life, you've got an awful 18 19 lot to do in four years. Those tests take a little bit of time to think about. 20 Are you still even thinking about those 21 sorts of things because they could so well inform the 22 larger one, you know, you're planning the commercial 23 24 one when you're planning down the road. MR. HAGAMAN: So I don't think that I have 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

	149
1	more to offer at this time on whether or not we would
2	be considering that.
3	CHAIRMAN PETTI: Just a member's comment.
4	Something to think about.
5	MR. HAGAMAN: Okay.
6	CHAIRMAN PETTI: Because you guys,
7	probably most of you guys weren't even around in those
8	days. I was here when EBI2 was done in Idaho. I mean
9	it was on the front page of the papers. It made a big
10	impact about the safety of the technology and so it's
11	just something to consider.
12	MR. HAGAMAN: That's a good comment, but
13	at this point we don't have anything in chapter
14	(Simultaneous speaking.)
15	CHAIRMAN PETTI: Right, I saw that.
16	MEMBER REMPE: So this is Joy, and I have
17	a question that is just general. Could you explain to
18	us how you track all the assumptions for, which data
19	don't yet exist, that you used in these analyses? And
20	is there some system that the staff can audit that
21	shows all of these assumptions? And if that list
22	exists, you also have a comment after then that says
23	we're planning to get this data in such and such a
24	facility?
25	MR. PEEBLES: So, just at a high level,

(202) 234-4433

	150
1	to answer your question, this is Drew Peebles. We do
2	have something that is available to the staff to
3	audit. And there is kind of an audit open on Chapter
4	13. I won't get ahead of the staff on their review,
5	but yes, the answer to your question is that
6	information is available to the staff.
7	MEMBER REMPE: And so just generally has
8	the staff been maybe they haven't finished the
9	review enough, but if a list does exist so they can
10	audit it, do they sometimes in some of the
11	interactions that are ongoing they've identified
12	additional assumptions that I mean, is this back
13	and forth yet? Or you haven't gotten that far in the
14	process with the RAIs?
15	MR. PEEBLES: Yeah, I think I better
16	answer those questions after the review is completed.
17	We're still in audit discussions right now.
18	MEMBER REMPE: Okay. Thank you.
19	MR. HAGAMAN: So I was prepared to just
20	speak briefly about what is grouped in each of these
21	postulated event groups for awareness. As a reminder,
22	these are all of the groups that we are, by design,
23	are making sure that our maximum hypothetical accident
24	analysis bounds.
25	So where the MHA is our tool to
	I contraction of the second seco

(202) 234-4433

1 demonstrate margins, these other events, we come up 2 with other methods to show that they are bounded by 3 the MHA and therefore have at least the margin that 4 the MHA demonstrates.

5 So the first group is insertion of access 6 reactivity. This is a group of events that includes 7 reactivity and insertion of events ranging from fuel 8 loading errors to increase in heat removal events and 9 overcooling to phenomena associated with shifting 10 reactor blocks or movement of gas bubbles.

The salt spill events involve a loss of 11 coolant from the primary heat transport 12 primary 13 system. I want to note here that the preliminary 14 Safety Analysis Report deliberately describes events 15 as salt spills and not loss of coolant accidents. We do this to avoid confusing the phenomenology of light-16 17 water reactor LOCAs with the phenomenology of the Hermes reactor where coolant spills have significantly 18 19 less safety significance.

20 MEMBER MARCH-LEUBA: Let's just stop there. Let's stop there. A salt spill is not called 21 What happens if you spill enough salt that 22 a LOCA. you uncover the return path so that your natural 23 24 circulation doesn't work anymore. Again, a LOCA of the return line that goes to the feedwater, I mean the 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

151

	152
1	one that goes to the heat exchanger, if that line
2	breaks down, everything drains through it, not only
3	drain through it, you stop the natural circulation and
4	you have a path out to the vessel for all the
5	MR. HAGAMAN: I understand. The salt
6	spill, we look at the entire spectrum of locations and
7	sizes for leaks including on the cold leg and we have
8	features built into the vessel to break the siphon
9	should a leak in the cold leg happen. So the siphon
10	breaking
11	MEMBER MARCH-LEUBA: How about breaking
12	the hot leg?
13	MR. HAGAMAN: I'm sorry, can you repeat
14	the question?
15	MEMBER MARCH-LEUBA: How about breaking
16	the hot leg?
17	MR. HAGAMAN: Hot leg as well. The
18	features are actually built into I want to make
19	sure I get the terminology correctly, the pump casing
20	itself, I believe, to break the siphon.
21	MEMBER MARCH-LEUBA: So the hot leg is
22	pumped from the pump from the top of the vessel?
23	MR. HAGAMAN: Correct.
24	MEMBER MARCH-LEUBA: What I'm looking for
25	is a possibility of draining the vessel, having a salt

(202) 234-4433

```
www.nealrgross.com
```

	153
1	spill, either through a LOCA or through an inadvertent
2	action of something that will lower the level below
3	and not the circulation.
4	MR. HAGAMAN: So I have a team of people
5	that is also looking for that scenario and we are
6	looking for the list of assumptions where we can say
7	that that is precluded. So we've done a lot of work
8	in that area. The anti-siphon features, limitations
9	on gas entrainment, as well as the trip timing for the
10	pump are all and the elevation of penetrations are
11	all part of the series of design characteristics that
12	we're going to be relying on to preclude that event.
13	MEMBER MARCH-LEUBA: So they will you
14	promised, I think you promised there will be design
15	features that will prevent this, but they don't exist
16	now?
17	MR. HAGAMAN: So Chapter 13 describes what
18	we call the list of prevented events. This is part of
19	the uncooled event where, for whatever reason, we look
20	for all of the ways that we could lose capability to
21	remove to decay through our DHRS system. And that is
22	one of the areas where we're identifying the design
23	features. We've done that at a high level in the
24	preliminary Safety Analysis Report. And what you can
25	expect is as part of the application for an operating
	1

(202) 234-4433

154 1 license, we will have all of the features and controls that include both design features and programmatic 2 3 operational features to ensure that this event stays 4 precluded through the life of the plant. 5 MR. PEEBLES: This is Drew Peebles. Ι have to add that this isn't a pinky promise that this 6 7 is going to happen at the OLA (phonetic). We have hard commitments in the PSAR that we will maintain the 8 Flibe level above the active core for both normal 9 operations and all postulated events. But there is no 10 spill that we've identified that could drain the Flibe 11 below the top level of the active core. 12 MR. GARDNER: This is Darrell Gardner. I 13 14 would also add that currently in the PSAR, for any 15 penetration into the vessel, we have already describe how we address, functionally, any seismic scenarios. 16 17 So if you go and look, for example, Chapter 9 for systems that connect to the vessel, or if you look in 18 19 Chapter 5, which is the inlet and outlet PHCS lines, that's already discussed. 20 I'm looking forward 21 MEMBER MARCH-LEUBA: looking through all of that. 22 I'm looking at to Chapter 15 -- 13 and it's very light on details. 23 24 MR. PEEBLES: So those are event analyses,

25 but again, in the system design you will see the

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

1 discussions of the design features to preclude drain 2 down events. 3 MEMBER MARCH-LEUBA: I don't see anywhere 4 saying I mean you always say keeping the core 5 covered. What you need to say is keeping the natural 6 circulation path covered. 7 MR. PEEBLES: That's also in Chapter 4 8 Chapter 4 has commitments for both natural circulation 9 and keeping the core covered. 10 MEMBER MARCH-LEUBA: We'll look at it in 11 more detail when we review chapter by chapter. Right 12 now, I don't have much hard feeling that everything is 13 I think if you start with assumptions that 14 everything is super safe and work backwards, that's 15 the impression I'm getting. 16 MEMBER REMPE: It does seem like the welds 17 holding the bottom plate of the vessel to the cylinder 18 are going to be very robust to never fail. 19 MR. PEEBLES: Yes, but that's not 20 dissimilar than the light-water reactor vessels. 21 MEMBER REMPE: There are hemispheres and 22 they're welded to di		155
2 down events. 3 MEMBER MARCH-LEUBA: I don't see anywhere 4 saying I mean you always say keeping the core 5 covered. What you need to say is keeping the natural 6 circulation path covered. 7 MR. PEEBLES: That's also in Chapter 4 8 Chapter 4 has commitments for both natural circulation 9 and keeping the core covered. 10 MEMBER MARCH-LEUBA: We'll look at it in 11 more detail when we review chapter by chapter. Right 12 now, I don't have much hard feeling that everything is 13 I think if you start with assumptions that 14 everything is super safe and work backwards, that's 15 the impression I'm getting. 16 MEMBER REMPE: It does seem like the welds 17 holding the bottom plate of the vessel to the cylinder 18 are going to be very robust to never fail. 19 MR. PEEBLES: Yes, but that's not 20 dissimilar than the light-water reactor vessels. 21 MEMBER REMPE: There are hemispheres and 22 they're welded to different locations other than at 23 flat plate. I'm just	1	discussions of the design features to preclude drain
3 MEMBER MARCH-LEUBA: I don't see anywhere 4 saying I mean you always say keeping the core 5 covered. What you need to say is keeping the natural 6 circulation path covered. 7 MR. PEEBLES: That's also in Chapter 4 8 Chapter 4 has commitments for both natural circulation 9 and keeping the core covered. 10 MEMBER MARCH-LEUBA: We'll look at it in 11 more detail when we review chapter by chapter. Right 12 now, I don't have much hard feeling that everything is 13 I think if you start with assumptions that 14 everything is super safe and work backwards, that's 15 the impression I'm getting. 16 MEMBER REMPE: It does seem like the welded 17 holding the bottom plate of the vessel to the cylinder 18 are going to be very robust to never fail. 19 MR. PEEBLES: Yes, but that's not 20 dissimilar than the light-water reactor vessels. 21 MEMBER REMPE: There are hemispheres and 22 they're welded to different locations other than at 23 flat plate. I'm just kind of thinking about it. St <t< td=""><td>2</td><td>down events.</td></t<>	2	down events.
4 saying I mean you always say keeping the core 5 covered. What you need to say is keeping the natural 6 circulation path covered. 7 MR. PEEBLES: That's also in Chapter 4 8 Chapter 4 has commitments for both natural circulation 9 and keeping the core covered. 10 MEMBER MARCH-LEUBA: We'll look at it in 11 more detail when we review chapter by chapter. Right 12 now, I don't have much hard feeling that everything is 13 I think if you start with assumptions that 14 everything is super safe and work backwards, that's 15 the impression I'm getting. 16 MEMBER REMPE: It does seem like the welds 17 holding the bottom plate of the vessel to the cylindes 18 are going to be very robust to never fail. 19 MR. PEEBLES: Yes, but that's not 20 dissimilar than the light-water reactor vessels. 21 MEMBER REMPE: There are hemispheres and 22 they're welded to different locations other than at 23 flat plate. I'm just kind of thinking about it. St 24 don't have an opinion yet. I'm just exploring it.	3	MEMBER MARCH-LEUBA: I don't see anywhere
5 covered. What you need to say is keeping the natural 6 circulation path covered. 7 MR. PEEBLES: That's also in Chapter 4 8 Chapter 4 has commitments for both natural circulation 9 and keeping the core covered. 10 MEMEER MARCH-LEUBA: We'll look at it in 11 more detail when we review chapter by chapter. Right 12 now, I don't have much hard feeling that everything is 13 I think if you start with assumptions that 14 everything is super safe and work backwards, that's 15 the impression I'm getting. 16 MEMBER REMPE: It does seem like the welds 17 holding the bottom plate of the vessel to the cylindes 18 are going to be very robust to never fail. 19 MR. PEEBLES: Yes, but that's not 20 dissimilar than the light-water reactor vessels. 21 MEMEER REMPE: There are hemispheres and 22 they're welded to different locations other than a 23 flat plate. I'm just kind of thinking about it. 3 24 don't have an opinion yet. I'm just exploring it. 25 CHAIRMAN PETTI: Keep on going, Jordan.	4	saying I mean you always say keeping the core
 6 circulation path covered. 7 MR. PEEBLES: That's also in Chapter 4 8 Chapter 4 has commitments for both natural circulation 9 and keeping the core covered. 10 MEMBER MARCH-LEUBA: We'll look at it in 11 more detail when we review chapter by chapter. Right 12 now, I don't have much hard feeling that everything is 13 I think if you start with assumptions that 14 everything is super safe and work backwards, that's 15 the impression I'm getting. 16 MEMBER REMPE: It does seem like the welds 17 holding the bottom plate of the vessel to the cylinder 18 are going to be very robust to never fail. 19 MR. PEEBLES: Yes, but that's not 20 dissimilar than the light-water reactor vessels. 21 MEMBER REMPE: There are hemispheres and 22 they're welded to different locations other than a 23 flat plate. I'm just kind of thinking about it. 32 24 don't have an opinion yet. I'm just exploring it. 25 CHAIRMAN PETTI: Keep on going, Jordan. 	5	covered. What you need to say is keeping the natural
7 MR. PEEBLES: That's also in Chapter 4 8 Chapter 4 has commitments for both natural circulation 9 and keeping the core covered. 10 MEMBER MARCH-LEUBA: We'll look at it in 11 more detail when we review chapter by chapter. Right 12 now, I don't have much hard feeling that everything is 13 I think if you start with assumptions that 14 everything is super safe and work backwards, that's 15 the impression I'm getting. 16 MEMBER REMPE: It does seem like the welds 17 holding the bottom plate of the vessel to the cylinder 18 are going to be very robust to never fail. 19 MR. PEEBLES: Yes, but that's not 20 dissimilar than the light-water reactor vessels. 21 MEMBER REMPE: There are hemispheres and 22 they're welded to different locations other than and 23 flat plate. I'm just kind of thinking about it. I'm 24 don't have an opinion yet. I'm just exploring it. 25 CHAIRMAN PETTI: Keep on going, Jordan.	6	circulation path covered.
8 Chapter 4 has commitments for both natural circulation 9 and keeping the core covered. 10 MEMBER MARCH-LEUBA: We'll look at it in 11 more detail when we review chapter by chapter. Right 12 now, I don't have much hard feeling that everything is 13 I think if you start with assumptions that 14 everything is super safe and work backwards, that's 15 the impression I'm getting. 16 MEMBER REMPE: It does seem like the welds 17 holding the bottom plate of the vessel to the cylinder 18 are going to be very robust to never fail. 19 MR. PEEBLES: Yes, but that's not 20 dissimilar than the light-water reactor vessels. 21 MEMBER REMPE: There are hemispheres and 22 they're welded to different locations other than a 23 flat plate. I'm just kind of thinking about it. I'm 24 don't have an opinion yet. I'm just exploring it. 25 CHAIRMAN PETTI: Keep on going, Jordan.	7	MR. PEEBLES: That's also in Chapter 4.
9 and keeping the core covered. 10 MEMBER MARCH-LEUBA: We'll look at it in 11 more detail when we review chapter by chapter. Right 12 now, I don't have much hard feeling that everything is 13 I think if you start with assumptions that 14 everything is super safe and work backwards, that's 15 the impression I'm getting. 16 MEMBER REMPE: It does seem like the welds 17 holding the bottom plate of the vessel to the cylinder 18 are going to be very robust to never fail. 19 MR. PEEBLES: Yes, but that's not 20 dissimilar than the light-water reactor vessels. 21 MEMBER REMPE: There are hemispheres and 22 they're welded to different locations other than a 23 flat plate. I'm just kind of thinking about it. I'm 24 don't have an opinion yet. I'm just exploring it. 25 CHAIRMAN PETTI: Keep on going, Jordan.	8	Chapter 4 has commitments for both natural circulation
10 MEMBER MARCH-LEUBA: We'll look at it in 11 more detail when we review chapter by chapter. Right 12 now, I don't have much hard feeling that everything is 13 I think if you start with assumptions that 14 everything is super safe and work backwards, that's 15 the impression I'm getting. 16 MEMBER REMPE: It does seem like the welds 17 holding the bottom plate of the vessel to the cylinder 18 are going to be very robust to never fail. 19 MR. PEEBLES: Yes, but that's not 20 dissimilar than the light-water reactor vessels. 21 MEMBER REMPE: There are hemispheres and 22 they're welded to different locations other than a 23 flat plate. I'm just kind of thinking about it. I'm 24 don't have an opinion yet. I'm just exploring it. 25 CHAIRMAN PETTI: Keep on going, Jordan.	9	and keeping the core covered.
11 more detail when we review chapter by chapter. Right 12 now, I don't have much hard feeling that everything is 13 I think if you start with assumptions that 14 everything is super safe and work backwards, that's 15 the impression I'm getting. 16 MEMBER REMPE: It does seem like the welds 17 holding the bottom plate of the vessel to the cylinder 18 are going to be very robust to never fail. 19 MR. PEEBLES: Yes, but that's not 20 dissimilar than the light-water reactor vessels. 21 MEMBER REMPE: There are hemispheres and 22 they're welded to different locations other than a 23 flat plate. I'm just kind of thinking about it. I 24 don't have an opinion yet. I'm just exploring it. 25 CHAIRMAN PETTI: Keep on going, Jordan.	10	MEMBER MARCH-LEUBA: We'll look at it in
 now, I don't have much hard feeling that everything is I think if you start with assumptions that everything is super safe and work backwards, that's the impression I'm getting. MEMBER REMPE: It does seem like the welds holding the bottom plate of the vessel to the cylinder are going to be very robust to never fail. MR. PEEBLES: Yes, but that's not dissimilar than the light-water reactor vessels. MEMBER REMPE: There are hemispheres and they're welded to different locations other than a flat plate. I'm just kind of thinking about it. I CHAIRMAN PETTI: Keep on going, Jordan. 	11	more detail when we review chapter by chapter. Right
 13 I think if you start with assumptions that everything is super safe and work backwards, that's the impression I'm getting. 16 MEMBER REMPE: It does seem like the welds 17 holding the bottom plate of the vessel to the cylinder 18 are going to be very robust to never fail. 19 MR. PEEBLES: Yes, but that's not 20 dissimilar than the light-water reactor vessels. 21 MEMBER REMPE: There are hemispheres and 22 they're welded to different locations other than a 23 flat plate. I'm just kind of thinking about it. 3 24 don't have an opinion yet. I'm just exploring it. 25 CHAIRMAN PETTI: Keep on going, Jordan. 	12	now, I don't have much hard feeling that everything is
 everything is super safe and work backwards, that's the impression I'm getting. MEMBER REMPE: It does seem like the welds holding the bottom plate of the vessel to the cylinder are going to be very robust to never fail. MR. PEEBLES: Yes, but that's not dissimilar than the light-water reactor vessels. MEMBER REMPE: There are hemispheres and they're welded to different locations other than a flat plate. I'm just kind of thinking about it. 3 don't have an opinion yet. I'm just exploring it. CHAIRMAN PETTI: Keep on going, Jordan. 	13	I think if you start with assumptions that
15 the impression I'm getting. 16 MEMBER REMPE: It does seem like the welds 17 holding the bottom plate of the vessel to the cylinder 18 are going to be very robust to never fail. 19 MR. PEEBLES: Yes, but that's not 20 dissimilar than the light-water reactor vessels. 21 MEMBER REMPE: There are hemispheres and 22 they're welded to different locations other than a 23 flat plate. I'm just kind of thinking about it. 2 24 don't have an opinion yet. I'm just exploring it. 25 CHAIRMAN PETTI: Keep on going, Jordan.	14	everything is super safe and work backwards, that's
MEMBER REMPE: It does seem like the welds holding the bottom plate of the vessel to the cylinder are going to be very robust to never fail. MR. PEEBLES: Yes, but that's not dissimilar than the light-water reactor vessels. MEMBER REMPE: There are hemispheres and they're welded to different locations other than a flat plate. I'm just kind of thinking about it. I'm don't have an opinion yet. I'm just exploring it. CHAIRMAN PETTI: Keep on going, Jordan.	15	the impression I'm getting.
 holding the bottom plate of the vessel to the cylinder are going to be very robust to never fail. MR. PEEBLES: Yes, but that's not dissimilar than the light-water reactor vessels. MEMBER REMPE: There are hemispheres and they're welded to different locations other than a flat plate. I'm just kind of thinking about it. I'm don't have an opinion yet. I'm just exploring it. CHAIRMAN PETTI: Keep on going, Jordan. 	16	MEMBER REMPE: It does seem like the welds
18 are going to be very robust to never fail. 19 MR. PEEBLES: Yes, but that's not 20 dissimilar than the light-water reactor vessels. 21 MEMBER REMPE: There are hemispheres and 22 they're welded to different locations other than a 23 flat plate. I'm just kind of thinking about it. I'm 24 don't have an opinion yet. I'm just exploring it. 25 CHAIRMAN PETTI: Keep on going, Jordan.	17	holding the bottom plate of the vessel to the cylinder
19MR. PEEBLES:Yes, but that's not20dissimilar than the light-water reactor vessels.21MEMBER REMPE:There are hemispheres and22they're welded to different locations other than a23flat plate.I'm just kind of thinking about it.24don't have an opinion yet.I'm just exploring it.25CHAIRMAN PETTI:Keep on going, Jordan.	18	are going to be very robust to never fail.
20 dissimilar than the light-water reactor vessels. 21 MEMBER REMPE: There are hemispheres and 22 they're welded to different locations other than a 23 flat plate. I'm just kind of thinking about it. 3 24 don't have an opinion yet. I'm just exploring it. 25 CHAIRMAN PETTI: Keep on going, Jordan.	19	MR. PEEBLES: Yes, but that's not
21 MEMBER REMPE: There are hemispheres and 22 they're welded to different locations other than a 23 flat plate. I'm just kind of thinking about it. 2 24 don't have an opinion yet. I'm just exploring it. 25 CHAIRMAN PETTI: Keep on going, Jordan.	20	dissimilar than the light-water reactor vessels.
22 they're welded to different locations other than a 23 flat plate. I'm just kind of thinking about it. 2 24 don't have an opinion yet. I'm just exploring it. 25 CHAIRMAN PETTI: Keep on going, Jordan.	21	MEMBER REMPE: There are hemispheres and
 flat plate. I'm just kind of thinking about it. don't have an opinion yet. I'm just exploring it. CHAIRMAN PETTI: Keep on going, Jordan. 	22	they're welded to different locations other than a
24don't have an opinion yet. I'm just exploring it.25CHAIRMAN PETTI: Keep on going, Jordan.	23	flat plate. I'm just kind of thinking about it. I
25 CHAIRMAN PETTI: Keep on going, Jordan.	24	don't have an opinion yet. I'm just exploring it.
	25	CHAIRMAN PETTI: Keep on going, Jordan.

(202) 234-4433

156 1 MR. HAGAMAN: All right, so as discussed, salt spills include the spectrum of leak sizes and 2 3 locations throughout the non-safety-related primary 4 coolant system where we leave off. The loss of forced 5 circulation is an event group that includes a range of events from mechanical or electronic failures of the 6 7 primary pump during operation to flow blockages in the primary coolant system, all the way to just normal 8 loss of -- normal heat sink events or even a loss of 9 10 power. Those are all grouped under loss of forced circulation. 11 The mishandling or malfunction of pebble 12 handling in storage systems, this is a group of events 13 14 that includes pebble transfer line breaks for lines 15 that bring the pebbles into the empty core or the at-16 power core, all the way to the lines transferring So we look at the 17 pebbles to storage containers. potential for malfunctions or breaks in all of the 18 19 lines there. The radioactive release from a subsystem 20 or component. This is a standard category from NUREG-21 For Hermes, it includes faults in 22 1537 for an FHR. the tritium management system, the inert gas system, 23 24 chemistry control, inventory management. General challenges to normal operation 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

includes spurious control system trips, inadvertent operator actions. There's a suite of possible events that you could expect inside of what Anthony in the last presentation showed as his blue box. All of these events we expect to be bounded by the worst event and the loss of forced circulation.

7 And the internal and external hazard 8 events, this largely goes back to Chapter 2 of the 9 preliminary Safety Analysis Report in Brian Song's 10 presentation from earlier today where internal fire, internal and external floods, seismic, high winds are 11 all evaluated against their potential to interrupt the 12 function of safety-related SSEs. We build that into 13 14 the design basis.

15 So we're ready to jump into the slide 16 about the maximum hypothetical accident. So in order 17 to demonstrate in the construction permit application that the Hermes maximum hypothetical accident is, in 18 19 fact, a sufficiently conservative hypothetical event, the PSAR points out specific, non-physical assumptions 20 that are meant to challenge the elements of functional 21 containment, namely, that's to drive the fusion of 22 radionuclides through TRISO layers and to increase the 23 24 evaporation of radionuclides from the free surface of the Flibe coolant itself. 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

157

1

2

3

4

5

6

The MHA analysis presented in Chapter 13 heavily leverages the methodology for -- that was in the source term topical report that was under ACRS review last year. That's KP-TR-012. The specific assumptions include pre-transient diffusion of radionuclides as neglected. This takes a little bit of explanation.

This assumption maximizes the amount of 8 material at risk which accounts for inside the TRISO 9 10 fuel itself. By neglecting the fact that during normal operations, material will naturally transport 11 and diffuse through TRISO barriers in steady state 12 before a transient condition which would deplete that 13 14 source of material at risk. We neqlect that 15 phenomenon to maximize the amount of material at risk in the fuel. 16

17 But at the same time, the amount of material at risk assumes in the salt itself, reflects 18 19 an upper bound of the opposite assumption where a maximal amount of material diffuses in steady state 20 from the fuel to the salt. So we have a hypothetical 21 22 position of these two assumptions that super effectively double counts for the material that would 23 24 move from the fuel to the salt during normal So for the accident analysis, rather than 25 operation.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

1

2

3

4

5

6

7

	159
1	making a choice between in the fuel or in the salt,
2	that material is both in the fuel and in the salt for
3	the purposes of a hypothetical accident.
4	Hypothetical temperature histories are
5	presented in Chapter 13. These are specifically
6	designed to drive radionuclide release from the TRISO
7	fuel where diffusion happens at a higher rate at
8	higher temperature to drive radionuclides from the
9	graphite structures and to drive radionuclides from
10	the Flibe salt coolant where evaporation of different
11	species is higher with higher temperatures.
12	These are artificial, prescribed, flat
13	temperature profiles and while they drive the release
14	of radionuclides and the MHA, they also are important
15	input to the definition of figures of merit for the
16	postulated event analyses.
17	The next assumption has to do with the gas
18	base itself. And essentially everything that leaves
19	the free surface of the Flibe coolant is free to
20	transport to the site boundary in analysis space with
21	minimal reliance on the confinement of radionuclides
22	within the gas boundary itself and within the reactor
23	building itself. And so we minimize reliance on
24	retention in any physical structures and we in the
25	analysis presented in Chapter 13 are mostly focused on
	I

(202) 234-4433

160 1 the mitigative capability of both the TRISO fuel and the salt. 2 3 Lastly, there's tritium modeling. We take 4 a conservative approach in two ways. First, the 5 tritium content that is inside the salt coolant and inside the carbon matrix of the pebbles is assumed to 6 hypothetically puff release at the beginning of the 7 8 transient. That's а very non-mechanistic, 9 hypothetical way to treat that material at risk. 10 The second way is the tritium content within the graphite reflector structure itself is 11 released by a bounding diffusion model that's driven 12 by a time and temperature curve which is also in 13 14 Chapter 13. So the table at the bottom of the slide 15 shows the demonstration of margins of safety for the 16 17 Hermes reactor that's presented in Chapter 13. Our criteria is the siting criteria in Part 100. That 18 19 includes the limit on whole body dose at the boundary which is 25 rem for the worse two hours of the 20 And also, thyroid dose has a limit of 300 21 accident. 22 rem. Against these limits, the Hermes safety 23 24 analysis demonstrates over 24 rem margin to the whole body limit and over 299 rem to the thyroid dose limit. 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

	161
1	Before I move on to the next slide, are
2	there questions?
3	CHAIRMAN PETTI: Just a quick question.
4	You guys are the first ones really employing
5	functional containment and there's not a lot of
6	details here in the PSAR, you know. There's a jump
7	from the topical report on source term to this. We
8	will be identifying cross-cutting issues and although
9	your numbers are low and I sort of don't I think
10	based on what you're saying they kind of make sense to
11	me.
12	Will there be a document that we could
13	look at to look at the release faction from the TRISO
14	or the release faction from the salt, something that
15	puts the pieces together?
16	I just think not from a standpoint of
17	did you do it right, but because you're the first
18	using the functional containment, having some of that
19	data out there and having the ACRS being able to make
20	a statement about that I think is important. And it's
21	something that probably would only have to come
22	through in an RAI would be my guess. So it's also a
23	note to the staff.
24	I think, you know, given you guys are the
25	first, there might be some value there.
	1

(202) 234-4433

	162
1	MR. HAGAMAN: I appreciate the comment.
2	The specific details are not in the Preliminary Safety
3	Analysis Report. I don't want to get too far ahead of
4	the NRC staff's review of what they think is adequate
5	to substantiate it, but I do appreciate the comment
6	and I do recognize that this is the first application
7	to use the functional containment and those details
8	are they certainly are of interest to us
9	internally and of interest on the on-going NRC review
10	and I think that's as far as I can take it right now.
11	CHAIRMAN PETTI: No, that's fine. It's
12	out there. Thanks.
13	MR. HAGAMAN: All right, so the last
14	slide, very briefly, as we discussed already, the
15	methodology and the sample results of the postulated
16	event analysis were provided with the expectation
17	again that the real quantitative results, based on a
18	more final version of the design will be available in
19	support of the operating license application.
20	The postulated event methods are provided
21	in the report KP-TR-018. You'll also see in there
22	some sample calculations that illustrate how the
23	methods will work to demonstrate that the events are
24	bounded by the consequences of the maximum
25	hypothetical accident analysis.

(202) 234-4433

163 1 For each postulated event group, acceptance criteria are defined and reported in both 2 3 Chapter 13 and in that postulated event technical 4 report. The acceptance criteria defined for the 5 figures of merit and these criteria will ensure that the limiting case in each group has consequences that 6 7 are bounded by the MHA where we're demonstrating our dose margins, meaning that the safety case relies on 8 9 surrogate criteria rather than full dose consequence 10 analysis for each minor event in the safety case. stated earlier, validation of 11 As the models and the detailed final analyses of the specific 12 postulated event groups will be available in support 13 14 of the operating license application. Thank you for your time. 15 I look forward 16 to questions now and during the review later this 17 year. MEMBER REMPE: Dave, this is Joy. I have 18 19 a question for you. I got assigned, I believe, the event analysis review and Walt's assigned to the 20 Chapter 13 review and I think these two reviews are 21 very closely related. 22 Can we plan to our discussion on them at 23 24 the same time when we qo through the future assignments or schedule? 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

	164
1	CHAIRMAN PETTI: So 13 and which one?
2	MEMBER REMPE: This KP-TR-018.
3	CHAIRMAN PETTI: Oh, right, right, right,
4	right. Yes, yes, yes.
5	MEMBER REMPE: And I don't know if the
6	staff is doing a SC on the topic report or the
7	technical but I don't think they usually do. But
8	let's do them together.
9	CHAIRMAN PETTI: Yes, no, I think there's
10	a lot of things where the order in which we do things
11	will be important, so we need to work with the staff
12	on that.
13	MEMBER REMPE: Okay. Thank you.
14	CHAIRMAN PETTI: So we don't drag it out.
15	Yes. I see Vicki has her hand up.
16	MEMBER BIER: Yeah. Vicki Bier. Quick
17	comment. This is really just following up on the
18	discussion with Jose earlier about the detailed design
19	features that preclude various types of events.
20	I don't want to make too big a deal out of
21	the wording, but the language that was used is, we are
22	looking for assumptions that allow us to preclude.
23	And really, the thought process should be, we are
24	looking for possible paths by which this could happen,
25	by which you could get in trouble, and then preclude
	I

(202) 234-4433

165
those paths.
And I don't think it's what you're doing,
but there's a risk that if you're trying too hard to
prove what you want to be true, you may prove it even
though it's not true. So just a caution on that, but
not a big concern at this point.
MEMBER MARCH-LEUBA: Yeah. And this is
Jose. This is what we've been calling start with a
blank sheet, and that always means a blank sheet is
having a questioning attitude: what can possibly go
wrong? And it's not clear that we are having that, to
me.
So, certainly, with the detail available
for example, this anti-siphoning (phonetic) thing
that we've been taking credit for, there's a circular
logic in the PSAR. Chapter 5.3 goes to 4.3, who goes
to 12.2, who goes to eventually back to 4.3 and
another describes. Yeah. There will be lots of
questions when we go over chapter by chapter.
MR. HAGAMAN: Thank you for the comments.
CHAIRMAN PETTI: Okay. So, just before we
you guys will be done, right? We'll be
transitioning to the staff next, this
MR. HAGAMAN: Yes.
CHAIRMAN PETTI: Yeah. I just want to put

(202) 234-4433

	166
1	on the record that I particularly like your technology
2	development path, that slide, your testing, testing,
3	testing. I think that's it's going to inform the
4	design tremendously and fill in a lot of gaps. I
5	mean, some of the stuff, not until you get to Hermes
6	will you really know. But for a facility that's never
7	been built, for a technology that's never been built
8	before, I think it's commendable the approach you guys
9	are using.
10	With that, let's get the staff up because
11	we are really running out of time. My guess is that
12	we'll be done before 5:30, hopefully, but we're
13	probably going to go over a little bit.
14	MR. HELVENSTON: Yeah. This is Ed
15	Helvenston with the staff. I'm trying to get the
16	slides loaded up now. Are they showing up okay?
17	CHAIRMAN PETTI: Yep.
18	MR. HELVENSTON: Okay. Perfect. I'll go
19	ahead and get started, then. My name is Ed
20	Helvenston. I'm from the Non-Power Production and
21	Utilization Facility Licensing Branch in the Division
22	of Advanced Reactors and Non-Power Production
23	Utilization Facilities in the NRC's Office of Nuclear
24	Reactor Regulation.
25	I'm one of the three project managers for
	I Construction of the second se

(202) 234-4433

the staff's safety review of Kairos's construction permit application. And I'd like to follow the technical presentations we just heard with a staff presentation in which I'll give a brief overview of the staff's review process and schedule, and I'll also try to touch on a few other important topics relevant to the staff's review of a construction permit 8 application for a non-power testing facility.

9 So, as you know, the NRC's receipt and 10 review of applications for construction and operation of new reactors based on novel technologies, such as 11 Hermes, is an important milestone in the success of 12 advanced nuclear technologies in the U.S. 13 Although 14 it's the responsibility of Kairos as the Applicant, 15 and other designers, to demonstrate the safety of their designs, the NRC staff must perform its mission 16 of independently reviewing the safety of these designs 17 in an efficient and effective manner. 18

19 Accordingly, the staff's review of а design such as Hermes will be focused on the matters 20 that are most safety significant. The scope of the 21 staff's review of a design is commensurate with the 22 risk posed by a design. Performing an efficient and 23 24 effective review of a design such as Hermes warrants innovative and novel approaches. 25

> **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

1

2

3

4

5

6

7

1 So, in terms of overall responsibility for the staff review of the Hermes application, this lies 2 with the Division of Advanced Reactors and Non-Power 3 4 Production Utilization Facilities, also known as DANU, 5 which is in the NRC's Office of Nuclear Reactor 6 Regulation. So DANU has primary responsibility for 7 licensing activities for all 10 CFR Part 50 testing 8 facilities, including non-power testing facilities 9 using advanced technologies such as Hermes. One example of an innovative and novel 10 approach that the staff is using for the Hermes review 11 12 is the staff's core team approach. To support an efficient and effective review, what the staff has 13 14 done is we've assembled a core review team of near 15 full-time and significant part-time staff, which includes two advanced reactors project managers from 16 17 DANU, a non-power reactor project manager from DANU -myself -- technical reviewers from DANU, as well as an 18

19 attorney from OGC.

In lieu of divvying specific review areas among a wider array of technical reviewers as we've done with many reviews in the past, in the core team approach, we have DANU technical reviewers with significant advanced reactor technology expertise who are taking responsibility for broader portions of the

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

168

169 1 application as well as gaining an understanding of the overall design. 2 3 The types of technical topics that are 4 being reviewed by the DANU core team include many of the topics that are integral to the reactor design, 5 such as thermal and structural analysis, fuel and core 6 7 design, and accidents. Some of the other types of topics that are being reviewed outside the core team, 8 9 similar to a more traditional approach by subject-10 matter experts, include areas such as, for example, fire protection, 11 quality assurance, site characteristics, and emergency planning. 12 CHAIRMAN PETTI: Ed, just a question. 13 14 MR. HELVENSTON: Yeah. 15 Is reactor physics sort CHAIRMAN PETTI:

of a subset of one of those things you had on -- items on the previous slide? Is it in, like, fuels or in --(Simultaneous speaking.)

MR. HELVENSTON: I'm not sure that it really fits into any of the ones here. These are just example topics. I wouldn't call this an exhaustive list.
CHAIRMAN PETTI: Okay. Just with a moving

fuel system, again, it's the first time the staff has seen it. I think we want somebody that understands

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

	170
1	physics and shut-down margins and all those physics-y
2	things.
3	MR. HELVENSTON: Absolutely. We're
4	certainly looking at those areas as part of our
5	review.
6	CHAIRMAN PETTI: Great. Thanks.
7	MR. HELVENSTON: So, in terms of NRC
8	licensing of non-power reactors, a 10 CFR Part 50
9	license for a non-power reactor could either be issued
10	as a Class 103 license for a commercial facility or a
11	Class 104(c) license for a research and development
12	facility.
13	In accordance with the NRC regulations in
14	the Atomic Energy Act as amended, any Class 104(c)
15	facility must be useful in the conduct of research and
16	development activities of certain types that are
17	specified in Section 31 of the Atomic Energy Act. The
18	specific distinctions between 103 and 104(c) are based
19	on certain financial tests that are described in NRC
20	regulations in the AEA about how much the cost of
21	operating a facility is spent on and recovered from
22	commercial activities as opposed to R&D activities.
23	And in its construction permit
24	application, Kairos has stated it plans to apply for
25	a Class 104(c) utilization facility operating license.

(202) 234-4433

1711 And accordingly, the staff is conducting its review of application consistent the with 2 Hermes С the requirement that's given in Section 104(c) of the AEA 3 4 that in order to permit the conduct of widespread and 5 diverse research and development, the Commission imposed only the minimum amount of regulation needed 6 7 to permit it to fulfill its obligations to promote 8 common defense and security and protect health and 9 safety. 10 So types of non-power reactors that are defined in NRC regulations include both research 11 reactors and testing facilities. A testing facility 12 as defined in Part 50 is a reactor designed to operate 13 14 at a thermal power in excess of 10 megawatts or in 15 excess of 1 megawatt if the reactor is to contain certain features. 16 17 A research reactor is, in general, a nonpower reactor that is not a testing facility, for 18 19 its thermal power is below example, because 10 Per the Part 50 definition, a testing 20 megawatts. facility may also be a reactor of the type described 21 in 10 CFR 50 21(c), in other words, a Class 104(c)22

24 development.

25

23

Many of the prescriptive requirements in

facility that is useful in the conduct of research and

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

1 10 CFR Part 50 are only applicable to nuclear power reactors and therefore do not apply to non-power 2 3 research reactors and testing facilities. However, 4 testing facilities are subject to the siting 5 requirements, including accident reference doses in 10 CFR Part 100. 6

7 Testing facilities are also subject to a 8 few 10 CFR Part 50 requirements that do not apply to 9 research reactors, including a requirement for ACRS 10 review of CP and operating license applications, as well mandatory Commission hearings for CP 11 as applications. 12

This slide just gives a brief overview of 13 14 the licensing process for a testing facility such as 15 The process is generally similar during the Hermes. 16 CP and OL application reviews. When an application is 17 received, the staff first performs an acceptance review of the application to determine whether the 18 19 application contains sufficient information in scope and depth for the staff to begin its detailed 20 technical review of the application. 21

Once an application is accepted, the staff begins its separate safety and environmental reviews in parallel. For the CP, the product of these reviews is a safety evaluation report, or SER, and

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

	173
1	environmental impact statement, or EIS. And for the
2	OL, another SER and EIS supplement are prepared.
3	Once the staff completes its safety review
4	and SER for a CP or OL, ACRS meetings are held, and
5	following the ACRS review and issuance of the ACRS
6	letter to the Commission, a Commission or Atomic
7	Safety and Licensing Board, if delegated by the
8	Commission, hearings are held on the Commission as
9	applicable.
10	For a CP, a mandatory hearing required by
11	10 CFR 50.58 is held on the sufficiency of the staff's
12	safety and environmental reviews for issuance of a CP.
13	In addition, for either a CP or OL, there is a
14	potential for separate contested hearings on the
15	staff's safety or environmental reviews if requested
16	by interveners. Following any hearing or hearings, a
17	decision is made to grant or deny a permit or license.
18	So, as consistent with the minimum
19	regulation requirement that I mentioned in Section
20	104(c) of the Atomic Energy Act, and also consistent
21	with the need to perform an efficient and effective
22	review of the Hermes CP application, the staff will
23	perform a risk-informed review in that its review
24	depth and scope will be commensurate with the safety
25	significance of areas under review in the application.
	1

(202) 234-4433

The staff is maintaining a big-picture safety perspective of the Hermes design and is tailoring the scope and level of detail review based not only on the small size of Hermes but also on the anticipated strong safety case and low radiological consequences and considering that the application is a CP application for a testing facility.

The staff is also tailoring its review to 8 9 the unique and novel Hermes technology described in 10 the CP application. The staff is using NUREG-1537, which the licensing quidance 11 is for non-power in performing its review. NUREG-1537 is 12 reactors, be technology neutral 13 designed to and provides 14 flexibility for a review such as the Hermes review. addition, 15 NUREG-1537 Part which provides In 1, guidance to applicants, is the guidance that Kairos 16 17 used in preparing its CP application.

MEMBER KIRCHNER: Edward, this is Walt Kirchner. Just a rhetorical question on your previous slide, and you had mentioned this earlier, that you look at the risk posed by a new applicant. So this comment is independent of Hermes. In general, how do you assess that risk going in?

24 What I mean is you have an advanced 25 reactor concept that hasn't been built and operated

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

1

2

3

4

5

6

7

previously. The risk is two things. One is the frequency of potential for something to go wrong, and the second part is the consequences. So, when you talk risk in this sense, it seems to me you're using that as a surrogate for the source term, essentially, that the reactor has -- in other words, the thermal power. Is that how you look at risk, or how do you 8 make that screening decision?

9 The thermal power MR. HELVENSTON: is 10 certainly one factor that you look at, but I don't think we'd want to limit it to thermal power. Other 11 things would be the technology that they're using, and 12 in the case of Hermes, we're looking at the functional 13 14 containment concept and the idea that the Flibe and the fuel will be able to retain fission products. 15

And it's a combination of the factors that 16 17 you're looking at, really, in determining the overall risk and scaling the review of specific areas of the 18 19 facility appropriately with that. Yeah. I think you would consider a wide range of factors in scaling your 20 review. 21

I'd say the staff would start with -- we 22 can start with an assumption of low risk, and we can 23 24 work with that, but certainly as we do our review, that's something that we need to verify. 25 And if we

> **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

1

2

3

4

5

6

7

	176
1	find something that changes that assumption, then
2	maybe that's something that we need to go back and
3	take a closer look at.
4	MEMBER KIRCHNER: Thank you.
5	CHAIRMAN PETTI: Vesna, you have a
6	question?
7	MEMBER DIMITRIJEVIC: Yes. I have a
8	question related to this because I'm always ready
9	when we say risk informed, we should really define
10	what risk we are talking about because if it's risk
11	informed, then it has to base on some metrics, right?
12	So, now, in your answer you gave so many of the
13	general you know, thermal energy, thermal power,
14	the containment.
15	And we were expecting there will be dose
16	related. So when you're doing this review, how are
17	you looking at this? Do you say, for example, that
18	your main metrics is, for example, vessel integrity
19	and foil integrity, or your main metrics is dose, or
20	your main metrics is challenges to this, or you are
21	or maybe when you're doing review, you're just looking
22	in the safety systems and accident analysis.
23	How are you positioning yourself in this
24	review? What is your metrics when you're talking
25	safety this because there is no risk measures and
	1

(202) 234-4433

ĺ	177
1	there is no risk relative ranking of the systems. So
2	what is your risk metrics?
3	MR. HELVENSTON: Well, I think at the end
4	of the day, the risk metrics we're really looking at
5	is health and safety. And that's quantified through
6	what the prospective dose could be. But we have to
7	look at a number of things kind of intermediately to
8	get there. We're certainly looking at the safety
9	systems that any mitigation functions they have and
10	the technology and how it's designed for mitigation.
11	MEMBER DIMITRIJEVIC: Okay. So it would
12	all right. So you're basically looking in the
13	mitigation of the maximum accident or all other
14	accidents which are considered okay. That will be
15	interesting to follow when we go through the review;
16	how did you position yourself in this prioritization
17	of the review? Okay. Well, something to think about.
18	Thanks.
19	MEMBER REMPE: So I have a question, and
20	I'm afraid I'm going to misquote what the Applicant
21	said. But they said they didn't ask for a finding on
22	safety at this time; they wanted a finding with
23	respect to how much margin would be required by the
24	staff.
25	And could you elaborate what, if I'm

(202) 234-4433

178 probably misquoting exactly what they said, but how you plan to do that? For example, if it were on the dose to the 10 CFR 100 limits, are you going to say, okay, you got to have at least a factor of 100 because there's so much uncertainty in the data? Or what is it they're asking for, and then how are you going to plan to get there is what I'm curious. MR. HELVENSTON: I don't want to speak for Kairos, but they haven't requested final approval of any portion of their design in this application. So we're not approving a final design as any part of our CP review, at least with what's been requested at this I do have a slide a couple slides from now -- I will talk a little bit about the findings that we are looking to make for a construction permit and kind of how we determine what we need to look at in the CP versus what we reasonably believe can be put off till

the OL, if that might be helpful.

MEMBER REMPE: I took a peek at that, but 20 I didn't see what -- I thought I heard them saying --21 maybe they can speak up and clarify if I'm misquoting 22 them, but I thought that the guy that was the head of 23 24 the licensing came in when Jose was asking questions, 25 and he said, oh, we're not asking for a finding of

> **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

point.
	179
1	approval of the design with respect to safety. We did
2	ask for something with respect to how much margin the
3	staff would want.
4	And I was real curious because I wasn't
5	sure of that. But you've not done anything in your
6	last slide with respect to how much margin you're
7	expecting them to come in with that I can see.
8	MR. HELVENSTON: Yeah. I don't remember
9	the specific comment from Kairos. See, and if anyone
10	from Kairos wants to speak up and clarify, that's
11	fine.
12	MEMBER REMPE: Yeah. They asked for three
13	things, they said. And so, yeah, I'd like to hear
14	those again very carefully because Jose said he was
15	going to put it in the first paragraph of our letter.
16	MEMBER MARCH-LEUBA: Well, it may be the
17	last paragraph in our comment. But if you don't know
18	what they are asking to review, that's not a very good
19	statement to say in the
20	MEMBER REMPE: No. Let's ask the Kairos
21	to clarify again, what were the three things they
22	asked for?
23	MR. GARDNER: Sure. This is Darrell
24	Gardner again from Kairos. I think what
25	(Simultaneous speaking.)
	I contract of the second se

(202) 234-4433

	180
1	CHAIRMAN PETTI: We can't hear you,
2	Darrell.
3	MEMBER REMPE: Darrell, could you speak up
4	again, please?
5	MR. GARDNER: There we go. How about now?
6	Can you hear me?
7	CHAIRMAN PETTI: Yeah. Now we can.
8	MEMBER REMPE: Much better. Thank you.
9	MR. GARDNER: Okay. So what I was saying
10	was somewhat paraphrasing from the findings that are
11	required in 10 CFR 50 35, so what the Commission is
12	required to conclude in 50 35 and what the
13	requirements are in 50 34(a) for a preliminary safety
14	analysis report. And so those are different from
15	there not findings of final safety.
16	In fact, the language in 50 35 is fairly
17	clear that it doesn't represent any findings of final
18	safety acceptance of the design unless the Applicant
19	specifically requests for that, which we have not.
20	But it's simply an authorization to proceed with
21	construction. The exact language is the authorization
22	to proceed with construction but will not constitute
23	Commission approval of the safety of any design
24	feature or any specification, less the Applicant
25	specifically requests such approval.

(202) 234-4433

	181
1	So the point I was trying to make was if
2	you go back and look at the requirements of 50 35(a),
3	they are not demonstrating final safety design. What
4	it asks for is margins to safety, which we believe
5	we're providing with the MHA analysis.
6	MEMBER REMPE: So you're not asking for
7	them to say how much margin to have; you just want
8	them to determine that there is sufficient margin in
9	some vague sense? Because I wasn't sure of what I
10	heard, but I might have misheard you. Am I better
11	saying
12	MR. GARDNER: I would say that that's
13	correct, absent the word vague. But yes.
14	MEMBER REMPE: Okay. Got it.
15	MR. HELVENSTON: Yeah. I'll just add that
16	I'd want to look at the wording of the regulation, but
17	in terms of margin, as Darrell said, Kairos is not
18	requesting and we're not making a final safety
19	determination.
20	But the margins are certainly one thing
21	that the staff would look at in the CP that would
22	support its making sure there is reasonable
23	assurance of adequate margin to support our
24	conclusions that we need to make for the CP, including
25	that there is reasonable assurance that the final
I	1

(202) 234-4433

182 1 design is going to conform to the design bases. MEMBER MARCH-LEUBA: Yeah. But how can 2 3 you be even confident -- not sure, generally sure, but 4 confident -- that you have evaluated the risk and that 5 you can say that this design has margin to safety if you have not performed an evaluation? The Achilles 6 7 heel of all of this research analysis, I keep saying, 8 is completeness. 9 If you forget in your analysis the most limiting event that actually melts the core 10 and produces a 10 CFR 100 dose, but you didn't analyze it, 11 then we keep saying there is no risk, I have a lot of 12 margin, but you didn't do the analysis. 13 So, if you 14 don't do a thorough analysis, I don't think you can 15 say in your SER that we believe there is plenty of 16 margin to safety. You can say it's possible, but we 17 haven't done a complete analysis. You never do a complete analysis. 18 19 So, I don't know. It is a bad position to

20 be on, but you should be very clear on the SER that 21 you have not performed a full evaluation, because, 22 honestly, I see an Olympic lack of rigor, especially 23 on the part of the staff, when it comes to an analysis 24 of safety.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

And on the Applicant, I suspect the

(202) 234-4433

25

	183
1	Applicant has a lot more background documents that
2	they're not showing, and more background thinking that
3	they're not showing us, that probably supports the
4	position. But, on the part of the staff, I don't see
5	it.
6	MEMBER REMPE: Jose, how can you say that
7	when you haven't seen the SE from the staff?
8	MEMBER MARCH-LEUBA: I don't see an
9	attitude if I'm going to do a full safety
10	MEMBER REMPE: I haven't seen that yet.
11	All I've seen is some slides about what they're going
12	to do. So I'm going to mention the previous reviews,
13	but we've come up with
14	(Simultaneous speaking.)
15	MEMBER REMPE: Okay. So you're talking
16	about something else, but it's not here. Okay.
17	MEMBER MARCH-LEUBA: It happens. It
18	happens. It happens, and if you do a full analysis
19	and rigorous and really starting with a white piece of
20	paper, you always find something else. So unless you
21	have a rigorous approach or you have honestly, what
22	can possibly go wrong, instead of how well the we fix
23	what we thought of I don't know. I'll leave it
24	there.
25	MR. HELVENSTON: Yeah. Well and the
I	I contraction of the second

(202) 234-4433

	184
1	staff will certainly consider that feedback. But
2	we're still in the process of our review right now.
3	We certainly have a lot of questions in these areas as
4	well. I think it's been mentioned we have an ongoing
5	audit in terms of accident analyses right now, and
6	we're looking at some additional information that goes
7	in depth that supports some of what's in the PSAR.
8	So I'll just say the staff is certainly
9	looking at that and using its technical judgment to
10	make sure we ensure that the accident analyses are
11	comprehensive.
12	MEMBER MARCH-LEUBA: Yeah. I checked if
13	more information was on the access to more
14	information than was on the PSAR because I haven't
15	read it in detail yet because we're not performing the
16	review yet. But as I said, I've been looking through
17	his work while we were talking, and it's a circular
18	logic. It goes from Chapter 4.3 to Chapter 13-point-
19	something to Chapter 12, and nowhere anything is
20	defined.
21	So I'll be looking forward to see if there
22	is any meat to the conclusions. And as I said I
23	mean, let me just want to put it in the record.
24	Number one, I think the Kairos and Hermes design are
25	cool. They are cool. They're really safe reactors.

(202) 234-4433

	185
1	They use the best technology available, all that. I
2	mean, this should be an example for the whole but
3	that doesn't give you carte blanche to not do the job.
4	Again, I think the Applicant is doing the
5	job, but in their offices. They're just not putting
6	it in the paper. So you have to show me you have
7	rigor on your what-can-possibly-go-wrong analysis.
8	And one more thing
9	(Simultaneous speaking.)
10	MEMBER MARCH-LEUBA: Yeah. My house is
11	located 15 miles downwind from the location of this
12	reactor. And so I have a conflict of interest making
13	sure that this thing works. And even with my house 15
14	miles downwind of the reactor, I think it's a cool
15	reactor. I want it built. But I want it built
16	safety.
17	CHAIRMAN PETTI: Dennis, you've been
18	waiting.
19	DR. BLEY: Yeah. Yeah. I've been just
20	sitting here. When this whole thing came up during
21	the Applicant's discussion, I was a little taken aback
22	by the it's become clear it wasn't meant this way,
23	but by the idea that staff shouldn't be looking at
24	safety in a construction permit. And that's not
25	right.
l	1

(202) 234-4433

And you are, again, looking at margins without looking at safety. But at least from my point 2 of view, to get through and get a construction permit, you need to show that you've looked pretty hard for, Jose says, the things that can go wrong, the as and that 6 accidents that can happen, there are plausible ways to deal with that.

8 And you don't do all the analysis. You 9 don't make a final safety finding at this stage. But 10 you have to make sure there's nothing hiding there that implies there's a high chance that you'll never 11 be able to build this thing or that when you build the 12 structures during construction, you aren't locking 13 14 yourself into an area that could lead to high risk 15 But I think you're doing that. later on. So that's 16 all for me.

17 MR. HELVENSTON: Thank you for that feedback. 18

> CHAIRMAN PETTI: Keep going, Ed.

MR. HELVENSTON: All right. Well, on this 20 slide, I don't have much to say. I won't talk to this 21 But this is just a list of the 22 in much detail. chapters in NUREG-1537, which is similar to the layout 23 24 in Kairos's PSAR for Hermes, and we'll also use this as the basic, basic format for the staff's SER. 25

> **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

1

3

4

5

7

19

And also, as noted on the slide, there's a few chapters on here, for example, 15, -- 16, 17, and 18, rather, that will not be applicable to this review.

5 MEMBER REMPE: This is Joy, and I just kind of wanted to bring up one thing that I thought 6 7 was important in some of the prior CP reviews. There 8 has been a section, an appendix or something, that 9 lists all of the assumptions and areas where further 10 work is needed. So it just is a nice way to keep track of everything that -- the gaps. And will staff 11 produce such a list for this review? Have you quys 12 made a decision on that? 13

14 MR. HELVENSTON: We haven't made a decision on that. 15 That's certainly something we are 16 considering if there is a need to make sure we have 17 those types of commitments documented in one place. I'm aware that we've done something similar with a 18 19 couple of the NPUF CP reviews in the past.

20 MEMBER REMPE: And one member's opinion, 21 I think it's a good idea to do something like that. 22 And it might be longer in some designs than others. 23 MR. HELVENSTON: I think I see one other 24 hand raised.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

CHAIRMAN PETTI: Dennis, did you take --

(202) 234-4433

25

	188
1	MEMBER MARCH-LEUBA: That's Dennis.
2	CHAIRMAN PETTI: Did you take your hand
3	down? Thank you.
4	Jordan, did you have something you wanted
5	to add?
6	MR. HAGAMAN: No. That was from earlier.
7	Thank you.
8	CHAIRMAN PETTI: Okay. Thanks.
9	Keep going, Ed.
10	MR. HELVENSTON: I mentioned a couple
11	slides back that I wanted to talk a little about
12	one other area I wanted to highlight was the
13	consideration, as we've discussed quite a bit
14	already, that Kairos has submitted an application for
15	a Hermes construction permit, and the staff is
16	conducting its review accordingly.
17	So safety reviews for either a CP or an OL
18	application are conducted in accordance with NRC
19	regulations. For CP, the level of detail in an
20	application and associated NRC staff review are
21	different than what is needed for an OL or a combined
22	operating license. A CP application describes a
23	preliminary design of a facility, while an OL
24	application needs to describe a final design as well
25	as additional administrative plans and programs that

(202) 234-4433

1 are not provided in the CP application. So the guidance in NUREG-1537 does not 2 3 differentiate between the level of detail that is 4 needed for a CP versus an OL application, nor does it 5 provide specific quidance on what types of things may 6 be deferred to the OL. However, in making this 7 determination on types of things that may reasonably be deferred versus what is required for a CP, the 8 9 staff is using its technical judgment, and we also 10 certainly consider the requirements in 10 CFR 50 24(a) (b), which regard information that must 11 and be included in either both preliminary and final safety 12 evaluation or safety evaluation reports -- or, I'm 13 14 sorry, safety analysis reports. In addition, the staff bases its review on 15 16 specific findings it needs to make for the the 17 issuance of a CP, which are given in 10 CFR 50 35 and So, as provided by 50 35, the I have listed here. 18 19 principal architectural and engineering criteria for a design must be described in the CP application, but 20 some technical or design information may be left for 21 later consideration in an OL application. 22 And in addition, not all safety questions 23

need to be resolved for the issuance of a CP, but an applicant must identify research and development which

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

189

	190
1	has to be completed prior to the completion of
2	construction to resolve these questions. In addition,
3	in making a recommendation that a CP should be issued,
4	the staff also considers the requirements in 10 CFR 50
5	40 and 50 50.
6	So I think this is my last slide. This is
7	just giving the staff's current schedule for the
8	Hermes review. Given the extensive pre-application
9	engagement for the Hermes CP review, the staff was
10	able to establish an aggressive review schedule of 21
11	months from application acceptance, which includes
12	ACRS review but does not include a mandatory
13	Commission or Atomic Safety and Licensing Board
14	hearing.
15	The staff accepted the application for
16	review in November 2021 and completed a draft SER with
17	open items last month. The staff is currently
18	conducting audits in a variety of areas and also
19	preparing additional audits and possible requests for
20	additional information to support closure of open
21	items and completion of all SER chapters by November.
22	The staff also plans to complete
23	management and OGC reviews and approvals of the SER by
24	May 2023. I will note that the November 2022 and May
25	2023 dates on this slide are for completion of all

(202) 234-4433

www.nealrgross.com

	191
1	chapters in the SER. The staff intends to complete
2	some individual chapters ahead of these dates as
3	possible and plans to share complete chapters with the
4	ACRS well ahead of the May 2023 day as it is able.
5	To support completion of the review within
6	the 21-month schedule, the staff is targeting
7	September 2023 for issuance of an ACRS letter for
8	Hermes.
9	MEMBER REMPE: So this is Joy, and I was
10	thinking about this slide a bit more. And I'm
11	wondering we are involved in a review of an OL for
12	another NPUF, and it came to us with all of the open
13	items resolved. Sometimes we lost some of the
14	development activities because the staff didn't
15	include how we ask all of these REIs, and this is
16	how the issues were resolved.
17	And in light of that, we actually ask
18	we see the earlier draft SE, and we actually also
19	with this accelerated schedule, I'm thinking it might
20	behoove us to actually for those members who have
21	time and have other commitments later on the line
22	might want to see the draft SE too.
23	So have you guys made the draft SE that
24	you've got available to us? I know it won't be
25	something that we'll be discussing ever in an open
	I contraction of the second

(202) 234-4433

	192
1	session what's in it, but it would behoove us to kind
2	of have access to it earlier in some cases
3	(Simultaneous speaking.)
4	MR. HELVENSTON: We didn't have any
5	specific plan for that. I think that's something that
6	we have to discuss among the staff. I'd say
7	certainly, as you might be aware, there's initiatives
8	in terms of streamlining SEs and kind of focusing them
9	on really the most safety-relevant information, and
10	not necessarily including the level of back and forth
11	on RAIs and that type of thing, since that information
12	is already documented on the docket somewhere else.
13	But that's something that maybe when we
14	get a little bit closer to the November date for
15	completing an SE that we could discuss.
16	MEMBER REMPE: So you're saying that you
17	do not want to share the March 2022 draft SE with ACRS
18	at this time?
19	MR. HELVENSTON: I think we have to
20	discuss that among the staff a little more.
21	MEMBER REMPE: Okay. I just only last
22	week learned that, oh no, they've been submitting
23	changes to the CP, and there have been some design
24	changes. And I just think it might be good for us to
25	kind of be aware of things a little bit earlier.
	I contract of the second se

(202) 234-4433

	193
1	Anyway, it's up to Dave and you guys, I guess, to
2	discuss that further.
3	CHAIRMAN PETTI: So, Ed, I would just
4	really push for because at least you can get some
5	chapters to us that's not from approved SER to
6	letter is really tight. So, if we're seeing stuff
7	early, even September 2022, I think that'll work
8	because we've got multiple reviews going on in
9	parallel.
10	MR. HELVENSTON: I understand. No, that's
11	helpful feedback.
12	MEMBER MARCH-LEUBA: Yeah. What were you
13	speaking to do between November 2022 and May '23?
14	Just the OGC review?
15	MR. HELVENSTON: So, based on the schedule
16	for this slide, yeah, that's correct. November is
17	essentially when the staff would have the SE
18	completed, and then the interim period until May 2023
19	is for the management and OGC reviews.
20	MEMBER MARCH-LEUBA: Yeah. We couldn't
21	even go over the technical parts before it's too late
22	change.
23	MR. HELVENSTON: Yeah, and we have to make
24	sure we're in process, certainly, and in terms of
25	because I understand there's things about the draft

(202) 234-4433

	194
1	SE, SE chapters going to ACRS being made public. So
2	it's something we need to discuss with the staff and
3	certainly with OGC as well, just to make sure that
4	we're in process.
5	MEMBER REMPE: So it could be reference
6	material. But it might help with reviewing some of
7	the topical reports that are coming to us in the
8	interim.
9	MEMBER MARCH-LEUBA: That too.
10	DR. BLEY: If you talk with our staff,
11	you'll find there are arrangements we've made in the
12	past to see documents beforehand. It's when we're
13	coming to an ACRS meeting to discuss documents that
14	they have to be made public.
15	MEMBER MARCH-LEUBA: The PSAR and your SER
16	are completely non-proprietary, correct?
17	MR. HELVENSTON: The PSAR is non-
18	proprietary; that's correct. The SER certainly,
19	the staff will strive to issue a non-proprietary SER.
20	I don't know if we've made a final decision on that
21	yet, though.
22	MEMBER MARCH-LEUBA: At the minimum, you
23	have to be sure non-proprietary mark-up.
24	MR. HELVENSTON: That's right. At a
25	minimum, there will be a non-proprietary mark-up.

(202) 234-4433

	195
1	CHAIRMAN PETTI: Anything else, Ed? Is
2	this the last slide, or
3	MR. HELVENSTON: Yeah. This is the last
4	slide for me.
5	CHAIRMAN PETTI: Okay.
6	MR. HELVENSTON: I can certainly take any
7	other questions.
8	CHAIRMAN PETTI: No. You know what I'd
9	like to do, though, Ed, is have a meeting with Weidong
10	and you and whoever else, sort of at the project
11	management level. And we've made some initial
12	assignments of who is responsible for what, but now
13	that I better understand based on what I heard today,
14	I want to at least loop back with Weidong and maybe
15	you guys to I see some natural groupings of
16	chapters that could help accelerate the review and see
17	if we can get on the same page there and make sure
18	that I'm not missing something in terms of my thought
19	process. So if we can do that, I think that would be
20	good.
21	MR. HELVENSTON: Sounds good.
22	CHAIRMAN PETTI: So Weidong, if you'd try
23	to set something up, thanks.
24	Okay. Members, any other comments before
25	we go to the public?

(202) 234-4433

```
www.nealrgross.com
```

	196
1	MEMBER DIMITRIJEVIC: Sure. I would like
2	to make a general comment, Dave.
3	CHAIRMAN PETTI: Sure. Sure.
4	MEMBER DIMITRIJEVIC: This is Vesna
5	Dimitrijevic. After we have all of this discussion,
6	in the end, I don't think that you guys should
7	consider the big fact that your review is based on
8	this consecutive significance, because we don't know
9	too much. We don't know anything about risk, and we
10	know very little about safety significance.
11	So I would propose that you phrase this a
12	little more in the sense that as you have minimum
13	amount of regulation based on 104(c) and some
14	estimation of the safety impacts because in this
15	moment, as we see in one of your last slides, that the
16	most of the safety issue this is all qualitative,
17	and most of even if you look in mitigation systems
18	as we can see, light-water reactor, very often,
19	non-safety systems show to be safety significant. So
20	being safety or non-safety doesn't necessarily
21	preclude that.
22	So I will rephrase this as, based on
23	safety right significance. It's not going to be based
24	really on the realistic safety significance. So
25	that's my general comment.

(202) 234-4433

	197
1	MR. HELVENSTON: Well, thank you for that.
2	CHAIRMAN PETTI: Other comments, members?
3	Okay. Then let's go to public comment.
4	If you're a member of the public, if you're on the
5	phone, star-6. If you're on Teams, raise your hand,
6	and we'll recognize you and make your comment.
7	Okay. Not hearing any, I think that means
8	we are done. I want to thank both the staff and
9	Kairos. It was a most enlightening afternoon, lots of
10	ground to cover in a short amount of time. This went
11	about as I expected it would. We always have lots of
12	perspectives and interest in different areas, and you
13	can see we just love to probe because that's what we
14	like to do. But we really look forward to seeing this
15	come to fruition given its significance as the first
16	advanced non-light-water reactor.
17	With that, I will say we are done and end
18	our meeting. Everybody have a good weekend, and
19	members, we'll see you at May Full Committee. Thank
20	you all.
21	(Whereupon, the above-entitled matter went
22	off the record at 5:26 p.m.)
23	
24	
25	
	1



April 15, 2022

Docket No. 50-7513

US Nuclear Regulatory Commission ATTN: Document Control Desk Washington, DC 20555-0001

Subject: Kairos Power LLC Presentation Materials for Kairos Power Briefing to the Advisory Committee on Reactor Safeguards, Kairos Power Subcommittee, on Design Overview for the Hermes Non-Power Reactor

This letter transmits presentation slides for the April 21, 2022, briefing to the Advisory Committee for Reactor Safeguards (ACRS), Kairos Power Subcommittee. At the meeting, Kairos Power will provide an overview of the design of the Hermes non-power test reactor which is currently under NRC staff review for a construction permit. This briefing is intended to provide a high level overview of the Hermes design prior to the ACRS review of the Hermes PSAR.

The content of this information is non-proprietary; Kairos Power authorizes the Nuclear Regulatory Commission to reproduce and distribute the submitted content, as necessary, to support the conduct of their regulatory responsibilities.

If you have any questions or need additional information, please contact Drew Peebles at peebles@kairospower.com or (704) 275-5388, or Darrell Gardner at gardner@kairospower.com or (704) 769-1226.

Sincerely,

Daniel Gardrew An

Peter Hastings, PE Vice President, Regulatory Affairs and Quality

Kairos Power LLC www.kairospower.com

5201 Hawking Dr SE, Unit A Albuquerque, NM 87106 KP-NRC-2204-007 Page 2

Enclosures:

1) Presentation Slides for the April 21, 2022, ACRS Kairos Power Subcommittee Briefing

xc (w/enclosure):

William Kennedy, Acting Chief, NRR Advanced Reactor Licensing Branch Benjamin Beasley, Project Manager, NRR Advanced Reactor Licensing Branch Weidong Wang, Senior Staff Engineer, Advisory Committee for Reactor Safeguards

Enclosure 1

Presentation Slides for the April 21, 2022 ACRS Kairos Power Subcommittee Briefing



Hermes Design Overview

PRESENTATION FOR THE ADVISORY COMMITTEE ON REACTOR SAFEGUARDS, KAIROS POWER SUBCOMMITTEE

APRIL 21, 2022

Kairos Power's mission is to enable the world's transition to clean energy, with the ultimate goal of dramatically improving people's quality of life while protecting the environment.

In order to achieve this mission, we must prioritize our efforts to focus on a clean energy technology that is *affordable* and *safe*.

Agenda

- Introduction
- Fuel/Core Design
- Reactor Vessel and Internals
- Heat Transport & Pebble Handling and Storage
- Structures
- I&C and Electrical
- Safety Case

Introduction

DREW PEEBLES - LICENSING MANAGER, SAFETY

Introducing Kairos Power

- Nuclear energy engineering, design and manufacturing company *singularly focused* on the commercialization of the fluoride saltcooled high-temperature reactor (FHR).
 - Founded in 2016
 - Current Staffing:
 - 269 Employees (and growing)
 - ~90% Engineering Staff
- Private funding commitment to engineering design and licensing program and physical demonstration through nuclear and non-nuclear technology development program.
- Schedule driven by the goal for U.S. commercial demonstration by 2030 (or earlier) to enable rapid deployment in 2030s.
- Cost targets set to be competitive with natural gas in the U.S. electricity market.

Kairos Power Headquarters





Kairos Power Design Approach



Kairos Power Hermes Reactor Overview

• What?

• A low power demonstration reactor that will prove Kairos Power's capability to deliver low-cost nuclear heat

• Why?

- **Cost:** Establish competitive cost through iterative learning cycles
- Supply Chain: Advance the supply chain for KP-FHR specialized components and materials while vertical integrating critical systems
- **Design / Test:** Deliberate and incremental risk reduction
- Licensing Approach: NRC will license Hermes as a non-power reactor and facilitate licensing certainty for KP-FHR
- Operations: Provide a complete demonstration of nuclear functions , including reactor physics, fuel and structural materials irradiation, and radiological controls



Hermes will ultimately demonstrate the U.S. aptitude to license an advanced reactor in a timely manner

Fuel/Core Design

BRANDON HAUGH – SR. DIRECTOR, MODELING & SIMULATION NADER SATVAT - MANAGER, REACTOR CORE DESIGN

KP-FHR Uses TRISO Fuel in Pebble Form

- Fuel Pebble (3 Regions):
 - Innermost portion is a low-density carbon matrix core
 - Fuel annulus Tri-structural isotropic (TRISO)coated fuel particles embedded in a carbon matrix
 - Fuel-free carbon matrix shell
- Fuel qualification leverages U.S. DOE Advanced Gas Reactor program
- Core design is a pebble bed concept within a graphite reflector
 - Pebbles are positively buoyant in Flibe
 - Mixture of fuel and moderator pebbles operates with optimal moderation



4.0-cm diameter, annular fuel pebble is the same size as a ping-pong ball

Hermes Core Design

Power:	• 35 MW _{th}
Fuel Cycle:	 190 days average residence time 4-6 passes Discharge burnup 6-8% FIMA
Safety Parameters:	 Overall negative temperature reactivity coefficients Negative fuel and moderator temperature reactivity coefficients Negative coolant temperature, and void coefficients
Method for Calculation:	High-fidelity Serpent 2 and KPACS (Serpent 2/Shuffling)
Power Profile:	 Average Power per pebble = ~1000 W/pebble Pebble Peaking factor ~2
Coolant:	• Li-7 enrichment level and carbon to heavy metal atom ratio aligned to provide desired temperature reactivity coefficient



Reactor Control

Diversity	Reactivity Control System (RCS)
Diversity.	Reactivity Shutdown System (RSS)
Shutdown Margin (SDM) Analysis:	 Compensate power defect, full xenon decay, operational excess reactivity, and B₄C depletion Single, most reactive rod failure SDM to k_{eff} of 0.99
Sources of	Core composition
Operational Excess Reactivity:	Compensate change power levels or manage other transients
Method for Calculation:	 High-fidelity coupling tool, KPATH (Serpent 2/Star-CCM+)
	• Drive mechanism sets limit on withdrawal rate (rate of reactivity insertion)
Other notes:	• KP-FHR has a strong (and prompt) Doppler feedback to reduce regular use of the RCS



Core Design Methodology



Representative Information



Reactor Vessel and Internals

ODED DORON - SR. DIRECTOR, REACTOR SYSTEM DESIGN
Reactor Vessel and Internals Overview



Hermes Coolant Circulation Path Overview



Hermes Head Layout



Hermes Reactivity Control and Shutdown System



Hermes Core Layout 3x inbed shutdown elements 4x excore control elements



Control Element

Shutdown Element



Heat Transport & Pebble Handling and Storage

NICOLAS ZWEIBAUM – DIRECTOR, SALT SYSTEMS DESIGN

Primary Heat Transport System (PHTS) – Overview

- The Primary Heat Transport System (PHTS) is responsible for transporting heat from the reactor to the ultimate heat sink (environmental air) during power operation and during normal shutdown
- The PHTS operates near atmospheric pressure and does not provide a safety-related heat removal function (see Decay Heat Removal System)
- The safety-related hot leg anti-siphon feature is performed by the Primary Salt Pump downward-facing inlet (the pump being supported in position by the Reactor Vessel upper head)
- Additionally, the PHTS provides for the following functions:
 - Contain and direct the reactor coolant flow between the reactor vessel and the heat rejection subsystem
 - Manage thermal transients (overall thermal balance) occurring as part of normal operations
 - Ensure minimum acceptable temperatures in the PHTS through make-up heating as necessary
 - Provide capability to drain the PHTS to reduce parasitic heat loss during over-cooling transients
 - Provide for in-service inspection, maintenance, and replacement activities

PHTS – System Makeup

- Reactor Coolant
 - Flibe
- Primary Salt Pump (PSP)
 - Variable speed, cartridge style pump located on the reactor vessel head; inlet extends downwards through the Reactor Coolant free surface
- Heat Rejection Subsystem (HRS)
 - Provides for heat transfer from the reactor coolant to the atmosphere
 - Consists of the heat rejection radiator, heat rejection blower, and associated ducting and thermal management
- Primary Loop Piping
- Primary Loop Thermal Management
 - Provides non-nuclear heating and insulation to the PHTS as needed for various operations

PHTS – High Level Description

Parameter	Value
Thermal duty	35 MWth
Number of HRRs	1
Number of hot legs	1
Number of cold legs	2
Primary loop line size	8-12 in nominal pipe size
HRR inlet coolant temperature	600-650°C
HRR outlet coolant temperature	550°C
Nominal flow rate	210 kg/s
PHTS design pressure	525 kPa(g)



Decay Heat Removal System (DHRS) – Overview



Purpose: Vessel protection during postulated events for which the primary heat transport system (PHTS) is unavailable

Operation: In-vessel natural circulation coupled to a passive water-based, ex-vessel system via thermal radiation and convection

- Continuous direct boil-off when estimated decay loads exceed parasitic losses
- Shutoff and isolated for low power levels (heat removal via parasitic losses only)
- No change of state on reactor event initiation

Load: Removal rate is a function of vessel temperature

• Due to physics of thermal radiation heat transfer

DHRS – Process Flow Diagram



- DHRS does not directly interact with the primary coolant
- No change of state on onset of postulated events
 - Always-on operation for set power levels
- Parallel and independent cooling pathways
 Four independent cooling loops
 - Only three loops required to meet cooling demand
- Dual-walled for leak prevention and detection
 - Continued heat removal in the presence of a leak
- Active component (isolation valve) failures do not introduce failures in heat removal
 - Isolation valve fails in place (an operating system continues to operate)
 - Float valve nominally fails open







Pebble Handling and Storage System (PHSS) – Overview

- Responsible for handling of fuel in Hermes, from initial on-site receipt, in-process circulation, and final on-site storage
- Major components of the system:
 - Pebble Extraction Machine (PEM): single screw for removing pebbles from molten salt
 - Pebble Inspection System: performs flaw detection and burn-up measurement of removed pebbles
 - Processing System: sorts pebbles into appropriate buffer storage channel based on pebble type
 - Insertion System: stepper wheel feeder mechanism that inserts pebbles into the reactor via an in-vessel insertion line
 - Storage System Canister: stores ~2,000 damaged or spent fuel pebbles in a non-critical configuration
 - Storage Cooling Area: passively cooled, in-building storage area for spent fuel canisters
 - New Pebble System: stores fresh fuel and prepares fuel for circulation via a high-temperature bakeout

Recirculate Fuel
 New Pebble
 Other
 Spent Fuel
 Moderator

PHSS – Layout and Pebble Path



Structures

BRIAN SONG - MANAGER, CIVIL STRUCTURES

Reactor Building Layout



Meteorological Loads

- Design considers rain, snow, wind, tornado and wind-borne missiles for site.
- Safety-related reactor building designed without crediting non-safety-related exterior shell for protection from snow, wind, rain, and missile loads.
- Exterior "shell" of safety-related reactor building designed with concrete thickness to protect safety-related structures, systems, and components (SSCs) from high-wind missiles, including debris from potential damage of non-safety-related reactor building.

Flood loads

- Safety-related SSCs will be protected from internal flood (spray and accumulation) with shields, curbs, drains, etc.
- Safety-related Reactor Building protects safety-related SSCs from credible external flood.

Seismic Loads

- Using risk-informed performance-based insights to define seismic design criteria (i.e. ASCE 43-19, SDC 3)
 - Seismic design basis earthquake based on site-specific seismic hazard considering other recent and nearby seismic hazard analyses and site-specific geotechnical characteristics.
- Safety-related Reactor Building incorporates spring/dashpot seismic isolation system, which lowers seismic demands on safety-related reactor building and safety-related SSCs in both horizontal and vertical directions.
- Moat and flex connections accommodate displacements of isolated safety-related reactor building.
- Safety-related portion of the Reactor Building will be represented by a three-dimensional finite-element model developed in accordance with Chapter 3 of ASCE 4-16.

Instrumentation & Controls and Electrical Systems

ANTHONIE CILLIERS – DIRECTOR, INSTRUMENTATION, CONTROLS AND ELECTRICAL

Instrumentation & Controls and Electrical System Design Relies on the Following Systems



Plant protection and control

• Reactor Protection System (RPS)

Safety Hazard Intervention and Event Limiting Defense

• Plant Control System (PCS)

System with Operational Reliability and Diagnostics

Intelligent Health Monitoring

Health Evaluation and Analysis in Real-Time

- Semi-autonomous control room (MCR) Semi-autonomous Industrial Grade HMI Technology
- Electrical supply

Basic Ohm Law Triangle (V = I.R)

Plant Protection, Control, and Health Monitoring Operating Envelopes





Instrumentation and Controls Architecture



Copyright © 2022 Kairos Power LLC. All Rights Reserved. No Reproduction or Distribution Without Express Written Permission of Kairos Power LLC.





Safety Case

JORDAN HAGAMAN - DIRECTOR, RELIABILITY ENGINEERING

Safety Case Approach

- Deterministic approach consistent with NUREG 1537, Chapter 13
- To demonstrate compliance with regulatory dose limits, a Maximum Hypothetical Accident (MHA) that bounds the Chapter 13 postulated events is analyzed for dose consequences
 - MHA not physical
 - MHA includes conservatisms that maximize source term
 - MHA includes a postulated release of radionuclides
- To ensure that the postulated events are bounded by the MHA:
 - List of postulated events is comprehensive to ensure that any event initiator with the potential for radiological consequences has been considered
 - Initiating events and scenarios are categorized, so that a limiting case for each group can be qualitatively described in CPA (quantitative results will be provided with OLA)
 - Acceptance criteria are provided for the important figures of merit in each postulated event group to ensure the potential consequences of that event group remain bounded by the MHA as the design progresses
 - Prevention of an event initiator is justified in PSAR

List of Events Postulated

- MHA Hypothetical heat-up with conservative radionuclide transport
- Insertion of Excess Reactivity
- Salt Spills
- Loss of Forced Circulation
- Mishandling or Malfunction of Pebble Handling and Storage Systems
- Radioactive Release from a Subsystem or Component
- General challenges to Normal Operation
- Internal and External Hazard Events

Maximum Hypothetical Accident

- Hypothetical heat-up event with conservative assumptions meant to drive radionuclide release:
 - Pre-transient diffusion of radionuclides from the fuel in the reactor core is neglected
 - Prescribed hypothetical temperature histories are applied to the transient
 - The gas space is not credited for confinement of the radionuclides that release from the Flibe-free surface
 - Conservative, unfiltered, ground level releases
 - Conservative tritium modeling
 - A bounding vessel void fraction is assumed to facilitate the release of low volatility species in the vessel via bubble burst.

	Whole Body Dose (rem)		Thyroid Dose (rem)	
Location and Duration	10 CFR 100	MHA Result	10 CFR 100	MHA Result
	Limit		Limit	
Exclusion Area Boundary	25	0 227	300	0 225
(First 2 hrs at 250m)	23	0.227	300	0.235
Low Population Zone	25	0.050	200	0.091
(30 days at 800m)	25	0.059	500	0.081

Postulated Events

- The postulated event methods are provided in KP-TR-018, "Postulated Event Analysis Methodology" (incorporated by reference in PSAR Ch. 13)
- The phenomena for each postulated event group that have the potential to increase dose consequence are identified as figures of merit
- Acceptance criteria are defined for the figures of merit that will ensure that the limiting event in each postulated event group is bounded by the MHA
- Validation and detailed final analyses of the postulated event groups will be performed for the operating license application



NRC STAFF SAFETY REVIEW OF THE KAIROS HERMES TESTING FACILITY CONSTRUCTION PERMIT APPLICATION

Presentation to the Advisory Committee on Reactor Safeguards

Thursday, April 21, 2022

Edward Helvenston, Project Manager Non-Power Production and Utilization Facility Licensing Branch, Office of Nuclear Reactor Regulation, U.S. NRC



Background

- The Kairos Hermes CP application, and other similar applications, represent a significant, watershed moment for nuclear energy and technology in the United States.
- Kairos and other designers and operators of new reactor technologies must demonstrate safety; however, for its mission of independently reviewing licensing applications for reasonable assurance of adequate protection of public health and safety, the NRC staff is committed to performing in an effective and efficient manner.
- The NRC staff's review focuses on matters that are most safety significant, and the scope of the review is commensurate with the risk posed by the designs.
- This type of review requires innovative and novel approaches.



Responsibilities and Coordination

- The Division of Advanced Reactors and Non-Power Production and Utilization Facilities (DANU), in the Office of Nuclear Reactor Regulation (NRR), has primary responsibility for licensing activities for testing facilities licensed under 10 CFR Part 50, including initial licensing of non-power reactors using advanced reactor technologies.
- Hermes review is using a core team approach
 - Core team includes PMs and technical reviewers from DANU, and attorney from OGC
 - > One lead PM and two supporting PMs, including one non-power reactor PM
 - Core team example topics: thermal analysis; structural analysis; fuels; source term; health physics
 - Non-core subject matter expert (SME) example topics: human factors; quality assurance; fire protection; geology/seismic; emergency planning



Non-Power Reactor Licensing

- Non-power reactors licensed under 10 CFR Part 50 may be licensed as commercial facilities under Section 103 of the Atomic Energy Act of 1954, as amended (the Act), or as research and development facilities under Section 104c of the Act.
- In its CP application, Kairos states that it expects to apply for a Class 104c license, pursuant to 10 CFR 50.21(c), for a utilization facility useful in the conduct of research and development activities of the types specified in the Act.
- Therefore, the NRC staff is conducting its CP review consistent with Section 104c of the Act, which states:
 - "The Commission is directed to impose only such <u>minimum amount of</u> <u>regulation</u> of the licensee as the Commission finds will permit the Commission to fulfill its obligations under this Act to promote the common defense and security and to protect the health and safety of the public and will permit the conduct of widespread and diverse research and development."


Non-Power Reactor Licensing (con't)

- Non-power reactor types defined in NRC regulations include research reactors and testing facilities
- Per 10 CFR Part 50 definitions, "*Testing facility* means a nuclear reactor which is of a type described in [10 CFR 50.21(c)] and for which an application has been filed for a license authorizing operation at:

(1) A thermal power level in excess of 10 megawatts; or

(2) A thermal power in excess of 1 megawatt, if the reactor is to contain:

(i) A circulating loop through the core in which the applicant proposes to conduct fuel experiments;

(ii) A liquid fuel loading; or

(iii) An experimental facility in the core in excess of 16 square inches in cross-section."

- Many 10 CFR Part 50 requirements are for power reactors and do not apply to non-power research reactors and testing facilities
- Testing facilities are subject to the requirements of 10 CFR Part 100, "Reactor Site Criteria"
- Testing facilities are subject to a few 10 CFR Part 50 requirements that do not apply to research reactors, including Advisory Committee on Reactor Safeguards (ACRS) review, and mandatory hearings for CP applications (10 CFR 50.58)



Testing Facility Licensing Process

- Similar review process for CP and operating license (OL) applications:
 - Acceptance and docketing review
 - Parallel safety and environmental reviews
 - CP: preparation of safety evaluation report (SER) and environmental impact statement (EIS)
 - OL: preparation of SER and EIS supplement
 - ACRS review
 - Hearing(s)
 - CP: mandatory hearing on sufficiency of staff safety and environmental reviews
 - CP and OL: potential for contested hearing(s)
 - Decision to grant or deny permit or license



Risk-Informed Review

- For its CP application review, the staff's review depth and scope will be commensurate with the risk or safety significance of items under review, and consistent with the "minimum amount of regulation" requirement in AEA Section 104c
- The staff will maintain a "big picture" safety perspective of the Hermes design. The staff will tailor the scope and level of detail of the review based on the small size of Hermes and anticipated strong safety case with low radiological consequences, and as appropriate for a testing facility CP application.
- The staff's review is also tailored to the unique and novel technology described in the CP application, using the appropriate regulatory guidance in NUREG-1537, "Guidelines for Preparing and Reviewing Applications for the Licensing of Non-Power Reactors." Other guidance (e.g., regulatory guides and industry standards) and engineering judgement are also used, as appropriate.



NUREG-1537 Review Areas/Chapters

- 1. The Facility/Introduction
- 2. Site Characteristics
- 3. Design of Structures, Systems, and Components
- 4. Facility Description
- 5. Coolant Systems
- 6. Engineered Safety Features
- 7. Instrumentation and Control
- 8. Electrical Power Systems
- 9. Auxiliary Systems
- 10. Experimental Facilities
- 11. Radiation Protection and Waste Management

- 12. Conduct of Operations
 - Emergency Planning
 - Physical Security
 - Operator Licensing
 - Startup Plan
 - Human Factors
 - Quality Assurance
- 13. Accident Analysis
- 14. Technical Specifications
- 15. Financial Qualifications
- 16. Other License Considerations
- 17. Decommissioning
- 18. Uranium Conversions
- 19. Environmental Review



Construction Permits

- Safety reviews for CP and OL applications are conducted in accordance with the Commission's regulations
- The level of detail needed in a CP application and associated NRC staff SER are different than for an OL (or combined operating license (COL))
 - The CP application describes the preliminary design of the facility, while an OL application should describe the final design of the facility, as well as plans and programs not provided in the CP application
- The staff must make the following findings to issue a CP, based on 10 CFR 50.35:
 - Facility has been described, including the principal architectural and engineering criteria for the design
 - Further technical or design information may be reasonably left for later consideration in the final safety analysis report (i.e., OL application)
 - > Safety features or components requiring research and development have been identified
 - Safety questions will be resolved prior to the completion of construction and the proposed facility can be constructed with undue risk to the health and safety of the public
- Staff's conclusions are also based on the considerations in 10 CFR 50.40 and 50.50



Hermes Review Schedule

- Robust and effective pre-application engagement in order to optimize safety review (e.g., regulatory engagement plans, public meetings, topical reports, and pre-application audits
- 21-month review schedule (exclusive of mandatory hearing):

Milestone	(Estimated) Completion
Application Accepted	November 2021
Draft SER with Open Items	March 2022
SER Completion (all chapters)	(November 2022)
Approved SER to ACRS (all chapters)	(May 2023)
ACRS Letter	(September 2023)

• Staff are currently conducting audits to support SER completion, including for structural design; effluents; decay heat removal system; accident analyses; instrumentation and controls; and site characteristics. Staff are also preparing audits and possible requests for additional information (RAIs) on other topics.



NRC Staff Contacts

NRC Safety PMs for Kairos Hermes CP review:

 <u>Benjamin Beasley</u>, Senior Project Manager, Advanced Reactor Licensing Branch 1

(301) 415-2062, Benjamin.Beasley@nrc.gov

 <u>Samuel Cuadrado</u>, Project Manager, Advanced Reactor Licensing Branch 1

(301) 415-2946, <u>Samuel.CuadradoDeJesus@nrc.gov</u>

 <u>Edward Helvenston</u>, Project Manager, Non-Power Production and Utilization Facility Licensing Branch

(301) 415-4067, Edward.Helvenston@nrc.gov