Official Transcript of Proceedings NUCLEAR REGULATORY COMMISSION

Title:	Advisory Committee on Reactor Safegards SHINE Subcommittee
Docket Number:	(n/a)
Location:	teleconference
Date:	Tuesday, May 17, 2022

Work Order No.: NRC-1960

Pages 1-129

NEAL R. GROSS AND CO., INC. Court Reporters and Transcribers 1716 14th Street, N.W. Washington, D.C. 20009 (202) 234-4433

	1
1	
2	
З	
4	DISCLAIMER
5	
6	
7	UNITED STATES NUCLEAR REGULATORY COMMISSION'S
8	ADVISORY COMMITTEE ON REACTOR SAFEGUARDS
9	
10	
11	The contents of this transcript of the
12	proceeding of the United States Nuclear Regulatory
13	Commission Advisory Committee on Reactor Safeguards,
14	as reported herein, is a record of the discussions
15	recorded at the meeting.
16	
17	This transcript has not been reviewed,
18	corrected, and edited, and it may contain
19	inaccuracies.
20	
21	
22	
23	
	1323 RHODE ISLAND AVE., N.W.
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

	1
1	UNITED STATES OF AMERICA
2	NUCLEAR REGULATORY COMMISSION
3	+ + + + +
4	ADVISORY COMMITTEE ON REACTOR SAFEGUARDS
5	(ACRS)
6	+ + + + +
7	SHINE SUBCOMMITTEE
8	+ + + + +
9	OPEN
10	+ + + + +
11	TUESDAY
12	MAY 17, 2022
13	+ + + + +
14	The Subcommittee met via Video
15	Teleconference, at 8:30 a.m. EDT, Ronald Ballinger,
16	Chairman, presiding.
17	SUBCOMMITTEE MEMBERS:
18	RONALD G. BALLINGER, Chairman
19	VICKI M. BIER, Member
20	CHARLES H. BROWN, JR. Member
21	VESNA B. DIMITRIJEVIC, Member
22	GREGORY H. HALNON, Member
23	WALTER L. KIRCHNER, Member
24	JOSE MARCH-LEUBA, Member
25	DAVID A. PETTI, Member
	1

		2
1	JOY L. REMPE, Member	
2	MATTHEW W. SUNSERI, Member	
3		
4	ACRS CONSULTANT:	
5	DENNIS BLEY	
6	KEN CZERWINSKI	
7		
8	DESIGNATED FEDERAL OFFICIAL:	
9	CHRISTOPHER BROWN	
10		
11	ALSO PRESENT:	
12	MICHAEL BALAZIK, NRR	
13	JEFFREY BARTELME, SHINE	
14	JOSH BORROMEO, UNPL Branch Chief, NRR	
15	ERIC EDWARDS, SHINE	
16	TREVOR HART, SHINE	
17	CATHERINE KOLB, SHINE	
18	JEREMY MUNSON, NMSS	
19	ALEXANDER NEWELL, SHINE	
20	TRACY RADEL, SHINE	
21	EDWARD ROBINSON, NSI	R
22	GLENN TUTTLE, NMSS	
23	DEREK WIDMAYER, ACRS	
	I	

		3
1	T-A-B-L-E O-F C-O-N-T-E-N-T-S	
2		PAGE
3	Opening Remarks and Objectives	4
4	Staff Opening Remarks	8
5	Chapter 12.7 Emergency Planning, SHINE	9
6	Chapter 12.7 Emergency Planning, NRC Staff	48
7	Chapter 6b.3 Criticality Safety, SHINE	54
8	Chapter 6b.3 Criticality Safety, NRC Staff	85
9	Chapter 12.13 Material Control and Accounting,	
10	SHINE	113
11	Chapter 12.13 Material Control and Accounting,	
12	NRC Staff	115
13	Public Comments	131
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		
l	1	

	4
1	PROCEEDINGS
2	8:30 a.m.
3	CHAIR BALLINGER: It's 8:30 or close to
4	it. The meeting will now come to order. This is a
5	meeting of the SHINE subcommittee of the Advisory
6	Committee on Reactor Safeguards.
7	I'm Ron Ballinger, Chairman of today's
8	subcommittee meeting. ACRS members in attendance are
9	Davie Petti, Jose March-Leuba, myself, Joy Rempe, Matt
10	Sunseri, Greg Halnon, Charlie Brown, and let's see
11	here. Vicki Bier is here, Dennis Bley, Ken
12	Czerwinski, our consultant. Thank you very much. I
13	hope you're listening.
14	Walt Kirchner, Vesna Dimitrijevic, and
15	that probably does it. Thank you. Oh, Myron Hecht
16	might be on and Dennis Bley might be on and Steven
17	Shultz might be on, our consultants somewhere. Derek
18	Widmayer of the ACRS staff is a designated federal
19	official for this meeting, although Chris Brown is
20	here too.
21	During today's meeting, the subcommittee
22	will receiving a briefing from the NRC staff and SHINE
23	Medical Isotopes, Inc. The subcommittee will hear
24	presentations by and hold discussions with the NRC
25	staff, SHINE representatives, and other interested
	I

(202) 234-4433

persons regarding Chapter 12.7, emergency planning, 1 2 6(b)(3), criticality safety, and Chapter 13, accident part of the presentations by 3 analysis. As the 4 applicant and the NRC staff -a part of the 5 presentations by the applicant and the NRC staff may be closed in order to discuss information that is 6 7 proprietary to the licensee and its contractor 8 pursuant to 5 USC 552(b)(c)(4).

Attendance at the meeting that deals with 9 such information will be limited to the NRC staff and 10 its consultants SHINE and those individuals 11 and organizations who have entered into an appropriate 12 confidentiality agreement with them. Consequently, we 13 14 need to confirm that we have -- we will at that time. 15 Need to confirm we have only eligible observers and 16 participants in that part of the meeting.

17 The rules for participation in all ACRS meetings including today's were announced in the 18 19 Federal Register on June the 13th, 2019. The ACRS section of the U.S. NRC public website provides our 20 charter, bylaws, agendas, letter reports, and full 21 transcripts of all full and subcommittee meetings, 22 including slides that were presented. 23 The meeting 24 notice and agenda for this meeting were posted there. We have received no written statements or 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 requests to make an oral statement from the public. 2 subcommittee will gather information, analyze The 3 relevant issues and facts, and formulate proposed 4 positions and actions as appropriate for deliberation 5 by the full committee. The rules for participation in 6 today's meeting have been announced as part of the 7 notice of this meeting previously published in the 8 Federal Register. 9 Today's meeting is being held in person 10 and also over Microsoft Teams. A telephone bridge line, a line participation of the public over the 11

12 computer using Teams by phone was made available. 13 Additionally, we have made an MS Teams link available 14 on the published agenda. This will be the same link 15 for tomorrow's meetings also.

A transcript of today's meeting is being 16 17 kept. Therefore, we request that meeting participants on Teams and on the Teams call-in line identify 18 19 they speak and themselves when to speak with sufficient clarity and volume so they can be readily 20 heard. Likewise, we request that meeting participants 21 keep their computer and/or telephone lines on mute 22 when not speaking to minimize disruptions. The chat 23 24 feature on Teams should not be used for any technical 25 exchanges.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

1 Okay. Some additional comments, these meetings were scheduled in terms of the length based 2 3 on what we anticipated to be what would be needed. 4 After looking at the slides for today's meetings, it 5 looks like we probably will finish quite early. So we'll have to keep that in mind. 6 7 But I don't think that we can just push 8 forward for tomorrow's agenda because it's public. So 9 we just have to stick to it and go from there. Ι 10 should also comment that today's and tomorrow's meetings in addition to the earlier meetings will 11 serve as input for discussions related to potential 12 focus area meeting in June. 13 14 So it's important that we -- if there are 15 issues related to that that we get them to Chris or 16 myself so that we can decide whether or not we're 17 going to have a focus area meeting in June. So having said that, I think we're ready to proceed. So Josh, 18 19 are you there? 20 I'm right here. MR. BORROMEO: CHAIR BALLINGER: He's right there. 21 MR. BORROMEO: I'm in the room, in person. 22 CHAIR BALLINGER: I'm so used to looking 23 24 at the screen to see somebody. So UNPL branch chief, NRR, for opening remarks. Josh? 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 MR. BORROMEO: Yeah, thanks. My name is 2 I'm chief of the nonpower production Josh Borromeo. 3 utilization facility license branch in NRR. So as 4 Professor Ballinger said, today you're going to hear 5 presentations from the staff at SHINE on emergency planning, criticality safety, material control and 6 7 counting. And tomorrow you're going to hear about 8 accident analysis. 9 We recognize ACRS interest in these areas. 10 They are unique and they're critical of the review. And we appreciate the feedback that we got prior to 11 this meeting to help us prepare. 12 So the staff hopes between the FSAR as 13 14 well as our SE and the presentations today, ACRS has 15 an understanding of SHINE's approach as well as how the staff came to our regulatory determination. 16 So I want to thank SHINE and the staff for the preparations 17 for the board meeting today. And thank you, ACRS, for 18 19 your time, and we look forward to the conversation today. Thanks. 20 CHAIR BALLINGER: Okay. So I quess SHINE 21 Are you folks ready to go? 22 is up. MS. KOLB: Yes, we are. So good morning. 23 24 My name is Catherine Kolb. I'm the senior director of 25 plant operations for the SHINE facility here in

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

9 1 Janesville. And today, they will be talking about the emergency plan that we prepared. Next slide. 2 3 So we'll be covering an instruction 4 talking about the emergency response organization, the 5 classification system, how we are preparing to respond to emergencies per the plan, recovery, and aspects of 6 7 maintaining emergency preparedness. There we go. So 8 the purpose of our emergency plan is to it - -

10 provisions for coping with and mitigating the 11 consequences of emergencies at the SHINE site.

elements

of

planning

and

essential

It's focused on situations that may cause 12 or threaten radiological hazards to affect employee or 13 14 public health and safety. But there are some 15 classifications that are not directly radiological in The plan was written to conform with 10 CFR 16 nature. 17 50 Appendix E, and it follows the quidance that is listed here for research of test reactors and then 18 19 some quidance most applicable to fuel fabrication facilities because of the unique design of the SHINE 20 facility. 21

The Emergency Response Organization as described in the plan consists of two groups. One group is the on-site organization. That's the Facility Emergency Organization that will be initially

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

9

describes

10 1 staffed by on-shift facility, trained and qualified 2 SHINE personnel. 3 And additional staff were called in to 4 relieve the on-shift staff as necessary. The other 5 group are the emergency support organizations. So those are off-site entities that can assist with 6 7 emergency, for example, the fire department's hospital 8 that we've identified and other organizations. 9 People that will be on-shift at the 10 facility include the shift supervisor. That is the senior licensed person in the facility at any given 11 We'll have other license operators that will be time. 12 and non-licensed operating staff, 13 there security 14 personnel, and radiation protection personnel. So 15 these people will serve as the initial facility 16 emergency organization which is on the next slide. 17 MEMBER HALNON: So Catherine, this is Greq Is that last bullet, is that the minimum Halnon. 18 19 shift staffing for emergency plan implementation? MS. KOLB: Yes, the minimum shift staffing 20 is described in the plan. The radiation protection 21 isn't necessarily a department. 22 It is just an individual that is trained and gualified in those 23 duties. 24 But yes, this is the predominantly the minimum shift setting. 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

	11
1	MEMBER HALNON: Okay. Have you verified
2	that the minimum shift staffing for E-Plan
3	implementation does not take away from the minimum
4	staffing required for tech specs and other items such
5	as security and their specific positions and taking
6	the SROs out of the command and control of the control
7	room and put them in command and control, the E-Plan?
8	Have you verified all that and minimum shift staffing
9	analysis to ensure that there's no conflict there?
10	MS. KOLB: We have not performed a minimum
11	shift staffing analysis. The document that described
12	minimum shift staffing, as you mentioned, this
13	emergency plan, the technical specifications, and the
14	physical security plan. We intend to implement those
15	independent such that they're unless otherwise
16	specified.
17	So for example, the shift supervisor is
18	minimum shift staffing in both things. But they have

So the plans were all written to dual roles. 19 coordinate with each other such that there isn't a 20 conflict. 21

Okay. 22 MEMBER HALNON: So you have connectivity there because there's a lot of documents 23 saying we're going to do certain things on-shift. But 24 25 they're independent such as the tech specs talking

> **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

	12
1	about plan operations. And then now you have the E-
2	Plan, talking about E-Plan.
3	You may have some other fire brigade
4	issues and stuff like that. I just wanted to make
5	sure that all those are connected so that you don't
6	overcommit with under staff.
7	MS. KOLB: Yes, they are all
8	interconnected. They're written to coordinate I
9	imagine.
10	MEMBER HALNON: Okay. Thank you.
11	CHAIR BALLINGER: This is Ron Ballinger.
12	Time is a bit unique in the sense that we have both
13	radiation issues that could crop up as well as
14	chemical safety issues that could crop up. Which one
15	of these people or personnel are trained in the area
16	of the chemical safety side?
17	MS. KOLB: So there are no EALs, emergency
18	action levels, identified that are specific to
19	chemical hazards that exceed the guidance for
20	requiring an EAL. The people that are on-shift and
21	part of the Emergency Response Organization are
22	trained. I think we have a little bit about that in
23	the next couple slides, but trained to respond to the
24	emergencies that are described in the plan.
25	CHAIR BALLINGER: Thanks.
	I

(202) 234-4433

	13
1	MS. KOLB: Any other questions on this
2	slide?
3	So this slide describes the Emergency
4	Response Organization. This is for the facility. So
5	these positions are all staffed by SHINE personnel.
6	So this is the configuration during the
7	implementing the emergency plan. So the lead person
8	is the emergency director that's initially filled by
9	the shift supervisor. And it can be filled. We
10	describe lines of succession within the plan to be
11	fulfilled by other people who are trained and
12	qualified in that role.
13	We have the emergency communicator who is
14	responsible for communicating with all five agencies,
15	both government agencies and meeting agencies as
16	necessary. The radiation safety coordinator is
17	responsible for advising for radiation expertise.
18	Once the shift supervisor has been relieved by another
19	emergency director, they are still part of the
20	Emergency Response Organization in the facility
21	control room and with the control room staff and
22	another other operations personnel reporting to them.
23	We also have identified a technical
24	support coordinator that is mostly an engineering role
25	that can be filled by any person who is trained and

(202) 234-4433

	14
1	qualified to fill that role. And a criticality safety
2	engineer is required. And any other technical staff
3	would be directed by them.
4	Security personnel are always at the sites
5	and may be called in depending on the situation at the
6	discretion of the emergency director. And then other
7	personnel would fill the roles of assessment teams to
8	determine the extent of any events and reentry and
9	damage control teams, both of those as required
10	depending on the event.
11	MEMBER HALNON: So just a quick question
12	on here. This is Greg again. For your augmented
13	staff from off-site, is it just I guess the
14	question is what is the timing of it? Is it 60
15	minutes, 90 minutes? What are you assuming there?
16	MS. KOLB: I don't believe we have in all
17	cases identified a timing response. We can look that
18	up. But the so we can get back to you on that
19	momentarily.
20	But the SHINE facility is located a couple
21	hundred yards from the headquarters building. I know
22	that doesn't help for off-site. But we have various
23	other buildings in the area. So we're not expecting
24	a long duration for calling in assistance.
25	MEMBER HALNON: Right. Well, you always
	1

(202) 234-4433

	15
1	assume Sunday morning at 2:00 o'clock in the morning
2	time changes. That's when the problem is going to
3	occur. So you have to look at the worst case.
4	So there's a and I go back to my
5	minimum shift staffing issue. If it does happen off
6	hours, just some things to consider is how many roles
7	the shift supervisor has to obtain immediately through
8	a communicator emergency communicator I guess you'd
9	call it. Who's going to do that when there's very few
10	people on-site?
11	Fitness for duty for the off-site people
12	relative to coming in. The on call issue of
13	maintaining fitness for duty during their on call
14	periods and stuff like just things to consider.
15	You all have done a good job of repeating back the
16	requirements in your plan.
17	But obviously, the details of the
18	implementing procedures and how you implement it is
19	really where it's going to be in compliance. So I
20	just want to make sure that you benchmark all the
21	issues at the present large light water reactors
22	undergo with their E-Plan. And some of them probably
23	don't apply. But you certainly have to consider some
24	of those issues, at least out of a practicality
25	perspective.
	I

(202) 234-4433

	16
1	MS. KOLB: No, thank you for the feedback
2	there for your question of initial staffing. So the
3	rules that are required by the plan, we've made
4	provisions on who's going to be trained and qualified
5	to fill those such that the ones that are required
6	initially. Those non-as required positions are filled
7	by people who are there at all times. So the text
8	spec minimum as we discussed is not the same group of
9	people specifically identified as these people.
10	MEMBER HALNON: Okay. As you get more
11	into your staffing plans and whatnot, you'll explore
12	different areas of how you can consolidate and be
13	efficient. But I just wanted to make sure that I
14	mention that there's a lot of experience out there
15	trying to maintain the smallest staff possible but
16	still enough to maintain shift supervisor command and
17	control at off hours.
18	MS. KOLB: So understand.
19	MEMBER BIER: Hi, quick question. This is
20	Vicki Bier. I assume just from the wording that
21	criticality safety is probably a college degreed
22	engineer. Any thoughts on how many other of the folks
23	listed here are likely to be college degreed in terms
24	of knowledge-based response for things that may depart
25	from planned emergency response actions?
1	I contract of the second se

(202) 234-4433

Í	17
1	MS. KOLB: We have not identified a
2	college degree as a prerequisite for anything well,
3	I guess other than the criticality safety engineer
4	that it doesn't say that that person needs to have a
5	college degree. But they need to be a qualified
6	criticality safety engineer which that qualification
7	scheme leads to that. As for expected, most of our
8	technical staff that would be qualified to fill the
9	technical support coordinator role are college degree
10	individuals that we currently have on staff. Most, if
11	not all, of the people in the shift supervisor role
12	currently have college degrees, although that is not
13	a requirement for that role.
14	MEMBER BIER: Okay, great. Thank you.
14 15	MEMBER BIER: Okay, great. Thank you. MS. KOLB: Next slide. So here we are
14 15 16	MEMBER BIER: Okay, great. Thank you. MS. KOLB: Next slide. So here we are describing the off-site support organizations. So
14 15 16 17	MEMBER BIER: Okay, great. Thank you. MS. KOLB: Next slide. So here we are describing the off-site support organizations. So these are people that we have contacted with that have
14 15 16 17 18	MEMBER BIER: Okay, great. Thank you. MS. KOLB: Next slide. So here we are describing the off-site support organizations. So these are people that we have contacted with that have been provided the plan and we've incorporated into our
14 15 16 17 18 19	MEMBER BIER: Okay, great. Thank you. MS. KOLB: Next slide. So here we are describing the off-site support organizations. So these are people that we have contacted with that have been provided the plan and we've incorporated into our planning. So the Janesville Fire and Police
14 15 16 17 18 19 20	MEMBER BIER: Okay, great. Thank you. MS. KOLB: Next slide. So here we are describing the off-site support organizations. So these are people that we have contacted with that have been provided the plan and we've incorporated into our planning. So the Janesville Fire and Police Department, a hospital that we've identified that we
14 15 16 17 18 19 20 21	MEMBER BIER: Okay, great. Thank you. MS. KOLB: Next slide. So here we are describing the off-site support organizations. So these are people that we have contacted with that have been provided the plan and we've incorporated into our planning. So the Janesville Fire and Police Department, a hospital that we've identified that we have a memorandum of understanding with would be able
14 15 16 17 18 19 20 21 22	MEMBER BIER: Okay, great. Thank you. MS. KOLB: Next slide. So here we are describing the off-site support organizations. So these are people that we have contacted with that have been provided the plan and we've incorporated into our planning. So the Janesville Fire and Police Department, a hospital that we've identified that we have a memorandum of understanding with would be able to handle potentially contaminated or radiologically
14 15 16 17 18 19 20 21 22 23	MEMBER BIER: Okay, great. Thank you. MS. KOLB: Next slide. So here we are describing the off-site support organizations. So these are people that we have contacted with that have been provided the plan and we've incorporated into our planning. So the Janesville Fire and Police Department, a hospital that we've identified that we have a memorandum of understanding with would be able to handle potentially contaminated or radiologically affected individuals.
14 15 16 17 18 19 20 21 22 23 24	MEMBER BIER: Okay, great. Thank you. MS. KOLB: Next slide. So here we are describing the off-site support organizations. So these are people that we have contacted with that have been provided the plan and we've incorporated into our planning. So the Janesville Fire and Police Department, a hospital that we've identified that we have a memorandum of understanding with would be able to handle potentially contaminated or radiologically affected individuals. Rock County where Janesville is located
14 15 16 17 18 19 20 21 22 23 24 25	MEMBER BIER: Okay, great. Thank you. MS. KOLB: Next slide. So here we are describing the off-site support organizations. So these are people that we have contacted with that have been provided the plan and we've incorporated into our planning. So the Janesville Fire and Police Department, a hospital that we've identified that we have a memorandum of understanding with would be able to handle potentially contaminated or radiologically affected individuals. Rock County where Janesville is located has an emergency management division as part of the

(202) 234-4433

1 chair's office that coordinates other major emergencies for the county and coordinates with the 2 state and other local governments. And then the State 3 4 of Wisconsin has general authority and responsibility 5 for assisting local qovernment units and law 6 enforcement in disasters. And they coordinate with 7 Rock County Emergency Management. 8 MEMBER HALNON: This is Greq again. Has 9 any of one of your staff looked at the Rock County 10 Emergency Management emergency operations plan, the radiological annex to make sure that it's adequate for 11 their radiological response? 12 I believe we looked at that a 13 MS. KOLB: 14 long time ago but not from the intent of making sure 15 that it was adequate for them. We have provided them 16 the plan. We discussed it at numerous meetings. And 17 in provisions for the plan, we have descriptions of continuing training and offering them tours and things 18 19 in order to elevate their understanding of what we are doing at the facility. 20 Okav. The State of 21 MEMBER HALNON: 22 Wisconsin plan -- an emergency operations plan is approved by FEMA. Have you determined whether or not 23 24 FEMA will continue to have an approved plan with them? Or will they have to go back to approval or 25 re-

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

	19
1	approval because of this commercial reactor being
2	or commercial facility being put in place?
3	MS. KOLB: I don't know the answer to
4	that.
5	MEMBER HALNON: Okay. Have you have any
6	discussions with the state or the county relative to
7	FEMA's knowledge of the emergency plan?
8	MS. KOLB: We have, of course, talked to
9	the county and the states about our plans. But I
10	don't recall a conversation on how FEMA treats their
11	plant, no.
12	MEMBER HALNON: Okay. All right. Thanks.
13	MEMBER REMPE: This is Joy. And since our
14	chairman for this subcommittee said we had some extra
15	time, I'd like to explore something that's not really
16	specific to you but typical ACRS because we don't get
17	involved in the finances. But I'm just curious how
18	you're planning to do all of the training in the
19	future.
20	I mean, it takes hours for all these
21	people from the State of Wisconsin at a hospital. Do
22	you guys how do you do they just donate their
23	staff to come to the meetings and you pay for the
24	trainers? Or how do the bucks work on something like
25	this?
1	I Contraction of the second

(202) 234-4433

	20
1	MS. KOLB: So what we're intending is that
2	the training will be conducted by our SHINE employees.
3	We have the training departments as part of our
4	corporate structure. That would be conducted by them.
5	As for these individual people from the
6	off-site agencies, we would offer them the opportunity
7	to come and receive training, the topics of which are
8	found in the plan and/or the tour of our facilities.
9	And we've offered tours of construction sites, other
10	things to date and other meetings. And they've always
11	come and reported they're generally interested in our
12	facility, and you know
13	MEMBER REMPE: And I've seen that you have
14	agreements signed by or letters of support from all
15	these different organizations. So there's an implied
16	agreement that they're always going to provide the
17	manpower or hours and staff to come to the training,
18	even though it does cost them because they can't be on
19	call for a fire if they've coming to take your
20	training. But there's not been an issue that way?
21	MS. KOLB: They have not brought up an
22	issue like that. They have always been happy and
23	enthusiastic to engage with us previously.
24	MEMBER REMPE: Thank you.
25	MEMBER BROWN: This is Charlie Brown. Can
	I contract of the second s

(202) 234-4433

	21
1	you go back two slides, please?
2	MS. KOLB: This one?
3	MEMBER BROWN: No, slide 4. Oh, wrong
4	slide 4. The one that says oh, no. That's the
5	right one. Combining this with what you just talked
6	about with the Janesville, Rock County in Wisconsin an
7	here you talk about your responsible actions consist
8	of two groups: the facility emergency operation and
9	then the support.
10	Is there a written agreement between you
11	all and the county and the city and state as to who's
12	in charge? There's got to be somebody that overall
13	coordinates everything. And normally it's best to
14	have that written down as opposed to adjudicating it
15	at the time something is called for.
16	MS. KOLB: Yes, the county would be in
17	charge. Wisconsin emergency planning requirements
18	have the lowest level. That would be the county for
19	this situation.
20	MEMBER BROWN: Okay. Not the city in
21	other words? Not Janesville?
22	MS. KOLB: No.
23	MEMBER BROWN: Okay. All right. And
24	that's in writing?
25	MS. KOLB: Yes, that's in writing.
	1

(202) 234-4433

	22
1	MEMBER BROWN: When somebody shows up,
2	they know who's in charge. That's all I'm interested
3	in. Okay. Thank you.
4	MS. KOLB: I think we're at all right.
5	No, I think we're done with this unless there are any
6	questions about the other organizations.
7	All right. So moving on to facilities and
8	equipment. So the plan provides for facilities and
9	equipment for emergency assessment, communications,
10	first aid under medical care, and performing
11	corrective and recovery actions. So the facility has
12	a control room which will be continuously occupied as
13	a centralized on-site location where from which
14	direction can be given during emergency.
15	It is in the safety-related area of the
16	main production facility and as instrumentation and
17	other communications equipment such that the people
18	there can communicate with individuals on-site and
19	off-site. We've also identified emergency support
20	centers. So the primary location of that is the
21	breakroom, the largest meeting room or largest room I
22	suppose in the main production facility as the primary
23	location.
24	A backup location is the storage building
25	office area. That is a warehouse and with cubical and

(202) 234-4433

	23
1	meeting room area. That is just south of the main
2	production facility with a contingency location being
3	in the SHINE headquarters building that is just north
4	of the main production facility.
5	MEMBER HALNON: Can you give us this is
6	Greg. Can you give us maybe a vision of how you see
7	the primary location main production facility
8	breakroom? Is that going be in cabinets and you have
9	to break it out and set it all up? Or will there be
10	some dedicated facility? What's your vision there?
11	MS. KOLB: The vision is that it'll be
12	things that are required to be stored there will be in
13	cabinets. So we have lists of equipment and medical
14	supplies and other contingency things that would be
15	stored in a cabinet there. The communications we
16	envision would be there.
17	Most of the time, it's just telephones and
18	areas for computers. But some of the equipment would
19	need to be broken out. The radios we'd envision would
20	be there all time for normal use.
21	MEMBER HALNON: Okay. So there's be some
22	set up required. Again, your implementing procedures
23	account for that time before because if you want to
24	activate it 60 or 90 minutes, typically, you have to
25	get people in earlier than that to start setting it
1	I Contraction of the second

(202) 234-4433

up	
----	--

1

2	MS. KOLB: Yeah, we have an emergency plan
3	implementing procedure and that is drafted. That
4	directs the first person at the location on what they
5	should do, unlock all the cabinets, set things up.
6	MEMBER HALNON: Okay, good. Thanks.
7	MS. KOLB: Other questions?
8	So the plan describes the emergency
9	classification system that is used for the facility.
10	We have emergency classifications for notification of
11	unusual events, alert, and site area emergency. We
12	have not identified any credible accidents in the
13	facility that would result in radiological levels
14	exceeding action levels for general emergencies.
15	Therefore, the plan does not include
16	provisions for that classification. The Emergency
17	Planning Zone, there have also been no radiological
18	emergencies that result in an off-site plume
19	disclosure exceeding one rem whole body or a five rem
20	thyroid. So therefore, we've identified the Emergency
21	Planning Zone as the operations boundary.
22	That is the area inside in the fence
23	around the little campus buildings. It's not the site
24	boundary. And that is the same as the control access
25	area.

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

25 1 MEMBER HALNON: So this is Greq. I've got just a handful of small comments that would enhance 2 3 things. One of them is in Figure 1 of your plan. Ιf 4 you take a look at Figure 1 and then synchronize the 5 language on Figure 1 what the definition of your EPZ, I think that would be helpful because you use security 6 7 fence in some places and none at others. And you use operational boundaries. 8 It's 9 not on the -- it would be more clear if the language 10 was synchronized. And that's just an enhancement comment. 11 Yes, you are looking at that 12 MS. KOLB: figure where it says security fence, that is the 13 14 operation boundary. 15 Yeah, it'd be -- like I MEMBER HALNON: 16 said, just sync up the language. And since you're trying to show it pictorially, it'd be helpful to have 17 the language the same. 18 19 MS. KOLB: Thank you for the feedback. Any other questions on our classification scheme? 20 So the next slide. So the categories of 21 accidents that the plant describes fall into these 22 areas. So there is various levels of security events, 23 24 criticality which is ether an alert or a site area emergency per the criticality safety guidance that we 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

	26
1	followed, fire events, others or external events such
2	as tornados, seismic flooding, or an aircraft crash
3	and radiological release events. And the plan also
4	provides the emergency director to classify other
5	things at their discretion.
6	MEMBER HALNON: Does the cybersecurity
7	fall under security? I can't remember. I looked at
8	tables, but I forget where the cybersecurity falls.
9	MS. KOLB: I don't believe cybersecurity
10	is one of the things called out for the security
11	events which are all physical security type events,
12	although the plan does have provisions in the
13	classification tables and the EAL tables for other and
14	the various categories
15	(Simultaneous speaking.)
16	MEMBER HALNON: Well, that was one of the
17	other enhancement comments I had in your
18	organizational aspect. There's no mention of
19	cybersecurity falls as far as responsibility. So
20	that's just another one of those comments that might
21	make it more clear. So there's no EALs for
22	cybersecurity.
23	(Simultaneous speaking.)
24	MEMBER HALNON: So I guess we're more
25	symptom-based in that respect. If something happens,

(202) 234-4433

	27
1	then it's going to be physical what's physically
2	happening to the plan itself.
3	MS. KOLB: Correct.
4	MEMBER HALNON: Okay. Thanks.
5	MS. KOLB: Next slide. So upon
6	identifying missions that meet or exceed the EAL
7	thresholds for each of those categories, the emergency
8	director would declare the emergency within 15
9	minutes. And the facility emergency organization and
10	the off-site agencies would be activated. Or a
11	notification of unusual events, the notification of
12	the ERO is required but it's optional to activate
13	depending on the situation and at the discretion of
14	the emergency director.
15	The off-site agencies are notified and
16	request for aid will be made in the same communication
17	when necessary, when applicable to the local
18	governments. That would be to the Rock County 911's
19	communication center by calling 911 within 15 minutes,
20	the NRC immediately thereafter but no later than an
21	hour, and the State of Wisconsin after the NRC
22	notification. The notification to the State of
23	Wisconsin is after the NRC because it is not required.
24	We discussed with the State of Wisconsin
25	on when they would like to be notified and this is

(202) 234-4433

1 where we agreed upon in the plan. When the support 2 center is staffed and activated for the emergency plan implementing procedures that we described earlier, 3 4 command and control will be turned over from the 5 country room where the shift supervisor is to the new emergency director in the support center. 6 And then 7 protected actions for all classifications are based 8 upon a guideline of one rem to the whole body and five 9 rem thyroid. MEMBER BROWN: This is Charlie Brown. 10 Can I ask a question here? 11 MS. KOLB: Yeah. 12 MEMBER BROWN: I think I almost forgot it. 13 14 Pardon me. You said if something happens, Oh, no. 15 the notification is made to the county via 911? 16 MS. KOLB: Correct. 17 MEMBER BROWN: Is that standard? I'm looking for an answer from anybody. That seems like 18 19 you don't know who you're going to get when you call Somebody who's used to dealing with car 20 911. accidents or a shooting or whatever the current action 21 of the day is. 22 MEMBER HALNON: So Charlie, the sheriff's 23 24 office of county will have their internal protocols for 911. 25 Most --

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

	29
1	MEMBER BROWN: Okay.
2	MEMBER HALNON: calls into the
3	emergency operation centers are through 911.
4	MEMBER BROWN: Okay.
5	MEMBER HALNON: And they'll transfer it
6	over as appropriate.
7	MEMBER BROWN: All right. That's all I
8	ask. Thank you. Thank you, Greg. Thank you. I'm
9	done.
10	MS. KOLB: Okay. Thank you. Any other
11	questions on this slide?
12	All right. For assessment of the
13	situation, the individuals will use both installed
14	and portable monitoring instruments, origins for
15	dispatching assessment team of individuals who have
16	been trained and qualified in those roles. And
17	monitoring outside the facility at the site boundary
18	would be established as necessary and within two hours
19	of declaring a Site Area Emergency involving a
20	potential or an actual release.
21	Protective actions include evacuations or
22	shelter in place if there were security or weather-
23	related events would be ordered and required. And
24	assembly and accountability is performed whenever
25	there's an evacuation. And it's always performed in

(202) 234-4433

1 the event of a Site Area Emergency. 2 Corrective actions are described in the 3 plan which predominately include the shutdown or 4 isolation of any effective equipment immediately provisions for other directions as depending on the 5 6 type of event. And when conditions warrant, recovery 7 is entered. Next slide. So different than the 8 typical guidance for research and test reactor, we 9 have events related to criticality assets. Those fall 10 into two categories of an alert which would be a discovery of a critical mass of special nuclear 11 material and unsafe geometry that creates criticality 12 hazard but not criticality. 13 14 And then an emergency would be an eminent 15 or an actual occurrence of uncontrolled criticality 16 indicated by our installed criticality accident alarm 17 system or other critical report. Moving on to the criticality events, the immediate evacuation is known 18 19 and is evacuated without hesitation to the storage building outside the main production facility or that 20 would be the backup ESC. And it is -- the criticality 21 safety engineer is called in by our emergency response 22 organization notification system. 23 24 MEMBER MARCH-LEUBA: Hey, this is Jose

25 March-Leuba. Back when I was being trained as a

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

	31
1	worker in my old life, we were trained that whenever
2	you hear you never question an alarm. You just drop
3	what you're doing on the floor and leave.
4	Is that what you mean without hesitation?
5	Or if you are handling a chemical hazard, are you
6	allowed to have you thought of under which
7	conditions you drop everything you have on the floor?
8	Or do you leave it in a safe condition?
9	MS. KOLB: Well, I'd like Trevor Hart
10	if he here to answer that?
11	MR. HART: It's mostly drop everything and
12	leave. And you're not going to just throw a chemical
13	necessarily on the floor. But the intent is to stop
14	what you are doing, exit immediately through the
15	planned evacuation routes, and then we would in
16	terms of, like, contamination control, we would
17	segregate at the assembly area to make control as far
18	as contamination in that regard.
19	MEMBER MARCH-LEUBA: Yeah, I think that's
20	a good plan. Evacuate first and then come back if
21	necessary if you have evaluate what the conditions
22	are. Thanks.
23	MR. MUNSON: Can I ask a clarifying
24	question to the ACRS member that posed that question,
25	please? This Jeremy Munson, criticality safety, NRC.
l	I

(202) 234-4433

MEMBER MARCH-LEUBA: Sure. This is Jose. MR. MUNSON: Jose, is your question specific to just any operator in the area that may hear the criticality alarm? Or is it specific to the person that in the event of criticality saw the bright blue flash or realized that they were outside their operating procedures?

8 MEMBER MARCH-LEUBA: No, my background is 9 -- I mean, I had to take every couple of years of 10 training on radiation worker and do the SAB with all 11 the suits and everything and you cross the yellow 12 line. And what the professor told me every time is 13 you drop the screwdriver on the floor and leave when 14 you hear the alarm. Don't think of where it falls.

I was asking if you have thought of handling fluoride or I'm handling a chemical -- a dangerous chemical reaction. Do I leave it into a safe condition before I leave? Or do I leave and then come back afterwards?

20 MR. MUNSON: Okay. Thanks for that clarification. The only reason I ask is because in 21 the event of a criticality or for the operator that 22 may have inadvertently created the criticality or been 23 24 outside of their operating procedures, outside of their limits or something to that effect. 25 For the

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

1

2

3

4

5

6

	33
1	purposes of criticality, we don't want them to take
2	any corrective actions because they might actually
3	make the situation worse.
4	But it sounds like you're talking about
5	just operators in general. You actually hear an
6	alarm. So I think that response would address that.
7	Thank you.
8	MEMBER MARCH-LEUBA: Yeah, I concur with
9	what you're saying. I mean, in the heat of the
10	moment, you can make the wrong decision. So it's best
11	to leave things as are, go outside, evaluate, and then
12	come back. And I think we're in agreement. Thank
13	you.
14	MR. MUNSON: Yes, sir. Thank you.
15	MS. KOLB: Any other questions about this
16	slide?
17	Next slide. So the plan describes a
18	recovery state. It consists of actions required to
19	restore the facility to a steady status. The
20	emergency director determines when the emergency
21	condition no longer exists and declares that recover
22	can begin.
23	The emergency response organization will
24	be the recovery organization. We don't have a
25	separate set of people identified. The criteria
1	I contract of the second se

(202) 234-4433

	34
1	you can begin reentering the facility. For an
2	accident is that the radiological surveys indicate the
3	levels have returned to an acceptable level for
4	reentry. It is possible to using normal 10 CFR 20
5	exposure limits and the emergency condition alarm
6	poses an immediate danger to the reentry personnel.
7	Criteria to be used when operation
8	facility may be resumed and the technical
9	specifications are satisfied. Emergency condition no
10	longer exists. Damage has been addressed for the
11	systems and components affected and anything that has
12	not been repaired has been isolated or abandoned.
13	MEMBER HALNON: And this is Greg. The
14	criteria to use, I assume that there's an unspoken
15	bullet there that says that all regulatory people are
16	happy and we can go forth and conquer.
17	MS. KOLB: Of course. The last section is
18	about maintaining emergency preparedness. So our
19	operations manager is responsible for making
20	preparedness for the plan. The training for
21	individuals is also described in the plan.
22	So basic emergency plan training is
23	provided to all individuals with access to the
24	facility. The facility emergency organization also
25	receives training on the plan and the roles and
ļ	•

(202) 234-4433
35 1 responsibilities. Specific training for the different roles were identified for the emergency response 2 3 organization. 4 Off-site organizations are offered 5 training in other orientation activities such as tours and community orientation which is mostly tours and/or 6 7 basic information about the facility. Or radiological information is also offered to other government 8 9 officials or news people of that nature. 10 Drills and exercises are planned and executed. The off-site organizations are invited to 11 help plan participate in those exercises. The 12 implementing 13 emergency plan and procedures are 14 reviewed annually by the operations manager or a 15 designee in the room. And the emergency action levels are reviewed with the local government authorities. 16 17 MEMBER HALNON: This is -- yeah, this is just have a couple of comments on this. Ι 18 Greq. 19 Mainly I think it's just going to finish up on my enhancement comments. 20 In the Section 3.3.1, there's a list of 21 decisions that can't be delegated by the emergency 22 director. One of them is also -- there's a double 23 24 entry. I'm trying to think of which one it was of activation of the ERO, being able to delegate and not 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

36 1 be able to delegate. Look at that and make sure that you have that correct. 2 3 MS. KOLB: So I think the decision there -- or I mean, it's the decision. So the difference 4 5 rather is the decision to activate the ERO is an non-6 delegable duty of the emergency director. Actually, 7 activating the ERO, using our software programs and 8 type in the emergency classifications that people get 9 the notifications on, whatever the mobile devices are. 10 Using that -- doing that action, that can be delegated to someone else. 11 MEMBER HALNON: Okay. So you're parsing 12 difference between activation 13 between the and 14 That's the only difference in those two activate. So you might want to make sure --15 statements. 16 (Simultaneous speaking.) 17 MEMBER HALNON: -- you define that. MS. KOLB: We're differentiating between 18 19 the decision to activate -- so the decision rests with the emergency director, whether or not the ERO will be 20 activated, and then actually doing the activation, 21 calling people on a phone or whatnot. So that can be 22 delegated. 23 24 MEMBER HALNON: Okav. The comment is obviously this discussion wouldn't have to take place 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

	37
1	if it was much more clear. The second thing is back
2	when I was an emergency director, those non-delegable
3	or those tasks you can't delegate are very important.
4	And just to make sure those are on the annual list for
5	refreshment for the emergency director as well because
6	those are easy to forget. And I recall in my training
7	that we were drilled constantly into it because we
8	were forgetting during our exercises what could and
9	could not be. So just a comment that those put a
10	high level of importance of those on your refresher
11	training for emergency directors.
12	MS. KOLB: Understand. Thank you.
13	CHAIR BALLINGER: This is Ron Ballinger.
14	I'm looking at the bullet that says off-site
15	organizations are periodically invited to help plan
16	and participate in drills and exercises. Periodically
17	invited.
18	A lot of times when you first exercise or
19	you've got a nice plan that you've written down. But
20	when it comes to actually doing it and you actually
21	start trying to do it, things come up that you need to
22	change. Is there a plan for an exercise if you want
23	to call it that of your plan so that you can sort out
24	any issues that might crop up that need to that
25	would require a change?
	1

(202) 234-4433

	38
1	MS. KOLB: Do you mean an exercise other
2	than those described in the plan?
3	CHAIR BALLINGER: I guess maybe Greg knows
4	a better way to put the words. A case where you
5	actually are drilled where you have a training off-
6	site and on-site emergency where you have to execute
7	the plan. And so you go through the procedure which
8	involves the off-site people to make sure everything
9	works.
10	MEMBER BROWN: Does that mean an
11	unannounced? I would've looked at it as an
12	unannounced drill
13	CHAIR BALLINGER: Okay. Sometimes along
14	those lines.
15	MEMBER BROWN: to make sure everything
16	coordinates.
17	MEMBER HALNON: Yeah, it's unannounced.
18	But there's probably where you exercise the program
19	and procedures. And there's a drill where you and
20	whether it's announced or not, it's, like, here's the
21	problem. Now go do it as opposed to tabletop and
22	other things that may happen
23	(Simultaneous speaking.)
24	MS. KOLB: So I guess the difference there
25	is that the so drills are conducted annually. That

(202) 234-4433

Í	39
1	can be a portion of the plan, just not doing the whole
2	thing. It could be some aspect of the plan or some
3	scenario whereas exercises will be done every two
4	years, full participation, any off-site authority
5	having a role in the plan.
6	And that so I think that is what we're
7	discussing. So that would be actually using the
8	telephone systems and/or the radios and going through
9	simulated events. That's what we're defining as an
10	exercise versus a drill.
11	CHAIR BALLINGER: Yeah, just when I see
12	the words, periodically invited, that could be a
13	little bit on the loose side.
14	MS. KOLB: I understand. The plan is more
15	specific. That is a summary of two different things
16	because the drills are offered annually. The off-site
17	organizations are invited when they want. The
18	exercises are every two years. And then it's offered
19	because per 10 CFR 50.47(c)(1), they don't we can't
20	make them participate. So it's technically an
21	invitation.
22	CHAIR BALLINGER: I guess I didn't know
23	that. Thank you.
24	MEMBER BIER: Another question from Vicki
25	Bier. What are the accountability measures for any
1	1

(202) 234-4433

problems identified during a drill or exercise? Sometimes it's easy to write down, okay, so-and-so will be counseled not to do it that way again or whatever. But those are not necessarily very reliable fixes. And what are the plans for any problems that

7 MS. KOLB: Yeah, we intend to use our corrective action system for identifying any issues 8 9 with the plan and documenting the resolution of those. 10 We also use or at least are prescribed in the plan for post-drill or post-exercise. What could have been 11 done better for documentation and for future plans, 12 for future exercises and drills. 13

MEMBER BIER: Okay. Thank you.

15 This is Greq. MEMBER HALNON: Since you 16 mentioned it, you make the off-site can't 17 organizations do anything, notwithstanding that they've agreed to. But two questions, who's assessing 18 19 their continued readiness and capabilities, and what are you going to do if they don't meet your standards? 20 We don't have provisions to 21 MS. KOLB: their readiness. 22 assess We don't have any jurisdiction over them. All we can do is communicate 23 24 with them, share the plan, invite them for training.

We can give them feedback when we go and we don't have

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

1

2

3

4

5

6

14

25

are identified?

	41
1	any formal assessment of their preparations.
2	MEMBER HALNON: And second question, what
3	are you going to do if they clearly don't meet
4	standards necessary to support your emergency plan?
5	I guess it's a loaded question. It's a loaded
6	MS. KOLB: Yeah.
7	MEMBER HALNON: question because FEMA
8	is not involved. It's a loaded question. So you
9	don't have to answer it. I mean, you're going to
10	continue to discuss with them and try to help them as
11	much as possible. That's the only thing you can do.
12	MS. KOLB: Or if there are some things
13	that we could do to bolster our capabilities, we may
14	choose to do that. But we don't really have any
15	jurisdiction over their resources and their staffing
16	and their plans.
17	MEMBER HALNON: Thanks.
18	MEMBER SUNSERI: This is Matt Sunseri. I
19	have a question. I know we're asking a lot of
20	detailed questions about procedures that may not exist
21	in the details and those procedures. So I'm actually
22	in the conduct of operations section looking at your
23	procedure approval process. There's a requirement for
24	the review and audit committee to review procedures
25	and emergency plan procedures is on the list and
	I contract of the second s

(202) 234-4433

assist management in approval of these procedures.

2 Now if you get into the details of the 3 review and audit committee, it's a very small group. 4 But there are caveats to augment that with other 5 people. So maybe it would help our competence if you could just discuss a little bit. How do you plan to 6 7 bring in subject matter expertise outside of the SHINE organization to help you develop the details of these 8 9 procedures that would be commensurate with your peer 10 groups or other facilities?

MS. KOLB: So most of our procedures are 11 And we started going through internal 12 drafted. processes including participation, the requirements of 13 14 the review and audit committee for that as required. 15 periodically We've had contractors review our 16 procedures and our plan, both initially and more 17 recently as members of the review and audit committee.

The review and audit committee outside 18 19 membership, you know, along those lines. But that would be inviting people when we don't have specific 20 capabilities on-site as you mentioned to invite other 21 So we have not done that to date. 22 people into that. Another question, Vicki 23 MEMBER BIER: 24 Bier. I don't know whether there's an opportunity for you to engage with INPO, the Institute for Nuclear 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

1

www.nealrgross.com

	43
1	Power Operations. Have you looked into that?
2	MS. KOLB: No, we have no talked to INPO.
3	We don't really fit into their membership as we're not
4	a power reactor. But no, we have not looked into
5	that.
6	DR. BLEY: Maybe this is Dennis Bley.
7	I had a couple of things I wanted to bring up. I'll
8	ask you, Catherine. But maybe Greg can tell us more.
9	I know that internationally WANO who mirrors kind of
10	INPO has brought facilities that are not reactors into
11	their membership because the operating experience and
12	guidance you get has been very helpful for those
13	facilities.
14	I don't know if INPO does that or not.
15	But if they do, they're a very valuable resource. And
16	the other thing I wanted to ask, I listen to the
17	discussion with Greg about what if the local
18	organizations aren't doing the role as you see them.
19	Is there any responsibility on your part to convey
20	that kind of information back to NRC who's also
21	counting on the local people to do be doing their
22	part?
23	MS. KOLB: I don't know of any mechanism
24	for that. I mean, we do have communication lines with
25	the NRC staff we may bring up. But I don't know of
l	I contraction of the second seco

(202) 234-4433

	44
1	any requirement for us to do that. As for the comment
2	about WANO, we have not reached out to them. Thank
3	you for the suggestion.
4	MEMBER HALNON: And this is Greg. I don't
5	want to go away thinking that FEMA would not be
6	involved because they do participate in the all-hazard
7	planning process with the counties and in state. So
8	they may very well be there.
9	But it's not designed into the E-Plan
10	because of the facility itself and how it's falling
11	under the regulations, the test reactors, and whatnot.
12	So this kind of falls under the radar of FEMA from a
13	nuclear facility perspective. But they may very well
14	be part of the all-hazard planning which in turn may
15	fine tune some of the radiological planning aspects of
16	this.
17	So Dennis, I think that there is an
18	avenue. It's just not designed into the, quote,
19	nuclear portion. It's just the FEMA process itself.
20	I think there is some avenue there. But it would have
21	to be requested from the counties themselves.
22	DR. BLEY: Okay, thanks.
23	MS. KOLB: Okay. Unless there's any other
24	questions, this ends our presentation on the emergency
25	plan.
1	

(202) 234-4433

	45
1	CHAIR BALLINGER: All right. Any other
2	questions from members?
3	MEMBER BIER: Yeah, one other quick
4	question, Vicki Bier. Maybe this is really for NRC
5	staff. But is there any plan to have a resident
6	inspector from NRC on site? Or what is the level of
7	NRC involvement that's anticipated?
8	MR. BALAZIK: This is Mike Balazik, the
9	project manager for SHINE emergency project manager
10	for SHINE. Now we do not plan to have a resident
11	inspector on-site. None of the research reactors have
12	this. So we'll have inspectors that go out
13	periodically to perform inspections. And one area
14	that we do one of the inspection modules is
15	emergency preparedness.
16	MEMBER HALNON: Michael, this is Greg. So
17	I understand the research reactor. This is a
18	commercial facility. It's got a different objective
19	than a research reactor. It's actually trying to make
20	money. Does that not change the calculus a little
21	bit?
22	MR. BALAZIK: No, it's no, I don't
23	think it does just because they're a 103 that they
24	have a resident inspector, no.
25	MR. MUNSON: This is Jeremy. I would add

(202) 234-4433

46 to that, that there many aspects of the SHINE facility 1 2 that are similar to a fuel facility. And our fuel facilities do not have resident inspectors with the 3 4 exception of the two naval reactor sites. And that is 5 based on the fact that they have very high enriched uranium. So the lack of a resident here would also be 6 7 supported by our operating fuel facilities not having residents. 8 9 Thanks, Jeremy. I didn't MEMBER HALNON: 10 know that. Ι thought that they all did. So 11 appreciate that. 12 MR. MUNSON: Yes, sir. Okay. If there aren't 13 CHAIR BALLINGER: 14 any other questions, that concludes the presentation 15 on emergency preparedness. Now we can shift over to 16 the staff. Are you guys ready to go, I assume? 17 MR. ROBINSON: Yes, yes. CHAIR BALLINGER: 18 Okay. 19 MR. ROBINSON: We are. We are. Well, thank you, Catherine, very much for the insights from 20 the SHINE perspective on emergency plan from the 21 application perspective. My name is Edward Robinson, 22 and I am the emergency preparedness specialist within 23 24 the division of preparedness and response. This morning I will be providing a brief 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

1 overview of the staff evaluations as it pertain to 2 Revision 1 of the SHINE submitted emergency plan. 3 Next slide. At this time, I would like to kind of 4 highlight the regulations and guidance utilized by the 5 staff to perform the review of the SHINE emergency 6 plan submittal. NRC regulations require each 7 applicant for an operating license to include an FSAR that contains among other things the applicant's plans 8 9 for coping with emergencies, including the items specified in Appendix C to 10 CFR Part 50 which is 10 emergency planning and preparedness for production and 11 utilization facilities. 12

Appendix E specifies Regulatory Guide 2.6, 13 14 emergency planning for research in text reactors, is 15 the quidance to be used to determine the acceptability of emergency plans for complying with the commission's 16 17 emergency planning regulations as those pertain to Regulatory Guide 2.6 endorses non-power reactors. 18 19 American National Standards or ANSI 15.16, 2015 which is emergency planning for research reactors. 20 This standard identifies the elements of an emergency plan 21 for minimizing the accident consequences at non-power 22 23 reactors.

It also makes reference to NUREG-1537 Part2 which is the guidance for preparing and reviewing

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

applications for the licensing of non-power reactors and to review plan and acceptance criteria. 2 And it also makes reference to NUREG-0849 which is a standard review plan for the review and evaluation of emergency plans for research and test reactors. This is what provided the staff with the acceptance criteria for the evaluation of emergency plans for the SHINE 8 facility. Next slide, please.

9 I'd like to point out to the ACRS staff 10 and those in attendance that there were no significant challenges associated with the EP review. The staff 11 used the quidance set forth in NUREG-0849 for the 12 review and evaluation of the SHINE emergency plan and 13 14 to assure that a complete review was performed for the 15 During the course of the staff's SHINE facility. 16 review, the staff identified seven RAIs, and those 17 were developed based on emergency plan Revision 0.

But specifically, Revision 4 of the FSAR, 18 19 these RAIs primarily involve clarification on how specific EP items were met. EP was discussed also at 20 the government-to-government meeting that was held in 21 February of 2020. Discussions related to EP pertain 22 to clarification of the event declaration process 23 24 utilized by SHINE as well as state exercise participation. 25

> **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

1

3

4

5

6

7

1 This was also utilized by the staff as a 2 kind of feet on the ground perspective that actually 3 was able to -- the staff was able to utilize what the 4 facility layout was to kind of put things in 5 perspective as we crafted up the Safety Evaluation 6 Report. And then an FSAR Revision 5 was provided by 7 the applicant in August of 2020 and satisfactorily 8 addresses seven EP RAIs that the staff had created. 9 The EP staff completed its review of Next slide. 10 Revision 0 of the EP SHINE emergency plan in September of 2020 with no issues and provided that to NRR. 11 staff completed its review 12 of The EP Revision 1 of the EP SHINE emergency plan submitted in 13 14 January 2022, again with no issues and no open items. 15 The EP staff continues to engage with NRR on updates 16 related to FSAR Chapter 12 as well as any updates to 17 be submitted, the emergency plan, in order to ensure the staff's SER content and evaluation continue to 18 19 remain true. Next slide.

So in conclusion, staff emergency plan finding meets applicable EP regulations and guidance. It adequately addresses the necessary provisions for coping with radiological emergencies and provides reasonable assurance that should operating license be issued, the emergency plan as described will function

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

	50
1	in a manner that protects public health and safety.
2	Are there any questions from the ACRS staff members or
3	anyone?
4	DR. BLEY: Yeah, this is Dennis Bley. You
5	heard the discussion earlier between Catherine and
6	Greg about cybersecurity and that the emergency plan
7	doesn't specifically address it. It addresses
8	training aspects for security people, especially
9	physical security, but that kind of cyber would come
10	in under other.
11	Where do you at NRC sit on that
12	cybersecurity issue? Or does that show up somewhere
13	else here? Because this kind of facility is supplying
14	a vital resource to the country. It seems like it
15	ought to have a pretty good focus on cyber.
16	MR. ROBINSON: Well, absolutely. I did
17	hear the previous dialogue. As far as the EP safety
18	review is concerned, that cybersecurity wasn't
19	addressed as far as the safety aspects of it. But
20	Michael, do you have anything to shed on that as far
21	as the cybersecurity aspects in the previous
22	conversation?
23	MR. BALAZIK: Yeah, this is Mike Balazik,
24	project manager for SHINE. We will come back to the
25	ACRS and talk specifics regarding our cybersecurity
	1

(202) 234-4433

	51
1	review. I mean, right now there's a possibility that
2	might point to certain pieces of the emergency plan.
3	But again, we're still reviewing the cybersecurity.
4	DR. BLEY: Okay, thanks.
5	MEMBER HALNON: This is Greg. I have no
6	specific questions. I just want to make a comment
7	that I felt that the EP portion was well written
8	notwithstanding a few comments here and there.
9	But it was well thought out, well written.
10	I thought the staff review was very good. So I won't
11	have any comments relative to the ACRS letter for
12	that, Ron. But just wanted to put that on the record.
13	MR. ROBINSON: Okay. Thank you, Greg. I
14	appreciate that. And also, I also appreciate your
15	feedback that you were providing during the course of
16	the presentation to the SHINE applicants. I was
17	taking some notes on that, so I appreciate the
18	feedback that you provide.
19	CHAIR BALLINGER: Other comments from
20	members?
21	Okay. Now that concludes this topic.
22	We're about say again?
23	MEMBER MARCH-LEUBA: Want me to call the
24	
25	CHAIR BALLINGER: No, we're going to wait
	1

(202) 234-4433

	52
1	until before the closed session, I think. So now we
2	need to shift topics to criticality safety. So I'm
3	assuming that SHINE is getting ready to go here, I
4	hope.
5	MR. NEWELL: Yeah, just getting the slides
6	right here.
7	CHAIR BALLINGER: Ah, good.
8	MR. NEWELL: Hello, everybody. I'm
9	Alexander Newell, nuclear criticality safety lead.
10	I'm going to be giving SHINE's presentation on our
11	nuclear criticality safety program.
12	So the goals of the criticality safety
13	program are to ensure that workers, the public, and
14	the environment are protected from the consequences of
15	nuclear criticality events. All practical measures
16	are implemented to prevent an inadvertent nuclear
17	outcome. Additionally, the program contains
18	provisions necessary to alert personnel to evacuation
19	and inadvertent nuclear criticality occurred.
20	And the program establishes expectations
21	and requirements for SHINE personnel whose duties
22	involve fissionable material at SHINE facilities. The
23	program implements the applicable requirements of 10
24	CFR Part 70.24 for monitoring and response to
25	accidents in a staging building, 10 CFR 70.50, 70.52
1	

(202) 234-4433

1 Appendix A for reporting requirements as described in the technical specifications. 10 CFR 70.61(b) applies 2 3 criticality accidents which are considered hiqh 4 consequence events, and 10 CFR 70.61(d) which ensures 5 that all processes remain subcritical under normal and critical abnormal conditions including an approved 6 7 marqin of subcriticality and the use preventive 8 controls as primary means of protection.

9 The criticality safety program commits to 10 use а following consensus standards subject to clarifications and exceptions identified in Regulatory 11 Guide 3.71. And I'll hold on this slide for a minute. 12 The overall responsibility for the criticality safety 13 14 program is with the CEO.

15 analysis The safety is the manager 16 responsible manager for the program and may delegate 17 authority over the program to the near criticality safety or NCS lead. The authority generally delegated 18 19 lead includes administration of the program to documentation, qualification of NCS staff, approval of 20 NCS evaluations, and monitoring of the criticality 21 safety program effectiveness and implementation of 22 The NCS staff consists of an NCS 23 changes as needed. 24 lead, one or more NCS engineers, and any number of NCS 25 engineers in training.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

The NCS lead is a qualified senior NCS engineer and serves as a supervisor for NCS staff regarding NCS activity. The NCS staff are kept administratively separate from the operations organization to the extent practicable. Criticality safety evaluations are performed whenever a new fissionable material operation has begun or before an existing operation has changed.

The evaluations determined that the entire 9 10 process will be subcritical with an approved margin of subcriticality for both normal and credible abnormal 11 conditions. NCS evaluations clearly identify process 12 boundaries. NCS staff determined normal and credible 13 14 abnormal conditions from input from knowledgeable 15 individuals and personally observed existing equipment 16 activities and processes.

NCS evaluations utilize formal methods of 17 process hazards analysis including a what-if checklist 18 19 and event tree analysis. Identified scenarios are screened qualitative determination 20 based on of likelihood. And credible events are evaluated for 21 22 appropriate control selection. NCS evaluation put a strict emphasis of selection of controls which prevent 23 24 nuclear fatality.

MEMBER MARCH-LEUBA: Hi, this is Jose.

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

25

1

2

3

4

5

6

7

8

	55
1	Can I ask you a question?
2	MR. NEWELL: I'm sorry?
3	MEMBER MARCH-LEUBA: Can I ask a question?
4	MR. NEWELL: Absolutely.
5	MEMBER MARCH-LEUBA: Yeah. Okay. The
6	most likely place where we are going to get the
7	criticality event will be the TSV between startup,
8	right? Is an FMO every time you start a cycle? Or
9	clearly, you're not going to be doing all these things
10	every five days. How is the criticality and the TSV
11	handled?
12	MS. RADEL: So this is Tracy Radel, VP of
13	Engineering. The TSV is not part the target
14	solution vessel is not part of the criticality safety
15	program. It's not covered under the crit safety.
16	MR. MUNSON: This is Jeremy, NRC. And
17	I'll get more into this in my presentation. But the
18	criticality safety program applies to everything
19	except the target solution vessels. And part of that
20	as was discussed in previous slides is the application
21	of 70.61(d) which requires the assurance of
22	subcriticality under normal and credible abnormal
23	conditions with an approved margin on subcriticality
24	for safety.
25	The margin associated with the target

(202) 234-4433

	56
1	solution vessels inherently prevents that from being
2	met. So the target solution vessels have been treated
3	differently. They're not subject to the criticality
4	safety program. And I'll discuss that more once I get
5	to my staff presentation.
6	MEMBER MARCH-LEUBA: Okay. I understand
7	that. So then we are to rely on what we heard on
8	Chapter 4 of offline calculations?
9	MS. RADEL: So the insertion of accessory
10	activity discussions are covered in Chapter 4 as well
11	as Chapter 13. And we'll have quite a bit of
12	discussion tomorrow on Chapter 13 and the events that
13	were analyzed there.
14	MEMBER MARCH-LEUBA: Okay. I'll wait for
15	them then. Thank you.
16	MR. MUNSON: And also, I want to point out
17	that there are many stages of the process including
18	the target solution preparation system in which there
19	will be no shielding provided. So criticality would
20	be would not there'd be no protection from the
21	results of criticality for those operators there. So
22	the crit safety program is primarily on prevention of
23	criticality in those areas.
24	MEMBER MARCH-LEUBA: Yes, but that's the
25	EC problem because there you can have a safe geometry

(202) 234-4433

	57
1	and control parameters. You'll never reach it. You
2	do have to have a program to make sure that you don't
3	mess up with the geometry or the moderator or the
4	concentrations. Okay. Thank you. Keep going.
5	MR. NEWELL: Thank you for that. Any
6	other questions on this slide before I move on?
7	Control parameters and associated limits
8	are determined and explicitly identified in the NCS
9	evaluations. The limits are derived from industry
10	accepted and peer reviewed references, including ANS
11	standards. Any hand calculations performed use
12	industry accepted and peer-reviewed techniques.
13	Computational methods are what we use to
14	generate some NCS limits. All NCS limits are derived
15	based on assuming optimum or most reactive credible
16	parameter values unless specific controls are
17	implemented to limit parameters to a particular range.
18	The operating limits including process variability and
19	uncertainty are used to ensure that NCS limits are
20	unlikely to be exceeded.
21	MEMBER REMPE: This is Joy. And I guess
22	maybe it's going to be Chapter 7. Maybe it'll be
23	under Chapter 13. It clearly wasn't in 4.
24	But it seems like that the concentration
25	of uranium is very important and that the level is

(202) 234-4433

	58
1	very important. And I'm just wondering where we'll
2	get more detailed information on how those values are
3	very how one obtains confidence in those values.
4	And what is the levels, for example?
5	MS. RADEL: This is Tracy again. Joy, are
6	you just to clarify, are you referencing to the
7	target solution vessel in particular?
8	MEMBER REMPE: I'm looking at the staff SE
9	and they talk about section 6.3.2. And it says, SHINE
10	states and I guess this is open because the SE was
11	open, right? That whenever mass limits are based on
12	assuming a certain weight percent of uranium, either
13	the entire mass present will be ascribed to uranium or
14	the actual weight percent determined by physical
15	measurement. Thus any material associate and it
16	goes on.
17	SHINE assumes the conservative process
18	density to calculate mass when the dimensions of
19	equipment or containers. So it sounds like it's a
20	more general statement. And then it has the use of
21	instrumentation to measure mass is addressed by a
22	general statement of and later on, it's talking
23	about a high level sensor.
24	And I'd have to go look and see where it
25	was. But I didn't see that it was the TSV when it was
1	

(202) 234-4433

59 1 talking about that. So generally, I just want to know how you are having confidence that you don't exceed 2 those concentrations and the levels. 3 MR. MUNSON: So this is Jeremy again. 4 5 I'll talk more about this in the staff portion -- in 6 the staff presentation. But understand that for each 7 stage of the process, there may or may not control a 8 different NCS parameter. 9 For example, there are certain glove boxes 10 in certain operations early in the process which rely only on mass control. There may be some moderator 11 controls in order to protect those mass limits. 12 But it's primarily on mass control. 13 14 Now later down in the process when you 15 actually have already had uranium oxides, uranium 16 metals dissolved in acid, now you have solution 17 systems. Now they're relying on favorable geometry. And when you have a favorable geometry, that is based 18 19 off optimum moderation of an or optimum an concentration. 20 Other stages of the process like waste, 21 for example, may rely on concentration control because 22 the concentration is very low. And you can afford to 23 24 have unfavorable geometries and things like that. So there's no one NCS parameter that's being controlled 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

throughout the facility. And I'll get more into that 2 in my presentation to try and help you understand what parameters are being controlled at what stages of the process and which systems. But the TSVs are not part of this presentation.

6 MEMBER REMPE: Right. And again, I'm 7 looking at your SE and it's referencing back to 6B.3.1. And it talks about the instrumentation -- the 8 9 expectation that instrumentations relied on to varied 10 compliance with limits on mass density enrichment will be subject to facility management measures. And I'm 11 curious what instrumentation that you're relying on. 12

MS. RADEL: Yeah. So this is Tracy again. 13 14 believe the statements you're referencing are Ι 15 referring the solution tanks. And those do have a level in them in order to -- if there was a leak in 16 the condensers there that we wouldn't overfill those 17 and result in a situation where fissile material is in 18 19 a place where it was not expected to be. Those dissolution tanks are favorable geometry. 20 And that to ensure that if there was 21 level is an upset condition that we wouldn't have material outside of 22 this favorable geometry tanks. 23

24 (Simultaneous speaking.)

> MEMBER REMPE: Go ahead. I'm sorry.

> > **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

60

25

1

3

4

5 MR. MUNSON: For areas that rely on mass control, for example, the equipment or instrumentation 6 7 used may be something as simple as a scale whereas for a tank that's unfavorable geometry where it's under 8 9 concentration control, you may have dual independent 10 samples or in-line gamma monitors which monitor material concentration. It's going to depend on -- I 11 think you're trying to apply those general statements 12 to the entire site. But it really depends on what NCS 13 14 parameters are being controlled, whether they be mass, 15 density, concentration, so forth. Not all parameters 16 are controlled in every part of the facility. Again, 17 I'll talk about that in my presentation. (Simultaneous speaking.) 18

MEMBER REMPE: Okay. So am I going to expect to see then specific sensors identified and then at some point will I know how you guys are validating that they remain calibrated for some of the conditions we see in the various locations? MR. MUNSON: So to answer that question,

25 I will discuss generally what the control strategies

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

1

2

3

4

www.nealrgross.com

	62
1	are, what the parameters are. And then the facility
2	will be subject to management measures also which is
3	more what you're describing which would be covered in
4	the management measures presentation which would
5	describe the types of things that are implemented or
6	performed in order to maintain those controls as
7	reliable as they're credited in the SSA. So it's sort
8	of a pairing between presentations. I'll discuss the
9	control strategy and the controls, and then you sort
10	of have to piece that together with the measures
11	portion to ensure the reliability of those controls.
12	MEMBER REMPE: And will that be, like
13	where will the management measures portion be? Is
14	that Chapter 7? Or where is that going to be?
15	(Simultaneous speaking.)
16	MS. KOLB: Sorry. This is Catherine Kolb.
17	We don't have a presentation planned where we go
18	through every sensor and its requirements, its
19	calibrations, or its management measures. We don't
20	have that planned in that level of detail.
21	Chapter 7 does identify those safety-
22	related instruments that are credited both from the
23	SSA and a couple of them for criticality safety, those
24	level of instruments that Tracy was describing
25	earlier. The calibrations of things are described in
	I construction of the second se

(202) 234-4433

www.nealrgross.com

1 the technical specifications explicitly in those requirements for the LCOs for things that apply or 2 3 other things that are not explicitly in limiting 4 conditions of operation in the technical 5 specifications. We do have requirements for having a maintenance program for ensuring that the calibrations 6 7 and the other management measures around equipment is 8 maintained as described in our safety analysis. 9 What I'm hearing if that MEMBER REMPE: 10 you have identified the key sensors that are need to ensure criticality safety and you have tech specs that 11 identify what the calibration and the allowable 12 uncertainty is so that a regional inspector could come 13 14 and say, yeah, they're doing what they should be 15 doing. Am I putting words in your mouth? Is that all 16 a true statement? 17 MS. KOLB: Not every sensor that has some ancillary function in the nuclear criticality safety 18 19 evaluation is explicitly in the tech specs. The 20 things that are in the tech specs are the safetyrelated sensors that provide input to the target 21 solution vessel reactivity protection system or the 22 engineered safety feature actuation system. 23 The two 24 safety-related instruments INC systems, so all of

those -- all of the instruments that provide input

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

25

www.nealrgross.com

	64
1	into those are in the technical specifications. And
2	the calibrations are required by surveillance
3	requirements.
4	If you extend the definition of
5	instruments to include, like, balances, like, scales,
6	we don't have an LCO for scales. We would rely on our
7	maintenance program to ensure that the balance is
8	checked and calibrated periodically as required in
9	that program. That wouldn't be explicitly in the tech
10	specs.
11	MEMBER REMPE: Okay. But, like, the level
12	sensor, it is
13	MS. KOLB: The level
14	MEMBER REMPE: I'm getting an echo. I
15	think someone has got their mic open. Is it Munson
16	perhaps? Okay. Thank you. Anyway, so, like, a level
17	detector would be in the tech specs. Allowable
18	margins would be in the tech specs. And then when you
19	get into allowable margins on some of these things or
20	criticality radiation detectors, for example, I'm
21	curious if we've considered the appropriate time not
22	just for when a sensor will trigger some sort of
23	safety system but for the sensor to actually detect
24	that something is not quite right too.
25	And that's why I'm pulling the thread on
I	1

(202) 234-4433

```
www.nealrgross.com
```

the sensors because what I was looking -- again, some of this may up in Chapter 13 perhaps more than here. 2 It seems like that they do talk about once the sensor initiates some sort of actuation the time for that other system to actuate. But I never saw anything about how long it takes the sensor to detect that there's an error because of allowable margins. Does 8 that make sense what I'm asking?

9 Yeah, no. That makes sense. MS. KOLB: So those level detectors in the dissolution tanks are 10 identified in the technical specifications. 11 A set point calculation, an uncertainty calculation has been 12 done on those instruments in order to identify those 13 14 margins that you're talking about and including 15 response times are within there in order to the set 16 points relative to the analytical limits to identify 17 that margin. So the technical specifications identified at set points in engineering documents --18 19 other engineering documents identified analytical limits as protected by the set point. So that is how 20 that works for things that provide input to the 21 22 safety-related instrument control systems.

MS. RADEL: This is Tracy. Chapter 7 also 23 24 lists the response time of the instruments themselves. 25 And that will be covered more in the I&C Chapter 7

> **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

1

3

4

5

6

7

www.nealrgross.com

	66
1	discussion.
2	MEMBER REMPE: Okay. Thank you.
3	MEMBER MARCH-LEUBA: Sorry, this is Jose.
4	Can you repeat what you just said because I couldn't
5	understand it? Can you talk closer to the microphone
6	and slower? Because there's a very bad echo in that
7	room.
8	MS. RADEL: Yeah, this is Tracy. And the
9	response times of the instruments are in Chapter 7 of
10	the FSAR and will be covered in the I&C meeting
11	discussions.
12	MEMBER MARCH-LEUBA: Okay. Thank you.
13	Try to speak slowly in that room because it really
14	sounds terrible.
15	MR. NEWELL: All right. Moving on next
16	slide. Prior to beginning operations, the NCS
17	evaluation is independently reviewed by a member of
18	the NCS staff to confirm its adequacy. As part of
19	this review, all dimensions and nuclear properties on
20	which reliance is placed are verified and proper
21	implementation of NCS controls is verified.
22	Additionally, the supervisor responsible for
23	fissionable material operation confirms the NCS
24	evaluation adequately identifies normal and credible
25	abnormal conditions and that the requirements
I	

(202) 234-4433

67 established are verifiable and compatible with planned 1 2 operations. MEMBER MARCH-LEUBA: 3 This is Jose again. 4 This seems to be a requirement for the first step before placing the plant in operation mode. 5 I assume everything is good in configuration controls. 6 So if 7 you buy a new tank, you have to redo this again? 8 MR. NEWELL: That is correct. 9 MEMBER MARCH-LEUBA: Okay. Thank you. All fissionable material 10 MR. NEWELL: operations complied with the double contingency 11 When analyzing the fissionable 12 principle at SHINE. material operation for double contingency principle 13 14 compliance, a single NCS control which maintains two 15 or more parameters is considered to be a single 16 process upset. Processes in which there are no 17 credible criticality sequences meets the double contingency principle by definition. 18 19 MEMBER MARCH-LEUBA: So that statement for the safe geometry configurations, you need to have two 20 contingencies if it's safe --21 Correct. 22 MR. NEWELL: MEMBER MARCH-LEUBA: -- by geometry. 23 24 MR. MUNSON: We have guidance -- this is Jeremy again. We have guidance that states that when 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

	68
1	there's no credible means of deformation with respect
2	to geometry controlled systems, there's no credible
3	means of deformation or anything like that, no
4	credible accident sequences which could lead to a loss
5	of geometry that it meets double contingency by
6	definition or by default.
7	MEMBER MARCH-LEUBA: And you would need
8	maybe if you have a higher concentration, more than 20
9	percent enrichment, for example. But maybe that's a
10	double contingency of failure.
11	MR. MUNSON: Well, a favorable geometry
12	tank would be assuming that the concentration was
13	optimized. So it wouldn't matter what the
14	concentration was.
15	MEMBER MARCH-LEUBA: I agree that you
16	optimize concentration and moderation. Is that
17	correct for all those times?
18	MR. MUNSON: Well, when you're talking
19	about solution-based systems, they're almost
20	synonymous with one another. But yes, that's correct.
21	It's optimally concentrated, optimally moderated. All
22	the parameters have been essentially put at their
23	worst case condition in order to develop that the
24	safe dimensions for the geometry controlled system.
25	MEMBER MARCH-LEUBA: Yeah, that's what I
	1 I I I I I I I I I I I I I I I I I I I

(202) 234-4433

	69
1	like to hear. Very nice. Thank you.
2	MR. NEWELL: MCNP is verified and
3	validated on all computer systems that are used for
4	NCS calculations. These computers are maintained
5	under a configuration control program and re-
6	verification is performed following changes to the
7	system and on a periodic basis. Validation of MCNP is
8	performed by a comparison to critical experiments.
9	The validation report is documented and maintained.
10	Where computer generated limits are used, the NCS
11	evaluations ensure that the evaluated processes are
12	within the area of applicability of the validation
13	reports. The subcritical margin for calculated
14	subcritical limits is 0.06.
15	MEMBER MARCH-LEUBA: Okay. And I know
16	we'll hear a lot more about the cybersecurity in the
17	future. But this MCNP code is highly likely to be set
18	in a work station in an office with access to the
19	internet probably under activity control of a server.
20	Since the safety of the facility depends on these
21	calculations, cybersecurity protecting and ensuring
22	confirmation control of this MCNP code at the input
23	decks is crucial. I'll ask the question again when we
24	talk about cybersecurity. Because clearly this is an

important pool to maintain out of the hands of bad

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

25

	70
1	guys.
2	MR. NEWELL: Yeah. Thank you for the
3	comment.
4	MEMBER MARCH-LEUBA: Yeah, because the
5	temptation is to put this on a laptop in the office of
6	whoever is working on that. And when you start
7	thinking cybersecurity, what can possibly go wrong,
8	lots of bad things can happen. And it's not only the
9	source code of MCNP but all the input decks define the
10	geometry and such. Thank you.
11	MR. NEWELL: Control strategies in NCS
12	evaluations follow the typical hierarchy of controls,
13	passive, active, and administrative. All
14	administrative controls are specifically annotated in
15	SHINE's operating procedures. And NCS evaluations,
16	the explicit use of NCS controls is preferred to
17	alliance on the natural and credible course of events.
18	Additionally, controls on two independent
19	criticality parameters is preferred over multiple
20	controls in a single parameter. As mentioned earlier,
21	single parameter limits are used. All other
22	parameters are evaluated at their most reactive
23	credible values and safety limits on the control
24	values which counter tolerances and uncertainty are
25	established. On the screen, you can see the

(202) 234-4433
	71
1	(Simultaneous speaking.)
2	DR. BLEY: Excuse me.
3	MR. NEWELL: Yeah?
4	DR. BLEY: It's Dennis Bley. Could you
5	explain your first bullet a little more? I'm not
6	reliance on natural and credible course of events
7	seems a pretty good basis the physics say it has to go
8	that way. So explain that one a little bit.
9	MR. NEWELL: In general, we prefer to
10	explicitly control a sequence rather than rely on
11	that. Not to say that we don't take credit for that
12	in some sequences, for example, the draining of
13	fissile material on a drip pan. But we prefer to have
14	explicit controls in place.
15	DR. BLEY: Okay. Go ahead. I'm just
16	I'm a little and I understand why we would want to
17	be able to control the situation. I'm not completely
18	convinced I prefer that to knowing the physics will
19	prevent something from happening. Go ahead.
20	MR. NEWELL: On the screen, you can see
21	the philosophy of how we implement mass limits
22	including accounting for over-batching. An example of
23	mass controls is in the uranium receipt and storage
24	system where we have limits on the mass of special
25	nuclear material inside of the uranium oxide and
	I

(202) 234-4433

72 1 uranium metal canisters. Both of these limits are well below half of the critical mass use. 2 Geometry controls rely on fuel parameter 3 4 limits or NCS calculation to demonstrate favorable 5 qeometry. Examples of geometry controls include 6 limits on the dimensions of target solution staging 7 system and their tanks and volume limits on select 8 pumps and filters. Enrichment is verified prior to 9 adding material to URSS canisters. Because of this, enrichment is considered 10 fixed in every evaluation when calculating NCS limits. 11 The SHINE facility has limited instances of the need 12 for moderation control. 13 The uranium receipt and storage room is one example. Included in these 14 15 controls are limits on liquid being present in the three-inch berm which 16 and reduces the room а 17 likelihood of flooding in the URSS room from external 18 sources. 19 Liquid density is explicitly controlled in the NCS governed process. However bounding high 20 densities 21 are assumed when performing NCS The reflection is not specifically 22 calculations. controlled in the NCS evaluation but is considered 23

when performing NCS calculations. Maximum credible reflection is considered for each unit analyzed.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

	73
1	Uranium concentration is controlled only
2	in the RLWS and RLWI systems. In the RLWS, waste
3	material is first added to a favorable geometry vessel
4	and sampled for measurements of uranium concentration.
5	Once the concentration is shown to be below the 25
6	gram per liter limit, the material is moved to a
7	second in series stable geometry vessel where a sample
8	is taken and measured by a different chemist using a
9	different method than the first.
10	MEMBER MARCH-LEUBA: So hold on a minute.
11	You said the license independent sampling, you really
12	mean diverse sampling. It's a different method, not
13	a different person.
14	MR. NEWELL: There is a different person
15	and a different method.
16	MEMBER MARCH-LEUBA: Okay. So then yeah,
17	I would call that diverse. Thank you.
18	MR. NEWELL: Thank you.
19	MEMBER MARCH-LEUBA: For the record,
20	diverse is good. Independent is good, diverse is bad.
21	MR. NEWELL: Once results for both methods
22	are obtained, they are reviewed by a supervisor and
23	solution is moved to an unfavorable geometry waste
24	vessel if the concentration is deemed to be acceptably
25	low and that both values agree with each other with
	I contraction of the second seco

(202) 234-4433

reasonable uncertainty. Additionally, valves on lines to concentration control tanks are normally closed to prevent inadvertent transfer of material. Physical chemical form is controlled by maintaining the pH of the uranium barium solution to under pH 2.

Controls are established on any re-agent 6 7 addition lines which will contain basic solution to ensure that it is highly unlikely that interaction 8 9 between the two materials will occur. Additionally, 10 requirements are established in the URSS that require the uranium exiting the furnace to be of a non-11 hygroscopic type in order to maintain low moisture 12 in the oxide material. 13 content Interaction is 14 controlled between vessels by establishing minimum 15 separation distances where necessary.

Examples of this type of control include 16 17 the dissolution tanks and the target solution preparation system as well as the vacuum lift tanks 18 volume 19 transfer and vacuum system. Both and interaction are controlled in some systems, including 20 the target solution preparation system. 21 In this system, units containing fissile material that are not 22 maintained neutronically isolated are limited to a 23 volume to 1 over n of a volume limit where n is the 24 number of units in question. 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

1

2

3

4

5

Heterogeneous effects are controlled in a similar manner to physical chemical form focused on preventing the interaction of fissile material with organic or basic solutions that could cause uranium precipitation or wearing. NCS controls are implemented by the operations staff for the use of operating procedures. The purpose of these procedures is to facilitate and document the safe and efficient conduct of operations.

10 As mentioned earlier, the procedures include specifically annotated criticality controls. 11 Any new or revised procedures that could impact NCS 12 are reviewed by NCS staff. 13 То ensure that not 14 unevaluated changes to process conditions have 15 occurred over an extended shutdown, operations and NCS staff perform a review to identify any changes that 16 17 could impact nuclear criticality. Any changes identified are addressed in an NCS evaluation and 18 19 verification of the implementation of appropriate controls is performed prior to restart. 20

21 CHAIR BALLINGER: This is Ron Ballinger. 22 I hate to keep coming back and beating a dead horse. 23 But whenever I hear pH 2 for solutions, I keep coming 24 back to the issue related to the material selection 25 for the vessels and the choice of the -- I think it's

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

1

2

3

4

5

6

7

8

9

	76
1	347 stainless steel.
2	I want to keep putting it on the record
3	that procedures for welding that material need to be
4	very carefully monitored and controlled. pH 2 is
5	pretty low. Thank you.
6	MS. RADEL: This is Tracy. The corrosion
7	report that has been done for the vessels in the
8	facility, we did include, I know the
9	MEMBER MARCH-LEUBA: You're breaking up
10	again. Can you talk closer to the microphone?
11	MS. RADEL: Yeah. So this is Tracy. I
12	know there's a previous question and a previous
13	meeting on knife-line attack corrosion did verify that
14	was considered and evaluated as part of the corrosion
15	analysis for the vessels and the material that was
16	selected as well as other corrosion mechanisms that
17	would potentially occur. And mitigation strategies
18	for that and the manufacturing process were outlined
19	and implemented during the manufacturing to help
20	mitigate that and reduce likelihood of those
21	occurring.
22	CHAIR BALLINGER: Thank you. This is the
23	first time I've heard anyone on the SHINE staff use
24	the word, knife-line attack. I'm glad you know it.
25	MR. NEWELL: NCS training requirements for
	1

(202) 234-4433

on-site personnel are determined and documented. The content of the training programs is tailored to the job responsibilities. While two tiers of NCS training are established, both tiers include stop work authority, procedural compliance, response to alarms, criticality and reporting of defective conditions.

8 Tier 1 training includes content from 9 ANSI/ANS 8.20 and is directed to those who manage or 10 work near areas where the potential for criticality 11 exists. Tier 2 training is specific to NCS staff and 12 meets the requirement and recommendations in ANSI/ANS 13 8.26. SHINE uses qualification cards to report an 14 individual's progress or its qualification.

15 Qualifications granted by external organizations may be recognized based on verification 16 17 and completion of SHINE facility specific portions of the qualification card. Experience may be used to 18 19 individual training qualification exempt and 20 requirements. Where this is used, appropriate documentation is attached to the qualification card 21 and retained. 22

Facility familiarity and walkthrough requirements may not be accepted. The maintenance of NCS qualifications is required. Completion of re-

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

1

2

3

4

5

6

7

qualification is required every three years and continued active participation in development of NCS evaluations.

4 Senior NCS engineers continue active 5 participation in the independent review of NCS evaluations and completion of annual professional 6 7 development activity as determined by the NCS lead. 8 All SHINE employees are encouraged to provide feedback 9 on the criticality safety program. Personnel are required to report any defective NCS conditions to the 10 NCS program management. 11

All fissionable material operations are 12 reviewed at least annually to verify procedural 13 14 compliance and normal process conditions. These 15 conducted with consultation with reviews are 16 operations personnel and are documented. This 17 includes an NCS staff walkthrough of the facility processes and procedures. 18

The NCS lead scheduled coordinates all 19 routine NCS oversight activities. This includes a 20 routine audit of NCS practices, examination of reports 21 violation other deficiencies. 22 of procedural or evaluation calculation 23 Additionally, each and 24 important to NCS are reviewed at least once every few 25 years.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

1

2

3

79 1 And at least once every three years, the criticality safety audited 2 program is for 3 effectiveness. Any deviations from features and 4 unintended changes to process conditions are reported 5 to management, investigated, corrected, and documented. Any action taken to correct deviations or 6 7 changes to process conditions are taken in accordance 8 with procedural requirements and with input and 9 quidance from NCS staff. 10 The conditions that require corrective action include violation of NCS requirements, conduct 11 fissionable of material operations without 12 an evaluation, discovery of an unanalyzed condition, and 13 14 discovery of deficiencies in NCS evaluations. Upon 15 the contingency principle, loss of double the 16 fissionable material operation is suspended and the 17 process is rendered safe until a double contingency principle protection may be reserved. 18 As stated 19 earlier, NCS events are reported to the NRC in accordance with a reporting requirement as with prior 20 technical specifications. 21 SHINE's configuration management includes 22

22 SHINE'S Configuration management includes 23 the engineer controls are significant to nuclear 24 criticality safety. Configuration management program 25 is relied upon to maintain controls and their analyzed

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

80 1 conditions. Any change that could affect NCS limits is evaluated in facility process requirements. 2 And 3 prior to implementing any change, the corresponding 4 NCS evaluation is reviewed and updated as needed. 5 SHINE's emergency plan provides guidance Response to an 6 on how to respond to emergencies. 7 imminent occurring or past indication of criticality accident invokes a special procedure for criticality 8 9 The NCS staff plays a role accident loss. in 10 preparing emergency plans and procedures in accordance with ANSI/ANC 8.23. 11 SHINE provides a criticality accident 12 alarm system, or CAAS, to detect a criticality event 13 14 in the facility and should not accept quantities of 15 fissile material greater than the limits identified in 10 CFR 70.24(a) are used, handled, or stored outside 16 17 of the target solution vessels. CAAS meets the requirements of 10 CFR 70.24 and conforms to the 18 19 recommendations in ANSI/ANS 8.3 and incorporated any exceptions or recommendations from Regulatory Guide 20 We have neutron-sensitive detectors placed at 21 3.71. locations shown by calculation to provide sufficient 22 coverage and detect the minimum accident of concern. 23 24 Generally, CAAS detectors are arranged in a way that that each area receives coverage from three 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

detectors. If an accidental criticality occurs, CAAS 2 clearly audible alarm signals. All energizes mandatory evacuation areas are clearly marked with evacuation routes that are selected to lead personnel away from areas with a potentially higher dose.

conditions which could 6 For disable 7 multiple detectors or the logic unit, temporary 8 criticality detection equipment with audible alarms 9 will be used for personnel remaining in or entering Personnel access to the affected 10 the affected area. area will be limited to essential activities. These 11 administrative controls include a short allowance for 12 the full preparation. That is the conclusion of the 13 14 presentation on the criticality safety program. Are 15 there any questions?

MEMBER KIRCHNER: This is Walk Kirchner. 16 17 I have a question on your last bullet of the last What conditions do you envision that might slide. 18 19 disable multiple detectors? Are you talking about upset conditions like accidents, fire? 20 Or are you talking about just maintenance and other potential 21 loss of electric or something like that? 22

MR. NEWELL: It's more along the lines of 23 24 a loss of normal power or maintenance activities. Any other questions? 25

> **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

1

3

4

5

82
CHAIR BALLINGER: Hearing none, we're
scheduled now for a break. We're a little bit early,
but that's fine. Let's recess until 11:40 excuse
me, 10:45.
(Whereupon, the above-entitled matter went
off the record at 10:26 a.m. and resumed at 10:45
a.m.)
CHAIR BALLINGER: Okay, folks. We're
ready to go again. Back in session. I see the staff
slides up there. So if we're ready to go, let's do
it.
MR. MUNSON: Okay. I am Jeremy Munson.
I work in the Office of NMSS Division of Fuel
Management. And I did the nuclear criticality safety
review in FSAR Chapter 6(b)(3). Can you move to the
next slide, please?
CHAIR BALLINGER: We're getting a little
bit of an echo. Where have I been wrong?
MR. MUNSON: Is that any better?
CHAIR BALLINGER: Yeah, I think so.
MEMBER MARCH-LEUBA: You sound like you're
in a tunnel or something.
MR. MUNSON: I'm sitting right in front of
my computer, but
MEMBER MARCH-LEUBA: It's fine. We can

	83
1	understand you.
2	MR. MUNSON: Okay. So this slide is
3	simply to point out that there is quite a bit of
4	crossover with the Chapter 13 accident analysis
5	portion because many of the criticality or many of
6	the accident sequences associated with the SHINE are
7	criticality sequences. Chapter 13 will be in a
8	separate presentation. Next slide.
9	Okay. In terms of regulatory
10	requirements, you've seen this before most likely.
11	But 50.34 requires the licensee to describe the
12	facility's equipment. 50.68 requires the licensee to
13	maintain a criticality accident arm system and
14	emergency procedures in accordance with 70.24. It
15	actually gives a set of alternative criteria to meet.
16	But SHINE chose to go with the
17	requirements of 70.24. Through the course of the
18	review because this is a facility that's very much
19	like a fuel facility, there were certain Part 70
20	provisions that were identified to be applicable to
21	the SHINE facility. And they were achieved via
22	commitments in the SHINE FSAR.
23	70.61(b) requires the licensee to limit
24	the risk of high consequence events such that the
25	likelihood of its occurrence is highly unlikely. And
1	1

(202) 234-4433

www.nealrgross.com

	84
1	in that context, criticality is always considered to
2	be high consequence. 70.61(d) requires the assurance
3	of subcriticality for normal and credible abnormal
4	conditions and the use of an approved margin of
5	subcriticality for safety. And there are certain
6	reporting requirements in Part 70 including 70.50,
7	70.52, and Appendix A which requires specific
8	criticality-related events to be reported to the NRC,
9	whether they be an hour reportable or 24-hour
10	reportable. All right. Next slide, please. The area
11	
12	MEMBER MARCH-LEUBA: Sorry. This is Jose.
13	How do we separate the requirements for the TSV and
14	the rest of the facility? Is that a regulatory
15	separation, or can you talk about that?
16	MR. MUNSON: The criticality safety
17	program applies to all areas and all operations of the
18	facility except the TSVs. And if you could go back
19	one slide, please. I mentioned this earlier, but the
20	reason for that is because the most stable, the most
21	rudimentary, the most important criticality safety
22	requirement is 70.61(d).
23	And it actually is almost verbatim in the
24	ANS standard. It's called the process analysis
25	requirement. And that's the assurance of

(202) 234-4433

www.nealrgross.com

subcriticality under normal and all credible abnormal conditions.

3 The difference in the ANS standard and the 4 regulation is we go so far as to tell you what we mean 5 by subcritical by adding including the use of an approved margin of subcriticality for safety. 6 And 7 because of the margins associated with the TSVs, it 8 was determined that really can't be met in that case. 9 So the criticality safety program does not apply to 10 TSVs. It's been treated separately.

MEMBER MARCH-LEUBA: Yeah, but from where I sit, the fact that I cannot meet the requirement doesn't let me not use them. There has to be a reason why we handle it as a Chapter 13 accident. But what you're saying is we couldn't possibly meet the 0.06 requirement for the TSV. Therefore, we don't need to. And I don't think that's what you mean.

18 MR. BALAZIK: This is Mike Balazik.

MR. MUNSON: Go ahead, Mike.

20 MR. BALAZIK: Yeah, this is Mike Balazik, 21 project manager for SHINE. So the SHINE TSV is part 22 of the utilization facility which is licensed under 23 Part 50. We went through a rule making to designate 24 it as a utilization facility. So that's why the TSV 25 is being looked at under Chapter 13 and not the --

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

1

2

19

	86
1	I'll say the production facility side of the facility.
2	MEMBER MARCH-LEUBA: Okay. That's a much
3	more satisfying explanation. Okay. We're getting it.
4	We're getting it.
5	MR. MUNSON: Just understand that the
6	70.61(d) has been imposed via a commitment. And the
7	commitment is limited in scope to everything but the
8	TSVs. So it's actually not a Part 50 requirement but
9	rather a commitment. So it's not like we have a
10	regulatory requirement that we're just ignoring. Next
11	slide, please.
12	MEMBER MARCH-LEUBA: What I thought I
13	heard is that everything but the TSVs under license
14	under Part 70 and the TSV because that's the
15	production facility's license under Part 50. We don't
16	require reactors to be subcritical. They are
17	critical.
18	MR. MUNSON: So no
19	(Simultaneous speaking.)
20	MEMBER MARCH-LEUBA: analysis.
21	MR. MUNSON: This is a Part 50 license.
22	Certain divisions of Part 70 have been committed to in
23	the SHINE FSAR. This is not
24	MEMBER MARCH-LEUBA: Okay.
25	MR. MUNSON: a dual license. There's
	1

(202) 234-4433

	87
1	no Part 70 license and a separate Part 50 license.
2	It's all one Part 50 license. It's just certain Part
3	70 provisions given the nature of the SHINE processes
4	have been committed to by SHINE and the FSAR.
5	And understand this is a unique facility,
6	right? Many stages of the process are very much like
7	a fuel facility. When they bring the material in the
8	way that it's treated, the way that it's handled, the
9	dissolution of uranium oxides into your whole
10	solution, basically, this is a fuel facility except
11	for the irradiation piece. So it makes a lot of sense
12	to utilize the Part 70 provisions where appropriate in
13	order to reach the desired outcome which is the
14	reasonable assurance of adequate protection.
15	MEMBER MARCH-LEUBA: Okay. Thank you. I
16	think I have it clear now. Keep going. Unless
17	somebody wants to diagnose the echo because it keeps
18	coming up.
19	DR. BLEY: Jose, I'm not hearing the echo
20	that you're hearing. So
21	CHAIR BALLINGER: We're not hearing it
22	now.
23	DR. BLEY: I'm not sure why it's been
24	a problem.
25	CHAIR BALLINGER: Yeah, we're not hearing
	1

(202) 234-4433

88
it now. But every once in a while, it comes up.
MEMBER MARCH-LEUBA: Okay. Keep going.
MR. MUNSON: Okay. In terms of areas of
review, the use of the appropriate ANS standards, a
review of the criticality accident alarm system,
emergency planning and response. There are strategies
for entering subcriticality and adherence to the
double contingency principle, the organization and
administration of the criticality safety program, the
SSA and management measures piece that are appropriate
to crit safety, the technical practices and treatment
of NCS parameters, including validation of neutronics
methods and the minimum margin of subcriticality as
referred to in 70.61(d). Next slide, please.
Okay. Just to summarize the review
findings before we get into more details, the review
findings that the licensee has described in NCS
program as appropriately that appropriately reduces
criticality and processes under normal and all
credible abnormal conditions. The licensee will
develop, implement, and maintain emergency response
procedures for the alarm system requirement of 56.8
and 72.4. The license described in the NCS program
provides reasonable assurance of the protection
against criticality as to the worker, public, and

(202) 234-4433

environment. Next slide.

1

2 Okay. There were several points of 3 interest here. The way that our quidance was 4 structured sort of separate from the radioisotope production facility and irradiation facility side, 5 there are many aspects of the irradiation facility 6 7 where it would be appropriate to apply the elements of 8 the criticality safety program. For example, the 9 validation techniques and the MCNP code that was used to determine what the safe limits would be or what the 10 design of the TSV dump tanks would be, they were all 11 the same. 12

The 13 TOGS system which is on the 14 irradiation facility side also has credible 15 criticality hazards. So we met a challenge earlier on 16 in sort of determining what aspects of Part 70 would 17 be appropriate and where. And we determined that the most appropriate thing to do would be to have the 18 19 criticality safety program applied to everything except for the target solution vessels as opposed to 20 just the radioisotope production facility. 21

Because like I said, there were many areas of the irradiation facility that would also -- it would be appropriate for the crit safety program to cover. So appropriate 10 CFR Part 70 requirements

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

89

90 1 have been imposed via SHINE's commitments in the FSAR 2 which are about 70.61(b), 70.61(d), and the reporting 3 requirements. I have an asterisk there by Appendix A 4 because Appendix A actually is written in terms of the 5 facility that has an integrated safety analysis. So the way that is written has many 6 7 references to IROS, items relied on for safety, in the 8 ISA. Obviously, a commitment to Appendix A won't mean 9 anything if you don't have an ISA or IROS. So what 10 SHINE did there was they basically wrote out equivalent commitments that would meet the intent of 11 Appendix A requirements for reporting and put those 12 into the FSAR. 13 14 CHAIR BALLINGER: This is Ron Ballinger. There's some kind of beeping that's going on. 15 Is 16 there somebody that's not muted that should be muted? 17 Because every once in a while, it does hurt us on understanding what's being said. Oh, it's coming from 18 19 the actual speaker? Oh, qosh. Well, okay. Well, we'll do the best we can. Okay. Let's go again, I 20 21 quess. Next slide. 22 MR. MUNSON: Okay. I'm iust going to -- as I was mentioning before during SHINE's 23 24 presentation, different areas of the facility may 25 utilize different control strategies or control

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

different NCS parameters. So I was just going to briefly walk through stages of the process and discuss 2 what the control strategies there are, starting with the target solution staging system. This is a system which will convert uranium oxides into a solution through the dissolution in acid.

7 The TSPS consists of eight target solution 8 hold tanks and two target solution storage tanks, all 9 of which are favorable to the dual passive overflows 10 to prevent scenarios. Drip trays or equipment drains in the event of leak or overflow to avoid an unsafe 11 slab from being exceeded if a leak were to occur. 12 Next slide, please. 13

14 The radioactive liquid waste storage 15 system consists of two uranium liquid waste tanks, 16 four radioactive liquid waste tanks, and eight liquid 17 waste blending tanks. Uranium liquid waste tanks are favorable geometry with redundant passive overflows. 18 19 The radioactive liquid waste tanks and liquid waste blending tanks are not favorable geometry. But they 20 are under concentration control which is verified via 21 dual independent sampling or diverse sampling. 22

And again, drip trays are equipped with 23 24 drains in the event that there is a leak or an So here you see a deviation from a geometry 25 overflow.

> **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

1

3

4

5

6

www.nealrgross.com

91

	92
1	system to a system that is relying on concentration
2	control and, again, verified by sampling methods.
3	Next slide, please.
4	The molybdenum extraction and purification
5	system, the majority of its components are favorable
6	geometry, including the pump, piping, everything like
7	that. However, the molybdenum eluate hold tank and
8	facility chemical reagent system are not favorable
9	geometry. In order to prevent inadvertent transfer to
10	those favorable geometry tanks, a three-way valve and
11	isolation valve is advised.
12	There is a credible sequence involved in
13	the precipitation due to inadvertent addition of cost
14	of reagents. That is prevented by administrative
15	controls and the addition of caustics and the nature
16	of column wash sequence. Next slide, please. For the
17	target solution preparation system, uranium oxides, I
18	split this into basically two different areas because
19	it begins with uranium oxides and it ends with uranium
20	solutions.
21	For uranium oxides, administrative limits
22	on oxide mass are utilized in the event that uranium
23	powder or oxide were to become trained into the
24	ventilation system. There are HEPA filers with
25	favorable geometry. And there are moderator
1	I contraction of the second

(202) 234-4433

	93
1	exclusions which help to protect those mass limits.
2	However, they're primarily relying on mass
3	control here. This is an operator action. So it's
4	primarily going to be administrative in nature, and
5	they're going to be relying on mass control.
6	Once dissolution occurred, you now have
7	your solution. And the target solution preparation
8	tank pumps and filters are all favorable geometry.
9	They're high level controls, in general utilized in
10	order to prevent back flow scenarios. And back flow
11	scenarios would include any process chemical limes
12	coming in.
13	If there were to be an overfilling of one
14	of the vessels, it could back flow into an unfavorable
15	geometry process line or process tank. And those are
16	sequences which have been prevented through check
17	valves and high level controls. Next slide, please.
18	The vacuum transfer system, the majority of its
19	components are favorable geometry and robust enough to
20	design to prevent leaks.
21	The vacuum buffer tank is equipped with a
22	demister which will separate potential entrained
23	uranium solution. Vacuum headers are equipped with
24	liquid detection that will stop transfer upon
25	detection of liquid. Next slide. In the uranium
	I contraction of the second seco

(202) 234-4433

receipt and storage system, there are administrative controls on mass.

There are both administrative and 4 engineered controls on moderation. It's a moderator exclusion zone, SO you can't bring sources of 6 moderator in, things like that. And the outside storage rack and metal storage rack have favorable 8 qeometry. Next slide.

9 the radioactive drain In system, it consists primarily of favorable geometry tanks. 10 The hold tanks are equipped with level instrumentation to 11 solution leaks 12 detect into the RDS to prevent precipitation of solids. Next slide. 13 And the 14 radioactive liquid waste immobilization system, the 15 drums are subject to mass control, and they also have a waste acceptance criteria for uranium activity that 16 17 would help to indicate mass. Next slide. MR. BORROMEO: Hey, Jeremy. 18 Yes, sir. 19 MR. MUNSON:

MR. BORROMEO: Can we do a little test 20 Can you turn down your speaker all the way? 21 here? And then we'll IM you if you have -- if ACRS has a 22 We're still trying to fix the feedback 23 question. 24 problem.

> **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

MR. MUNSON: Sure. Would you like for me

(202) 234-4433

25

1

2

3

5

7

to continue? Okay. The laboratory is subject to mass control. They will be working with very limited quantities of fissionable material, and it will be less than minimum critical mass. So next slide, please.

The iodine extraction and purification 6 7 system, there's a three-way valve and isolation valves 8 that prevent inadvertent transfer, the IXP eluate tank 9 and the facility chemical reagent system, because they're both unfavorable geometries. 10 Next slide. Okay. Another point of interest is the minimal margin 11 of subcriticality. As I said before, 70.61(d) which 12 SHINE has committed to in the FSAR requires the use of 13 14 a minimum margin of subcriticality for 50.

15 Although MCNP is pretty good, our in depth 16 cross section libraries are pretty good, they're 17 subject to many sources of uncertainty. So we typically require licensees to do a validation to 18 19 establish the degree to which the code is either overpredicting or underpredicting reality. 20 And we call this a bias. 21

There's uncertainty associated with a bias. But they're also unqualifiable or difficult to quality, difficult to quantify sources of uncertainty that are not explicitly identified by the validation

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

1

2

3

4

5

	96
1	and hence included in the calculation of the bias.
2	And for that reason, we impose an administrative
3	margin or an MMS to make sure that systems calculated
4	to be subcritical are in fact subcritical.
5	Many stages of the process will rely on
6	the use of subcritical limits or that should
7	actually say single parameters, that's my mistake
8	derived from NRC endorsed ANS standards. It's not
9	explicit k-effective calculations. So ANS 8.1
10	actually has which is endorsed by the NRC in Reg
11	Guide 3.71 actually has tables which will provide
12	you with things like mass limits, concentration limits
13	and so forth.
14	And the NRC has endorsed those. Those do
15	not require explicit k-effective calculations for
16	these MCNP. For cases where MCNP will be used and
17	explicit calculations will be necessary, those
18	calculations will be subject to administrative margin
19	of 0.05 with an additional penalty of 0.01 added to
20	account for a lack of experimental data for uranyl
21	sulfate systems resulting in a minimal margin of
22	subcriticality of 0.06. It was identified during a
23	review of the validation report that many of the
24	systems or that the benchmark experiments selected for
25	validation were not uranyl sulfate systems.

(202) 234-4433

NUREG-6698 is the guidance that we use to perform reviews of validation reports and the minimum margins to criticality in addition to Appendix B of Chapter 5 to 1520. And it does provide guidance for what an appropriate penalty would be for situations like this. And to accommodate a lack of experimental benchmark data for uranyl sulfate systems, this 0.01 penalty was imposed.

So you end up with a k-effective limit of 9 essentially 0.94. But that's also before the bias and 10 bias uncertainty have been subtracted out. 11 So the Ι referenced before 12 quidance documents that in determining whether the MMS is appropriate primarily 13 14 rely on the validation rigor and the statistical 15 methodology used in performing validation, the 16 quality, quantity, and similarity of benchmark 17 experiments, and any conservative practices which may result in safety margin and other sources of safety 18 19 margin.

Safety margin meaning margin in parameters which does have a result on the subcritical margin. But they are not the same thing. For example, a 2 percent change in moderation does not necessarily result in a 2 percent change in k-effective. It's sort of a nonlinear type of thing, although if you

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

1

2

3

4

5

6

7

8

	98
1	were to set a mass limit, if you were to calculate a
2	minimum critical mass that, for example, 10 kilograms
3	and the limit that you imposed is 5 kilograms, the k-
4	effective would not necessarily be on a percentage
5	basis, would not necessarily be linear in that.
6	But that safety margin that you have
7	imposed does result in a consistent reliable impact to
8	subcritical margin. Next slide, please. SHINE has
9	requested an exemption from the criticality accident
10	alarm system requirements of 70.24 for the material
11	staging building and the irradiation units. This is
12	partly based on the Part 71 criteria for fissile
13	exempt packages. That is being reviewed by the staff,
14	and that's about all I can say about that say on
15	that at this time. Next slide, please.
16	DR. BLEY: This is Dennis again. At what
17	point will this come back to the committee here?
18	MR. MUNSON: Say again?
19	DR. BLEY: Is there some point in the
20	future after your review is complete that this issue
21	comes back to the committee on the exemptions.
22	MR. MUNSON: Well, perhaps Mike could take
23	that question. The review is already complete. But
24	in order to not discuss any pre-decisional
25	information, I can't really comment on whether the

(202) 234-4433

	99
1	exemption will be approved or not. But perhaps Mike
2	or Josh knows a better answer to that.
3	DR. BLEY: Okay. And we have a closed
4	session I believe coming up.
5	MR. BALAZIK: Yeah, this is Mike Balazik,
6	project manager. I mean, we can discuss this in
7	closed session. Or we can have a focused discussion
8	on the exemption if needed.
9	DR. BLEY: Okay. Try it in the closed
10	session. That'd probably work.
11	MR. MUNSON: Next slide, please. That may
12	be the last slide. Yeah, that's the last slide. So
13	with that, that was a summary of the review performed
14	for the criticality safety program. Are there any
15	questions?
16	MEMBER KIRCHNER: This is Walt Kirchner.
17	Jeremy, when you did your review, you systematically
18	went through the different systems where there were
19	potentialities for criticality. And you pointed at a
20	number of places where there was not favorable
21	geometry and there was use of fissile solutions which
22	always are probably of most concern in this business.
23	Did you flag any particular areas for your review that
24	you put it at attention where there was reliance on
25	administrative controls or concept of operations was
I	

(202) 234-4433

	100
1	an important factor in maintaining the subcriticality
2	margins? I'm thinking of things.
3	(Simultaneous speaking.)
4	MEMBER KIRCHNER: I'll lead you to one or
5	two that I've looked at. Certainly the moly
6	extraction purification system, the target solution
7	tanks. There are several areas where there are
8	controls in place as well as administrative controls.
9	In your review, did you convince yourselves that the
10	concept of operations was such that there was
11	sufficient margin?
12	MR. MUNSON: Absolutely. We're in
13	absolute agreement that solution systems represent the
14	highest risk of the 23 actual process related
15	criticalities we've had worldwide. And throughout
16	history, 22 of them had been solution systems. And
17	transfers inadvertent transfers to unfavorable
18	geometry whether they be through a maintenance
19	activity or through a back flow scenario, whatever the
20	case may be or have always been the high concern and
21	the point of interest in criticality reviews.
22	In terms of identifying specific systems
23	that stood out that I would primarily go with systems
24	that do not rely on geometry control but rather on
25	administrative control. So the target solution
1	1 I I I I I I I I I I I I I I I I I I I

(202) 234-4433

1 preparation system where they're dealing with outsides and they're doing the dissolution and things like that 2 and 3 well as the TOGS the moly extraction as 4 purification system like you referenced before all 5 were definitely areas that I chose to dig a little deeper on vertical/horizontal slides. 6

7 MEMBER KIRCHNER: So I don't know the extent that actual operating procedures exist. 8 But 9 did you for those -- I'll call them sensitive 10 processes. Then you looked at the administrative are being proposed and convinced 11 controls that yourself that the concept of operations would prevent 12 -- reasonably prevent inadvertent criticality? 13

14 MR. MUNSON: Yes. I did a detailed review 15 the criticality safety evaluations. of As SHINE stated in their presentation, they're committed to ANS 16 8.1 as well as ANS 8.19 which provide quidance and 17 requirements -- not regulatory requirements but within 18 19 the of the standard requirements for context conducting criticality safety evaluations. 20 So the criticality safety evaluations not only include a 21 description 22 detailed process but also the identification of controls, the identification of 23 24 important limits, the actual calculations themselves, the demonstration double 25 of contingency and

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

101

1

2

3

4

5

6

7

subcriticality within approved margin.

And I did a detailed technical review on the criticality safety evaluations. number of а That's really a starting point for crit safety, right? So everything comes from the crit safety evaluation including the -- the crit safety evaluation is developed.

limits 8 And then the controls and identified therein, that's what feeds -- informs the 9 And that's what informs the procedures. 10 SSA. And that's what informs everything that comes thereafter. 11 So certainly the crit safety evaluation, it's the best 12 place to start. And I did a detailed technical review 13 14 of those as well as a sample of some of the operating 15 procedures and the SSA.

16 Now are there any -- obviously I think this 17 Greq earlier morning made an important distinction about this particular facility, unlike 18 19 doing criticality experiments that Pajarito Site at Los Alamos or other places. This is going to be where 20 they're one-off typically kind of experiments. Here, 21 you are actually operating a chemical facility whose 22 objective is to produce this very valuable moly 23 24 isotope.

There's going to be lots and lots of

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

25

1 repetitive operations. Did you look at those administrative procedures 2 and other from the 3 standpoint that these -- just the demand of producing 4 the material is going to be over and over again 5 repetitive operations? Are there any potential 6 weaknesses there in terms of human system interaction, 7 potential for not following precisely a procedure and 8 then having а much higher risk of approaching 9 criticality?

10 MR. MUNSON: So there are a number -- this sort of requires a detailed response. 11 There are a number of technical practices, conservative practices 12 that SHINE utilizes in the development of their NCSes 13 14 and their limits and ultimately their controls which provide a number -- a degree of safety margin in the 15 16 event that an operator does make an error or something 17 to that effect. With that being said, the human reliability is always a factor. 18

19 The reliability of the human is very low in a lot of cases. And we have guidance for what 20 constitutes appropriate credit for human reliability, 21 what the likelihood of failures would be, things like 22 that. That might be better discussed in the review of 23 24 the SSA methodology or Mike Call's presentation because he's the one who looks specifically at what 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

103

appropriate credit would be for which appropriate controls.

3 I will say that consistent with sort of an 4 ISA-like methodology, as SHINE's SSA is, it's more 5 along the lines of instead of applying the principles of probabilistic risk assessment in determining what 6 7 the likelihood of human error would be for each 8 individual system or each individual action. It's 9 more on sort of, like, a magnitude-based approach, 10 like, a 10 to the minus 2 or 10 to the minus 1, that sort of thing, because it's more semi-quantitative in 11 nature with lots of qualitative aspects. 12 But certainly, the human factors have been considered. 13 14 And what SHINE has proposed is consistent with our 15 quidance in terms of reliability for human actions. 16 And I think Mike Call might be able to provide any 17 information beyond that. Well, that's good for MEMBER KIRCHNER: 18 19 the time being. Thank you for that answer. DR. BLEY: Yeah, this is Dennis Bley. 20 Т

21 wanted to push you in this area just a little. I 22 raised a question when SHINE was presenting their talk 23 where they say their preferences that nuclear 24 criticality safety controls are preferred, relying on 25 essentially credible physics and chemistry.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

1

2

www.nealrgross.com

104

105 But it sounded a little funny with me, 1 especially if you don't specify what kind of controls 2 And if we're talking about 3 you're talking about. 4 administrative controls, that one really bothers me 5 because over time they tend to get violated at some And I wonder if you folks thought about that 6 point. 7 issue much and that preference for controls over 8 physics and chemistry. 9 So what you saw on SHINE's MR. MUNSON: 10 presentation there is actually sort of pointed to because it's an acceptance criteria for our review and 11 our --12 13 DR. BLEY: Sure. MR. MUNSON: -- standard review plan. And 14 15 the reason why that's in there is it's sort of limited 16 to -- let's say if you have uranium oxide powder and 17 you spill it into a glove box. It's probably going to spread throughout to a reasonable degree. But we're 18 19 going to assume that -- conservatively assume that it forms a hemisphere because that's a more reactive 20 shape. 21 DR. BLEY: 22 Sure. MR. MUNSON: Or it's referring to things 23 24 like that. Gases flow up typically. Gravity works in the downward position typically, things like that. 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

	106
1	But it only provides you it provides you with a
2	reasonable argument.
3	It doesn't provide you with control over
4	process necessarily. So it's really intended to
5	discuss those types of things and ensure that there's
6	not too much reliance upon assumptions or things like
7	that because we typically want controls in place to
8	verify that things are occurring. For example, if you
9	put uranium oxide powder into a furnace, it comes out
10	the other side.
11	There's been a change in density that has
12	occurred. If you're doing a criticality safety
13	evaluation and you have to have an assumed density,
14	we're probably going to want you to check and make
15	sure, have some sort of control that that density that
16	you're assuming when deriving your limits is
17	appropriate as opposed to just saying, okay, well,
18	it's been in this furnace. And through the natural
19	course of the furnace and the oxidation process, the
20	change in density is such that we end up with this
21	result. Does that answer your question?
22	DR. BLEY: It helps. And if you think of
23	it the way you just described, then the idea of
24	credible physics and chemistry doesn't I get what
25	you're talking about. It's the administrative control
1	

(202) 234-4433
	107
1	side of this that leaves me feeling always a little
2	uncomfortable. But I liked your explanation. I'm
3	glad you look at it that way.
4	(Simultaneous speaking.)
5	MR. MUNSON: That does not it's not
6	speaking to or preventing us from evaluating. The
7	very likely scenario where a human through
8	administrative action has some sort of error because
9	it's a redundant sort of or some sort of task to
10	where they're doing it many, many times. And it's
11	subject to a higher likelihood of error or something
12	along those lines.
13	That's not what that is really speaking
14	to. And the assumptions associated with human
15	reliability and what credit they receive for
16	administrative actions in the SSA are intended to
17	bound that sort of thing. And the numbers that are in
18	our guidance which again SHINE's numbers that they
19	have proposed are consistent with our guidance are
20	intended to bound all those types of errors.
21	DR. BLEY: Thank you.
22	CHAIR BALLINGER: Other questions from the
23	members?
24	Hearing none, then we are at the break
25	that we were supposed to take lunch, we're about a
	1

(202) 234-4433

	108
1	half an hour ahead which is probably a good thing.
2	And so the next set of presentations is a completely
3	different topic. So I would propose that we recess
4	and come back at 1:00 o'clock and take an extra half
5	hour for lunch. Are there any comments from members?
6	Okay. Then let's recess until 1:00
7	o'clock. Thank you.
8	(Whereupon, the above-entitled matter went
9	off the record at 11:26 a.m. and resumed at 1:00 p.m.)
10	CHAIR BALLINGER: Okay. We're back in
11	session. So okay, that's good. Material control and
12	accountability, the SHINE folks are there. So are you
13	folks ready to go?
14	MR. EDWARDS: Yeah, SHINE's ready to go.
15	CHAIR BALLINGER: Thank you. Let's go.
16	MR. EDWARDS: All right. This is Eric
17	Edwards. I'm a chemical process systems manager here.
18	And this is going to be a brief introduction to the
19	material control and accounting plan. We'll go into
20	a little more detail in the closed session.
21	Okay. The purpose of the material control
22	and accounting plan is to fulfill the requirements of
23	10 CFR Part 74 which is titled material control and
24	accounting for special nuclear material, also called
25	SNM. The requirements of Part 74 are to maintain
	I contraction of the second

(202) 234-4433

accurate, current, and reliable information on, confirm the quantities and location of SNM in the licensee's position, conduct investigations, and resolve any anomalies, rapid determination of whether an actual loss of a significant quantity of SNM has occurred and generate information to the investigation and recovery of missing SNM in the event of a loss.

8 And then the next slide here, I'm just 9 going to go through what is defined material control 10 and accounting plan. We also call this MC&A. We frequently use the acronym here. 11 So the MC&A plan achieves the requirements of 10 CFR Part 74 12 by describing the items on this list. 13

14 First, the plan defines programmatic 15 requirements or measurements, measurement control 16 system, and statistics involved with the measurements. 17 It describes how to perform the inventories, the item control program which ensures that systems used for 18 19 the MC&A that they're monitored and controlled and a receiving and shipping program or received in shipment 20 out of the special nuclear material. 21 The MC&A was assessed periodically to evaluate the effectiveness of 22 the organization implementing the program. 23

24 It defines how and when tamper safe 25 methods may be used to assist with MC&A. Inventories

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

1

2

3

4

5

6

7

are taken based on material balance areas and item 1 control areas which are defined in the plan. And SNM, 2 3 special nuclear material, are responsible for 4 maintaining control of the material and their 5 designated areas.

responsibilities 6 And roles and and 7 organizational structure for this position is defined 8 in the plan. The section defining how to resolve an 9 indication of loss, theft, diversion, or misuse as well as a section on aiding the investigation and 10 The records are outline in the plan 11 recovery. including the retention periods for each record. And 12 that's it for just a brief overview in the open 13 14 session here. Are there any questions on the plan outline? 15

16 CHAIR BALLINGER: Okay. I think we just 17 probably keep questions in the closed session. Should 18 we switch over to the staff side? Okay. Anytime you 19 are.

20 MR. TUTTLE: Okay. Thank you. This is 21 Glenn Tuttle. Good afternoon. I am the MC&A material 22 control and accounting technical reviewer, material 23 control and accounting, also called MC&A. I work in 24 the material control and accounting branch, the Office 25 of Nuclear Material Safety and Safequards.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

I wanted to mention that Tom Pham also had a big part to play in this review. He was a longtime NRC employee. He's now retired. So just wanted to make sure I gave him credit where it was due. Next slide.

And I think the first part of this will look a lot like what we just saw. But I'll go through it anyway quickly. Material control and accounting is intended to ensure that a licensee maintains accurate, current, and reliable information on the quantities and locations of special nuclear material in its possession.

And one of the main objectives I think 13 14 that was mentioned, the MC&A program needs to be able 15 to deter and detect loss after diversion of special SHINE will possess and use 16 nuclear material or SNM. SNM of moderate strategic significance that makes it 17 Category ΙI facility. Moderate strategic 18 а 19 significance in general just means between 10 and 20 percent U-235. 20

Subparts B and D of 10 CFR Part 74 apply. Subpart B is very good, probably from the '60s. MC&A regulations just kind of held on and remained in the rulemaking -- in the rules, excuse me, for any facility. So for example, a reactor would still have

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

1

2

3

4

5

	112
1	to do a Subpart B.
2	But the specific MC&A requirements for a
3	Cat. II facility are in Subpart D. And as mentioned,
4	an applicant is required to submit a fundamental
5	nuclear material control plan which is very wordy.
6	But we tend to just abbreviate it as an MC&A plan.
7	Next slide.
8	The regulatory basis as I mentioned,
9	Subpart D, 74.41, 74.43, and 74.45 and then also,
10	again, the general reporting and record keeping from
11	Subpart B with the meat of the regulations for a Cat.
12	II facility would be in 74.43 and 45. Next slide.
13	Our acceptance criteria which comes from this interim
14	staff guidance augmenting NUREG-1537. There is for
15	this type of facility, there is a small section on
16	MC&A.
17	And it basically says that our review
18	shall verify that the MC&A plan contains all
19	information prescribed in 10 CFR Part 74 for the
20	specific class the facility contained in the
21	application. So again, this means it's a Category II
22	facility. It means Subpart D. Next slide.
23	This is what you saw earlier on, I think,
24	the third slide from SHINE in a little bit more
25	abbreviate form. But these are the MC&A program
1	I Contraction of the second

(202) 234-4433

113 1 elements. And on these next two slides, I'll just mention each of the program elements in brief. 2 3 The ones in bold, I'll mention in a little 4 more detail in later slides. But it's just important 5 to know that these program elements, these five on this page, four on the next are common to any kind of 6 7 fuel facility. Excuse me. So the Cat. Is, the Cat. 8 IIIs, and the enrichment plants all have this same 9 kind of structure. 10 The MC&A organization is found in SHINE's Chapter 3 of their plan. And their plan describes in 11 detail how MC&A functions fit into the overall 12 facility. It makes sure that MC&A is independent from 13 14 production, that there separation of are key And that chapter also talks about 15 responsibilities. 16 procedures and training. 17 So it's a very good chapter. It gives a lot of information about how the MC&A program is going 18 19 to work within the facility. The next element is This is common to any facility. 20 measurements. Any 21 facility has to take measurements. 22 They must know what they have. So SHINE and their Chapter 4 describes their measurement 23 24 points, the measurement systems they're going to use. And this is kind of -- compared to a Category III 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

	114
1	facility, it's a lot more limited, not as many
2	measurement systems to have to control or keep track
3	of. Measurement control system, as I said, I'll talk
4	a little bit more about that in a future slide.
5	But measurement control just means you
6	have measurements that you want to make sure are
7	accurate or precise. You're going to control those
8	measurements on a regular basis, and every facility
9	does something in measurement control. Physical
10	inventory, again, every facility must do a physical
11	inventory at some frequency.
12	Basically what it means is you have a book
13	inventory that you've been keeping. You're going to
14	go out periodically and put your eyes on all the
15	materials in your facility. And again, everybody has
16	that kind of a program.
17	In this case, SHINE's inventory is every
18	nine months as required. That control program is how
19	does the facility control its items through, for
20	example, use of custodians as I mentioned, how do they
21	store material, who gets access to the material. So
22	that's all part of item control. And again, I'll talk
23	about this in a little bit more detail in a future
24	slide. Next slide, please.
25	The rest of the elements again are common
	I contraction of the second seco

(202) 234-4433

	115
1	to every facility. Shipper/receiver differences,
2	that's in Chapter 9 of the SHINE plan. You're
3	receiving material from a site from a supplier,
4	excuse me. They tell you what's in the container or
5	what's in the shipment, and you have to make sure that
6	what you're getting what you think you're getting.
7	So facilities do it different ways. But
8	they will in some way measure typically measure the
9	containers they receive, do a shipper/receiver
10	comparison. And if that difference between the two,
11	the shipper and receiver is large enough, then they
12	have to react to it and resolve that indicator.
13	The assessment program, every facility
14	does this at some frequency. It's basically you must
15	have an independent assessment of your entire MC&A
16	program. SHINE describes this in Chapter 10 of their
17	plan, making sure that it is truly independent. It
18	covers everything in the MC&A program.
19	And it also findings and
20	recommendations are acted upon by management. The
21	next element resolution is how do they resolve any
22	indicators of loss, theft, or diversion, whatever it
23	might be, an item missing, a tampered seal that maybe
24	has been broken, an inventory for example, an
25	inventory that doesn't match up with the physical
	I contraction of the second seco

(202) 234-4433

5 And they describe the different indicators that they're looking for and kind of response they 6 7 will have. And then the last element is 8 recordkeeping. Again, that's just about making sure 9 you keep records of all MC&A activities, shipping, 10 shipments, receipts, disposal, any kind of activity. And you keep them in accordance with the 11

regulations as far as the retention periods. And SHINE describes that in their Chapter 15 very thoroughly. Next slide. These next three slides are -- I just mentioned each of these briefly earlier.

16 But these are, I think, the big hitters 17 for an MC&A program, especially for a Category II because, for example, here the measurement control 18 19 regulations are much more specific, much more -- yeah, much more specific for the Cat. II versus the Cat. 20 And so where a Category III facility might 21 III. choose to do some of these things here that are 22 facility must 23 listed, a Category II do these 24 particular things. And there are several others here. These are just some examples of things 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

1

2

3

4

12

13

14

15

www.nealrgross.com

116

	117
1	they have to do. So that program includes performing
2	process sampling tests. We need to make sure that
3	your samples are representative of the materials.
4	And that's obviously it gets more
5	important the higher enrichment the higher you go
6	up in enrichment. SHINE will generate current data on
7	the performance of each management system. So again,
8	this needs measurement systems need to be analyzed
9	routinely and it needs to be current data. It
10	shouldn't be something from the historical records.
11	SHINE commits to the use of standards for
12	calibration and control of all measurement systems.
13	That's typical for any facility type. Both controls
14	are traceable to national standards from a national
15	lab or another organization.
16	SHINE has committed to evaluating all
17	measurement data to determine significant contributors
18	to measurement uncertainties. This is very important
19	because when you're evaluating inventory which is on
20	the next slide, measurement uncertainties are a big
21	part of how do you determine whether your inventory
22	was adequate or not. And it involves measurements
23	certainly because every measurement has an
24	uncertainty.
25	When you're talking about a lot of items
1	I Contraction of the second seco

(202) 234-4433

	118
1	that are being inventoried, you're talking about a lot
2	of uncertainty. And you have to be able to adequately
3	evaluate whether your inventory met the requirements.
4	And you do have what you say you have.
5	And then the last bullet there is SHINE
6	maintains a statistical control system to monitor the
7	quality of each system. So there's every measurement
8	system has to be monitored for quality periodically.
9	It could be very week. It could be every day
10	depending on throughput.
11	But basically what you're doing is control
12	charting with limits control charting with warning
13	and alarm limits. And then how do you resolve those
14	if there are any warning or alarms. Next slide.
15	Physical inventory, that's found in Chapter 7 of the
16	SHINE plan.
17	They have a very detailed description of
18	their inventory from preparation to conduct or what
19	they call I think physical inventory taking, also
20	reconciliation of your inventory. And then final step
21	is the statistical analysis. Every facility has to do
22	an inventory as I said before.
23	In this case, a Category II, have to do it
24	every nine months. The quantities of SNM on inventory
25	are based on measured values. You can have things
	I contract of the second se

(202) 234-4433

1 that are calculated based on measured values, but 2 there has to be some measured values in there. It 3 can't be an estimate.

SHINE commits to having procedures 4 in 5 place to ensure all items are inventoried and no item is inventoried more than once. They have procedures 6 7 to specify the extent to which each area and process is shut down or cleaned out or remains static. 8 And 9 this is one of the -- something all facilities have to 10 do also is you have to decide are you going to clean out your processes, are you going to keep them going 11 as you take the inventory? And you have to have 12 really good procedures and processes to make sure you 13 14 do that right.

Lastly, for inventory, the book records are reconciled to the results of the physical inventory. So your book says you have one thing. You go out and physically inventory, that says you have another and you need to reconcile those, make sure they match up.

If something is missing, you need to figure out where it is. If something is out in the field but you don't have it on your records, you have to correct that. So it's just reconciling to make sure the two match up, the physical and book.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

119

1 And then at the end of this process, you're going to evaluate what's the difference between 2 3 the two, the book versus physical. It's called an 4 inventory difference, and you have to evaluate that 5 partly -in part, usinq the measurement of uncertainties that you calculated in the last subject, 6 the measurement control. Next slide. Item control is 7 8 described in Chapter 8 of the SHINE plan.

9 They describe their item control program to make sure current knowledge is maintained for all 10 items, especially nuclear material. The items are 11 stored, handled, and measured to ensure detection of 12 unauthorized or unrecorded removal of SNM. One of the 13 14 ways you do that is through use of tamper safe if a 15 through the use of facility wants to do that 16 custodians, through the use of item control areas.

And also in this case what SHINE commits 17 to also is to do item monitoring tests which every 18 19 facility does some sort of item monitoring test. They're conducted periodically to confirm the items 20 that are in the records are stored and identified as 21 indicated in the record. So that's kind of like a 22 sampling, kind of an audit type thing, a sampling with 23 24 a sampling plan to it.

And then if there are discrepancies,

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

25

	121
1	they're investigated and resolved. And SHINE
2	describes how they will investigate the different
3	kinds of item discrepancies and the timing for
4	resolution. Next slide. So that's the MC&A program,
5	SHINE's plan, and what the findings and conclusions.
6	SHINE's plan does contain the necessary
7	commitments to meet the applicable MC&A requirements
8	in Part 74, particular Subpart B and Subpart D, and
9	that their plan provides reasonable assurance that the
10	applicant will adequately control and account for the
11	special nuclear material in its possession during the
12	term of the license. So that's the last slide.
13	Questions?
14	MEMBER HALNON: Yeah, this is Greg. Just
15	one question for the open session. And you mentioned
16	that there was a tremendous amount of detail in the
17	plan. SHINE did a good job of committing to the
18	appropriate commitments or regulations and
19	requirements. And you guys did a good review of it.
20	Is there a point in this process where you will verify
21	that there are procedures that are actually
22	implementing this will translate the appropriate
23	commitments and requirements into those procedures?
24	MR. TUTTLE: I
25	MR. BALAZIK: This is

(202) 234-4433

	122
1	MR. TUTTLE: Go ahead.
2	MR. BALAZIK: This is Mike Balazik, NRC
3	project manager for SHINE. Yeah, I mean, that would
4	be looked at in the pre-operational readiness
5	inspections that we would perform to ensure that they
6	have those procedures ready and to verify that those
7	procedures are approved, authorized by SHINE. So that
8	would be the point we'd look at those.
9	MEMBER HALNON: Thanks, Mike.
10	MR. TUTTLE: Yes, and I was going to say
11	too not just procedures. But for example, they have
12	measurement systems. You're going to make sure that
13	when you go on that readiness review that those
14	measurement systems are ready to go. So yes, it is
15	inventory. It is procedures. But also, for example,
16	measurement systems are ready when the material comes
17	on-site.
18	CHAIR BALLINGER: Questions from members?
19	MEMBER KIRCHNER: Yes, Ron. This is Walt.
20	This is kind of a general question. From the planning
21	and procedural standpoint, things look very good.
22	Have you stepped back and thought about the facility,
23	its operations, and where there might be I don't
24	want to use the word, vulnerability.
25	But there might be places within the
	1

(202) 234-4433

123 1 systems where you have uncertainty in the measurements and you can accumulate materials such that they might 2 3 materially affect your -- what I'll call your mass 4 balance on SNM. Have you looked at the systems from 5 that standpoint, from an engineering standpoint, to see where with this production set of operations you 6 7 might potentially accumulate more material than you expected? It ties obviously to criticality program as 8 9 But keeping a running inventory of what's in well. 10 the waste tanks and what's in the lines and so on may prove challenging. 11 I think that if you've --12 MR. TUTTLE: like myself, I've been through -- I've inspected fuel 13 14 cycle facilities. So one of the things you do as an 15 inspector I think is exactly what you're talking 16 about. You have to see -- you really have to see the 17 facility and walk through it to kind of look around and see what spots look --18 19 (Simultaneous speaking.) 20 MR. TUTTLE: Yes, so I agree that that's something I quess at the readiness review but also 21 during your routine inspection. It's something you're 22 thinking about as you walk around but nothing -- I 23 24 quess nothing formal. Is that a good enough answer, 25 or --

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

MEMBER KIRCHNER: No, as long as you're thinking about it too. And based on your experience 2 with other fuel cycle facilities or DOE experience with their facilities, one hopes to avoid unintended accumulation of materials wherever in the process lines, ventilation systems and such that could prove problematic down the road in terms of doing your 8 material balances. Just an observation more than a 9 question.

> MR. TUTTLE: All right. Thank you.

MR. MUNSON: I'll say typically a fuel 11 facility the MC&A program will identify specific areas 12 they'll 13 of holdup and choose to take their 14 measurements in those areas specifically for -- and 15 it's typically in areas like elbows and things like 16 that for uranium entrainment or in ventilation systems 17 and things like that. And they may even monitor differential pressure for certain ventilation systems 18 19 and things like that which would be indicative of clogged filters and things. 20 But that's a good 21 comment. Thank you.

MEMBER PETTI: So this is Dave. I had a 22 question, but it may be more appropriate for SHINE 23 24 which is when you look at the 0.125 percent inventory 25 discrepancy allowable, that's pretty tight. And

> **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

1

3

4

5

6

7

10

www.nealrgross.com

124

125 1 again, maybe you want to discuss this in the closed But have you dry run all the different parts 2 session. 3 of the system where you're qoinq do the to 4 measurements to know you have good enough accuracy and 5 precision in terms of how you're going to do some of 6 the sampling to know that you're not going to run into 7 a problem? Even the newness of this facility is a 8 little unique as a fuel facility. 9 MR. EDWARDS: The short answer, we have a 10 dry run everything. But we are working on our methods for measurement systems with the chemistry group right 11 12 now. And somehow you have to 13 MEMBER PETTI: 14 account for the fact that uranium is fissioning in 15 this system which one of the bullets said that they 16 don't do calculation. They want measurements. So if 17 we get into the closed session, it'd be interesting to understand how you do that because it's a very slow 18 19 rate of burn up. But over time, right, it's going to How you account for that in a 20 start to show up. measurement sense would be interesting to know. 21 We can talk about that. 22 MR. EDWARDS: 23 There's a slide about measurement systems. 24 CHAIR BALLINGER: Other questions, members? 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

Okay. We're at the end of what is public, the open session. So now we need to ask for public comments. So if there are members of the public that wish to make a comment, either through your phone, use *6, or if you're on the Teams process, please state your name and make your comment. The sound of silence, I think that's a song.

So hearing no public comments, I 8 Okay. 9 hope we didn't miss anybody, this will end the open 10 session. By my notes and the schedule, we have a closed session coming up that will involve the MC&A 11 part. But earlier in the morning, there was a comment 12 about possibly having a closed discussion related to 13 14 criticality safety.

I forget which member made that comment. But whoever it is, should we have a discussion on criticality safety in the closed session? Because that may mean that the SAB needs to get somebody.

MEMBER MARCH-LEUBA: Yeah, so somebodysaid that. It wasn't me.

21 MR. MUNSON: It was simply related to the 22 CAAS exemption that has been requested from SHINE for 23 the material staging building and IU cells. A quick 24 comment in the open session on the status of that 25 review. So it may be we could certainly do that. I

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

1

2

3

4

5

6

7

	127
1	guess I'd leave it up to Mike. But it may be better
2	to discuss the exemptions as a whole, whatever Mike
3	decides.
4	MR. BALAZIK: This is Mike Balazik,
5	project manager for SHINE. I think we can discuss it
6	in closed session. I would ask SHINE if they would
7	want to have somebody that could support that
8	discussion also because they may be able to answer
9	some questions related to it.
10	MR. HART: This is Trevor Hart from SHINE.
11	I think we I know we had a 6b.3 closed session
12	tomorrow if needed. And we'll have the crit safety
13	lead, Alex Newell, in attendance there. So if there
14	are details of the exemption we want to discuss, we'd
15	be better suited to do so tomorrow. But if we just
16	want to talk sort of the status of it, we can speak to
17	that this afternoon.
18	CHAIR BALLINGER: Okay. That sounds like
19	a plan. So we'll save that part for tomorrow's closed
20	session.
21	MEMBER BROWN: Including an discussion
22	today, right, on the
23	CHAIR BALLINGER: No, no. We have a
24	closed session on MC&A.
25	MEMBER BROWN: No, no, no. He said we

(202) 234-4433

	128
1	could have a little bit if we wanted to talk about it.
2	Are we going to put the whole thing off until
3	tomorrow? Or are we going to have a little bit of
4	chit chat on the criticality thing in the closed
5	session this afternoon?
6	CHAIR BALLINGER: Now you've got me
7	confused. MC&A
8	MEMBER BROWN: We're going to do this
9	afternoon?
10	CHAIR BALLINGER: Yes.
11	MEMBER BROWN: Okay.
12	CHAIR BALLINGER: And tomorrow we'll do
13	the
14	MEMBER BROWN: The whole thing.
15	CHAIR BALLINGER: yeah.
16	MEMBER BROWN: Okay. That didn't come
17	across.
18	CHAIR BALLINGER: Is that what I heard?
19	MR. BORROMEO: But I think what was
20	implied, though, is we give them a heads up of what we
21	want to
22	CHAIR BALLINGER: Right.
23	MR. BORROMEO: know that they'll be
24	more prepared tomorrow.
25	CHAIR BALLINGER: Okay. Right, that's

	129
1	true.
2	MEMBER BROWN: Better to do it once.
3	CHAIR BALLINGER: Okay. So by the
4	schedule and the Outlook calendar and the like, we
5	need to exit end this session and then come back
6	and use the invitation for the closed session. So
7	we'll take a five-minute recess and then come back on
8	with the closed session invitation.
9	(Whereupon, the above-entitled matter went
10	off the record at 1:30 p.m.)
11	
12	
13	
14	
15	
16	
17	
18	
19	
20	
21	
22	
23	
24	
25	
1	1 I I I I I I I I I I I I I I I I I I I

SHINE

Emergency Plan CATHERINE KOLB, SENIOR DIRECTOR OF PLANT OPERATIONS

STATISTICS.

Outline

- Introduction
- Emergency Response Organization
- Emergency Classification System
- Emergency Response
- Recovery
- Maintaining Emergency Preparedness



Introduction

- Purpose of the Emergency Plan:
 - Describes essential elements of advance planning and necessary provisions for coping with and mitigating consequences of emergencies within and beyond the SHINE site boundary.
 - Focused on situations that may cause or threaten to cause radiological hazards that could affect employee or public health and safety.
- The Emergency Plan was written to conform with 10 CFR 50, Appendix E, following the guidance of:
 - Regulatory Guide 2.6, Revision 2, Emergency Planning for Research and Test Reactors and Other Non-Power Production and Utilization Facilities
 - ANSI/ANS-15.16-2015, Emergency Planning for Research Reactors
 - ANSI/ANS-8.23-2007, Nuclear Criticality Accident Emergency Planning and Response
 - NUREG-0849, Standard Review Plan for the Review and Evaluation of Emergency Plans for Research and Test Reactors
 - NUREG-1520, Revision 2, Standard Review Plan for the Review of a License Application for a Fuel Cycle Facility



- Responsible for taking actions in an emergency to avoid an accident or to mitigate the consequences of one. Consists of the following two groups:
 - Facility Emergency Organization
 - Initially staffed by on-shift trained and qualified SHINE personnel
 - Additionally staffed/relieved by off-shift trained and qualified SHINE personnel
 - Emergency Support Organization
 - Consists of off-site support entities that can assist with various emergencies (e.g., first aid, fire response)
- On-shift personnel include (but are not limited to):
 - Shift supervisor
 - Licensed operators
 - Non-licensed operating staff
 - Security personnel
 - Radiation protection



FACILITY EMERGENCY ORGANIZATION

- Emergency Director
- Shift Supervisor
- Emergency Communicator
- Radiation Safety Coordinator (RSC)
- Technical Support Coordinator (TSC)
- Criticality Safety Engineer
- Security Personnel
- Operations Personnel
- Assessment Teams
- Reentry and Damage Control Teams





EMERGENCY SUPPORT ORGANIZATIONS

- Janesville Fire Department
 - Fire support, first aid support, ambulance services, HAZMAT support
- Janesville Police Department
 - Traffic control, access control, security assistance
- Hospital (SSM Health)
 - Trained/prepared to handle radiological emergencies (treatment for radiation exposed or contaminated injured individuals).
- Rock County Emergency Management
 - o Coordinates major emergencies, disaster response/recovery in support of county and local governments.
- State of Wisconsin
 - General authority/responsibility to assist local units of government and law enforcement in responding to a disaster or threat of disaster.
 - Coordinates with Rock County Emergency Management as needed.



EMERGENCY FACILITIES AND EQUIPMENT

- Emergency facilities and equipment are available for emergency assessment, communications, first aid and medical care, and performing corrective and recovery actions.
- Control Room continuously occupied, centralized on-site location from which the facility is operated, and from which effective direction can be given during an emergency.
 - Located within safety-related area of the main production facility
 - $\circ~$ Equipped with instrumentation to supply information on facility status
 - $\circ~$ Equipment available for communications with on-site and off-site personnel
- Emergency Support Centers (ESC) on-site facility from which effective direction can be given.
 Located to oversee operations in the control room and facility.
 - Primary location Main production facility breakroom
 - Backup location Storage building office area
 - Contingency location SHINE Headquarters breakroom



Emergency Classification System

- The emergency plan provides for classification of emergencies into three standardized classes according to the severity of off-site radiological consequences consistent with Table 1 of ANSI/ANS-15.16-2015:
 - $\circ~$ Notification of Unusual Event
 - o Alert
 - o Site Area Emergency
- Emergency Planning Zone (EPZ)
 - There are no identified radiological emergencies at the SHINE facility that result in off-site plume exposure exceeding one rem whole body or five rem thyroid. Therefore, in accordance with NUREG-0849 and ANSI/ANS-15.16-2015, the EPZ for the SHINE facility is the operations boundary.



Emergency Classification System

- Emergency Action Level (EAL) categories
 - o Security
 - \circ Criticality
 - \circ Fire
 - o External Events
 - Tornado
 - Seismic
 - Flooding
 - Aircraft Crash
 - Radiological Release
 - o Other



Emergency Response

- Upon initiation of conditions that meet/exceed EAL thresholds:
 - Emergency director declares the emergency within 15 minutes
 - Facility emergency organization and ESC are activated
 - For Notification of Unusual Event, notification of ERO is required, activation is optional
 - Off-site agencies are notified (ESO activation and off-site aid request made in same communication, when applicable)
 - Rock County 911 Communications Center within 15 minutes
 - NRC immediately after Rock County, but no later than 1 hour
 - State of Wisconsin after NRC notification
 - When ESC is staffed and activated, command and control turned over from control room to ESC Emergency Director
- Protective actions for all classifications are based upon a guideline of one rem dose equivalent for whole body, five rem dose equivalent thyroid.



Emergency Response

- Conditions are assessed:
 - Installed and portable monitoring instruments used
 - Assessment Teams dispatched as necessary
 - Monitoring outside the facility and at the site boundary is established as necessary, and within two hours of declaration of a Site Area Emergency involving potential or actual release
- Protective actions taken:
 - Evacuations of on-site personnel (or shelter in place for security, weather, etc.) ordered, as required
 - Assembly and accountability performed, as required (always performed in a Site Area Emergency)
- Corrective actions taken:
 - Shutdown and/or isolation of affected equipment or suspension of related activities are considered
- When conditions warrant, Recovery is entered



Emergency Response

CRITICALITY ACCIDENT DIFFERENCES

- Criticality related events fall into either Alert or Site Area Emergency classifications
 - Alert Discovery of critical mass quantity of special nuclear material in unsafe geometry or other condition that creates a criticality hazard
 - Site Area Emergency Imminent or actual occurrence of an uncontrolled criticality, indicated by criticality accident alarm system (CAAS) or credible report
- Upon detection of a criticality event:
 - Immediate Evacuation Zone (IEZ) is evacuated without hesitation to the storage building (instead of the breakroom)
 - IEZ consists of the entirety of the main production facility <u>EXCEPT</u> for the control room.
 - $\circ~$ ESC also established in the storage building
 - Criticality Safety Engineer is called in via ERO notification system to assist



Recovery

- Recovery consists of actions required to restore facility and its impact on public health and safety to a safe status
- Emergency Director determines when emergency condition no longer exists, recovery can begin
- The ERO will also be the Recovery Organization.
- Criteria used to determine when reentry of the facility following an accident is appropriate:
 - o Preliminary radiological survey indicates radiation levels acceptable for reentry
 - Reentry is possible within normal 10 CFR 20 exposure limits
 - Emergency condition no longer poses an immediate danger to reentry personnel or has been mitigated to a safe level
- Criteria used to determine when operation of the facility may be resumed:
 - $\circ~$ All applicable technical specifications are satisfied
 - Emergency conditions no longer exist
 - o Damage to structures, systems and components designated for restart are repaired, tested, and inspected
 - o Structures, systems or components not repaired/restored are properly isolated or abandoned


Maintaining Emergency Preparedness

- Operations Manager is responsible for maintaining emergency preparedness, including administration of the Emergency Plan training program
- The following training is provided regarding the Emergency Plan:
 - Basic emergency plan training (all individuals with unescorted access to the facility)
 - Basic facility emergency organization training (all SHINE personnel with ERO roles/responsibilities)
 - Specific ERO role training
 - Off-site organization training and orientation
 - Community orientation
- Drills and exercises are planned and executed regularly
 - o Off-site organizations are periodically invited to help plan and participate in drills/exercises
- Emergency plan and implementing procedures (EPIPs) are reviewed annually by the Operations Manager or designee
- EALs are reviewed with local governmental authorities annually

SHINE

SHINE

Nuclear Criticality Safety ALEXANDER NEWELL, NUCLEAR CRITICALITY SAFETY LEAD

Introduction and Applicability

- Goal of the Criticality Safety Program (CSP):
 - Ensure that workers, the public, and the environment are protected from the consequences of a nuclear criticality event
 - All practicable measures are implemented to prevent an inadvertent nuclear criticality from occurring
 - Additionally contains provisions necessary to alert personnel to evacuate should an inadvertent criticality occur
 - Establishes expectations and requirements for SHINE personnel whose duties involve fissionable material at SHINE facilities



Introduction and Applicability

- Implements applicable requirements of 10 CFR Part 70:
 - 10 CFR 70.24 for monitoring and response to accidents, except for irradiation unit (IU) cells and the material staging building (MATB)
 - 10 CFR 70.50, 70.52, and Appendix A for reporting requirements, as described in the technical specifications
 - o 10 CFR 70.61(b) as it applies to criticality accidents which are considered 'high consequence' events
 - 0 CFR 70.61(d) which ensures that all processes remain subcritical under normal and credible abnormal conditions including an approved margin of subcriticality and the use of preventive controls as the primary means of protection



Consensus Standards Used

- The CSP commits to use of the following consensus standards, subject to clarifications and exceptions identified in Regulatory Guide 3.71, Revision 3:
 - ANSI/ANS-8.1-2014, Nuclear Criticality Safety in Operations with Fissionable Materials Outside Reactors
 - ANSI/ANS-8.3-1997 (R2017), Criticality Accident Alarm System
 - ANSI/ANS-8.6-1983 (R2017), Safety in Conducting Subcritical Neutron-Multiplication Measurements in Situ
 - ANSI/ANS-8.7-1998 (R2017), *Nuclear Criticality* Safety in the Storage of Fissile Materials
 - ANSI/ANS-8.19-2014, Administrative Practices for Nuclear Criticality Safety

- ANSI/ANS-8.20-1991 (R2015), Nuclear Criticality Safety Training
- ANSI/ANS-8.22-1997 (R2016), Nuclear Criticality Safety Based on Limiting and Controlling Moderators
- ANSI/ANS-8.23-2007 (R2012), Nuclear Criticality Accident Emergency Planning and Response
- ANSI/ANS-8.24-2017, Validation of Neutron Transport Methods for Nuclear Criticality Safety Calculations
- ANSI/ANS-8.26-2007 (R2016), *Criticality Safety Engineer Training and Qualification Program*



Organization

- SHINE's CEO holds overall responsibility for the CSP.
- The Safety Analysis Manager is the Responsible Manager for the program and generally delegates administrative authority to a Nuclear Criticality Safety (NCS) Lead.
- NCS staff consists of an NCS Lead and one or more NCS Engineers and any number of individuals identified as NCS Engineers-in-Training.
 - The NCS Lead is a qualified Senior NCS Engineer who serves as a supervisor for the NCS staff regarding conduct of NCS activities.
- NCS staff are kept administratively separate from operations organization to the extent practicable



Nuclear Criticality Safety Evaluations

- Before a new fissionable material operation (FMO) is begun, or before an existing operation is changed, it is determined and documented that the entire process will be subcritical, with an approved margin of subcriticality, for both normal and credible abnormal conditions.
 - $\circ~$ Process boundaries are clearly defined in the evaluation
 - Normal and credible abnormal conditions are determined with input from operations or other knowledgeable individuals
 - o During development, staff personally observes existing equipment, activities, and processes
 - Formal methods of process hazards analysis (What-If/Checklist and Event Tree) are employed in the evaluation process



Nuclear Criticality Safety Evaluations

- NCS evaluations determine and explicitly identify controlled parameters and associated limits upon which nuclear criticality safety depends.
 - NCS limits used in evaluations are derived from industry-accepted and peer-reviewed references, including ANS standards, from hand calculations using industry-accepted and peer-reviewed techniques, or from computational methods.
 - Operating limits, which take process variability and uncertainty into account, are used to ensure NCS limits are unlikely to be exceeded.
 - Controls used to enforce safety and operating limits are specified in the NCS evaluations.



Nuclear Criticality Safety Evaluations

- Prior to the start of operations:
 - The NCS evaluation is independently reviewed to ensure its adequacy
 - All dimensions and nuclear properties on which reliance is placed are verified
 - Proper implementation of NCS controls is verified
 - The supervisor responsible for the FMO confirms that the NCS evaluation adequately identifies normal and credible abnormal conditions and establishes requirements that are verifiable and compatible with planned operations
- All FMOs comply with the double contingency principle (DCP):
 - Process designs should incorporate sufficient factors of safety to require at least two unlikely, independent, and concurrent changes in process conditions before a criticality accident is possible.
 - A single NCS control which maintains two or more parameters is considered to be a single process upset
 - Processes in which there are no credible criticality sequences meet DCP by definition



Verification and Validation of MCNP

- Where MCNP is necessary, verification of code installation is completed prior to validation
- MCNP installations are maintained under a configuration control program
 - $\circ\,$ Re-verification is performed following changes to the system and on a periodic basis
- Validation is performed by comparison to critical experiments
- A written validation report is documented and maintained
 - NCS evaluations ensure that the evaluated processes fall within the range of the validation report
- The subcritical margin for calculated subcritical limits is 0.06



Control Strategies and Philosophy

- Control strategies employ a preferred design approach that favors crediting controls in the following order:
 - Passive engineered controls
 - Active engineered controls
 - o Administrative controls
- Administrative NCS controls are specifically annotated in operating procedures



- Use of explicit NCS controls is preferred to reliance on the natural and credible course of events.
- Control on two independent criticality parameters is preferred over multiple controls on a single parameter.
 - If redundant controls on a single parameter are used, a preference is given to diverse means of control on that parameter.
- General
 - When single-parameter limits are used, all other parameters are evaluated at most-reactive credible values.
 - Safety limits on controlled parameters are established, accounting for tolerances and uncertainty.
- Mass

SHINF

- When over-batching is credible, the largest mass resulting from single failure is shown to be subcritical.
- When mass limits are derived for a material that is assumed a given weight percent of special nuclear material (SNM), determinations of mass are based on either:
 - Weighing the material and assuming the entire mass is SNM; or
 - Conducting physical measurements to establish the actual weight percent of SNM in the material.

- Geometry
 - Before beginning operations, in response to changes, and at periodic intervals, all dimensions relied on in demonstrating subcriticality are verified.
 - Means of losing geometry control are evaluated and controls are established as needed if credible.
 - Neutron interaction with other SNM-bearing equipment is considered, unless individual units meet the criteria for being considered neutronically isolated.
- Enrichment
 - A facility-wide maximum authorized enrichment is used, and a bounding enrichment is applied to all material when conducting NCS evaluations or calculations.
- Moderation
 - Moderation-controlled areas are used to exclude moderator from areas of the SHINE facility.
 - Moderation-controlled areas are conspicuously marked, and administrative controls are established to prevent introduction of moderators.



- Density
 - The general criteria listed above are applied.
- Reflection
 - Wall thicknesses of units and adjacent reflecting materials are considered.
 - Full reflection is represented by 12 inches of tight-fitting water or 24 inches of tight-fitting concrete.
 - Minimum reflection conditions equivalent to 1-inch tight-fitting water reflector are assumed to account for personnel or other transient, incidental reflectors.
- Concentration
 - Tanks containing concentration-controlled solution are kept closed to prevent unauthorized introduction or precipitating agents.
 - Transfers to unfavorable geometry tanks containing concentration-controlled solutions are only authorized based on dual, independent sampling. No single error may result in transfer of concentrated solution to a tank with unfavorable geometry.
 - Process variables that affect solubility of fissile material are controlled and monitored.



- Physicochemical Form
 - o Explicit controls are established to limit material composition to particular forms.
- Interaction
 - Engineered controls are used to maintain physical separation between units, where necessary.
 - Structural integrity of spacers, storage racks, etc. is sufficient to ensure subcriticality during normal and credible abnormal conditions, including seismic events.
- Volume
 - Fixed geometry is used to restrict the volume of SNM. Limiting material to part of a larger geometry and using overflow lines is also employed.
 - Maximum subcritical volume is evaluated using the most reactive credible geometry, optimum moderation, and water reflection.
- Heterogeneity Effects
 - Methods of causing fissile material to become in-homogeneous are evaluated in NCS evaluations and controls are established as necessary.



Implementation of Controls

- NCS controls are implemented by operations personnel through operating procedures. The purpose of operating procedures is to facilitate and document safe and efficient conduct of operations.
 - Procedures include administrative controls and limits significant to nuclear criticality safety
 - Administrative NCS controls are specifically annotated in operating procedures
 - New or revised procedures that impact nuclear criticality safety are reviewed by NCS staff
- Before a process that has been in extended shutdown is restarted, operations personnel and NCS staff perform a review to determine if there are any changes that could affect nuclear criticality safety.
 - Changes are addressed by NCS evaluation
 - o Implementation of appropriate controls are verified prior to restart
 - Supplemental worker training may be provided



Training and Qualification

- NCS training requirements are determined and documented.
- Content of the training program is tailored to job responsibilities and supports conduct of individual jobs.
- Two tiers of NCS training are established, and both tiers include stop-work authority, procedural compliance, response to criticality alarms, and reporting of defective conditions.
 - Tier 1 training includes content identified in ANSI/ANS-8.20-1991 and is directed towards those who manage, work in, or work near areas where potential for criticality exists.
 - Tier 2 training is specific to NCS staff, meeting the requirements and recommendations identified in ANSI/ANS-8.26-2007.



Oversight

- SHINE personnel are encouraged to provide feedback on CSP.
 - Personnel are required to report defective NCS conditions to NCS program management.
- Operations are reviewed at least once annually to verify procedures are being followed and process conditions have not been altered.
 - These are conducted in consultation with operating personnel and are documented.
 - NCS staff conduct walkthroughs of facility processes and procedures as part of the annual operations review.
- NCS Lead schedules and coordinates routine NCS oversight activities.
 - $\circ~$ Staff participate in routine audits of NCS practices.
 - Examine reports of procedural violations and other deficiencies.
 - Each evaluation and calculation is reviewed at least once every three years.
 - At least every three years the CSP is audited for overall effectiveness.



Nonconformances

- Deviations from procedures and unintended alterations in process conditions are reported to management, investigated promptly, corrected as appropriate, and documented.
 - Action to correct deviations or alterations are taken in accordance with procedural requirements and with guidance from NCS staff.
- Conditions that require corrective action include:
 - Violation of NCS requirement (e.g., operating NCS limits)
 - Conduct of FMO without an NCS evaluation
 - Discovery of an unanalyzed condition
 - Discovery of deficiencies in NCS evaluations
- Upon the loss of double contingency protection, operations are suspended and processes rendered safe until double contingency protection can be restored.
- NCS events are reported to the NRC in accordance with reporting requirements of 10 CFR 70.50, 10 CFR 70.52, and 10 CFR Part 70, Appendix A, as described in the technical specifications

SHINE

Configuration Management

- Facility configuration management includes engineered controls significant to the nuclear criticality safety of operations.
- The SHINE configuration management program is relied upon to maintain controls in their analyzed state.
- Processes or design changes that could affect NCS limits or controls are evaluated using the facility change process requirements.
 - Prior to implementing the change, the NCS evaluation is reviewed and updated if needed.



Emergency Response and Criticality Accident Alarm System

- The SHINE Emergency Plan provides guidance to management, technical staff, and response personnel for various emergencies.
 - Response to imminent, occurring, and past indications of a criticality accident invokes a special procedure for response to a criticality accident.
 - NCS staff prepares emergency plans and procedures in accordance with ANSI/ANS-8.23-2007.
- SHINE provides a criticality accident alarm system (CAAS) to detect a criticality event in the facility in which non-exempt quantities of fissile material greater than the limits identified in 10 CFR 70.24(a) are used, handled, or stored outside the target solution vessels.
 - The CAAS does not monitor the IU cells or the material staging building.
- CAAS meets the requirements of 10 CFR 70.24 and conforms to recommendations in ANSI/ANS-8.3 as endorsed by Regulatory Guide 3.71.



Emergency Response and Criticality Accident Alarm System

- The CAAS consists of neutron-sensitive detectors located within the facility at locations designated to provide sufficient coverage and to detect the minimum accident of concern.
- CAAS detectors are arranged so generally each area covered by the CAAS receives coverage from three detectors.
- The CAAS will energize clearly audible alarm signals if an accidental criticality occurs.
 - Mandatory evacuation areas are determined and clearly marked with evacuation routes with routes selected to ensure personnel are evacuated away from areas with potentially higher dose.
- For maintenance or other conditions which would disable multiple detectors or the logic unit, the following compensatory measures are implemented to ensure an equivalent level of safety:
 - Temporary criticality detection equipment with audible alarms will be used for personnel remaining in or entering the affected area, and
 - Personnel access to the affected area will be limited to essential activities.



SHINE

Material Control and Accounting (MC&A) Plan (Open Session) ERIC EDWARDS, CHEMICAL PROCESS SYSTEMS MANAGER

Purpose

- The purpose of this Material Control and Accounting (MC&A) Plan is to fulfill the requirements of 10 CFR Part 74 for the SHINE facility.
 - The MC&A Plan meets the requirement to submit a fundamental nuclear material control (FNMC) plan as described in 10 CFR 74.41(b)(1).
- The program is intended to deter theft or misuse, especially theft or misuse by a facility insider (i.e., someone who has authorized access to the SNM or information about it).



Material Control and Accounting Plan Overview

- The MC&A Plan describes the programmatic requirements and methods for the following:
 - Measurements
 - Measurement Control System
 - Statistics
 - Physical Inventory
 - o Item Control Program
 - Receiving and Shipping Program
 - Assessment and Review of the MC&A Program
 - Tamper-Safing
 - o Designation of Material Balance Area, Item Control Areas, and Custodians
 - o Resolving Indications of Loss, Theft, Diversion or Misuse of Special Nuclear Material
 - o Aiding Investigation and Recovery of Missing Special Nuclear Material
 - Recordkeeping





Advisory Committee on Reactor Safeguards

SHINE Medical Technologies, LLC Operating License Application

Chapter 12.7 - Emergency Planning

Edward Robinson Emergency Preparedness Specialist Office of Nuclear Security and Incident Response

May 17, 2022

Regulatory and Guidance Framework Used

- 10 CFR Part 50 Appendix E- "Emergency Planning and Preparedness for Production and Utilization Facilities"
 - Specifies Regulatory Guide 2.6, "Emergency Planning for Research Test Reactors," as the guidance that will be used to determine the acceptability of emergency plans for complying with the Commission's emergency planning regulations as it pertains to non-power reactors.
- Regulatory Guide 2.6 endorses American National Standard, ANSI/ANS-15.16-2015, "Emergency Planning for Research Reactors."
- NUREG-1537, Interim Staff Guidance Augmenting NUREG-1537, Part 2, "Guidelines for Preparing and Reviewing Applications for the Licensing of Non-Power Reactors: Standard Review Plan and Acceptance Criteria."
- NUREG-0849, "Standard Review Plan for the Review and Evaluation of Emergency Plans for Research and Test Reactors," issued October 1983.



No Significant Challenges with the EP Review

- 7 RAIs (e.g., EALs, Onsite & Offsite Survey Capabilities, Decontamination Facilities) generated based on Rev. 4 of SHINE FSAR
- Gov-2-Gov Meeting in Janesville, WI (February 2020)
 Participants: NRC Staff, Janesville City Council and Wisconsin State Representatives
- FSAR Rev. 5 addressed the 7 EP RAIs



EP Safety Review Completed with No Issues

- EP Safety Review of Revision 0 to the SHINE Emergency Plan Completed September 2020
- EP Safety Review of Revision 1 to the SHINE Emergency Plan Completed February 2022



Conclusions of Staff Emergency Plan Findings

- Meets applicable EP Regulations and Guidance
- Adequately addresses the necessary provisions for coping with radiological emergencies
- Provides Reasonable Assurance that should an Operating License be issued, the Emergency Plan as described will function in a manner that protects public health and safety.





Advisory Committee on Reactor Safeguards

SHINE Medical Technologies, LLC Operating License Application

Chapter 6b.3 - Nuclear Criticality Safety

Jeremy Munson Criticality Safety Technical Reviewer Office of Nuclear Material Safety and Safeguards

May 17, 2022

Nuclear Criticality Safety

License Application Chapters:

- 6b.3 Nuclear Criticality Safety in the Radioisotope Production Facility
- 13 Accident Analysis



Nuclear Criticality Safety Regulatory Requirements

- §50.34 requires the licensee to describe the facilities, equipment, and procedures used to protect health and minimize danger to life and property, including the consequences of a criticality accident.
- §50.68 requires the licensee to maintain a criticality accident alarm system (CAAS) and emergency procedures in accordance with §70.24.
- §70.61(b) requires the licensee to limit the risk of criticality (high consequence) such that the likelihood of its occurrence is highly unlikely. [COMMITMENT]
- §70.61(d) requires the assurance of subcriticality under normal and all credible abnormal conditions, including use of an approved margin of subcriticality for safety. [COMMITMENT]
- §70.50, §70.52, and Appendix A to Part 70*, require the licensee to report specific events and conditions within specified timeframes to the NRC, including criticality accidents and other NCS-related events. [COMMITMENT]



Nuclear Criticality Safety

Areas of Review

- Use of ANSI/ANS-8 standards
- Criticality accident alarm system (CAAS)
- Emergency planning and response
- Subcriticality and the Double Contingency Principle
- Organization and Administration
- SSA and Management measures
- Technical Practices
- Minimum margin of subcriticality



Nuclear Criticality Safety Review Findings

- The licensee has described a nuclear criticality safety (NCS) program that appropriately ensures the subcriticality of nuclear processes under normal and all credible abnormal conditions.
- The licensee will develop, implement, and maintain emergency response procedures and a criticality accident alarm system in accordance with the requirements §50.68 and §70.24.
- The licensee has described an NCS program that provides reasonable assurance of adequate protection against credible criticality risks for the worker, public, and environment.



Nuclear Criticality Safety Points of Interest - Applicability

- The NCS program applies to all areas of the radioisotope production facility (RPF) and the irradiation facility (IF), except for the target solution vessels (TSVs).
- Appropriate 10 CFR Part 70 requirements have been imposed via SHINE's commitments:
 - §70.61(b) limit the risk of criticality (high consequence) such that the likelihood of its occurrence is highly unlikely.
 - §70.61(d) assurance of subcriticality under normal and all credible abnormal conditions, including use of an approved margin of subcriticality for safety.
 - §70.50, §70.52, and Appendix A to Part 70* report specific events and conditions within specified timeframes to the NRC, including criticality accidents and other NCS-related events.


Nuclear Criticality Safety Target Solution Staging System

- TSPS consists of 8 target solution hold tanks and 2 target solution storage tanks.
 - All tanks are favorable geometry with dual passive overflows (to prevent backflow).
 - Drip trays are equipped with drains (in the event of a leak or overflow).



Nuclear Criticality Safety Radioactive Liquid Waste Storage System

- RLWS consists of 2 U liquid waste tanks, 4 radioactive liquid waste tanks, and 8 liquid waste blending tanks.
 - U liquid waste tanks are favorable geometry with redundant passive overflows.
 - Radioactive liquid waste tanks and liquid waste blending tanks are under concentration control with dual, independent sampling.
 - Drip trays equipped with drain (in the event of a leak or overflow).



Nuclear Criticality Safety Molybdenum Extraction and Purification System

- MEPS
 - Majority of components are favorable geometry.
 - 3-way valve and isolation valve prevents inadvertent transfer to molybdenum eluate hold tank and facility chemical reagent system (not favorable geometry).
 - Precipitation (due to inadvertent addition of caustic reagents) is prevented by administrative controls on caustics and the column wash sequence.



Nuclear Criticality Safety Target Solution Preparation System

• TSPS

- Uranium Oxides
 - Administrative limits on u-oxide mass.
 - Favorable geometry HEPA filters.
 - Moderator exclusions on TSPS room.
- Uranium Solutions
 - Target solution preparation tank, pumps, and filters are favorable geometry.
 - High level controls and check valve to prevent backflow scenarios.



Nuclear Criticality Safety Vacuum Transfer System

- VTS components are favorable geometry and designed to prevent leaks.
- Vacuum buffer tank is equipped with a demister that separates potentially entrained solution.
- Vacuum headers are equipped with liquid detection that stops transfer upon detection of liquid.



Nuclear Criticality Safety Uranium Receipt and Storage System

- URSS
 - Administrative controls on mass.
 - Administrative and engineered controls on moderation.
 - Oxide storage rack and metal storage rack are favorable geometry.



Nuclear Criticality Safety Radioactive Drain System

- RDS consists of favorable geometry tanks.
- Hold tanks are equipped with level instrumentation to detect solution leaks into RDS to prevent precipitation of solids.



Nuclear Criticality Safety Radioactive Liquid Waste Immobilization System

- RLWIS
 - Drums are subject to mass control and waste acceptance criteria for activity.



Nuclear Criticality Safety Laboratories

- LABS
 - Subject to mass control.



Nuclear Criticality Safety Iodine Extraction and Purification System

- IXP
 - 3-way valve and isolation valve prevents inadvertent transfer to IXP eluate tank and facility chemical reagent system (not favorable geometry).



Nuclear Criticality Safety Points of Interest - MMS

- Many early stages of the process will rely on subcritical limits (SPLs) derived from NRC-endorsed ANSI/ANS-8 standards, not explicit k_{eff} calculations.
- Explicit calculations will be subject to an administrative margin of 0.05, with an additional penalty of 0.01 to account for a lack of experimental data for uranyl sulfate systems. This results in a minimum margin of subcriticality of 0.06.
- The MMS was evaluated (by NRC staff) using NUREG/CR-6698, "Guide for Validation of Nuclear Criticality Safety Calculational Methodology," and Appendix B to Chapter 5.0 of NUREG-1520, "Standard Review Plan for Fuel Cycle Facilities License Applications."
 - Validation rigor and statistical methodology
 - Quality, quantity, and similarity (to SHINE processes) of benchmark experiments
 - Conservative practices and other sources of safety margin



Nuclear Criticality Safety Points of Interest – CAAS Exemption

- Requested exemption from the requirements of §70.24 for the material staging building (MATB) and the irradiation unit (IU) cells.
 - 10 CFR Part 71 criteria for "fissile exempt"





Advisory Committee on Reactor Safeguards

SHINE Medical Technologies, LLC Operating License Application

Chapter 12.13 - Material Control and Accounting (MC&A)

Glenn Tuttle MC&A Technical Reviewer Office of Nuclear Material Safety and Safeguards

May 17, 2022

Material Control and Accounting

- Material control and accounting (MC&A) is intended to ensure that a licensee maintains accurate, current, and reliable information on the quantities and locations of special nuclear material in its possession
- SHINE will possess and use special nuclear material of moderate strategic significance (Category II facility)
- Subparts B and D of 10 CFR Part 74 apply
- Applicant is required to submit a Fundamental Nuclear Material Control (also called MC&A) plan



Regulatory Basis

- Regulatory Requirements
 - 10 CFR 74.41, "Nuclear material control and accounting for special nuclear material of moderate strategic significance"
 - 10 CFR 74.43, "Internal controls, inventory, and records"
 - 10 CFR 74.45, "Measurements and measurement control"
 - Also 10 CFR Subpart B General reporting and recordkeeping



Acceptance Criteria

- Final Interim Staff Guidance (ISG) Augmenting NUREG-1537, Part 2, for Licensing Radioisotope Production Facilities and Aqueous Homogeneous Reactors
- Review shall verify that the MC&A plan contains all information prescribed in 10 CFR Part 74 for the specific class of facility contained in the application



Review Procedures and Technical Evaluation

- MC&A Program Elements
 - MC&A Organization
 - Measurements
 - Measurement Control System
 - Physical Inventory Program
 - Item Control Program



Review Procedures and Technical Evaluation

- MC&A Program Elements (continued)
 - Shipper/Receiver Differences
 - Assessment Program
 - Resolution Program
 - Recordkeeping



Measurement Control Program

- Measurement control program is described in Chapter 5 of the SHINE MC&A plan
- Regulations for measurement control are found in 10 CFR 74.45(c)
- SHINE measurement control program includes:
 - Performing process sampling tests using well characterized materials to ensure samples are representative and verify the applicability of sampling procedures
 - Generating current data on the performance of each measurement system
 - Use of standards for calibration and control of all measurement systems
 - Evaluating all measurement data to determine significant contributors to measurement uncertainties
 - Maintaining a statistical control system to monitor the quality of each system



Physical Inventory Program

- Physical inventory program is described in Chapter 7 of the SHINE MC&A plan
- Regulations for physical inventory are found in 10 CFR 74.43(c)
- SHINE physical inventory program ensures:
 - A physical Inventory of all special nuclear material (SNM) is performed every 9 months
 - Quantities of SNM on inventory are based on measured values
 - Procedures are in place to ensure all items are inventoried and no item is inventoried more than once
 - Procedures specify the extent to which each area and process is to be shut down, cleaned out, and/or remain static
 - Book records are reconciled to the results of the physical inventory



Item Control Program

- Item control program is described in Chapter 8 of the SHINE MC&A plan
- Regulations for item control are found in 10 CFR 74.43(b)(5) and (6)
- SHINE item control program ensures:
 - Current knowledge is maintained for all items of SNM
 - Items are stored, handled, and measured to ensure detection of unauthorized or unrecorded removal of SNM
 - Item monitoring tests are conducted periodically to confirm that items shown in the MC&A records are actually stored and identified as indicated in the records
 - Item discrepancies are investigated and resolved



Evaluation Findings and Conclusions

- SHINE's MC&A plan contains appropriate and necessary commitments to meet applicable MC&A requirements as stipulated in 10 CFR Part 74, Subpart B, the general performance objectives of 10 CFR 74.41, and the system features and capabilities of 10 CFR 74.43 and 10 CFR 74.45
- The MC&A plan provides reasonable assurance that the applicant will adequately control and account for the special nuclear material in its possession during the term of the license



Full Name User Action	Timestamp
Brown, Chi Joined	5/17/2022, 7:51:32 AM
Smith, Tod Joined	5/17/2022, 7:55:44 AM
Smith, Tod Left	5/17/2022, 7:59:32 AM
Smith, Tod Joined	5/17/2022, 8:02:35 AM
Smith, Tod Left	5/17/2022, 8:02:41 AM
Smith, Tod Joined	5/17/2022, 8:02:48 AM
Smith, Tod Left	5/17/2022, 8:04:15 AM
Smith, Tod Joined	5/17/2022, 8:17:59 AM
Balazik, Mi Joined	5/17/2022, 8:00:50 AM
Balazik, Mi Left	5/17/2022, 8:01:15 AM
Balazik, Mi Joined	5/17/2022, 8:10:25 AM
Hammelm: Joined	5/17/2022, 8:03:57 AM
Ballinger, FJoined	5/17/2022, 8:10:23 AM
Hardesty, [Joined	5/17/2022, 8:10:29 AM
Hardesty, I Left	5/17/2022, 8:16:17 AM
Hardesty, [Joined	5/17/2022, 8:16:53 AM
Hardesty, I Left	5/17/2022, 8:17:58 AM
Salay, Micł Joined	5/17/2022, 8:12:07 AM
Salay, Micl Left	5/17/2022, 8:13:12 AM
Salay, Micl Joined	5/17/2022, 8:13:32 AM
Eric Mollen Joined	5/17/2022, 8:13:21 AM
Smith, Jere Joined	5/17/2022, 8:14:18 AM
Eric Mollen Joined	5/17/2022, 8:14:36 AM
Widmayer, Joined	5/17/2022, 8:15:48 AM
Burkhart, L Joined	5/17/2022, 8:16:09 AM
Cruz, Holly Joined	5/17/2022, 8:20:49 AM
Kirchner, V Joined	5/17/2022, 8:21:16 AM
Skov, Tam Joined	5/17/2022, 8:22:23 AM
Dennis Ble Joined	5/17/2022, 8:22:56 AM
Bier, Vicki Joined	5/17/2022, 8:24:25 AM
Musico, Br Joined	5/17/2022, 8:25:19 AM
Jeffrey Bar Joined	5/17/2022, 8:25:52 AM
Vesna B. E Joined	5/17/2022, 8:26:36 AM
Ken Czerw Joined	5/17/2022, 8:26:50 AM
Robinson, Joined	5/17/2022, 8:27:27 AM
norris, micl Joined	5/17/2022, 8:29:21 AM
Munson, JeJoined	5/17/2022, 8:29:43 AM
Wang, We Joined	5/17/2022, 8:30:29 AM
Dickson, E Joined	5/17/2022, 8:31:35 AM
Nourbakhs Joined	5/17/2022, 8:32:38 AM
Call, Mike Joined	5/17/2022, 8:33:09 AM
Foreman, I Joined	5/17/2022, 8:33:41 AM
Schrader, I Joined	5/17/2022, 8:40:42 AM
Moses, Jol Joined	5/17/2022, 8:43:02 AM
Seymour, Joined	5/1//2022, 8:52:26 AM