Official Transcript of Proceedings NUCLEAR REGULATORY COMMISSION

Title:	Advisory Committee on Reactor Safegards SHINE Subcommittee
Docket Number:	(n/a)
Location:	teleconference
Date:	Wednesday, May 18, 2022

Work Order No.: NRC-1960

Pages 1-110

NEAL R. GROSS AND CO., INC. Court Reporters and Transcribers 1716 14th Street, N.W. Washington, D.C. 20009 (202) 234-4433

	1
1	
2	
З	
4	DISCLAIMER
5	
6	
7	UNITED STATES NUCLEAR REGULATORY COMMISSION'S
8	ADVISORY COMMITTEE ON REACTOR SAFEGUARDS
9	
10	
11	The contents of this transcript of the
12	proceeding of the United States Nuclear Regulatory
13	Commission Advisory Committee on Reactor Safeguards,
14	as reported herein, is a record of the discussions
15	recorded at the meeting.
16	
17	This transcript has not been reviewed,
18	corrected, and edited, and it may contain
19	inaccuracies.
20	
21	
22	
23	
	1323 RHODE ISLAND AVE., N.W.
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

	1
1	UNITED STATES OF AMERICA
2	NUCLEAR REGULATORY COMMISSION
3	+ + + +
4	ADVISORY COMMITTEE ON REACTOR SAFEGUARDS
5	(ACRS)
6	+ + + +
7	SHINE SUBCOMMITTEE
8	+ + + + +
9	OPEN
10	+ + + + +
11	WEDNESDAY
12	MAY 18, 2022
13	+ + + +
14	The Subcommittee met via Video
15	Teleconference, at 8:30 a.m. EDT, Ronald Ballinger,
16	Chairman, presiding.
17	SUBCOMMITTEE MEMBERS:
18	RONALD G. BALLINGER, Chairman
19	VICKI M. BIER, Member
20	CHARLES H. BROWN, JR. Member
21	VESNA B. DIMITRIJEVIC, Member
22	GREGORY H. HALNON, Member
23	WALTER L. KIRCHNER, Member
24	JOSE MARCH-LEUBA, Member
25	DAVID A. PETTI, Member
	I

		2
1	JOY L. REMPE, Member	
2	MATTHEW W. SUNSERI, Member	
3		
4	ACRS CONSULTANT:	
5	DENNIS BLEY	
6	KEN CZERWINSKI	
7		
8	DESIGNATED FEDERAL OFFICIAL:	
9	CHRISTOPHER BROWN	
10		
11	ALSO PRESENT:	
12	MICHAEL BALAZIK, NRR	
13	JEFFREY BARTELME, SHINE	
14	JOSH BORROMEO, UNPL Branch Chief, NRR	
15	MIKE CALL, NMSS	
16	ELIJAH DICKSON, NRR	
17	JAMES HAMMELMAN, NMSS	
18	CATHERINE KOLB, SHINE	
19	JEREMY MUNSON, NMSS	
20	ALEXANDER NEWELL, SHINE	
21	TRACY RADEL, SHINE	
22	MICHAEL SALAY, RES	
23	JOSEPH STAUDENMEIER, RES	
24	DEREK WIDMAYER, ACRS	
25		
	1	

1 TABLE OF CONTENTS 2		3
2	1	TABLE OF CONTENTS
3 Opening Remarks by Ron Ballinger	2	
4 Presentation by Tracy Radel	3	Opening Remarks by Ron Ballinger6
5 Presentation by Elijah Dickson	4	Presentation by Tracy Radel7
6 Presentation by Mike Call	5	Presentation by Elijah Dickson
7 Presentation by Elijah Dickson	6	Presentation by Mike Call42
8 Presentation by Mike Salay	7	Presentation by Elijah Dickson66
9 Presentation by Elijah Dickson	8	Presentation by Mike Salay
10 Presentation by James Hammelman	9	Presentation by Elijah Dickson
11 12 13 14 15 16 17 18 19 20 21 22 23 24 25	10	Presentation by James Hammelman
12 13 14 15 16 17 18 19 20 21 22 23 24 25	11	
13 14 15 16 17 18 19 20 21 22 23 24 25	12	
14 15 16 17 18 19 20 21 22 23 24 25	13	
15 16 17 18 19 20 21 22 23 24 25	14	
16 17 18 19 20 21 22 23 24 25	15	
17 18 19 20 21 22 23 24 25	16	
18 19 20 21 22 23 24 25	17	
19 20 21 22 23 24 25	18	
20 21 22 23 24 25	19	
21 22 23 24 25	20	
22 23 24 25	21	
23 24 25	22	
24 25	23	
25	24	
П	25	

	4
1	PROCEEDINGS
2	8:30 a.m.
3	CHAIR BALLINGER: Good morning again, this
4	is a meeting of this SHINE Subcommittee of the
5	Advisory Committee on Reactor Safeguards. I'm Ron
6	Ballinger, Chairman of the Subcommittee.
7	ACRS Members in attendance, I won't need
8	to go through the list, it's the same as yesterday.
9	We're basically reconvening the meeting that we
10	started yesterday.
11	Today we'll cover Chapter 13 and we'll
12	have a closed session after Chapter 13's open session
13	on Chapter 13 and any other areas that we might need
14	to discuss as we mentioned yesterday.
15	Today's meeting is held in person and also
16	over Teams so Teams people, be careful, mute yourself
17	at all times unless you're making a comment. If you
18	make a comment, please state your name and make your
19	comment when we go to public comments so the court
20	reporter will know who you are.
21	Again, the transcript of the meeting is
22	being kept. What else do we need to be careful about?
23	That's about it. SHINE folks are up. Josh, do you
24	want to make a comment of any kind?
25	MR. BORROMEO: I don't have any.
	I

(202) 234-4433

	5
1	CHAIR BALLINGER: So, I think we're ready
2	to roll. Is it Tracy that's going to present?
3	MS. RADEL: This is Tracy Radel. I'm
4	going to go over the accident analysis today.
5	Some of this will look familiar and it was
6	presented at an earlier ACRS session but I thought it
7	was good to go over the methodology again, refresh
8	that before diving into the specific accident
9	scenarios in the closed session.
10	SHINE applies a SHINE-specific risk-based
11	methodology similar to the guidance described in NUREG
12	1520. This is applied to both the DRH and the
13	irradiation facility and the radioisotope production
14	facility for consistency of the safety analysis across
15	the facility.
16	The SHINE safety analysis is developed
17	based on the following major steps. First,
18	identification and systematic evaluation of hazards at
19	the facility. This is generally done through HAZOPS
20	and failure of the effects analyses.
21	Then the confluence of identification of
22	potential accident sequences that would result in the
23	next topical concerns.
24	The identification of safety-related
25	controls, other controls as well as administrative

(202) 234-4433

	6
1	controls, the identification of programmatic
2	administrative controls that intrude on the
3	availability and reliability of the identified safety
4	systems, and then the assessment of radiological and
5	chemical consequences for the postulated accident
6	sequences given the applied controls, demonstrating
7	that all scenarios are within acceptable limits.
8	CHAIR BALLINGER: This is Ron Ballinger.
9	Failure modes and effects analysis is a term of art.
10	Did you folks actually perform an FMEA, a formal one?
11	MS. RADEL: We have performed an FMEA and
12	it depends on the system that we're looking at so the
13	appropriate method was chosen based on the system.
14	So, those were either HAZOPS, FMEAs, or what-if
15	checklists and scenarios.
16	CHAIR BALLINGER: Thank you.
17	MS. RADEL: The acceptance criteria here,
18	acceptable risk is achieved by ensuring the event is
19	highly unlikely or the consequences are below the
20	SHINE safety criteria.
21	The SHINE safety criteria is listed here
22	and they include an acute worker dose of 5 rem or
23	greater, an acute dose of 1 rem or greater to any
24	individual located outside the owner-controlled area.
25	An intake of 30 millirem or greater of
	1

(202) 234-4433

	7
1	uranium to any individual located outside the owner-
2	controlled area, and acute chemical exposure to an
3	individual from licensed material or hazardous
4	chemicals produced from licensed material that could
5	lead to irreversible or other serious long-lasting
6	health effects to a worker.
7	Or it could cause transient health effects
8	to any individual located outside the owner-controlled
9	area. Criticality where fissionable material is used,
10	handled, or stored with the exception of the solution
11	vessel or loss of capability to reach safe shutdown
12	conditions.
13	The relevant accident categories were
14	identified using the ISG-augmenting NUREG-1537.
15	Hazard evaluations identified potential initiating
16	event consequences and controls. These were HAZOPS,
17	FMEAs, or what-ifs.
18	The hazard evaluations also identify the
19	SHINE-specific accident types such as those in tritium
20	or the neutron driver. The hazards that are
21	identified through the different analyses are
22	summarized in the process hazard analysis.
23	DR. BLEY: May I interrupt you? This is
24	Dennis Bley. yesterday you folks talked about a lot

25 about how unique this facility is and I think I

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

	8
1	certainly agree with you.
2	Why, then, is just using the guidance for
3	more standard facilities a complete enough search for
4	accident categories?
5	MS. RADEL: So, we evaluated the systems
6	for all failures, we identified that through the
7	HAZOPS, FMEAs and what-if checklist, going through
8	each component, its potential failure mechanisms.
9	We didn't limit ourselves in any way in
10	those hazard evaluations, just as we were rolling
11	those out into accident categories, we defined the
12	accident categories. Those were all rolled up into
13	NUREG-1537.
14	DR. BLEY: That helps, I'll let you go
15	ahead but one thing we hinted at I think a while back,
16	and I don't recall seeing anything that clarifies it,
17	when you did this search using HAZOPS and other
18	approaches, did you identify specific important human
19	actions?
20	I was looking for a table of those and how
21	you identified them.
22	MS. RADEL: There are administrative
23	controls identified within the safety analysis and we
24	can go into some specific ones when we get into closed
25	session and go through the different accident
1	

(202) 234-4433

	9
1	scenarios that were evaluated.
2	DR. BLEY: I would appreciate that and I'm
3	oversimplifying what you just said back to me, it
4	would seem strange to me if every important human
5	action was handled strictly by administrative controls
6	but I can wait for the closed session to hear about
7	that.
8	MS. RADEL: The process hazard analysis is
9	a summary documenting the most significant events from
10	the HAZOPS, FMEAs and what-if checklist, and this is
11	documented in the SHINE safety analysis report.
12	The risk index for each potential
13	unmitigated accident sequence is provided there. This
14	is the likelihood times the consequence. It
15	identifies engineered and administrative controls.
16	The risk for the controlled event is
17	generated using the revised likelihood and consequence
18	of the controls in place. And this then results in a
19	comprehensive list of the safety-related controls for
20	the facility, both administrative and engineered.
21	MEMBER REMPE: This is Joy Rempe and I had
22	a question. First of all, I appreciated the Staff
23	identifying some of the documents where we could find
24	more details about the actual approach to perform the
25	safety analysis.
l	1

(202) 234-4433

	10
1	Again, you can answer this in the closed
2	session but I was curious about I also appreciate
3	you guys providing those documents when I requested
4	them, or at least access to them.
5	But what I didn't see was much about the
6	sensitivity analysis you did that were referenced by
7	the Staff that gave them confidence.
8	At a high level here in the open session,
9	could you talk about extensive the sensitivity
10	analyses were and what assumptions were found to have
11	the most impact in the results?
12	MS. RADEL: Just for clarification, are
13	you talking about sensitivity analyses related to
14	activity assertions or just in general?
15	MEMBER REMPE: All of the safety analyses,
16	and when we get to the closed session I can even point
17	out which sequences the Staff referenced where they
18	talk about the sensitivity analyses gave them
19	confidence in the results.
20	But what I'm curious about is I thought a
21	long time ago I had seen something from you guys
22	saying that you did do some sensitivity analyses.
23	I don't think you did a full-fledged
24	uncertainty analyses where you propagated the
25	uncertainties through the analysis and you can confirm
	1

(202) 234-4433

	11
1	that, but I didn't see anything that suggested that.
2	But if you did some sensitivity analyses
3	I'd like to know what parameters were evaluated. I
4	think the Staff thought you picked the most
5	conservative values but was that the only scenario
6	where you did sensitivity analyses, the criticality?
7	I know for sure we mentioned it with
8	respect to the design basis accidents that you
9	analyzed. So, anyway, I just am curious if you could
10	give us any sort of insight about how extensive your
11	sensitivity analyses were?
12	MS. RADEL: Yes, we did perform extensive
13	uncertainty analysis on the different parameters
14	related to reactivity, coefficients, productivity
15	coefficients, the delayed neutron fraction.
16	Pretty much all of the different
17	reactivity parameters used benchmark cases to come up
18	with 95 percent confidence intervals for those
19	important parameters.
20	When we went to go evaluate specific
21	scenarios within the accident analysis that were more
22	along the lines of the releases, due to failures in
23	the process boundaries or events that resulted in
24	radiological release, the approach there was to take
25	a very conservative bounding approach to each of the
	I contract of the second s

(202) 234-4433

	12
1	different parameters in the scenario.
2	And you'll see that we get into the
3	specific scenario descriptions within the closed
4	session. But for each of the different aspects of the
5	accident, we looked at what would be the most bounding
6	situation even if they were quite a bit outside of the
7	normal operating parameters.
8	MEMBER REMPE: Let me repeat back to you,
9	and I think I heard you say you only did sensitivity
10	analysis with respect to the criticality events that
11	you evaluated.
12	And then with respect to the release
13	fractions, you didn't really do sensitivity analysis,
14	you just looked at it and said we're taking some
15	bounding assumptions. Is that true?
16	MS. RADEL: Yes, that's correct. Just to
17	clarify the reactivity insertions, those were not
18	reaching criticality but similar.
19	MEMBER REMPE: Reactivity insertions,
20	thank you for the correction. Could you tell us what
21	parameters you found to be the most sensitive in the
22	sensitivity analyses you did?
23	MS. RADEL: In the closed session we can
24	go into the uncertainties that we found on those and
25	the values themselves and talk through those numbers.
	I

(202) 234-4433

	13
1	Both are proprietary.
2	MEMBER REMPE: Thank you.
3	MS. RADEL: This slide here shows the
4	different accident categories for the radiation
5	facility and the radioisotope production facility as
6	well as external events.
7	These categories primarily come out of
8	NUREG-1537 but extend as I said, we do have
9	facility-specific events and that covers anything that
10	didn't fit into those accident categories. So, we
11	make sure that everything is captured.
12	MEMBER MARCH-LEUBA: This is Jose. In the
13	open session, can you describe at a high level what
14	the MHA was?
15	MS. RADEL: Yes, the maximum hypothetical
16	accident was a release into the TSV off-gas cell. So
17	we release out of that gaseous support system for the
18	irradiation units.
19	MEMBER MARCH-LEUBA: So, it would be
20	similar to a large-break LOCA in the gas area of the
21	TSV?
22	MS. RADEL: It is a break of the system.
23	MEMBER MARCH-LEUBA: There is no loss of
24	coolant. So, it's a big break on top of the vessel.
25	Thank you.

(202) 234-4433

	14
1	MS. RADEL: Here are the risk matrices
2	that we have for development of those numbers within
3	the SHINE safety analysis, so on the upper left there
4	are the consequence categories.
5	These are similar to 1520 but we do adjust
6	the very routine low-consequence and intermediate
7	consequence to align with the SHINE safety criteria.
8	So, low consequence meets the SHINE safety criteria.
9	On the right there is the severity, we do
10	either require that events are highly unlikely,
11	essentially preventing the event or of low consequence
12	with the mitigations in place. We do not have an
13	intermediate unlikely event being acceptable.
14	The other values there, the highly
15	unlikely is defined as 10 to the -5 per event per
16	year.
17	MEMBER DIMITRIJEVIC: This is Vesna
18	Dimitrijevic, let me ask you a question on the risk
19	matrix. Can you hear me?
20	MS. RADEL: Yes.
21	MEMBER DIMITRIJEVIC: You have adjusted
22	this medium Category 4 to be unacceptable and modified
23	risk matrix but in that case you don't really need the
24	three categories.
25	You can simplify your calculation by

(202) 234-4433

	15
1	combining the 2 and 3 vote in likelihood and
2	consequences.
3	Once when you make this change, the vision
4	to the three categories is not necessary. So, I'm not
5	sure, why did you decide to make this change?
6	MS. RADEL: That's a very good point, that
7	we wouldn't need that extra row. At one point early
8	on in our development, we did have that four box as
9	being acceptable. But we made a change later on to
10	require that you reach either highly unlikely or below
11	the SHINE safety criteria.
12	MEMBER DIMITRIJEVIC: I just want to point
13	out that in that case, you just overly complicated the
14	vision. The vision could be significantly simplified
15	if you wanted do it this way. I just wanted to make
16	that point.
17	MS. RADEL: Thank you.
18	MEMBER REMPE: Just a little curiosity
19	question, why not call not unlikely anticipated
20	operational I always kind of stumble on it when I
21	read the phrase not unlikely.
22	MS. RADEL: Yes, that language does come
23	out of NUREG-1520 so we just used the consistent
24	language there.
25	MEMBER REMPE: Thank you.
	I Contraction of the second

(202) 234-4433

	16
1	MEMBER MARCH-LEUBA: Plus it also has 10
2	to the -2. This is 10 to the -4.
3	MEMBER REMPE: Not unlikely.
4	MEMBER DIMITRIJEVIC: They did forget to
5	say likely.
6	MEMBER REMPE: This one comes across.
7	MEMBER MARCH-LEUBA: Once every 10,000
8	years is not likely.
9	MEMBER PETTI: There should be better
10	alignment.
11	MEMBER DIMITRIJEVIC: Less unlikely.
12	MEMBER REMPE: I like that, Vesna, I like
13	less likely, something like that, anyway.
14	MS. RADEL: Next slide. Here we have the
15	guidance that we used as far as the failure frequency
16	index numbers, the failure probability index numbers
17	and the duration index numbers that were used to get
18	the likelihoods.
19	Safety-related controls that are credited
20	for the prevention or mitigation of accidents are
21	either engineered controls, and this can be either
22	active or passive, and then specific administrative
23	controls.
24	Programmatic administrative controls are
25	also implemented to assure the safety-related controls

(202) 234-4433

	17
1	can perform their intended functions, and defense
2	in-depth controls are also identified.
3	They're not credited but they provide
4	additional margin for risk reduction.
5	MEMBER KIRCHNER: This is Walt Kirchner.
6	Are there any categories that stand out it's a
7	variation on Dennis's question I think in your
8	accidents where a significant release is prevented by
9	administrative or programmatic controls?
10	MS. RADEL: We do not have any scenarios
11	where operator action is credited to mitigate the
12	event once it has occurred. So, we've relied on
13	engineer controls for all of that mitigation once an
14	accident has initiated.
15	There are some administrative controls to
16	contribute the prevention for reduction in source term
17	prior to new events occurring that are outlined. For
18	the most part, though, the controls are engineered
19	controls.
20	MEMBER KIRCHNER: That's the answer I was
21	looking for. Thank you.
22	MEMBER DIMITRIJEVIC: Let me ask you a
23	question to follow this. You have open attachments,
24	you credited the elevating likelihood, so you have a
25	serious screen based on assumed operator actions,
1	I contract of the second se

(202) 234-4433

	18
1	right?
2	MS. RADEL: They're accredited operator
3	actions, yes, for prevention of scenarios.
4	MEMBER DIMITRIJEVIC: So, you're looking
5	in scenarios, not just initiating events? They
6	actually operator actions with each other,
7	complementing to the screening out some scenarios,
8	right?
9	MS. RADEL: Yes, that's correct.
10	MEMBER DIMITRIJEVIC: My question is why
11	you didn't really consider that to be an operator
12	action, do you know what I mean? You varied the
13	likelihood of this.
14	MS. RADEL: Those are operator actions
15	that are accredited are specifically called out in the
16	safety analysis and those accredited operator actions
17	are treated differently in the procedures and noted
18	that those are accredited actions.
19	They are given a low value as far as the
20	reduction in likelihoods. The administrative controls
21	get less credit in the likelihood evaluation because
22	we know that humans are less reliable than the
23	engineered controls.
24	MEMBER DIMITRIJEVIC: My point was that
25	you just responded to the previous question saying

(202) 234-4433

	19
1	that no operator action crediting mitigating but
2	that's a true statement because they're buried in the
3	prevention.
4	So, they operator action credited in
5	preventing the accidents.
6	MS. RADEL: Correct, in preventing. In
7	mitigation, once the accident has begun, the statement
8	made was that operator action is not credited after
9	the event has occurred to mitigate the consequences.
10	MEMBER DIMITRIJEVIC: Thanks.
11	MS. RADEL: Radiological consequences are
12	determined for members of the public and control room
13	operators.
14	The process includes calculation of
15	radiological inventories, definition of
16	accident-specific material at risk, transport of the
17	radionuclides, which leads to development of the
18	accident source term, and then the convergent
19	radiological dose.
20	Worker and public doses are generally
21	calculated over a 30-day period. The exception here
22	is tritium and the tritium confinement boundary which
23	uses a 10-day interval for the accident duration.
24	Conservatisms are applied to the dose
25	analysis. There's a list here of some of them that
I	I contraction of the second

(202) 234-4433

	20
1	apply across all scenarios. The bounding TSV power
2	history and operational cycle is used.
3	We used minimum nuclide decay times, times
4	to transport nuclides out of the process systems are
5	neglected so the inventory is immediately transferred
6	out of the tank or the piping into the confinement if
7	there is a breach involved in the scenario.
8	Compensation is conservative and limited
9	as far as radionuclides depositing on the walls versus
10	remaining airborne. Non-credited filtration is
11	neglected.
12	There are a few filters in the system on
13	the outlet of the hot cells that are credited but for
14	the most part, the filtration within the facility is
15	not credited and is neglected.
16	MEMBER MARCH-LEUBA: This is Jose, how do
17	you treat the confinement, is it leakage tray or does
18	it fail completely?
19	MS. RADEL: The confinement has a defined
20	leak rate, each confinement has its own defined leak
21	rate and we make sure that it meets that leak rate
22	prior to going into operation.
23	MEMBER MARCH-LEUBA: So, you use the
24	nominal leak rate that you assume for confinement?
25	MS. RADEL: We use a leak rate based on

(202) 234-4433

	21
1	each confinement so it's not the same for, say, the IU
2	cell versus the hot cell boxes. It's defined based on
3	which
4	MEMBER MARCH-LEUBA: How is that leak rate
5	estimated?
6	MS. RADEL: It's defined in the
7	requirement specifications for the different facility
8	components and then it is tested as part of the
9	testing as a safety function of that component.
10	MEMBER MARCH-LEUBA: That's what I wanted
11	to hear. After you build the facility you will test
12	for the leak rate?
13	MS. RADEL: Yes.
14	MEMBER KIRCHNER: Just to follow on, then,
15	those numbers are used for the leak path factor? This
16	is Walt Kirchner.
17	MS. RADEL: Yes, there's a leakage rate
18	that is used within the radiological dose
19	calculations. That leakage rate was determined in
20	those calculations applied to the equipment. It was
21	chosen based on what we knew that type of equipment
22	could achieve.
23	And it was specified for the equipment
24	when we tested prior to starting operations.
25	MEMBER REMPE: This is Joy, I just wanted
1	I Contraction of the second

(202) 234-4433

	22
1	to add a comment here.
2	I really like the level of effort you went
3	to with this Fowski report, where you actually went
4	through and estimated leak factors and airborne
5	release fractions based on available data and actually
6	applied the model to other facilities.
7	I thought that was a level of effort I had
8	not yet seen with some of the other folks that are
9	coming in with unique facilities. And so I think a
10	kudos are in order.
11	MEMBER PETTI: So, Tracy, just a question,
12	a clarification, on the condensation. For tritium, do
13	you assume it's HT or HTO?
14	MR. NEWELL: This is Alex Newell, the
15	criticality safety lead.
16	For transports of material in that model,
17	it's assumed to be a gas but because the dose
18	conversion factor for tritiated water is higher, we
19	assume that the tritium exits the facilities in that
20	form.
21	MEMBER PETTI: So, you don't condense it,
22	per se, you assume it's a gas that doesn't condense
23	and then from a dose perspective, you use the higher
24	dose conversion of HTO.
25	MR. NEWELL: That's correct.

(202) 234-4433

	23
1	MEMBER PETTI: Thanks.
2	MS. RADEL: And we use chi over Q values
3	that are the 95th percentile. This diagram here shows
4	the process of determining the radiological
5	consequences, it's a lot to go through so adjust it.
6	If you have any questions, I can answer those now.
7	MEMBER PETTI: Tracy, I don't recall from
8	when I read this the statistical adjustment. What is
9	that in the inventory?
10	MS. RADEL: We did do a statistical
11	analysis on the source terms. It was a very small
12	effect and it's another conservatism that I didn't
13	list in the previous slide because there's a small
14	change from the other ones.
15	MEMBER PETTI: Thanks.
16	MS. RADEL: The last slide here is just
17	touching on the hazard chemicals.
18	Chemical hazards of licensed material,
19	hazardous chemicals interacting with licensed material
20	and hazardous chemicals from licensed material are
21	evaluated in the SHINE safety analysis.
22	Chemical consequence assessments
23	demonstrate that consequences meet the SHINE safety
24	criteria for the public and the workers. And here the
25	workers include both the RCA worker and the control
	I contraction of the second

(202) 234-4433

	24
1	room operator.
2	DR. BLEY: Tracy, it's Dennis Bley. Could
3	you go back one slide to your diagram? Down in the
4	bottom, you're doing a public dose and a control room
5	dose. Where do you do the workers who are not in the
6	control room?
7	(Simultaneous Speaking.)
8	MS. RADEL: We do evaluate the RCA worker
9	dose also within our dose calculation but it was not
10	something that was required from a regulatory
11	perspective to be provided. But we do calculate it
12	and verify that it is all for below the SHINE safety
13	criteria.
14	DR. BLEY: Thank you, and I guess you're
15	showing what's required on here so I get that. I'm
16	glad you're doing the other one though, because it's
17	got to be higher.
18	MS. RADEL: It depends on the scenario,
19	there are some scenarios where because it's more of an
20	external release, the control room dose is higher than
21	the RCA workers' dose. But the residence time within
22	the RCA is fairly short versus the time spent in the
23	control room.
24	DR. BLEY: Thank you.
25	MS. RADEL: The PAVAN computer code is
I	1

(202) 234-4433

	25
1	used to perform consequence analysis for the public
2	and nearest resident and consistent with the accident
3	analysis overall, we used the 95th percentile chi over
4	Q values.
5	MEMBER PETTI: What code was used to do
6	the control room dose?
7	MS. RADEL: Can you repeat the question?
8	MEMBER PETTI: What code was used to do
9	the control room dose?
10	MR. NEWELL: We did the wrong calculation.
11	This is Alex Newell, we used ARCON96 to calculated the
12	control room chi over Q.
13	MEMBER KIRCHNER: This is Walt, just one
14	question on chemical exposures. I'm trying to think
15	of the different chemicals you're using in your
16	processes. Do you have any ground-huggers, so to
17	speak?
18	In other words, heavier than air,
19	chemicals that are part of your processes?
20	MS. RADEL: As far as those that are mixed
21	with licensed material, they were evaluated in Chapter
22	13. I would have to look through the list, it's
23	provided in the closed session slides.
24	I don't know offhand of any that were
25	denser than air that presented that.

(202) 234-4433

	26
1	MEMBER KIRCHNER: Because using the chi
2	over Q doesn't make any sense if you've got chemicals
3	that are heavier, that's the plume-type model. If
4	you've got something like CO2 that's a ground-hugger,
5	then it's a different kind of analysis to account for
6	that.
7	MS. RADEL: I don't believe any of the
8	ones on that list provided at the end of the closed
9	session slides were of that type but we can verify
10	that.
11	MEMBER KIRCHNER: That's good, thank you.
12	MEMBER BIER: Are you done with your
13	comments on this slide, Tracy?
14	MS. RADEL: This is the last slide, so if
15	you have any questions for open session here, we can
16	take those. Otherwise, we are clear for the closed
17	session.
18	MEMBER BIER: This is Vicki Bier.
19	I wanted to go back to the risk matrix
20	slide if you can, I forget what number that is? I
21	wanted to raise an issue, not because I object to
22	using risk matrices but I just want to illustrate a
23	potential limitation of them.
24	Which is that in theory, there can be
25	events in the green area that are worse than events in
	1

(202) 234-4433

	27
1	the orange area, and that's because these bounds are
2	I don't want to say broad but they're not points.
3	So, if you take, for example, the middle
4	row and the dividing line between green and orange,
5	you could have an event in the green that is close to
6	the maximum dose, say, close to 100 rem for facility
7	staff.
8	But a low likelihood within that range of
9	likelihood sorry, high likelihood within that range
10	of likelihood. So, high on both so you can think of
11	it as being in the upper right-hand corner of the
12	green square, I wish we could annotate these.
13	And then in the orange square, the one
14	with the rating of 4, you can get an event that is
15	very low within the range of dose, say, 6 rem to
16	facility staff and low within the band of likelihood,
17	just barely above 10 to the -5.
18	And so the green event could be almost a
19	factor of 15 worse than the orange event. Like I
20	said, I don't object to using risk matrices as long as
21	people realize they're a pretty coarse tool.
22	But if interested, a colleague wrote a
23	paper on the pitfalls of risk matrices so I could
24	share that with the DFO to pass onto you if people are
25	interested, et cetera.
	I contract of the second s

(202) 234-4433

	28
1	MS. RADEL: That's a very good point.
2	MEMBER BIER: It's just awareness.
3	MS. RADEL: That would be great.
4	Some of the challenge here is defining the
5	likelihoods for the facility that has not been built
6	before, is new, and so we take conservative approaches
7	to assigning those likelihood numbers and take a more
8	simplified approach here.
9	Any other questions?
10	CHAIR BALLINGER: Is that the end, Tracy
11	MS. RADEL: Yes, it's the end of the open
12	session presentation.
13	CHAIR BALLINGER: Thank you, if there are
14	any comments from the Members before we switch to the
15	Staff? Hearing none, okay, there is the Staff
16	presentation. Who is the presenter?
17	MR. DICKSON: Hi there, this is Elijah
18	Dickson along with my colleagues, doing the Chapter 13
19	accident analysis. Can you hear me okay? They're in
20	the meeting room.
21	CHAIR BALLINGER: Yes.
22	MR. DICKSON: Good morning, ACRS Chairman
23	and Members, my name is Elijah Dickson, I'm a reactor
24	scientist in the Office of Nuclear Reactor Regulation,
25	Division of Risk Assessment, Radiation Protection and
	1

(202) 234-4433

Consequence Branch.

1

2

3

4

5

6

I'd also like to thank Tracy for providing the overview of SHINE's perspective of SHINE's accident analysis. I'll be presenting, along with my colleagues our review of the Chapter 13 accident analysis today. Next slide, please.

7 This was very much a team effort with 8 technical expertise across several NRC organizations. 9 My organization, the Office of Nuclear Reactor 10 Regulation, NRR, but also the Office of Nuclear 11 Materials and Safety Safeguards, NMSS, and Office of 12 Research.

I'll be presenting with Mike Call today,
who will be presenting on the SHINE safety analysis,
and James Hammelman, who will be presenting
specifically on the SHINE chem safety analysis.

Jeremy Munson you heard yesterday speaking in regard to criticality safety, Kevin Quinlan is our meteorologist, Mike Salay from Office of Research performed or helped review iodine transport calculations and models.

22 Can we move on to the next slide, please? 23 Contents. I'll provide a little bit of a 24 background of our review and approach to Chapter 13 25 accident analysis. We'll then dive right into the

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

	30
1	SHINE SSA or SHINE safety analysis. I'll speak to
2	SHINE's design basis accident analyses, and again,
3	right on into chem safety by James Hammelman.
4	We'll discuss what we learned from our
5	audits and confirmatory analyses, and then finally
6	present to you our evaluation findings and
7	conclusions. Next slide, please.
8	Here's a list of regulatory requirements
9	and commitments, 10 CFR 5034 of course has SHINE
10	present to us a final safety analysis report for our
11	review.
12	5036 and the technical specifications help
13	us identify safety-related structured systems and
14	components for SSCs, their safety limits, and their
15	limiting safety system settings, or LSSSs, as well as
16	those limiting conditions of operations.
17	And in doing the dose analyses, we
18	particularly focus on the first three criterion of the
19	technical specifications, Criterion 1 includes tech
20	specs for instrumentation that are used to detect and
21	indicate in the control room significant abnormalities
22	or degradations in the reactor coolant pressure
23	boundary.
24	Criterion 2 are process variables, design
25	features and operational restrictions that are initial

(202) 234-4433

	31
1	conditions of a design basis accident or transient,
2	that either assumes failure or presents a challenge to
3	the integrity of the primary fission product barrier.
4	And then lastly, Criterion C are
5	structures, systems, and components that are part of
6	the primary success pathway, which actually actuate or
7	mitigate design basis accidents that either assume a
8	failure or present a challenge to the integrity of the
9	primary fission product barrier.
10	We also have commitments that are similar
11	to those of 10 CFR Part 70. Jeremy Munson today
12	discussed what those commitments were.
13	Again, you can find those in Tech
14	specification 5.8.3, these are or additional reporting
15	requirements since much of the SHINE facility is very
16	similar to a materials facility.
17	Next slide, please. I'll go over the
18	regulatory guidance. There is quite a bit of
19	regulatory guidance that the Staff needs to utilize to
20	perform such a review. The two primary guidances are
21	NUREG-1537 Parts 1 and 2.
22	Part 1 is the guidance preparing reviewing
23	applications for licensing of non-power reactors.
24	This is the format and content guide. Part 2 is the
25	standard review plan and acceptance criteria that the
	1 I I I I I I I I I I I I I I I I I I I

(202) 234-4433

	32
1	Staff use.
2	Now, for both Part 1 and Part 2 of NUREG-
3	1537, there is final interim staff guidance that's
4	specific to the licensing of radioisotope production
5	facilities and for aqueous homogeneous reactors.
6	Part 2 was leaned on heavily for the
7	information regarding our standard review plan and our
8	acceptance criteria. Onto Slide 6, please?
9	Continuation of regulatory guidance,
10	NUREG-1520 is the standard review plan for fuel cycle
11	facilities and licensing applications. This was the
12	primarily guidance that NMSS utilized which then
13	points you to NUREG-1513 which is the integrated
14	safety analysis guidance document.
15	This document was utilized to review
16	SHINE's safety analysis summary.
17	NUREG CR-6410, the nuclear fuel cycle
18	facility accident analysis handbook, was very
19	important for the Staff in performing the material of
20	risk calculations and transport of the source term
21	through the systems into the environment.
22	It provides methodologies to do those
23	calculations and then the last three bullets are in
24	regard to reviewing atmospheric and meteorological
25	characteristics of the site.
	I contract of the second se

(202) 234-4433

	33
1	NUREG CR-2858, Regulatory Guide 1.145, and
2	NUREG 6331.
3	MEMBER PETTI: Elijah, just a question.
4	You've got mixed guidance here coming from the non-
5	power reactors in the fuel cycle. Was there any case
6	where the guidance was contradictory or was it just
7	more additive or explanatory?
8	This is kind of a unique case but it would
9	be interesting to know if you guys had to make some
10	decisions, like one guide said X and the other guide
11	said anti-X and you had to figure out what made sense.
12	MR. DICKSON: From the Staff perspective,
13	I think we all probably have a short list of where
14	there might be some contradictions between the
15	different guidances. But working together, we're able
16	to work through some of those types of issues.
17	There's a couple areas of the guidance
18	that could use some improvement, or rather,
19	clarification really.
20	MEMBER PETTI: That's good to know because
21	I think we're going to see cases where we have unique
22	facilities and the rules may not always fit and
23	separate so nicely into these buckets.
24	MR. DICKSON: One, for instance, is the
25	use of dose conversion factors that align with the

(202) 234-4433

34 1 regulations, that's something that can probably be 2 spelled out pretty clear in regulatory guidance. There's a whole host of dose conversion 3 4 factors, or DCS, out there that are designed for 5 different ICRP methodologies, the different tissueweighting coefficients, and in pointing licensees to 6 7 the ones that we've endorsed that meet the regulation, 8 it's very much like a nuanced issue that we see every 9 couple of years, for instance. 10 That could be an improvement for the quidance. 11 Elijah, I'm following up on 12 DR. BLEY: that. How or who on Staff keeps track of these sorts 13 14 of things so they either end up in interim Staff quidance or in changed quidance documents? 15 16 MR. DICKSON: There's a Branch in the Division of Advanced Reactors who are owners of our 17 guidance and I believe they keep track of these items 18 19 as they seek to update the quidance that are updated every 10 years. 20 So, each of you, as you were 21 DR. BLEY: saying, found different things. I assume each of you 22 then passed those onto the people who own 23 the 24 quidance? MR. DICKSON: Yes, that's definitely the 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433
	35
1	intent.
2	MEMBER MARCH-LEUBA: Basically, there is
3	a suggestion box at the door and you fill in a card or
4	you're supposed to know the guy and go to lunch with
5	him? How does that work?
6	MR. DICKSON: There's no suggestion box.
7	I know the guys that work on these things and I tell
8	them these things when I come across them.
9	But usually, when we do develop important
10	documents like this, we do go through internal
11	convergence processes and that's also a time where
12	things like this get identified when we go through
13	those internal concurrence processes between divisions
14	and offices.
15	MEMBER MARCH-LEUBA: Just to give you a
16	heads-up, on Slide 12 I was going to ask you to go
17	over the acceptance criteria, the 1 to 5 rem that you
18	guys chose.
19	And the SCR goes into very good detail of
20	all the criteria you could have used and I would like
21	you to explain what your rationale was and is related
22	to this.
23	There is a little confusion that you can
24	pick A, B, or C and it's up to the licensee to pick.
25	So, I'll ask you the question again on Slide 12.
	I contract of the second se

(202) 234-4433

	36
1	MR. DICKSON: Great.
2	MEMBER HALNON: Elijah, this is Greg
3	Halnon, I want to look at this list of guidance, all
4	but 1 to 20 years-plus old, some are 40 years old.
5	Part of me says that's great because they're tried and
6	true and if they needed a revision, there would be
7	one.
8	However, part of me thinks there's got to
9	be some learnings that we've had over the last 40
10	years that would assist in this review that would
11	require some updated guidance.
12	Is there other ISGs or other more
13	contemporary guidance that you're using behind the
14	scenes here?
15	MR. DICKSON: For a facility such as SHINE
16	or these non-power reactor facilities or NPUFs, NUREG-
17	1537 is and the ISGs are the primary guidance that we
18	have right now.
19	As you mentioned, the meteorological
20	guidance, that's tried and true calcium plume
21	atmospheric dispersion modeling. But there's other
22	NUREGs that we utilized too for iodine transport and
23	things of that nature.
24	And I think Mike Salay could probably talk
25	to those types of guidance, too, that could get
	1

(202) 234-4433

	37
1	wrapped up into these as well. But you asked for
2	other documents to be used, there are a handful of
3	other ones as well.
4	MEMBER HALNON: For instance, which one of
5	these or what other Reg Guides were used for the
6	ARCON96? That's just recently been updated in 4.28.
7	MR. DICKSON: I guess that would have to
8	get captured in an update to NUREG-1537.
9	MEMBER HALNON: I didn't see it in there,
10	I'll look.
11	DR. BLEY: Speaking of NUREG-1537, this is
12	Dennis again, my understanding of interim Staff
13	guidance is the Staff does that because there isn't
14	time to go through the process of updating NUREGs or
15	SRPs or whatever.
16	But the interim Staff guidance for this
17	one is 10 years old. How long do things live as
18	interim Staff guidance? I've seen some in the
19	electrical area that live forever.
20	Maybe somebody wants to comment?
21	MR. DICKSON: I don't have a good answer
22	for that one but I know that we are actively working
23	on updating this guidance.
24	(Simultaneous Speaking.)
25	MR. BALAZIK: I'm sorry, Elijah, to cut
	1

(202) 234-4433

	38
1	you off. This is Mike Balazik, Project Manager for
2	SHINE. Yes, we plan on incorporating the ISG into
3	NUREG-1537.
4	The ISG, and I'll use the term relatively
5	recent, we developed that guidance for the review of
6	production facilities, which wasn't captured in 1537.
7	We do plan on incorporating it within the
8	overall 1537 guidance.
9	DR. BLEY: Thank you.
10	MEMBER KIRCHNER: Just one question, Mike.
11	Someone made the suggestion of a suggestion box or
12	something but in the end doesn't RES own the
13	engineering division, own the responsibility for the
14	Reg Guide, updating and such?
15	Do they have an inbox for all these
16	observations that your Staff makes when they conduct
17	a review like this and they see potential
18	discrepancies or alternatives or confusion.
19	Does that get fed back in some formal
20	manner to engineering?
21	MR. BALAZIK: This is Mike Balazik again,
22	no, our licensing branch actually has the
23	responsibility for NUREG-1537 and we would collect
24	lessons learned from the SHINE review. We've
25	collected them from past RTR license renewal efforts.
	1

(202) 234-4433

39 1 That's how we would incorporate any 2 into 1537. I would say it's changes So, not necessarily a formal process on providing feedback. 3 4 MEMBER KIRCHNER: I may have misspoken. 5 I quess now, more correctly, engineering owns the 6 Regulatory Guide process, if Ι understand it 7 correctly, and you're mainly using a NUREG as the 8 basis for your reviews. 9 So, you own, so to speak, 1537? MR. BALAZIK: Yes, sir, and the ISG. 10 MEMBER KIRCHNER: Thank you. 11 Any other questions 12 MR. DICKSON: on regulatory guidance? 13 If not, we can move on to Slide 14 7. 15 SHINE presented to us two types of safety analysis for Staff review, the first being the SHINE 16 safety analysis or SSA, the purpose of the SHINE 17 safety analysis is systematic analysis of facility 18 19 processes used to identify and evaluate facility hazards associated with the processing and possession 20 of licensed material. 21 design basis 22 And then the accident analysis, the purpose is to evaluate the design and 23 24 performance of structures, systems, and components of objective of 25 the facility with the assessing

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

	40
1	radiological consequences resulting from operation of
2	the facility.
3	Onto the next slide
4	MEMBER REMPE: This is Joy, I'm going to
5	reiterate a question that Member Ballinger has raised
6	several times during this review.
7	In the SE, the Staff indicated they found
8	the application of SHINE's design criteria that was
9	discussed in Chapter 3 reflect the design features of
10	the safety-related SSCs.
11	And it goes on about, which include
12	redundancy, environmental qualification, et cetera.
13	What gives you that confidence? Because we haven't
14	seen your review of the design criteria.
15	Can you elaborate? We're kind of
16	wondering about that issue.
17	MR. DICKSON: Yes, I can definitely do
18	that. For Chapter 13, the primary purpose is to
19	assess radiological consequences.
20	And the primary design criteria that SHINE
21	presented to us that assesses radiological
22	consequences is Design Criterion 6, which is their
23	control room habitability criteria.
24	We assume, and the guidance tells us to
25	assume, that all other design criteria are being met

(202) 234-4433

	41
1	when we're performing the dose analyses.
2	I don't know if I answered your question
3	or not but we don't go line by line in the Chapter 13
4	analyses, or design criteria by design criteria in the
5	Chapter 13 analyses.
6	We're specifically assessing radiological
7	consequences.
8	MEMBER REMPE: That helps, thank you.
9	MEMBER KIRCHNER: When you do that, then
10	at least in the DBA category, now you only can credit
11	those SSCs that are safety-related?
12	MR. DICKSON: That's right, and I have a
13	slide on that. I receive some questions from the ACRS
14	and I've littered responses in this presentation and
15	that was one of the questions that I received, what is
16	the design basis accident methodology from a very high
17	level?
18	And I'll talk about that. If there's no
19	other questions, we can go onto Slide 8, and I believe
20	this will be Mike Call. Mike Call, are you on the
21	line?
22	MR. CALL: Yes, can you hear me?
23	MR. DICKSON: Yes, thank you.
24	MR. CALL: Good morning, this is Mike
25	Call, as mentioned earlier, I'm in the Office of NMSS
l	1

(202) 234-4433

	42
1	and was involved in the SSA review.
2	As you can see on the slide here, and has
3	been mentioned and presented by SHINE earlier, this is
4	one of their approaches to evaluating the accidents
5	for the facility.
6	In terms of our approach to looking at
7	that in NUREG-1537 and particularly, the ISG
8	augmenting the NUREG, it recognizes that the ISG
9	methodologies and performance criteria and
10	implementation of management measures is an acceptable
11	approach to demonstrating and ensuring safety, though
12	it does allow for alternatives if those are also
13	demonstrated to ensure adequate protection of safety
14	as well.
15	So, that was the approach. It's very
16	general in terms of how the ISG approaches that. So,
17	those methodologies are captured in Subpart 8 or Part
18	70 and NUREG-1520, which typically apply to your fuel
19	cycle facilities.
20	As was discussed earlier by SHINE, they
21	make use of these types of methodologies but there are
22	differences. We can probably go into a little bit
23	more of that if necessary.
24	You can see some of the differences listed
25	here such as terminology. Instead of having an ISA,

(202) 234-4433

	43
1	an integrated safety analysis, they have a SHINE
2	safety analysis.
3	In terms of Part 70, you typically have
4	things referred to as items relied on for safety or
5	IROFS, which can be administrative or engineering.
6	And for SHINE they have what they refer to
7	as safety-related controls and similar to Part 70
8	management measures, they have what they call
9	programmatic administrative controls or reliability
10	management measures.
11	In terms of the content, the purpose, the
12	function, the kinds of analyses, they're very similar.
13	Another interesting point for folks to be aware of, in
14	Part 70 for ISAs there is an ISA summary that is
15	submitted on the docket and reviewed by Staff.
16	In this case the SSA summary itself was
17	not a docketed report but is something that will
18	remain as a licensee-controlled or Applicant-
19	controlled document. Next slide, please.
20	As mentioned before, there are great
21	similarities to the approaches in Part 70, Subpart H,
22	and NUREG-1520. And so in that regard, the Staff made
23	use of 1520 which also refers to NUREG-1513 in terms
24	of providing guidance for the conduct of ISAs.
25	Such things are to evaluate the criteria
1	

(202) 234-4433

for the types of techniques used in the hazard analysis to ensure that those are reasonable and appropriate, also looking at the safety criteria, looking at the application of the outcomes of the analyses for the accidents in applying safety-related controls and management measures or programmatic, administrative controls.

8 With there being some alternatives, I 9 think a good example again with the terminology as 10 well as the approach, another example would be the 11 safety criteria, which SHINE mentioned before.

In NUREG-1537 it recognizes that for ISAs, those criteria are typically in 7061 as the limiting high-consequence events to be highly unlikely and what the criteria in terms of radiological chemical dose for what constitutes a high-consequence event or an intermediate-consequence being limited such that it's unlikely, and what those consequence criteria are.

You'll see some of what SHINE has used. There are some differences there, for example, the radiological criteria is actually lower than what's in 7061 for what 7061 would look like as an intermediate consequence.

And so looking at the alternatives using what's in Part 70 and 1520 is a starting point and

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

1

2

3

4

5

6

7

	45
1	evaluating the acceptability of the alternatives to
2	demonstrate adequate safety.
3	Again, in consideration of this being a
4	Part 50 application instead of a Part 70, though there
5	are similarities to Part 70 facilities that have been
6	noted previously.
7	And some of the licensing approach, for
8	example in Part 70 there aren't tech specs whereas we
9	have tech specs for this application.
10	And the SSA and its implementation are a
11	key element of the SHINE safety program and in looking
12	at the SSA and doing the SSA review, a major objective
13	is ensuring that the SHINE safety program is adequate.
14	In doing so, the Staff did a broad review
15	considering the method for the SSA and the safety
16	program.
17	And then in terms of its implementation,
18	we do a narrow or vertical-slice reviews selecting
19	certain accident types to understand and evaluate the
20	implementation of the method, ensuring it's done
21	consistently with the definition of the method that
22	SHINE has provided.
23	And that ensures the program will be
24	adequate.
25	And part of that, also, another key
I	

(202) 234-4433

	46
1	element is having these reliability management
2	measures in the programs, the programmatic
3	administrative controls, which are the programs that
4	establish an maintain those management measures.
5	If we can go to the next slide.
6	Just a little further elaboration on that,
7	in terms of looking at the method, the Staff looked to
8	ensure that the method identified and evaluated
9	facility hazards and identifying credible accident
10	sequences, including providing definitions of what
11	credible is as well as the definitions for the other
12	likelihood categories they've evaluated.
13	And again, assessing the radiological and
14	chemical consequences and likelihoods for, first, as
15	an uncontrolled or unmitigated accident and then
16	identifying and applying the safety-related controls
17	to either prevent or mitigate the accidents to meet
18	their safety criteria.
19	And then ensuring that reliability
20	management measures were identified that ensure the
21	safety-related controls will be available and reliable
22	to the extent evaluated in the safety analysis.
23	And then having the programs for
24	establishing and maintaining those measures. And
25	looking at how they defined those, the definitions,

(202) 234-4433

	47
1	the programs, the techniques, are they appropriate, do
2	they make sense for the way they've been used?
3	And that all figures into the Staff's
4	evaluation.
5	And then, of course, looking at the
6	implementation of that method to ensure that also is
7	reasonable and it will provide the confidence that the
8	method is being used appropriately and ensuring the
9	facility's operation will be conducted in a way that
10	ensures health and safety.
11	Again, just stressing that the SSA, the
12	method and the implementation are an important element
13	of the safety program.
14	And for that to be effective, the SSA
15	needs to reflect the as-built, as-operated facility
16	and demonstrate that it ensures the health and safety
17	of the public and personnel.
18	And with programs that SHINE has, some of
19	which are captured in the tech specs in the
20	administrative program section of the tech specs such
21	as Tech specification 5.5.1. for the nuclear safety
22	program in maintaining the accident analysis, which
23	includes identifying appropriate safety controls and
24	programmatic administrative controls.
25	That ensures the safety program would be
	I contraction of the second seco

(202) 234-4433

	48
1	effective and adequate to demonstrate and ensure the
2	facility operations maintain public health and safety.
3	If there are no questions, this was my last slide and
4	I can turn it back to Elijah.
5	MR. DICKSON: This is Elijah Dickson.
6	Before jumping into the DBA analyses, I'd
7	like to highlight some important facility design and
8	operational features that we considered in
9	characterizing radiological risks and ultimately the
10	impact to public health and safety.
11	The target solution itself is a low-
12	enriched uranium in the form of uranium sulfate, which
13	is held in the target solution vessel, or TSD. During
14	operations, the target solution is close to ambient
15	pressure and temperature.
16	In the system, the primary system boundary
17	acts as the primary fission product boundary and this
18	is defined as the TSV, the TSV dump tank, the target
19	solution off-gas system, or TOGS, the associated
20	components such as piping and valves, all of which are
21	seismically qualified.
22	Within the irradiation unit, the target
23	solution is irradiated in a subcritical assembly by
24	neutrons produced by fission neutron source.
25	After irradiation the target solution is
	1

(202) 234-4433

49 1 then processed in the radioisotope production facility for extraction to purify molybdenum-99 and other 2 3 medical isotopes. 4 Radioactive waste is then processed and/or 5 converted into solid waste for shipment to an offsite disposal facility. They utilize a typical design 6 7 philosophy with defense in-depth and multiple barriers, redundancy and diversity with their systems. 8 9 Each of the accelerators are independent from each other so there's not knock-on effects 10 between the accelerator. 11 design basis accidents which 12 All are tripped by the target solution vessel reactivity 13 14 protection system, or TRPS, results in immediate safe shutdown condition of the target solution within the 15 TSV dump tank, which is favorable geometry. 16 The 17 lightwater pool has sufficient capacity to passively handle decay heat following the 18 19 trip and the nominal source term is quite small when you compare this to other Part 50 facilities. 20 Their materials at-risk source term or 21 their safety basis source term is conservative given 22 aggressive modeling assumptions. With that, I'd like 23 24 to go onto the next slide. 25 MEMBER MARCH-LEUBA: Just a moment, this

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

	50
1	is Jose. When you stick to the reactivity protection
2	system, we are I wouldn't say concerned.
3	We are curious about how we're going to
4	calibrate the sensors that are used to trip the TRPS
5	system, especially because there is no plan to have a
6	calorimetric calibration of the power sensors. Do you
7	have an idea of how do we know we're tripping the
8	correct power?
9	We are still reviewing the technical
10	specifications and they have three LSSSs there, one
11	that protects against high power, one that protects
12	against a power average, and then for startup, there's
13	another LSSS that makes sure that when you're doing
14	your 1 over M type filling, you don't fill too
15	quickly.
16	Again, we're still reviewing those tech
17	specs but for the most part, we've reviewed a
18	tremendous amount of design calculations and they have
19	most certainly exercised MCMP to basically do a proof
20	of principle that their system works.
21	So, we reviewed MCMP calculations, we
22	looked at their geometries, the physics
23	MEMBER MARCH-LEUBA: My question is more
24	mundane, about actual operating experience. When you
25	place an interim detector outside the vessel, wherever

(202) 234-4433

	51
1	the interim detector is, you end up having milliampere
2	signal coming out of it.
3	And you have to be able to convert those
4	milliamperes into a power level. So, that's with
5	calibration of the detectors and the way we do it
6	typically in power-plants is we have a calorimetric
7	operation.
8	You have the floor that goes into the core
9	and the T, and that gets you power. We don't have
10	that here, so maybe the question will be in the closed
11	session for SHINE.
12	MR. DICKSON: They've done a lot of
13	calculations that show that it works. I think we're
14	going to also have to lean heavily on startup physics
15	testing as well to ensure the calculations they do do
16	actually predict what is actually happening.
17	And that's another part of the
18	conversation that we'll have later on in this
19	presentation. I'll see that Joe Staudenmeier as well
20	has his hand up, who did the Chapter 4 analysis of
21	transience.
22	Joe, do you have something to say?
23	MR. STAUDENMEIER: Yes, we've had
24	discussions with SHINE about calibration, I don't want
25	to say how they are doing but I'm not sure if it could
	1

(202) 234-4433

	52
1	be said in the open session.
2	But they have ways that they're looking at
3	calibrating the detectors themselves and then the
4	power level in the irradiation unit. But I think it
5	maybe should hold off to the closed session and SHINE
6	could address it or we could address it based on the
7	discussions we've had with them.
8	MEMBER MARCH-LEUBA: The Staff has
9	followed up on these. Go ahead.
10	MS. RADEL: This is Tracy with SHINE. As
11	part of the Chapter 7 review, we did provide a
12	detailed response to an RAI related to how we will
13	calibrate the flex detectors.
14	Due to the design of the system, the
15	calometric method is not easy and straightforward and
16	we've had significant uncertainty on it.
17	And given that we had a liquid system,
18	we're using a method that's been used by liquid
19	systems in the past, which is looking at the
20	particular fission product isotopes in the solution.
21	So, running the system, getting the
22	profile of what was run power-wise, and then measuring
23	I believe it's four or five different fission product
24	isotopes and using that to calibrate the advanced
25	detectors.
1	1 I I I I I I I I I I I I I I I I I I I

(202) 234-4433

	53
1	MEMBER MARCH-LEUBA: I would be glad to
2	wait until Chapter 7 or the closed session but since
3	you were volunteering, you are going to mention the
4	isotopes online as you start that?
5	Or is this a batch production after you
6	run it for X number of days?
7	MS. RADEL: It would be a batch, it would
8	be post-irradiation as it's been through the super
9	cell.
10	MEMBER MARCH-LEUBA: That has the
11	potential of being very accurate, except, again, we go
12	back to the first cycle and we have to be very
13	conservative that we can be off by 20 percent with our
14	estimate until we do the calibration.
15	Thank you, I'll wait until Chapter 7, that
16	sounds like a good approach.
17	MEMBER REMPE: Is this response to an RAI
18	something recent? Could you have follow-up with our
19	DFO, Chris, and make sure that he makes us aware of
20	it. Because perhaps we already are but I'm curious
21	about your response.
22	CHAIR BALLINGER: That SHINE response was
23	just submitted back in April so it might be good to
24	follow up.
25	MEMBER REMPE: Thank you.
1	

(202) 234-4433

	54
1	MEMBER MARCH-LEUBA: This is Mike Balazik.
2	Dr. Rempe, I'll send that over to Chris after the
3	meeting.
4	MEMBER REMPE: Thank you.
5	MR. DICKSON: If there are no other
6	questions we can move onto Slide 12.
7	The design criteria and the radiological
8	acceptance criteria, as I've mentioned before, SHINE
9	has one particular design criterion, Design Criterion
10	6, that is specific to Chapter 13 analyses for the
11	control room.
12	It's your typical control room
13	habitability criteria where a control room is provided
14	from which actions can be taken to operate the
15	irradiation unit safely under normal conditions and
16	perform the required operator actions under postulated
17	accidents.
18	This is similar in effect to General
19	Design Criteria 19 for power reactors.
20	Now, for the acceptance criteria or dose
21	acceptance criteria, there are two, the first one
22	being the criterion, which typically referred to
23	members of the public.
24	It's where radiological consequences to an
25	individual located at the unrestricted area following
	1

(202) 234-4433

	55
1	the onset of a postulated accidental release of
2	licensed material would not exceed 1 rem total
3	effective dose equivalent, or TEDE, for the duration
4	of the accident.
5	Then the second is the acceptance criteria
6	for the control room operator where radiological
7	consequences to the worker do not exceed 5 rem TEDE
8	during an accident. I know there's a couple questions
9	on this.
10	MEMBER MARCH-LEUBA: I have a new one,
11	I'll give you fair warning. On the SCR, the SCR goes
12	into some detail on all the criteria that could have
13	been chosen. Could you give us a summary of why this
14	one was the proper one?
15	MR. DICKSON: Currently, in the rule, in
16	the CFR, there's no accident dose criteria for NPUF-
17	type facilities and so in writing the SCR, we provide
18	a bit of background as to what has been selected in
19	the past.
20	Typically, that has been some variation of
21	the Part 20 actual public dose criteria. Around the
22	time that SHINE had come in for their operating
23	license, the NRC had published for rulemaking the NPUF
24	rulemaking, which selected a regulatory dose criteria
25	of 1 rem TEDE and SHINE came to us and utilized this
1	

(202) 234-4433

	56
1	as the value for their accident dose criteria.
2	And it's effectively based off the EPA PAG
3	manual for protective action guidelines and guidances
4	for radiological instances.
5	MEMBER MARCH-LEUBA: Thank you, now we
6	have it on the record. When you read the CR, it looks
7	a little confusing that there are so many criteria
8	that one can choose from but there is a method to the
9	madness.
10	MR. DICKSON: Over time, over the last 30-
11	some-odd years that we've been licensing these things,
12	in some place you'll see 100 millirem, in some places
13	you'll see 500 millirem, and then somewhere in
14	between.
15	So, we tried to flesh that out in the SCR.
16	If we need to do a little work on further explaining
17	it, we can.
18	MEMBER MARCH-LEUBA: I'm happy with your
19	explanation, thank you.
20	MEMBER KIRCHNER: If I remember,
21	historically, a part of this 1 rem ties to the
22	protected action guidelines, the idea that these NPUF
23	facilities would not, in effect, exceed that 1 rem for
24	actuation of full-blown emergency planning
25	requirements.

(202) 234-4433

	57
1	MR. DICKSON: That's right. We use the 1
2	rem for other regulatory actions as well as, for
3	instance, for decommission facilities the 1 rem is
4	used. It's something that we've used before.
5	Onto slide 13, please? This slide was
6	developed in response to the one question that was
7	received from the ACRS last week.
8	The methodology in assessing design basis
9	accident radiological consequence analyses, they're
10	generally divided into six parts, where you select
11	bounding design basis accidents.
12	These design basis accidents really are
13	categories, you'll do a number of different analyses
14	within each of these categories. You'll then derive
15	applicable accident source terms for each of the DBAs.
16	You identify the major safety-related
17	structures, systems, and components, or SSCs, intended
18	to mitigate the radiological consequences, you
19	estimate fission product release characteristics to
20	the environment, you review the meteorological
21	characteristics of the site location.
22	That's a very important step in the
23	process. And then you finally compute radiological
24	consequences for each of the bounding DBAs within
25	those categories.

(202) 234-4433

Generally, the Staff does not accept DBA analyses that credit facility features that are not safety-related, are not covered by the technical specifications, do not meet single-failure criteria reliability offsite power.

6 Now, I believe Dr. Rempe had asked a 7 little bit about the purposes of all of these 8 different nuances, and the purpose is to ensure the 9 reliability of the system is performing its safety 10 function to protect the public health and safety for special events. 11

And so we can hang our hat on the final dose results when we consider all of these different aspects in the dose analyses if they need them. They are in fact meeting their intended safety purpose function.

17 Onto Slide 14, please. Here is a list of the SHINE design basis accidents, which are consistent 18 19 with the interim Staff quidance. The SHINE facility is unique but NUREG-1537 and the ISG were helpful in 20 developing and reviewing the DBAs applicable to SHINE. 21 It assisted both them and us and looking 22 possible failures 23 at reasonable and as many 24 combinations, failures of combinations of SSCs, to understand as many radiological health consequence 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

	59
1	results as possible.
2	They did analyze classic accidents, such
3	as accessory activity, reduction of cooling, power
4	oscillations. What they did, SHINE and Tracy had
5	mentioned that they did identify facility-specific
6	events, which are typically tritium events.
7	For the most part, the failure reactive
8	systems do not lead to an uncontrolled upset of the
9	target solution, which would then cause a release to
10	the environment.
11	Accidents such as reactivity insertion and
12	power oscillations for their particular design intend
13	to be self-correcting. And more importantly, the
14	LSSSs and the tech specs have been set to protect the
15	primary system boundary.
16	We will talk briefly about their maximum
17	hypothetical accident in a few short slides. If we go
18	onto the next slide it just has
19	DR. BLEY: Elijah, before you do that,
20	this is Dennis.
21	We're returning in this case and probably
22	in some others to the maximum hypothetical accident or
23	the maximum credible accident, depending on which
24	approach people want to take.
25	If one has a convincing case that their

(202) 234-4433

	60
1	MHA is truly the maximum and even so, it's acceptable,
2	why do they need to go beyond that?
3	I think one reason, I'm going to maybe
4	help you out or maybe give you something to correct,
5	is having some confidence in the completeness of the
6	remainder of these 2 through 12 on this list gives
7	confidence that the MHA is in fact what it claims to
8	be.
9	You talk about that a bit and I'm thinking
10	not only of this application but of how the idea might
11	be applied in future applications.
12	MR. DICKSON: I think assessing the
13	facility from multiple different aspects is important.
14	It's hard to say that you can use one accident
15	category and then a number of bounding assumptions to
16	then say that you are covered, completely covered.
17	And so I do think, and I agree with you,
18	that looking at the other accidents helps identify
19	things that you may not have realized before when you
20	do your initial design of the facility.
21	We see for advanced reactors where they
22	utilize their PRAs to then make design modifications
23	as they're going through the design process. It's I
24	think similar in this case.
25	You may have a blind spot when you're
l	1

(202) 234-4433

61 going into this and if you look at it from other 1 aspects, you might identify that you may need an extra 2 3 safety-related system to handle something you weren't 4 aware of. 5 DR. BLEY: Thanks, I just wanted to hear the Staff's take on that idea. 6 7 MEMBER MARCH-LEUBA: This is Jose. Is 8 this question or topic related to what we're talking 9 about with the lack of or incompleteness of all the 10 regulations, they're not specific or exactly what you're supposed to do? 11 And it's something maybe you can talk to 12 your friend on this in the suggestion box for future 13 14 applications. It will be nice if I'm designing an 15 NPUF next year, I get money from Wall Street to do it, that I know what the Staff expects from me. 16 17 MR. DICKSON: Yes, SHINE looked at the interim Staff guidance and this list of accidents is 18 19 effectively there. They went and they reviewed them and if we 20 saw an application which is one accident and then 21 looked at our own quidance and said where is the rest 22 of them, it's a high bar to say --23 24 MEMBER MARCH-LEUBA: Your recommendation, as one member of the Staff, is to do an MHA to cover 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

	62
1	your bases, but then again, run through a spectrum of
2	accidents to make sure you recover?
3	MR. DICKSON: Yes, I'd definitely
4	recommend that. I think in the case of SHINE, they
5	did all of these analyses and then they identified
6	what their MHA was, it was kind of the other way
7	around.
8	MEMBER MARCH-LEUBA: If you think about
9	it, the MHA in SHINE does not cover tritium releases,
10	for example.
11	MR. DICKSON: No, it doesn't.
12	MEMBER MARCH-LEUBA: It's different. You
13	can even think it's a different facility, one is a
14	TSV, one is tritium purification.
15	MR. DICKSON: Right, that is the nuance,
16	and I'm glad you brought that up, about the SHINE
17	facility. They have the fission-product-based
18	accidents and then they also have a lot of tritium on
19	site too.
20	They went and performed the analyses to
21	understand the consequences of tritium accidents. Go
22	ahead, I'm sorry.
23	DR. BLEY: Go ahead, you hadn't finished
24	yet.
25	MR. DICKSON: The guidance itself tells us
	I contract of the second se

(202) 234-4433

	63
1	that the MHA is a fission-product-based-type accident
2	and that makes sense because the radionuclides that
3	you're most concerned of are those shortlived, highly
4	radioactive nuclides, specifically radioiodine, its
5	affinity for the thyroid can cause high doses.
6	SHINE also has these handful of tritium
7	events and their tritium events do result in high
8	doses too but tritium has a 12.3-year half-life and
9	the actions that you need to take to respond to a
10	tritium accident are much different than the actions
11	that you would need to take to respond to an upset of
12	the core.
13	In the sense of protecting public health
14	and safety, do you need to evacuate, not evacuate?
15	Things of that nature.
16	And so I might be going a little bit off
17	track here, they were able to utilize I think it was
18	the very, very last item here, the facility-specific
19	events who identified those tritium accidents.
20	And I think that's a good thing.
21	DR. BLEY: Elijah, that was following up
22	a little bit on Jose here. You mentioned that they
23	use the set from NUREG-1537 but when SHINE talked, and
24	I liked what they had to say, they used the HAZOPS and
25	the failure mode effects analysis ahead of that to
	I contract of the second se

(202) 234-4433

	64
1	look for things that might not be in that list.
2	I think that's pretty important, you
3	didn't talk about that, you held onto that list. Can
4	you talk about that idea a little bit?
5	The thing you're sensing is some of us are
6	very concerned about how to be as complete as possible
7	when looking at new facilities.
8	MR. DICKSON: When SHINE initially came
9	in, they had their SHINE safety analysis and performed
10	that HAZOP. And that was primarily the NMSS side of
11	the house that performed that review.
12	That information then did feed into the
13	NUREG-1537 and ISG analyses, it did feed into it.
14	It made a pretty complete story I think at
15	the end of the day, since for the DBAs, we're
16	effectively assessing structures, systems, and
17	components and we're not necessarily assessing the
18	actual processes that humans are interacting with the
19	systems themselves.
20	Two important aspects looked at two
21	different perspectives, and it's all combined in
22	Chapter 13.
23	DR. BLEY: That covers what I wanted to
24	hear.
25	MEMBER HALNON: This is Greg, back to the

	65
1	process question about going beyond other things
2	besides the MHA, isn't that required or necessary to
3	determine the scope of safety-related equipment and
4	what's covered by tech specs and that sort of stuff?
5	MR. DICKSON: Yes.
6	MEMBER HALNON: So, we just can't stop at
7	one accident, you need to do the full scope so you
8	know what other instruments and what other
9	safety-related equipment needs to be there.
10	MR. DICKSON: Yes.
11	MEMBER HALNON: I just wanted to make sure
12	I was thinking right.
13	MR. DICKSON: Yes. If there's no other
14	questions, we can move on. This is just the rest of
15	the identified applicable DBAs and then Slide 16, we
16	can now talk about the material risks and accident
17	source terms.
18	CHAIR BALLINGER: This is Ron Ballinger.
19	I've been searching for a time where we
20	could take a break, a convenient time, and this looks
21	like about as good as any. So, what I would like to
22	propose is that we take a break until 10:20 a.m.,
23	which would be 15 minutes from now.
24	Let's take a break and come back at 10:20
25	a.m. by the clock on that computer. Thank you.

(202) 234-4433

	66
1	(Whereupon, the above-entitled matter
2	went off the record at 10:04 a.m. and
3	resumed at 10:20 a.m.)
4	It is 10:20 a.m., time to reconvene. So,
5	let's pick it up where we left off.
6	MR. DICKSON: This is Elijah Dickson
7	again. We are on Slide 16, design basis accident
8	analyses, material risk accident source terms.
9	SHINE presented to us two types of
10	materials at risk, the first being the fission-
11	product-based source term, which is their safety basis
12	source term derived for the target solution vessel.
13	They also produced another fission-product-based
14	source term for the primary closed cooling system as
15	well I believe.
16	The other primary source term is the
17	tritium source term which is based off of maximum
18	quantities for the facility were used by an individual
19	irradiator assembly.
20	The NRC Staff reviewed the applicability
21	of the safety basis SHINE calculation documents which
22	were used to derive their material at risk source
23	term. We looked at validation calculations for their
24	reactivity solution system, the ways the estimated
25	neutron fluids target solution burnup over the length

(202) 234-4433

	67
1	of the target solution recovery.
2	They utilized two primary codes or classic
3	codes to perform these calculations, the first being
4	the Los Alamos National Lab, Monte Carlo N-Particle 5
5	code, MCMP5 Version 1.6. MCMP5 was used to compute
6	neutron flux spectrums and cross-sections with the
7	target solution as well as the PCOS.
8	SCALE was then used with a code developed
9	by Oak Ridge National Lab, it's the standardized
10	computer analysis for licensing evaluation code.
11	Specifically, the ORIGEN-S was used to perform the
12	depletion calculations.
13	MEMBER MARCH-LEUBA: Is there a reason
14	you're using MCMP5 instead of 6, and is 5 still
15	supporting and getting updates?
16	MR. DICKSON: I'm not sure, I use MCMP5
17	myself. I do believe they're onto just MCMP now, they
18	don't have a number after it.
19	MEMBER MARCH-LEUBA: I think it's MCMPX?
20	MR. DICKSON: MCMPX was discontinued I
21	believe a number of years ago. They wanted to the
22	MCMP6 but then I think the latest version is just MCMP
23	at this point.
24	MEMBER MARCH-LEUBA: The question is if
25	they're planning to use a frozen version but if Los
	I contraction of the second

(202) 234-4433

	68
1	Alamos finds a bug in the implementation, then that
2	does not get translated into the flux version. Then,
3	on the downside, if you use a version that changes
4	daily with updates, then you never verified and
5	validated it.
6	So, maybe this is a good compromise.
7	MR. DICKSON: MCMP5 has been around for a
8	long time, it's certainly a tried and true version of
9	the code.
10	MR. MUNSON: This is Jeremy Munson, I
11	could make a quick comment on that.
12	MEMBER MARCH-LEUBA: Go ahead.
13	MR. MUNSON: I just wanted to say what
14	really matters is not just the code version but the
15	cross-section data that the code is validated with or
16	when it's validated, its area of applicability.
17	And known issues within the area of
18	applicability within the codes should come out in the
19	wash whenever you do the bias determination
20	calculation. That's part of the reason why we do the
21	validation.
22	So, regardless of which version of the
23	code they're using or which cross-section library
24	they're using, as long as they're operating or doing
25	their calculations within their area of applicability
1	I contract of the second se

(202) 234-4433

	69
1	as established by the validation report, they should
2	be okay.
3	MEMBER MARCH-LEUBA: I don't have any
4	problem with MCMP, either version, it's one of the
5	gold-standard goals on this. Go ahead.
6	MR. DICKSON: The last bullet is they
7	utilized NUREG CR-6410 to compute accident-specific
8	source terms utilizing the so-called five-factor
9	formula. Now, onto Slide 17.
10	Verified operational assumptions in
11	deriving their material at risk, for each of these
12	they did include margin.
13	The corresponding fission product power,
14	their license fission product power with additional
15	margin, irradiation times per cycle, total time
16	lengths between irradiations, extractions between
17	irradiations, and then the length of target solution
18	recovery were the primary parameters in which they
19	derived their material at risk.
20	We find that they used the most aggressive
21	usage of their target solution that would effectively
22	fit within their licensing basis.
23	They maximize cycle lengths, minimize
24	downtime lengths in their calculations and neglected
25	the evolution of iodine from their material at risk,
	1 I I I I I I I I I I I I I I I I I I I

(202) 234-4433

	70
1	which is something that Mike Salay will be talking
2	about in a few slides.
3	The calculations do include the effects of
4	fission transmutation, activation, and decay. They
5	assessed burnup assesses different radionuclides' peak
6	at different burnups.
7	We asked some questions in regard to
8	making sure they're capturing peak radionuclides of
9	interest such as Item 131.
10	We find there's very large margin between
11	their material at risk and normal operations and the
12	Staff finds the conservative assumptions and treatment
13	of uncertainty to justify the material at risk to be
14	acceptable.
15	On Slide 18, the material at risk
16	transport and mitigation, this is Slide 1 of 3, we
17	reviewed NUREG CR-6410 which has a process in which
18	you developed a so-called leak path factors.
19	Leak path factors were developed for each
20	scenario where you identify major safety-related SSCs
21	intended mitigate radiological consequences and
22	estimate fission product release characteristics to
23	the environment using those leak path factors.
24	These factors include physical processes
25	such as control volumes, volumetric flow rates,

(202) 234-4433
	71
1	leakages through gaskets, differences in pressure,
2	barometric breeding, and other removal processes.
3	We find they did conservatively assume
4	with the five-factor formula damage ratios to be one,
5	that means that any piping or tank or piece of
6	equipment that breaks fully breaks and releases that
7	material.
8	Nothing is upheld within it and that
9	airborne release fractions, or ARFs, vary by accident
10	but typically, they assume an airborne release
11	fraction of one for most scenarios.
12	The leak path factors are generally
13	organized into four leak path combinations for the
14	entire facility.
15	You have the release location, the initial
16	confinement, leakage into the surrounding building and
17	then subsequently to the environment.
18	The Staff finds their leak path factors
19	are generally consistent with the methodology of NUREG
20	CR-6410. With that, if there's no questions
21	MEMBER KIRCHNER: This is Walt Kirchner,
22	I have a question. When you get to the actual finish
23	of construction and you begin pre-op testing and
24	everything, do you go back and look at things? I'll
25	pick on one.
	1

(202) 234-4433

72 1 The removable shield blocks, I imagine these also have gaskets that help form the primary 2 3 confinements. Do you do leakage testing of those and 4 then check back to your calculations to see that the 5 appropriate leak path factors has been used, it's been conservative? 6 7 MR. DICKSON: Yes, so that was something 8 the Staff did focus on, where these gaskets were used 9 to effectively establish confinement. We did a review 10 of their design calcs and they use first principles in computing analytical leak values. 11 Once they do startup and testing, they'll 12 be able to actually then measure leak rates and then 13 14 those would be utilized in their design calcs. 15 MEMBER MARCH-LEUBA: Are you done, Walt? 16 MEMBER KIRCHNER: Yes. MEMBER MARCH-LEUBA: I mentioned this in 17 an earlier meeting, that they calculated those rates 18 19 to the public are very close to limits, they're within 20, 30 percent of the limit because we used a very 20

21 conservative calculation method and assumptions.

Now, the danger here is that when we actually test the as-built facility, we find the leak factor through one of those gaskets is 25 percent larger than we assume, and then we're over the limit.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

	73
1	So, I'm just warning that if feels that
2	using an extremely conservative calculation method
3	with extremely assumptions is a good thing to do until
4	you get bitten by it.
5	So, let's just make sure that when the
6	facilities are built, the gaskets are placed properly
7	and they test within the numbers.
8	It's not a question, just a comment.
9	MR. DICKSON: I understand, thank you.
10	Are there any other questions?
11	With that, we'll move on to Mike Salay's
12	presentation, the iodine evolution calculations that
13	he had done in his assessment for material at risk
14	transport mitigation.
15	MR. SALAY: Can you hear me?
16	CHAIR BALLINGER: Yes.
17	MR. SALAY: Hi, I'm Mike Salay from Office
18	of Research, I reviewed iodine release and transport
19	and a few other things related to non-iodine release
20	and transport and this slide highlights some of the
21	relevant effects of iodine evolution.
22	These aren't specific to SHINE but rather,
23	generic to aqueous fission systems and even other
24	fluid systems that postulate an accident which evolved
25	iodine can leak into the environment.

(202) 234-4433

	74
1	It also applies to other walled housing,
2	it can leak and perhaps in other systems. So, in
3	general scenarios you have normal operation with
4	fission and an accident by evolution without fission.
5	And fluid systems behave different than
6	typical solid LWR fuel since some radionuclides are
7	mobile, readily mobile. And these effects are often
8	not considered in dose analyses.
9	So, iodine that evolves from solution to
10	gas space, it can leak to the environment and
11	specifically it can be a significant contributor to
12	flow and the release rate generally depends on
13	geometry, temperature, and flow.
14	But there are many other factors and
15	internal flow within the fluid, but one thing that
16	needs to be realized is this process is always
17	occurring. Iodine evolves from solution during normal
18	operation and if you account for these effects, it has
19	implications for how much can be released during the
20	accident.
21	If evolution is fast relative to your
22	decay constant, it can deplete the inventory available
23	for release to the environment, so this results in
24	some effective reduction in your MAR by evolution.
25	And these effects aren't accounted for
	I

(202) 234-4433

	75
1	inventory codes such as SCALE or MCMP. And on the
2	other hand, if your evolution is slow relative to
3	decay, your evolving radionuclide will decay before
4	evolving.
5	I'm focusing on Iodine 131 since it's
6	typically the most dose-significant isotope. And so
7	this effectively limits on your airborne release
8	fraction and the combination of the two.
9	And these effects are shown in the figures
10	on the right and these effects are basically common to
11	all fluid systems, not just aqueous systems.
12	If your volatile radionuclides evolve and
13	are sequestered during normal operation, they're no
14	longer available for release from the main irradiation
15	facility or in this case, reactor to reactor, during
16	an accident.
17	Although, of course, wherever the location
18	where the radionuclides are sequestered can be another
19	radiation source.
20	Again, the figures on the right illustrate
21	some of these effects on Iodine 131 behavior and the
22	competition between decay and evolution during
23	operation in a postulated accident scenario using some
24	simplifying assumptions.
25	The key assumption here, one of the main
1	I construction of the second se

(202) 234-4433

1 assumptions is that evolution removal constant from 2 solution during accident scenario is the same as that 3 during operation. And this may not necessarily 4 reflect actual scenarios.

5 The top figure shows the buildup of Iodine inventory during normal irradiation and the 6 131 7 release history by evolution during the postulated accident scenarios. The solid curve shows the build 8 9 stationary iodine in which up for there's no 10 evolution, the red curve.

For iodine that is evolving with the removal constant, that's 10 times greater or one-tenth that of the radioactive decay constant.

The longer-dash curve shows evolution of airborne release fractions for these two evolution cases, and the short-dashed curve shows the combined effects of the reduction and inventory and release fraction. And this timescale is about 70 days.

19 simply represents the fractional Xs inventory relative to the steady state inventory, the 20 inventory with Xe 21 equilibrium no evolution. represents the fractional equilibrium inventory due to 22 loss by evolution. 23

And this is essentially the equilibrium Xs or Exs at the end of time. The bottom figure shows

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

77
the same effects but for equilibrium conditions way
beyond 70 days and as a function of the evolution
removal coefficient.
The solid red curve shows the effect on
equilibrium inventory, the green longer-dashed curve
shows the airborne equilibrium release fraction, and
the blue shorter-dashed curve shows the combined
effect of the two.
These figures show the combined effect of
inventory reduction airborne release fraction for
evolution limit overall releases during an accident
scenario starting from initial equilibrium inventory,
and the reduction is greatest when the evolution rate
constant is much larger or smaller than that of the
radioactive decay constant.
And I'll point out these curves are just
focused on evolution rates. They neglect the iodine
partitioning so these effective ARF airborne release
fraction values kind of provide an upper limit on
releases based on transfer condition alone for the
simplified assumption.
So, one can generally say it's
conservative to neglect these evolution rate effects.
However, it can be difficult because of the complex
and related behavior between aqueous speciation,

(202) 234-4433

78 liquid gas partitioning evolution rate to demonstrate 1 2 that a given evolution rate provides a bounding 3 release. 4 Some NUREGs related to ion behavior often 5 focus on equilibrium iodine partitioning rather than the evolution rate. 6 7 The effective evolution removal coefficient, lambda E, in addition to depending on 8 9 typical mass transfer behavior including diffusion 10 through water and gas and recirculation of fluid, and the surface to volume ratio, it also depends on the 11 iodine speciation in solution. 12 Depending on pH and the concentration of 13 14 all iodine isotopes in solution, some fraction of the iodine will be in volatile I2 form, molecular iodine 15 other fraction will not 16 form, whereas some be volatile. 17 It is only the volatile I2, the volatile 18 19 iodine, that is subject to evolution of the gas phase partitioning, and so the effective partitioning and 20 evolution rate depends on volatile iodine fraction. 21 In other words, since only the volatile 22 iodine evolves, the aqueous chemistry model affects 23 the effective iodine evolution rate on that second 24 curve, where you are on the X axis on that bottom 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

	79
1	figure.
2	So, the chemistry model predicts that all
3	of the iodine solution is in volatile form, the
4	effective equilibrium partitioning and evolution rate
5	to match is the nominal partition coefficient and
6	nominal evolution removal coefficient.
7	Conversely, if the chemistry model
8	predicts a low fraction of iodine in solution, the
9	effect of equilibrium gas to liquid ratio and
10	evolution rates are correspondingly reduced.
11	So, uncertainties in the chemistry model
12	and the volatile iodine fractions lead to
13	uncertainties in the effective evolution removal
14	coefficient.
15	DR. CZERWINSKI: I've got a question, this
16	is Ken Czerwinski. Maybe you'll do this a little bit
17	later but can you give some information on this
18	speciation model that you're using?
19	MR. SALAY: This is the B model, it's
20	NUREG 5950 and this completely neglects that. I'm
21	just saying these are effects that
22	DR. CZERWINSKI: I understand what you're
23	saying, where the speciation is going to drive the
24	formation of the volatile iodine species and that
25	would be the species of concern for that isotope.

(202) 234-4433

	80
1	MR. SALAY: Yes, so it's whether you have
2	I2 or I I haven't put anything together for that,
3	it's more detailed, but of course it could be provided
4	in the future, unless SHINE provided some info.
5	I'll go on and I can provide more
6	information in the future about the different models
7	as needed.
8	CHAIR BALLINGER: Can that information be
9	provided in the closed session?
10	MR. SALAY: I haven't prepared anything
11	for that but I can.
12	CHAIR BALLINGER: I'm just trying to
13	capture what we should do with that.
14	MEMBER PETTI: It's also fair to say SHINE
15	didn't go into this level of detail. They made much
16	more conservative
17	MR. SALAY: They did not consider the
18	transport effects but the speciation in partitioning,
19	they did include this based on the NUREG-5950 iodine
20	evolution pH control model.
21	MEMBER REMPE: And that was in the FAI
22	report? They actually, I thought, did a pretty good
23	job.
24	MEMBER PETTI: As I recall, they did.
25	MR. SALAY: Another effect is the higher

(202) 234-4433

	81
1	surface to volume ratio configuration such as bubbles
2	and froth. You can also enhance the effective iodine
3	evolution rate.
4	Although, for this illustrative example,
5	it considered the same evolution rate coefficient for
6	accident conditions as for normal operating
7	conditions. The evolution rate for an actual analysis
8	should consider the actual geometry.
9	And generally, one would expect that the
10	evolution rate during an accident, postulated
11	accident, would be lower than that during operation,
12	namely because your power generation can result in
13	more bubbles, it can result in more natural
14	circulation, all of which enhances the evolution rate.
15	And I don't know if I mentioned it, but
16	uncertainties in your volatile iodine fraction lead to
17	uncertainties in your effective coefficient. Anyways,
18	next slide, please.
19	MEMBER KIRCHNER: Before you go on, it
20	seems to me for the duty cycle, the operational cycle
21	that SHINE is using one could construct a composite
22	curve that includes some conservative assumptions and
23	then come up with a curve available for release as a
24	function of that multi-day duty cycle that they're
25	operating on.
l	

(202) 234-4433

	82
1	MR. SALAY: Yes, it seems like a comment
2	but, yes, I think you can account for the reduction
3	due to
4	MEMBER KIRCHNER: So, this would take into
5	account the phenomena you identify on the previous-
6	view graph but you would have an effective total I2
7	inventory available for release that then could be
8	used in a bounding calculation?
9	MR. SALAY: Yes, I think I agree with what
10	you're saying and this simplified illustration just
11	considered a constant irradiation, it didn't consider
12	any cycling.
13	And one thing that I forgot to say in the
14	previous slide was because of these interrelated
15	effects, it can be difficult to justify that you have
16	a bounding value for these rate effects.
17	So, this slide lists some of the evolution
18	transfer analyses. As mentioned before, iodine
19	evolution analyses can provide an estimate of
20	reduction in dose-significant inventory during
21	operation and the airborne release fractions.
22	For situations where any potential
23	reduction in inventory is not credited and all iodine
24	is assumed to be released to the gas, there's really
25	no need for an iodine evolution calculation because

(202) 234-4433

	83
1	you're just assuming everything is released and
2	nothing is reduced during operation.
3	So, it of course did not conduct or
4	analyze any of those situations. One could to
5	estimate conservatism, instead it just went through
6	the simple generic analysis that I showed on the
7	previous page.
8	Other than that, I did look at some
9	specific scenarios that focused on higher-consequence
10	scenarios that involved iodine evolution.
11	The specific one they looked at was the
12	scenario in which the iodine was released to a pool
13	and started the calculation, went through just walking
14	through the process of release.
15	It was getting to the point where I was
16	getting a lower considering rate effects, I was
17	getting a lower airborne release fraction,
18	substantially so, than SHINE.
19	And so even though like I said, the
20	analysis didn't actually continue, given that it was
21	clear that our analysis would have lower release
22	fraction than SHINE and airborne release fractions
23	that are released to the environment in a lower dose,
24	it wasn't clear whether it would be useful to continue
25	to perform the analyses, especially considering this

(202) 234-4433

	84
1	was feeding into the NRC confirmatory calculation
2	track thread.
3	And I also provided feedback on the
4	technical basis used to derive the pressure during
5	flow rates, including non-iodine airborne release
6	fractions and phenomena used to calculate the leak
7	path factors that were used in the confirmatory
8	calculations.
9	And this is more of a high level review
10	that references the equation but I don't think I
11	calculated anything except for perhaps the flows
12	rates.
13	And if there are no other questions, I'll
14	turn it back over to Elijah.
15	MR. DICKSON: This is Elijah Dickson,
16	we'll move to Slide 21. I'll briefly talk about
17	atmospheric dispersion or meteorology. SHINE
18	developed short-term atmospheric dispersion factors,
19	or chi over Qs, using traditional calcium plume
20	diffusion methodologies.
21	The chi over Qs were developed for both
22	the offsite public location and the control room
23	receptor. The chi over Q values were computed for
24	specific time periods following the event from 0 to 2
25	hours, 0 to 8 hours, 8 hours to 24 hours, 1 to 4 days,

(202) 234-4433

	85
1	and 4 to 30 days.
2	They conservatively assume a ground-level
3	release, the chi over Q values are 95th percentile chi
4	over Q values and they utilize the NRC computer code
5	PAVAN, which implements regulatory guidance from
6	1.145.
7	And there should be another bullet here in
8	regard to ARCON2 I think for computing chi over Qs for
9	the control room. Onto Slide 22 if there's not
10	questions, radiological consequences.
11	We find that they computed radiological
12	consequences to be consistent with the regulations so
13	in terms of total effective dose equivalent, which is
14	defined in 10 CFR 50.2 then of course in Part 20,
15	20.1002.
16	They utilize the appropriate dose
17	conversion factors to compute committed effective dose
18	equivalent, which is the internal doses, that's
19	utilizing DCS for Federal Guidance Report 11.
20	And then for external exposures, they
21	utilized dose recursion factors from Federal Guidance
22	Report 12. As Tracy had mentioned earlier this
23	morning, for the fission-product-based accidents, they
24	utilized a time duration of 30 days.
25	For the tritium accidents they utilized a

(202) 234-4433

	86
1	time of 10 days. Receptor locations assume no
2	personal protective equipment or protected actions.
3	The individual effectively just stays put for that
4	period of time.
5	Any questions here? Onto Slide 23, we'll
6	just very briefly go over SHINE's maximum hypothetical
7	accidents since the intra-Staff guidance tells the
8	Staff to identify and focus on it.
9	Their MHA can be found in Subsection
10	13A2.2.7, it's under the design basis accident
11	category of mishandling or malfunctioning of
12	equipment.
13	Their most limiting scenario is the
14	failure of the target solution vessel off-gas system,
15	or TOGS, pressure boundary, resulting in the release
16	of off-gases into the TOG cell.
17	So, effectively, what they assume is a
18	break in the TOGS line in the upward section of the
19	TOGS lower in conjunction with the complete blockage
20	of piping in the process vessel ventilation system, or
21	heat PVVS.
22	This is effective multiple failures. The
23	blockage in the PVVS system creates the back-pressure
24	when the nitrogen purge system clicks on, pressurizing
25	the TOGS cell, and then the source term or material at

(202) 234-4433

	87
1	risk then leaks out of the TOGS cell.
2	No credit is taken for deposition of
3	radioiodine in this analysis. Onto Slide 24. As Mike
4	Salay had mentioned in the two or three previous
5	slides, they utilize a material at risk of 100 percent
6	of the halogens and noble gases.
7	Interim Staff guidance asks us to identify
8	the safety controls for the accidents and those would
9	be the primary confinement boundary, ventilation
10	radiation monitors and nitrogen purge system,
11	ventilation isolation mechanisms, and then for a brief
12	time, a hold-up in the radiological event Zone 1E
13	exhaust section.
14	For the calculated doses for the MHA
15	scenario, they computed a control room operator dose
16	of 1.94 and then for their MHA to a member of the
17	public is 0.727 rem.
18	The Staff finds these results are
19	acceptable since they're within their design accident
20	dose criteria for the control room as well as the 1
21	rem TEDE out at the site boundary.
22	MEMBER PETTI: Elijah, I'm just a little
23	confused. There is another scenario in the SHINE
24	accidents that products slightly larger public dose,
25	slightly lower worker dose. Why isn't that the MHA?
I	I

(202) 234-4433

	88
1	MR. DICKSON: I'd have to look at my
2	notes. Are you referring to one of the tritium
3	accidents?
4	MEMBER PETTI: Yes.
5	MR. DICKSON: I had mentioned before in
6	our discussions that the MHA is a fission-
7	product-based source term and the guidance asks us to
8	assess the MHA as a fission-product-based source term.
9	Now, SHINE, because they have a lot of tritium on
10	site, they did perform other accident analyses with
11	tritium.
12	And I think the important distinction
13	between the two is that tritium does have quite a bit
14	longer half-life than Iodine 131 does, and the
15	immediate radiological threat to the public post-
16	accidents is truly Iodine 131.
17	Because that's how you start to set up
18	these calculations set up the reasons for protected
19	actions, right?
20	So, if you have this quick, fast-acting
21	accident with Iodine 131, you'd be taking protected
22	actions that are much different than those with the
23	release of tritium with the 12-year half-life.
24	These doses, I'd like to mention, are 50-
25	year committed doses so the intake is integrated over
	I

(202) 234-4433

	89
1	a 50-year period upon intake. It's not just an
2	immediate 2 rem per se but it is dose that would be
3	integrated over 50 years.
4	So, the tritium dose takes a lot longer to
5	effectively deposit this material into the human body.
6	Again, that all goes into how you consider protected
7	actions.
8	DR. BLEY: I want to ask you, and again,
9	this is probably not fair to ask you, maybe somebody
10	else wants to comment on it, you confirmed the
11	calculations for control room operators and I'm a
12	little curious.
13	The NRC is charged with protecting public
14	health and safety, I guess that's why we look at the
15	control room operator, because the control room
16	operator would be important to protecting public
17	health and safety.
18	We don't seem to require looking at worker
19	risk. Now, SHINE did, they told us they looked at
20	people outside the control room.
21	I'm thinking back to the 1960s and the NRC
22	didn't look at environmental effects until there was
23	a court case that said you've got to do that, you're
24	putting reactors out there and they may have
25	environmental effects.
	I contract of the second se

(202) 234-4433

	90
1	We're putting reactors out there that
2	could have worker effects and they've been pretty
3	benign so far, but we're also looking at new systems
4	with very interesting chemistry and chemical risk for
5	workers.
6	Why doesn't the NRC concern introduce with
7	worker risk itself rather than just the worker risk
8	that affects the public?
9	MR. DICKSON: I do not have an answer for
10	you on that.
11	DR. BLEY: I didn't think you would, I was
12	hoping somebody else would jump in. I'm interested in
13	pursuing this because we have some systems that could
14	be introducing, this system in particular, much higher
15	worker risk than we've seen before.
16	Nobody from Staff wants to help?
17	MR. BORROMEO: This is Josh Borromeo,
18	Chief of the Nonpower Production Utilization Facility
19	Licensing Branch. For this SHINE review we evaluated
20	the items and regulations that are put forth to this
21	facility, the same type of facility.
22	The question you're asking I think is a
23	more broad question that is beyond the scope of this
24	review but we certainly understand it and we can bring
25	that back to the suggestion box that we were talking
	I

(202) 234-4433

about before.

1

2

3

4

5

6

7

DR. BLEY: I think you'll be hearing more about this on other kinds of applications but it just seems reasonable to me, and I see a parallel with the environmental effects way back 60 years ago, that we ought to be protecting the workers as well as the public.

8 MEMBER PETTI: My view on this, because I 9 bumped into it in a fusion application, some of the 10 regulators, we allow more dose to workers because we 11 assume they're basically saving lives in the public so 12 we allow them to have a dose limit that's greater than 13 the general public.

What if you don't have a significant dose to the public, then what's the right limit for the worker? This is more in the reactor context. It's an interesting discussion that can come up when the relative risks are talked about and buried in the actual ghost numbers that are allowed.

20 MEMBER SUNSERI: This is Matt and what I 21 hear you all talking about is there are limits for 22 workers and there is the ALARA rule for the general 23 design of the facility.

24 MEMBER PETTI: The question is, is that 25 numerical number the right number when you've got a

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

	92
1	facility that has, say, not significant offsite risk?
2	What is the right number? Is ALARA applied?
3	MEMBER HALNON: This is Greg, I think we
4	need to keep in mind this is a maximum hypothetical
5	accident perspective. There's no safety-related
6	actions that need to be done to mitigate real
7	accidents.
8	And it's hard to determine worker dose
9	when they can be evacuated and brought to low-dose
10	areas or even the control room for that matter or sent
11	offsite.
12	So, it would be very accident-specific,
13	operator-action specific, if somebody was stuck in one
14	position to operate one thing in a location.
15	So, it would be really difficult in my
16	mind to come up with an occupational dose for a
17	hypothetical accident that operators don't have to be
18	there. Now the control room is different because they
19	have to be there and that's why you calculate their
20	dose.
21	CHAIR BALLINGER: I guess I don't see an
22	issue because a combination of the worker dose limits
23	and ALARA, don't they just basically solve the
24	problem?
25	MEMBER MARCH-LEUBA: I think the
	I contraction of the second seco

(202) 234-4433

93
difference between the public and the employee is
mostly in DOE space you are monitored or you're not
monitored.
If you are not monitored, you better not
give me more than 100 millirem because I'm not
carrying out a dosimeter, I don't know how much you're
giving me.
Whereas, if I carry a dosimeter I can get
up to 5 rem and many studies suggest that 5 rem is the
limit where no adverse effects are seen. So, I have
high confidence that I'm not getting more than 5 rem
if I'm monitored and I'm an employee.
Whereas, if I'm a member of the public,
you're telling me I'm getting 100 rem but I don't
know.
MEMBER HALNON: I did an analysis
operating large light-water reactors and they needed
to put missile shields on the containment entry at
post-accident, and the dose rates were too high for
them to do that. So, that was a problem.
So, there is very localized effects that
could occur that would cause a problem but you have to
engineer your way out of those types of things.
MEMBER KIRCHNER: Just an observation,
there's a footnote in 5034 on the acceptable doses,

(202) 234-4433

	94
1	quote, unquote, acceptable doses, for purposes of
2	doing your design basis accident consequence analysis.
3	But the footnote makes it very clear that
4	the 25 rem and the other values that are cited are
5	not, what shall I say, expected or acceptable. I
6	haven't memorized the footnote.
7	These are limits, the presumption is that
8	the Applicant will demonstrate in the consequence
9	analysis that there's significant margin to that 25
10	rem.
11	Or in this case, I would hope for the 5
12	rem for the control room operator, if someone came up,
13	an Applicant with an analysis that said I'll make
14	up a number it's 4.6 rem, after this DBA I suspect
15	the Staff would look very hard at that and say, this
16	is not although it meets the, quote, unquote, 5 rem
17	requirement, this is questionable and would probably
18	result in further review by the Staff as to the
19	acceptability of that DBA.
20	DR. BLEY: There have been bits of history
21	floating around here, very historically, the reason
22	worker risk was allowed to be higher was because it
23	was assumed they were voluntarily there, where the
24	public wasn't voluntarily nearby.
25	We have evolved so that the guidance looks
1	•

(202) 234-4433

	95
1	at the control room operator. I maintain that still
2	because, Greg's right, they have to be there is one
3	thing but the other thing is we need them to protect
4	the public so it's still a public risk effect.
5	To Walt's last statement, the SHINE folks
6	weren't required to look at the operators outside the
7	control room. They did. NRC Staff is just reporting
8	on what the guidance requires and that's the operators
9	in the control room.
10	And as we move to new technologies where
11	the chemical risk to workers might be much higher than
12	the radiological risk, we don't have anything to fall
13	back on but perhaps OSHA.
14	So, I think it's something the NRC should
15	be thinking about.
16	MEMBER KIRCHNER: I agree with you,
17	Dennis.
18	MEMBER REMPE: Dennis, you're not
19	questioning heroic actions by workers, which is where
20	that would fall, but you're also saying, hey, we need
21	something for chemical releases to also address what
22	is required for their heroic actions?
23	Because the workers are there, if they
24	could be evacuated they would be but if they need to
25	be there it's because they're needed for heroic

(202) 234-4433

	96
1	actions, right?
2	DR. BLEY: I won't see that written down
3	anywhere, Joy. They often do heroic actions and if
4	you read some of the really detailed explanations of
5	what happened at Chernobyl, not Chernobyl, well, yes,
6	there too but Fukushima, it's very clear that they do
7	that.
8	But they're also there and, I don't know,
9	if you have a chemical kind of problem you might get
10	exposed before you can get out of there. So, I think
11	it's something that's just been a gap and ought to be
12	considered.
13	MEMBER KIRCHNER: Dennis, this is Walt
14	again.
15	Not to belabor this, but if I remember
16	correctly, with GDC19 for the power reactors, one also
17	has to look at toxic chemicals, not necessarily what
18	we are talking about here where the toxicity is a
19	result of the production operation but from when you
20	look at siting and offsite external hazards,
21	typically, am I not correct, toxic exposure is part of
22	the analysis for GDC-19.
23	DR. BLEY: You might well be correct, I
24	don't remember. I'd have to look it up.
25	MEMBER KIRCHNER: It's like things in the
	1 I I I I I I I I I I I I I I I I I I I

(202) 234-4433

Í	97
1	siting where they look at release of chlorine gas and
2	then do a dispersion calculation to see what the
3	control room and operators would be exposed to.
4	DR. BLEY: And the focus is on the control
5	room operators again, Walt.
6	MEMBER KIRCHNER: I agree with you.
7	(Simultaneous Speaking.)
8	DR. BLEY: And all those external kind of
9	events.
10	MEMBER REMPE: Could this come back to the
11	GDCs that we haven't reviewed yet may not be adequate?
12	DR. BLEY: I think the Staff can go on
13	with their presentations.
14	MEMBER KIRCHNER: I would observe, though,
15	that 10 CFR 53 draft does address this matter but it
16	doesn't distinguish control room from the other onsite
17	worker status.
18	MR. DICKSON: This is Elijah Dickson. Are
19	you ready for me to keep presenting?
20	CHAIR BALLINGER: Go ahead.
21	MR. DICKSON: I'd like to mention that
22	part of control room habitability for power reactors
23	do look at chemical effects, there's some guidance on
24	that. Off the top of my head, I don't remember it but
25	that is assessed in some fashion for operating power
	1 I I I I I I I I I I I I I I I I I I I

(202) 234-4433

98 1 reactors. 2 And then for events that actually do occur, Part 20 does take into effect the actual 3 4 occupational dose limits and ALARA practices that 5 would be practiced by SHINE Staff there to ensure that would maintained 6 doses be below the actual 7 occupational dose limits of Part 20. Onto Slide 25, just very briefly, a quick 8 9 discussion in regard to the technical specifications. The interim Staff quidance asked us to take a look at 10 the tech specs and we are still reviewing the tech 11 12 specs as a whole. We believe we'll have a presentation for 13 14 you in the future on them. The LSSSs for protecting 15 the primary system boundary are all set to protect the 16 primary systems boundary under variety а of conditions. 17 So, the first three of them themselves 18 19 protect against power excursions and boiling events within the target solution vessel, others protect 20 against hydrogen buildup with the TOGS. 21 The second bullet, we'd like to discuss 22 here that we asked them to revise Tech Spec 3.4 to 23 24 include an LCO for the primary confinement boundary. That way, they can ensure the primary confinement 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

	99
1	boundary is performing its safety function.
2	When they do start operations, they're
3	limiting themselves to 85 percent power in the tech
4	specs and Tech Spec 5.8.4 states that SHINE will
5	conduct startup testing in accordance with the startup
6	testing program and it will submit a startup report to
7	the NRC within six months of completion of the startup
8	testing activities.
9	And so this will allow us to assess that
10	work that we've done and the work they've done up to
11	startup and see how well their analyses will predict
12	actual operations.
13	I have nothing else on this slide and if
14	there's no other questions we can move on to chemical
15	safety by James Hammelman.
16	MR. HAMMELMAN: Good morning, my name is
17	Jim Hammelman, I'm a senior chemical process engineer
18	at NMSS, Division of Fuel Management. I'll be
19	discussing the Staff's review and evaluation of
20	SHINE's chemical hazards analysis for their planned
21	medical isotope production facility.
22	The primary objective of the NRC review
23	was to examine SHINE's identification and evaluation
24	of chemical hazards to the public. Review was focused
25	on those chemical hazards that are under NRC's
	I

(202) 234-4433

	100
1	regulatory jurisdiction and the review will support
2	the Staff's licensing decision under the requirements
3	of Part 50.
4	The Staff evaluated the design against the
5	chemical safety criteria presented in Section 3.1 of
6	the FSAR. These criteria are more restrictive than
7	those identified in the ISG that augments NUREG-1537.
8	Next slide, please. The Staff reviewed
9	the SHINE description of the processes, the equipment,
10	the facilities used for irradiated material processing
11	that are presented in the FSAR.
12	The Staff noted the small scale of
13	operation, the shielded cells used for irradiated
14	material processing and the controls placed on
15	inventory of toxic and reactive chemicals.
16	The Staff also reviewed the accident
17	sequences identified and analyzed in the SHINE safety
18	analysis and in the FSAR. The Staff found the
19	identified accident sequences to be reasonable and
20	consistent with the process and facility information
21	presented in the FSAR.
22	The Staff performed independent analysis
23	of the consequences to offsite individuals from
24	chemical releases identified in the SHINE accident
25	analysis. Staff's independent analysis supports the
	1

(202) 234-4433

	101
1	SHINE conclusion that public exposure would be
2	minimal.
3	More specifically, the predictive
4	concentrations are less than those that would produce
5	mild transient health effects.
6	The Staff reviewed previous analysis of
7	similar operations and found that its conclusions are
8	consistent with those made by the Staff in its 1987
9	evaluation of the Cintichem facility, which also
10	produced moly-99.
11	And the conclusions are also consistent
12	with those made by DOE in an IES that it prepared when
13	it was considering medical isotope production. Next
14	slide, please. The Staff also performed independent
15	analysis of the impacts of chemical releases on SHINE
16	plant personnel.
17	The Staff used near-term fuel dispersion
18	estimates which were developed by SHINE and reviewed
19	and accepted by the NRC Meteorological Staff and
20	information about airflows through the control room.
21	In this case also, the Staff agrees with
22	SHINE's conclusion that worker exposure would be less
23	than those that would produce irreversible or other
24	serious health effects, which are the criteria listed
25	in Section 3.1.

(202) 234-4433

	102
1	Next slide, please.
2	Overall, the chemical safety review
3	concluded that SHINE's process, the facility design
4	features and operational controls provide reasonable
5	assurance that SHINE will meet its chemical safety
6	design criteria presented in Section 3.1 of the FSAR
7	and that public health and safety will be adequately
8	protected from chemical hazards that are under NRC's
9	regulatory jurisdiction.
10	I'll return the mic to Elijah unless
11	there's any questions?
12	MEMBER HALNON: This is Greg, just one
13	question, and you can tell me this isn't the right
14	spot.
15	I understand when we look at the
16	radiological portion and we have to respond to
17	accidents and do certain things, we look at the
18	chemical portion and we see a chemical spill or
19	something and we have to do certain things.
20	When we put those two together, is there
21	any conflict in mitigative actions that have to be
22	taken or should be taken where we're responding to a
23	chemical problem and there's a radiological issue that
24	we have to deal with, or anything vice versa?
25	Does that make any sense?

(202) 234-4433

	103
1	MR. HAMMELMAN: I think what I hear you
2	asking is if there's concurrent accidents,
3	radiological and chemical
4	MEMBER HALNON: Is there any conflict in
5	the actions?
6	MR. HAMMELMAN: Yes, and I guess it's that
7	concurrent accidents were not analyzed. So, I suppose
8	in some cases there might be but there's nothing
9	that's obvious to me.
10	In the case of the chemical analysis, we
11	were just focusing on what happens if the worker stays
12	in place for a little while before he evacuates.
13	There was no chemical response other than flee, for
14	the workers.
15	DR. BLEY: I want to expand on Greg's
16	question a little. I think that's something you folks
17	ought to really have on your ticket to look at when
18	you review or spot-check the procedures later on in
19	this process.
20	We've seen several events occur at
21	operating nuclear reactors where a fire, as it
22	evolved, has led to other situations and the fire
23	procedures were kind of written independently of the
24	other emergency procedures and the operators got in a
25	bit of a bind because the fire procedures took away

(202) 234-4433

ĺ	104
1	people that were urgently needed for what else was
2	going on in the control room.
3	So, looking through the procedures to see
4	if you get in places where your staffing for either
5	side of these events is challenged is something that
6	needs to be done at some point in time. It's not
7	here, it's later.
8	MEMBER HALNON: And Dennis, even going
9	further, I was thinking more of the co-located
10	facilities that we may be looking at down the road
11	where the chemical hazard is much greater, or maybe
12	even worse than the radiological hazard.
13	DR. BLEY: Good point.
14	CHAIR BALLINGER: This is Ron Ballinger.
15	I'd like to reiterate that, I know of a
16	bunch of cases, non-nuclear, where a lack of knowledge
17	of issues in a facility by, in particular, fire
18	people, offsite fire brigades and stuff, has resulted
19	in serious injury or death because of that lack of
20	knowledge.
21	And so we're getting into, as Dennis said,
22	technologies that the Staff will be reviewing where
23	that interface between chemical technology and nuclear
24	technology may be more evident.
25	MEMBER REMPE: In listening to this, I'm
	1

(202) 234-4433

	105
1	wondering if after we finish this review we ought to
2	do a lessons learned letter on insights that could
3	affect other applications.
4	And again, it doesn't have to be the same
5	math but I think we have to make a list and look at
6	and do such a letter in addition to the SHINE review.
7	CHAIR BALLINGER: We've certainly had
8	enough conversation that we ought to probably think
9	about that.
10	MR. MUNSON: This is Jeremy Munson, I
11	would just add that to a degree we do consider things
12	like that in criticality safety. For example, in
13	moderator-controlled areas or in areas where you're
14	primarily relying on moderation control.
15	Fire-fighting requirements in the event of
16	a fire are limited to mists, they can't do solid
17	streams.
18	We consider things like whatever
19	suppression agent they're using and the fire
20	suppression system whenever we do the safety
21	evaluations in terms of what type of moderation they
22	provide, reflection, things like that.
23	So, to a degree we do do that in
24	criticality.
25	CHAIR BALLINGER: But that's an internal
	I

(202) 234-4433

	106
1	evaluation onsite with people that have been trained.
2	A lot of times, where the problem occurs is when you
3	get an external interaction with the public where they
4	need help in an area where they haven't been trained
5	or don't have any knowledge of.
6	That's where the problem arises. Anyway,
7	that's my story and I'm sticking to it.
8	MR. DICKSON: This is Elijah. I can move
9	on to Slide 30, onto some confirmatory analyses.
10	The Staff did audit SHINE safety basis
11	calculations, we performed a sampling of reviews of
12	their safety basis calculations and documents to
13	verify modeling assumptions, methodologies used, and
14	input values used for the design basis accident
15	analyses.
16	We did perform some confirmatory analyses
17	in areas where we felt that it was prudent. We did
18	perform simplified target solution inventory
19	calculations using MCMP and ORIGEN, and we did confirm
20	their results for the most part.
21	We performed, as Mike Salay had discussed,
22	transport calculations using simplified iodine
23	evolution and transport models. Our meteorologist did
24	assess the meteorological data and confirmed chi over
25	Q factors.
	I Contraction of the second

(202) 234-4433
	107					
1	And then lastly, radiological consequences					
2	were confirmed using the NRC SNAP/Rad Trad Code					
3	Version 4.0 to confirm their MHA dose results.					
4	MEMBER REMPE: This is Joy and I					
5	appreciate you adding this slide. In the SC, there					
6	were some inferences that there was some confirmatory					
7	calculations, but I appreciate the additional detail					
8	here.					
9	Tell me, is there a file system that if					
10	four years from now somebody wants to look up what the					
11	Staff did, it's connected to your SE in the process					
12	that you did for this evaluation?					
13	MR. DICKSON: No, to answer your question					
14	there is not a central file. For many Staff analyses					
15	we do have folders that we maintain and keep results					
16	in there.					
17	Specific to SHINE, though, a lot of the					
18	information that we utilized, the confirmatory					
19	analyses needed to be destroyed after we were using					
20	it.					
21	We have an agreement with them to review					
22	certain documents and whatnot on their portal. And so					
23	some of those calculations do need to be destroyed					
24	afterwards. But for a lot of other calculations such					
25	as power reactors, we do maintain files for that type					
	I contraction of the second seco					

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

	108
1	of work.
2	MEMBER REMPE: Thank you for your
3	response, although I'm not sure it leaves me happy.
4	MR. DICKSON: It's a matter of there's
5	proprietary information that we're reviewing and
6	specific information with regards to the design and
7	only certain Staff need to review those types of need-
8	to-know-type analyses.
9	Onto Slide 31 if there's no other
10	questions, this slide will be handled by both Mike
11	Call and myself. Mike, would you like share your
12	evaluations and findings and conclusions?
13	MR. CALL: Sure, this is Mike Call in the
14	NSSA group review for NRC. Based on the review, as
15	was explained in earlier slides, the Staff was able to
16	make the findings you see here.
17	The NSSA method is an acceptable method
18	and supports the adequate identification of
19	capabilities and features to prevent or mitigate the
20	accidents and then protect the health and safety of
21	the public and workers.
22	And it provides reasonable assurance that
23	SHINE has identified accidents as required for
24	prevention and mitigation, and they have established
25	appropriate safety-related controls.
	1

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

	109
1	I'll turn that back to you, Elijah.
2	MR. DICKSON: I'll start by saying that
3	for a facility such as SHINE, we did find the margin
4	to safety is large and that there are few credible
5	accidents that can sufficiently damage the system that
6	would result in a major release of radioactive
7	material to the unrestricted area.
8	With that, the Staff found reasonable
9	assurance that SHINE meets the siting criteria for
10	public health and safety and that we also found
11	reasonable assurance that the control room
12	habitability requirements for radiological
13	consequences have also been met.
14	And with that, that concludes our
15	presentation today and we can field any other
16	questions you may have.
17	CHAIR BALLINGER: Questions from Members?
18	Okay, this is a break-point session. After this,
19	which I'm sure will be after lunch, will be the
20	yes, I'm getting there. So, now it's time for public
21	comments.
22	If there are members of the public that
23	are out there that would like to make a comment, you
24	may have to use star 6 to unmute your phone, or if
25	you're logged in through Teams, please state your name

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

	110
1	and make your comment, please.
2	Hearing none, I think we're at an end to
3	this part of the session pretty much conveniently, or
4	whatever, just like yesterday. We don't have enough
5	time to switch before lunch to go into the closed
6	meeting because I think we're going to have longer
7	discussions than a half an hour.
8	So, I think we will recess the meeting
9	until 1:00 p.m., thank you very much.
10	(Whereupon, the above-entitled matter
11	went off the record at 11:28 a.m.)
12	
13	
14	
15	
16	
17	
18	
19	
20	
21	
22	
23	
24	
25	

SHINE

Chapter 13 – Accident Analysis (Open Session) TRACY RADEL, VICE PRESIDENT OF ENGINEERING

SHINE Safety Analysis (SSA) Methodology

- SHINE applies a SHINE-specific, risk-based methodology similar to the guidance described in NUREG-1520, Standard Review Plan for Fuel Cycle Facilities License Applications, in the development of the detailed accident analysis.
 - This methodology is applied to both the irradiation facility (IF) and the radioisotope production facility (RPF) for consistency of the safety analysis across the facility.
- The SSA is developed based on the following major steps:
 - o Identification and systematic evaluation of hazards at the facility
 - Comprehensive identification of potential accident/event sequences that would result in unacceptable consequences, and the expected likelihoods of those sequences
 - Identification and description of safety-related controls (i.e., structures, systems, components, or specific actions) that are relied on to limit or prevent potential accidents or mitigate their consequences
 - Identification of programmatic administrative controls that ensure the availability and reliability of identified safety systems
 - Assessment of radiological and chemical consequences for postulated accident sequences to demonstrate compliance with acceptable limits



Acceptance Criteria

CONSEQUENCE ANALYSIS METHODOLOGY

- SHINE Safety Criteria:
 - An acute worker dose of 5 rem or greater total effective dose equivalent (TEDE).
 - An acute dose of 1 rem or greater TEDE to any individual located outside the owner controlled area.
 - An intake of 30 milligrams or greater of uranium in a soluble form by any individual located outside the owner controlled area.
 - An acute chemical exposure to an individual from licensed material or hazardous chemicals produced from licensed material that could lead to irreversible or other serious, long-lasting health effects to a worker or could cause mild transient health effects to any individual located outside the owner controlled area.
 - Criticality where fissionable material is used, handled, or stored (with the exception of the target solution vessel).
 - Loss of capability to reach safe shutdown conditions.



Process Hazard Analysis and Accident Sequence Development

- Identification of relevant accident categories
 - Relevant accident categories as identified in the interim staff guidance (ISG) augmenting NUREG-1537 are carried forward
 - o Hazard evaluations identify potential initiating events, consequences, and controls that may be applied
 - Hazard evaluations also identify SHINE-specific accident types (e.g., tritium, neutron driver)
- Process hazard analysis (PHA) for internal and external events
 - o Identify accident sequences based on the hazard evaluation results and the ISG guidance
 - Estimate a risk index for each potential unmitigated accident sequence (likelihood x consequences)
 - o Identify engineered and administrative controls for those sequences which have an unacceptable risk
 - Evaluate controlled risk indices crediting risk reduction from controls
 - Develop list of safety-related controls



Process Hazard Analysis and Accident Sequence Development

- IF accident categories:
 - Maximum hypothetical accident (MHA)
 - Insertion of Excess Reactivity
 - Reduction in cooling
 - Mishandling or malfunction of target solution
 - Loss of off-site power
 - o External events
 - o Mishandling or malfunction of equipment
 - Large undamped power oscillations
 - o Detonation and deflagration in the primary system boundary
 - Unintended exothermic reaction other than detonation
 - System interactions
 - Facility-specific events (i.e., neutron driver assembly system [NDAS], tritium purification system [TPS], and heavy load drop events)

- RPF accident categories:
 - Critical equipment malfunction
 - o Inadvertent nuclear criticality
 - RPF fire (i.e., carbon delay bed fire, carbon guard bed fire)
 - Hazardous chemicals (e.g., uranium uptake)
- External event accident categories:
 - o Seismic event
 - Severe weather (e.g., tornado, high winds, heavy snow, lightning)
 - External flooding events (i.e., probable maximum precipitation)
 - External fire events (e.g., vegetation, natural gas, vehicle fires)
 - Transportation accidents (e.g., aircraft impact, chemical truck accident)
 - o Flooding events internal to the IF and RPF
 - On-site chemical/gas releases (e.g., spills)
 - Fire events internal to the IF and RPF are evaluated on a fire area basis



Risk Matrix Development

Consequence	Facility Staff	Offsite Public		Likelihood of Occurrence		
Category			Severity of Consequences	Likelihood Category 1	Likelihood Category 2	Likelihood Category 3
	RD > 100 rom RD > 25 rem		(1)	(2)	(3)	
High Consequence 3	CD > PAC-3	30 milligrams sol U intake CD > PAC-2	Consequence Category 3 High (3)	Acceptable 3	Unacceptable 6	Unacceptable 9
Intermediate Consequence 2	5 rem < RD ≤ 100 rem PAC-2 < CD < PAC-3	1 rem< RD ≤ 25 rem PAC-1 < CD ≤ PAC-2	Consequence Category 2 Intermediate (2)	Acceptable 2	Unacceptable 4	Unacceptable 6
Low Consequence 1	Accidents with lower radiological and chemical exposures than those above	Accidents with lower radiological and chemical exposures than those above	Consequence Category 1 Low (1)	Acceptable 1	Acceptable 2	Acceptable 3

Likelihood Category	Likelihood Index (T)	Event Frequency Limit	Risk Index Limits
Highly Unlikely	1	Less than 10 ⁻⁵ per event, per year	T ≤ -5
Unlikely	2	Between 10 ⁻⁴ and 10 ⁻⁵ per event, per year	-5 < T ≤ -4
Not Unlikely	3	More than 10 ⁻⁴ per event, per year	-4 < T



Likelihood Evaluation

Failure Frequency Index Number (FFIN)	Based on Evidence	Based on Type of Control	Comments	
-6	External event with freq. < 10 ⁻⁶ /yr	N/A	If initiating event, no controls needed.	
5	Initiating event with	N/A	For passive safe-by-design components or systems; failure is considered highly unlikely for robust passive engineered controls: 1. Whose dimensions fall within established single parameter limits or that can be shown by calculation to be subcritical including the use of the approved subcritical margin	
-5	freq. < 10 ^{.5} /yr	N/A	 That have no credible failure mechanisms that could disrupt the credited design characteristics, and 	
			 Whose design characteristics are controlled so that the only potential means to effect a change that might result in a failure to function would be to implement a design change. 	
-4	No failures in 30 years for hundreds of similar controls in industry.	Exceptionally robust passive engineered control (PEC), Two independent active engineered control (AECs), PECs, or enhanced specific administrative control (SAC)	Rarely can be justified by evidence. Further, most types of single control have been observed to fail.	
-3	No failures in 30 years for tens of similar controls in industry.	A single control with redundant parts, each a PEC or AEC	None	
-2	No failure of this type in the facility in 30 years.	A single PEC	None	
-1	A few failures may occur during facility lifetime.	1. A single AEC 2. Enhanced SAC 3. Redundant SAC	None	
0	Failure occur every 1 to 3 years.	A single SAC	None	
1	Several occurrences per year.	Frequent event, inadequate control	Not for controls, just initialing events.	
2	Occurs every week or more often.	Very frequent event, inadequate control	Not for controls, just initialing events.	

Failure Probability Index Number (FPIN)	Probability of Failure on Demand	Ва	ased on Type of Control	Comments
-6	10-6			If initiating event, no control needed.
-4 or -5 10 ⁻⁴ - 10 ⁻⁵		1. F (PE ma 2. I 3. 1 mo AE SA	Passive engineered control EC) with high design rgin. nherently safe process. Fwo redundant controls re robust than a simple C, PEC, or enhanced C.	Can rarely be justified by evidence. Most types of single controls have been observed to fail.
-3 or -4 10 ⁻³ - 10 ⁻⁴		1. Single PEC 2. Single AEC with high availability		None
-2 or -3	10 ⁻² - 10 ⁻³	1. 8 2. E 3. 8 ope	Single AEC Enhanced SAC SAC for routine planned erations	None
-1 or -2 10 ⁻¹ - 10 ⁻²		A SAC that must be performed in response to a rare unplanned demand.		None
Duration Index Numb (DIN)	er Average Failure Duration		Duration in Years	Comments
1	> 3 years		10	
0	1 year		1	
-1	1 month		0.1	Formal monitoring to justify indices < -1
-2	A few days		0.01	
-3	8 hours		10 ⁻³	
-4	1 hour		10-4	
-5	5 minutes		10 ⁻⁵	



Safety-Related Controls

- The types of safety-related controls that are credited for prevention and/or mitigation of accident sequences are:
 - Engineered controls (active or passive), identified as safety-related structures, systems, and components (SSCs); and
 - Specific administrative controls (e.g., procedural controls).
- Programmatic administrative controls are also implemented to assure that safety-related controls can perform their intended functions.
- Defense-in-depth (DID) controls may also be identified that are not credited in accident sequences but provide additional margin for risk reduction.



Accident Analysis and Determination of Consequences

- Radiological consequences are determined for members of the public and control room operators
- Process includes:
 - Calculation of inventories
 - Definition of accident-specific material at risk (MAR)
 - Transport of radionuclides
 - Development of accident source terms
 - $\circ~$ Conversion to radiological dose
- Generally, worker and public doses are calculated over a 30-day interval
 - The scenario resulting in the release of tritium into the tritium confinement boundary uses a 10-day interval because it is expected that tritium recovery can be accomplished in this time frame



Accident Analysis and Determination of Consequences

- Conservatisms applied in the dose analysis include, but are not limited to:
 - Bounding TSV power history and operational cycle
 - Minimum nuclide decay times
 - Times to transport nuclides out of process systems are neglected
 - Condensation conservatively neglected
 - Non-credited filtration neglected
- Atmospheric dispersion values (χ/Q) used are 95th percentile



Accident Analysis and Determination of Consequences





Hazardous Chemicals

- Chemical hazards of licensed material, hazardous chemicals interacting with licensed material, and hazardous chemical produced from licensed materials are evaluated in the SSA
 - These do not include substances prior to process addition to licensed materials or after process separation from licensed materials
- Hazardous chemical consequence assessment is performed to demonstrate that potential consequences meet the SHINE Safety Criteria for the public and workers (RCA worker and control room operator)
- The PAVAN computer code is used to perform consequence analysis for the public and nearest residence
 - \circ Chemical exposure to both receptors is calculated using the 95th percentile χ/Q values





Advisory Committee on Reactor Safeguards

SHINE Medical Technologies, LLC Operating License Application

Chapter 13 - Accident Analysis

Elijah Dickson, NRR/DRA/ARCB Mike Call, NMSS/DFM/NARAB James Hammelman, NMSS/DFM/CTCFB U.S. Nuclear Regulatory Commission

May 18, 2022

Review Team

- Technical Reviewers and Presenters
 - Elijah Dickson NRR/DRA/ARCB
 - Mike Call NMSS/DFM/NARAB
 - James Hammelman NMSS/DFM/CTCFB
 - Jeremy Munson NMSS/DFM/NARAB
 - Kevin Quinlan NRR/DEX/EXHB
 - Michael Salay RES/DSA/FSCB
- Project Managers
 - Michael Balazik NRR/DANU/UNPL
 - Molly-Kate Gavello NRR/DANU/UNPL
 - Holly Cruz NRR/DANU/UNPL



Contents

- Background and Review Approach
- SHINE Safety Analysis
- Design Basis Accident Analyses
- Chemical Safety
- Audits and Confirmatory Analyses
- Evaluation Findings and Conclusion



Background and Review Approach – **Regulatory Requirements and Commitments**

- 10 CFR 50.34, "Contents of applications; technical information," paragraph (b), "Final safety analysis report."
- 10 CFR 50.36, "Technical Specifications."
- 10 CFR 50.40, "Common Standards," paragraph (a).
- 10 CFR 50.57, "Issuance of Operating License," paragraph (a)(3).
- Commitments to 10 CFR Part 70-like requirements.



Background and Review Approach – Regulatory Guidance

- NUREG-1537, Part 1, "Guidelines for Preparing and Reviewing Applications for the Licensing of Non-Power Reactors, Format and Content," issued February 1996
- NUREG-1537, Part 2, "Guidelines for Preparing and Reviewing Applications for the Licensing of Non-Power Reactors, Standard Review Plan and Acceptance Criteria," issued February 1996
- "Final Interim Staff Guidance [ISG] Augmenting NUREG-1537, Part 1, 'Guidelines for Preparing and Reviewing Applications for the Licensing of Non-Power Reactors: Format and Content,' for Licensing Radioisotope Production Facilities and Aqueous Homogeneous Reactors," dated October 17, 2012
- "Final Interim Staff Guidance Augmenting NUREG-1537, Part 2, 'Guidelines for Preparing and Reviewing Applications for the Licensing of Non-Power Reactors: Standard Review Plan and Acceptance Criteria,' for Licensing Radioisotope Production Facilities and Aqueous Homogeneous Reactors," dated October 17, 2012



Background and Review Approach – Regulatory Guidance (Cont'd)

- NUREG-1520, Rev. 2, "Standard Review Plan for Fuel Cycle Facilities License Applications," issued June 2015
- NUREG-1513, "Integrated Safety Analysis Guidance Document," issued May 2001
- NUREG/CR-6410, "Nuclear Fuel Cycle Facility Accident Analysis Handbook," issued March 1998
- NUREG/CR-2858, "PAVAN: An Atmospheric-Dispersion Program for Evaluating Design-Basis Accidental Releases of Radioactive Materials from Nuclear Power Stations," issued November 1982
- Regulatory Guide 1.145, Rev. 1, "Atmospheric Dispersion Models for Potential Accident Consequence Assessments at Nuclear Power Plants," issued February 1983
- NUREG/CR-6331 Rev. 1, "Atmospheric Relative Concentrations in Building Wakes," issued May 1997



Background and Review Approach – Review Methodology

SHINE presented two types of safety analyses for the staff to review:

1. SHINE Safety Analysis (SSA)

Purpose: Systematic analysis of facility processes used to identify and evaluate facility hazards associated with the processing and possession of licensed materials.

2. Design Basis Accident (DBA) Analyses

Purpose: Evaluate the design and performance of structures, systems, and components (SSCs) of the facility with the objective of assessing the radiological consequences resulting from operation of the facility.



SHINE Safety Analysis - Overview

- ISG Augmenting NUREG-1537
 - 10 CFR Part 70 and NUREG-1520 Integrated Safety Assessment (ISA) methods acceptable to demonstrate safety
 - Alternatives are acceptable if adequacy to ensure safety is demonstrated
- SHINE's approach: use of ISA methods with differences
- Differences in terminology but methodology are similar in content, function, analysis (e.g., SSA Summary, safety-related controls)
- SSA Summary: applicant-controlled document; not submitted on docket



SHINE Safety Analysis – Review Approach

- Similarities to NUREG-1520 approach
- Evaluate alternatives to NUREG-1520 approach
- Considerations of review: applicable regulatory requirements and unique aspects of facility and the application
- Ensure adequacy of safety program, including SSA method and implementation
 - Broad (horizontal) review evaluate method and safety program
 - Narrow (vertical) reviews of select accident types evaluate method implementation
 - Reliability management measures



SHINE Safety Analysis – Method and Implementation

- SSA Method:
 - Identify, evaluate facility hazards HAZOP, FMEA.
 - Identify credible accident sequences, define credible.
 - Assess radiological, chemical consequences and likelihoods.
 - Identify, describe safety-related controls to prevent/mitigate accidents, meet SHINE Safety Criteria.
 - Identify reliability management measures, programs for establishing and maintaining these measures.
- Method Implementation
 - Assess by review of select accident types (facility-specific events, external hazards, equipment mishandling/malfunction, and select events for criticality).
- Safety Program: SSA and SSA method are an important element; effective = reflect as-built, as-operated facility, demonstrate ensures health, safety of public and personnel.



Design Basis Accident (DBA) Analyses – SHINE Facility Highlights

- Typical design philosophy of defense-in-depth and multiple barriers.
- Eight independent accelerator-driven subcritical assemblies.
- Seismic qualified design features.
- TSV operates at relatively low power density, temperature and negative pressure.
- All DBAs which trip the TSV reactivity protection system (TRPS) results in an immediate safe shutdown condition.
- Light water pool has sufficient capacity to passively handle decay heat following a trip.
- Nominal source term is small. Material at Risk source term (safety-basis) is conservative, given aggressive modeling assumptions.



DBA Analyses – Design Criterion and Siting Criteria

(Presented as NUREG-1537 and the ISG guides staff to review)

Design Criterion 6 – Control room

"A control room is provided from which actions can be taken to operate the irradiation units safely under normal conditions and to perform required operator actions under postulated accidents."

Siting and Control Room accident dose acceptance criteria:

- Radiological consequences to an individual located in the unrestricted area following the onset of a postulated accidental release of licensed material would not exceed 1 rem total effective dose equivalent (TEDE) for the duration of the accident, and
- 2. Radiological consequences to workers [control room operator] do not exceed 5 rem TEDE during the accident.



DBA Analyses – Methodology

SHINE DBA analyses are consistent with NUREG/CR-6410 methodology.

Generally divided into six parts:

- 1. Select bounding design basis accidents;
- 2. Derive applicable accident source terms;
- 3. Identify major SSCs intended to mitigate the radiological consequences;
- 4. Estimate fission product release characteristics to the environment;
- 5. Review meteorological characteristics; and
- 6. Calculate radiological consequences from the bounding DBAs.

Generally, the staff does not accept DBA analyses that credit facility features that:

- are not safety-related;
- are not covered by technical specifications;
- do not meet single-failure criteria; or
- rely on the availability of offsite power.



DBA Analyses – Identified Applicable DBAs

SHINE DBA analyses are consistent with the ISG.

- 1. Maximum hypothetical accident (MHA) (Subsection 13a2.1.1);
- 2. Excess reactivity insertion (Subsection 13a2.1.2);
- 3. Reduction in cooling (Subsection 13a2.1.3);
- 4. Mishandling or malfunction of target solution (Subsection 13a2.1.4);
- 5. Loss of offsite power (LOOP) (Subsection 13a2.1.5);
- 6. External events (Subsection 13a2.1.6);
- 7. SHINE MHA Mishandling or malfunction of equipment (Subsection 13a2.1.7);
- 8. Large undamped power oscillations (Subsection 13a2.1.8);
- 9. Detonation and deflagration in the primary system boundary (Subsection 13a2.1.9);
- 10. Unintended exothermic chemical reactions other than detonation (Subsection 13a2.1.10);
- 11. System interaction events (Subsection 13a2.1.11); and
- 12. Facility-specific events (Subsection 13a2.1.12).



DBA Analyses – Identified Applicable DBAs (Cont'd)

- 13. MHA (FSAR Section 13b.1.2.1) (see section 13a2.1.7);
- 14. Loss of Electrical Power (FSAR Section13b.1.2.2);
- 15. External Events (FSAR Section 13b.1.2.3);
- 16. Critical Equipment Malfunction (i.e., Malfunction or Mishandling of Equipment) (FSAR Section 13b.1.2.4);
- 17. Inadvertent Nuclear Criticality in the RPF (FSAR Section 13b.1.2.5);
- 18. RPF Fire (FSAR Section 13b.1.2.6); and
- 19. Hazardous Chemical Accidents (FSAR Section 13b.1.2.7).



DBA Analyses – Materials at Risk - Accident Source Terms

- Two types of Materials at Risk (MAR):
 - 1. Fission-product based
 - "safety-basis source term" derived for the TSV inventory.
 - 2. Tritium
 - Based on maximum quantities at the facility or used by an irradiator assembly.
- Primary codes and methods used to derive the MAR:
 - 1. Los Alamos, Monte Carlo N-Particle 5 (MCNP5), version 1.60.
 - 2. Oak Ridge, Standardized Computer Analyses for Licensing Evaluation (SCALE), version 6.1.2, ORIGEN-S.
- The staff finds these computer codes acceptable for the purposes of developing radionuclide inventories to derive a bounding SHINE-specific MAR.
- Accident-specific source terms are consistent with "five-factor" formula methodologies described in NUREG/CR-6410.



DBA Analyses – Materials at Risk (MAR) – Accident Source Terms (Cont'd)

- Verified operational assumptions with additional margin:
 - Corresponding fission power
 - Irradiation time per cycle
 - Total time between irradiations
 - Extraction between irradiations
 - Length of target solution recovery
- Calculation includes effects from fission, transmutation, activation, and decay.
- Assessed burnup and radionuclide peaking.
- Very large margin between the MAR and normal operations.
- The staff finds that the conservative assumptions and treatment of uncertainty to justify the MAR are acceptable.



DBA Analyses – MAR Transport and Mitigation (1/3)

- Leak path factors (LPF) developed for each scenario by:
 - Identify major SSCs intended to mitigate the radiological consequences;
 - Estimate fission product release characteristics to the environment.
- Factors include important physical processes such as control volumes, volumetric flow rates, leakage through gaskets, pressure, barometric breathing, and removal processes.
- Five-factor formula "damage ratio" is assumed to be 1 and "airborne release fractions" vary by accident.
- Environmental pathways are:
 - Confinement by IU cell or concrete cell -> IF building -> environment
 - Confinement by glove box -> IF building -> environment
 - Confinement by hot cell -> RPF building -> environment
 - Confinement by concrete vault -> RPF building -> environment
- LPFs are generally consistent with the methods described in NUREG/CR-6410.



DBA Analyses – MAR Transport and Mitigation (2/3)

- Iodine that evolves from solution to gas space can leak to environment.
 - Significant contributor to dose.
 - Geometry, temperature, flow.
- Iodine also evolves from solution during normal operation.
- If evolution is fast, it depletes inventory available for release to the environment.
 - Reduction in MAR by evolution not accounted for by inventory codes such as SCALE or MCNP.
- If evolution is slow, most ¹³¹I will decay before evolving during an accident.
 - Limit on ARF
- Limit on Xe,MAR*ARF for ¹³¹I.
- It is conservative to neglect evolution rate effects.





DBA Analyses – MAR Transport and Mitigation (3/3)

Evolution and Transport Analyses:

- Evolution transport analysis to compare to SHINE pool release calculation .:
 - All iodine isotopes.
 - Stopped transport analysis after getting substantially lower ARF then SHINE. ARF*LPF
 - Reviewed technical bases for flow and LPF parameters.
- Influence of evolution on combined MAR*ARF (evolution vs decay):
 - Evaluation of the reduction in MAR due to evolution and adsorption during normal operation.
 - Evaluation of the release fraction to gas during a postulated accident scenario, ARF
 - Some time-dependent value between 0 and 1.
- SHINE neglecting evolution/adsorption reduction in evaluation of MAR for accident analysis and assuming an iodine ARF of 1 for many accident scenarios eliminate the need for additional analyses by using most bounding assumptions.
 - Partial general analyses illustrate some of these effects.
 - Geometry and scenario-specific calculations can be used to estimate conservatism.


DBA Analyses - Atmospheric Dispersion

- Developed short-term atmospheric dispersion (χ/Q) factors using traditional Gaussian plume diffusion methodology.
- χ/Q were developed at the offsite public and control room receptor.
- Conservatively assumed ground level release.
- Utilized bounding short-term 95th percentile χ/Q values.
- Calculations performed with NRC computer program, PAVAN, which implements the guidance provided in RG 1.145.



DBA Analyses – Radiological Consequences

- Consequence results are consistent with the total effective dose equivalent (TEDE) methodology defined in 10 CFR 50.2 and 20.1003.
- Dose-conversion-factors utilized are consistent with regulations.
 - Federal Guidance Report 11, "Limiting Values of Radionuclide Intake and Air Concentration and Dose Conversion Factors for Inhalation, Submersion, and Ingestion."
 - Federal Guidance Report 12, "External Exposure to Radionuclides in Air, Water, and Soil."
- For fission product-based accidents, the accident duration is assumed to be 30 days and tritium accidents for 10 days.
- Receptor locations assume no personal protection equipment or protective actions.



DBA Analyses – SHINE Maximum Hypothetical Accident

Mishandling or malfunction of equipment (SHINE Subsection 13a2.2.7)

- Most limiting scenario, "Failure of the TOGS Pressure Boundary Resulting in Release of Off-Gas into the TOGS Cell."
- Failure of the TOGS portion of the primary system boundary could allow escape of fission product gases or hydrogen into the primary confinement boundary and the radiologically controlled area.
 - TOGS circulates sweep gas during the irradiation cycle, a portion of the iodine is removed by the zeolite beds, and hydrogen and oxygen are recombined by the catalytic recombiners.



DBA Analyses – SHINE Maximum Hypothetical Accident (Cont'd)

- MHA MAR uses 100% of the MAR halogens and noble gases.
- Identified the safety controls for this accident to be:
 - Primary confinement boundary;
 - Ventilation radiation monitors;
 - Nitrogen purge system;
 - · Ventilation isolation mechanisms; and
 - Holdup volume in the RVZ1e.
- The calculated doses for the MHA scenario are the following:
 - Control Room Operator 1,940 mrem (1.94 rem)
 - Maximum exposed member of the public 727 mrem (0.727 rem)
- Staff finds results are within the acceptable limit siting criteria of 1 rem TEDE and the control room operator of 5 rem TEDE.



DBA Analyses – Technical Specifications

- SHINE Tech Spec. Limiting Safety System Settings are set to protect the Primary System Boundary.
- Revised Tech Spec. Section 3.4 to include an LCO for the primary confinement boundary.
- SHINE Tech Spec. Limiting Safety System Settings ≤ 85% power averaged over ≤ 45 seconds.
- TS 5.8.4 states that SHINE will conduct startup testing in accordance with the Startup Testing Program (FSAR Section 12.11) and submit a Startup Report to the NRC within 6 months of the completion of all startup testing activities.



Chemical Safety Review

- Evaluated impacts on public health and safety criteria in 50.40
- Focused on chemical hazards under NRC's regulatory jurisdiction
- SHINE Safety Criteria for public exposure
 - Acute chemical exposure to an individual from licensed material or chemicals produced from licensed material that could cause mild transient health effects to an individual outside the owner-controlled area should be highly unlikely.



Chemical Safety Review (Cont'd)

- Staff reviewed SHINE SSA accident sequences using information about processes and facility details and stated chemical quantity limits. Staff finds accident sequences reasonable.
- Staff reviewed SHINE public consequence calculations, performed independent dispersion calculations. Staff agrees with SHINE conclusion – public exposure would be less than PAC-1 levels which could produce mild, transient health effects.
- Staff noted that public chemical risk conclusion is consistent with other relevant analysis of Mo-99 production operations.



Chemical Safety Review (Cont'd)

 Staff reviewed SHINE worker consequence calculations and performed independent dispersion calculations. While the staff used different analytical methods, the staff agrees with SHINE conclusion – worker exposure would be less than PAC-2 levels, which could produce irreversible or other serious health effects.



Chemical Safety Review (Cont'd)

- Staff review was coordinated with other reviewers, particularly meteorology and SHINE Safety Analysis reviewer.
- Staff concluded that SHINE process, facility design, and control features provide reasonable assurance that the public health and safety will be adequately protected from chemical hazards that are under NRC's regulatory jurisdiction.



Audits and Confirmatory Analyses

- Staff audited SHINE safety-basis design calculations and documents to verify methodology assumptions and input values.
- Select independent confirmatory analyses include:
 - MAR: simplified target solution inventory calculations using MCNP5 and ORIGEN confirmed results presented in design calculations.
 - Transport: simplified iodine evolution and transport calculations.
 - Meteorology: assessed meteorological data and confirmed χ/Q factors.
 - Consequences: confirmatory analyses with NRC SNAP/RadTrad Ver. 4.0 confirmed results presented in the Ch 13 FSAR.



Staff Evaluation Findings and Conclusions

- SHINE Safety Analysis (SSA)
 - SSA method is an acceptable method and supports adequate identification of capabilities and features to prevent/mitigate accidents and protect health, safety of public and workers.
 - SSA provides reasonable assurance SHINE has identified accidents that require prevention or mitigation and established appropriate safety-related controls.
- DBA Analyses
 - Staff found reasonable assurance that SHINE meets the siting criteria for public health and safety.
 - Staff found reasonable assurance that the control room habitability requirements for radiological consequences are met.



Acronyms

- DBA Design Basis Accident
- FMEA Failure Modes and Effects Analysis
- FSAR Final Safety Analysis Report
- HAZOP Hazard and Operability Analysis
- ISA Integrated Safety Assessment
- ISG Interim Staff Guidance
- LCO Limiting Condition of Operation
- LOOP Loss of offsite power
- LPF Leak path factors
- MAR Materials at Risk
- MCNP5 Monte Carlo N-particle 5
- MHA Maximum Hypothetical Accident
- NRC Nuclear Regulatory Commission
- RG Regulatory Guide
- RPF Radioisotope Production Facility
- SSA SHINE Safety Analysis
- SSC Structures, Systems, and Components
- TSV Target Solution Vessel
- TEDE Total Effective Dose Equivalent
- TRPS TSV Reactivity Protection System
- TOGS TSV Off-gas System



Chapter 13 Backup Slides



Startup Testing

- SHINE has a startup testing program to demonstrate operability of their systems, calibrate instrumentation, and make reactor physics measurements to confirm their design calculations.
- The startup testing plan provides an outline of the tests that will be performed.
- The reactor physics tests are support by calculations and the measured results will be compared to the design calculations.

