## Official Transcript of Proceedings NUCLEAR REGULATORY COMMISSION

Title:	Advisory Committee on Reactor Safeguards Digital I&C Subcommittee
Docket Number:	(n/a)
Location:	teleconference
Date:	Friday, May 20, 2022

Work Order No.: NRC-1963

Pages 1-175

NEAL R. GROSS AND CO., INC. Court Reporters and Transcribers 1716 14th Street, N.W. Washington, D.C. 20009 (202) 234-4433

	1
1	
2	
З	
4	DISCLAIMER
5	
6	
7	UNITED STATES NUCLEAR REGULATORY COMMISSION'S
8	ADVISORY COMMITTEE ON REACTOR SAFEGUARDS
9	
10	
11	The contents of this transcript of the
12	proceeding of the United States Nuclear Regulatory
13	Commission Advisory Committee on Reactor Safeguards,
14	as reported herein, is a record of the discussions
15	recorded at the meeting.
16	
17	This transcript has not been reviewed,
18	corrected, and edited, and it may contain
19	inaccuracies.
20	
21	
22	
23	
	1323 RHODE ISLAND AVE., N.W.
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

	1
1	UNITED STATES OF AMERICA
2	NUCLEAR REGULATORY COMMISSION
3	+ + + +
4	ADVISORY COMMITTEE ON REACTOR SAFEGUARDS
5	(ACRS)
6	+ + + +
7	DIGITAL I&C SUBCOMMITTEE
8	+ + + +
9	FRIDAY
10	MAY 20, 2022
11	+ + + +
12	The Subcommittee met via hybrid Video
13	Teleconference, at 1:00 p.m. EDT, Charles Brown, Jr.,
14	Chairman, presiding.
15	COMMITTEE MEMBERS:
16	CHARLES H. BROWN, JR. Chair
17	RONALD G. BALLINGER, Member
18	VICKI BIER, Member
19	VESNA DIMITRIJEVIC, Member
20	WALTER KIRCHNER, Member
21	DAVID PETTI, Member
22	JOY L. REMPE, Member
23	MATTHEW SUNSERI, Member
24	
25	

1	ACRS CONSULTANT:
2	DENNIS BLEY
3	MYRON HECHT
4	
5	DESIGNATED FEDERAL OFFICIAL:
6	CHRISTINA ANTONESCU
7	
8	ALSO PRESENT:
9	STEVEN ALFERNIK, NRR
10	VICTORIA ANDERSON, NEI
11	NEIL ARCHAMBO, Westinghouse
12	HAN BAO, Idaho National Laboratory
13	ERIC BENNER, DEX
14	ALAN CAMPBELL, NEI
15	NORBERT CARTE, NRR
16	MATT GIBSON, EPRI
17	BAGHWAT JAIN, NRR
18	SAMIR DARBALI, NRR
19	SCOTT MOORE, ACRS
20	WARREN R. ODESS-GILLETT, NEI
21	
22	
23	
24	
25	
	1 I I I I I I I I I I I I I I I I I I I

2

	3
1	CONTENTS
2	
3	Opening Remarks by Chairman 4
4	Charles Brown, ACRS
5	Introductory Remarks
6	Eric Benner, DEX
7	Background
8	Bhagwat "BP" Jain, NRR
9	Discuss Draft SECY Paper
10	Samir Darbali, NRR
11	Norbert Carte, NRR
12	Steven Alfernik, NRR 51
13	Industry Perspective on the CCF Policy
14	and an Overview of Proposed Implementation
15	Guidance, NEI 20-07, Rev. D
16	Alan Campbell, NEI
17	Q&A
18	Samir Darbali, NRR
19	Public Comments (None)
20	Closing Remarks by Chairman
21	Charles Brown, ACRS
22	
23	
24	
25	

	4
1	PROCEEDINGS
2	1:20 p.m.
3	CHAIRMAN BROWN: The meeting will now come
4	to order.
5	This is a meeting of the Digital I&C
6	Subcommittee. I'm Charles Brown, Chairman of this
7	Subcommittee.
8	ACRS members in attendance are Matt
9	Sunseri, Vesna Dimitrijevic, Ron Ballinger, Dave
10	Petti, Vicki Bier, Walt Kirchner, Joy Rempe, and
11	Consultant Dennis Bley, I believe.
12	Dennis, are you on? I thought I saw your
13	name.
14	DR. BLEY: You should have.
15	CHAIRMAN BROWN: Okay. Thank you.
16	DR. BLEY: Yes.
17	CHAIRMAN BROWN: All right. Thank you.
18	Christina Antonescu of the ACRS staff is
19	the Designated Federal Official for this meeting.
20	Christina, I know the court reporter is
21	on, so I don't have to ask you that one.
22	The purpose of this meeting is for the
23	staff to brief the Subcommittee on the outline for a
24	Draft SECY paper to allow for consideration of risk-
25	informed alternatives for addressing digital I&C
	I

(202) 234-4433

	5
1	common-cause failures.
2	The ACRS was established by statute and is
3	governed by the Federal Advisory Committee Act. That
4	means the Committee can only speak through its
5	published Letter Reports. We hold meetings to gather
6	information to support our deliberations.
7	Interested parties who wish to provide
8	comments can contact our office requesting time. That
9	said, we set aside 15 minutes for comments from
10	members of the public attending or listening to our
11	meetings. Written comments are also welcome.
12	The meeting agenda for today's meeting was
13	published on the NRC's public meeting notice website,
14	as well as on the ACRS meeting website.
15	On the agenda for this meeting and on the
16	ACRS meeting website are instructions as to how the
17	public may participate. No requests for making a
18	statement to the Subcommittee has been received from
19	the public.
20	Due to COVID-19, we are conducting today's
21	meeting virtually.
22	A transcript of the meeting is being kept
23	and will be made available on our website. Therefore,
24	we request that participants in this meeting, first,
25	identify themselves, who they are, and if they
	1 I I I I I I I I I I I I I I I I I I I

(202) 234-4433

	6
1	represent an organization, to let us know that; and
2	speak with sufficient clarity and volume, so that they
3	can be readily heard.
4	All presenters, please pause from time to
5	time to allow members to ask questions.
6	Please also note the slide number you are
7	on when moving to the next slide.
8	We have the MS Teams phone line audio-only
9	established for the public to listen to the meeting.
10	Based on our experience from previous
11	virtual meetings, I would like to remind the speakers
12	and presenters to speak slowly.
13	We will take a short break after each of
14	the presentations to allow time for screen-sharing and
15	changing of presenters, as well as at the Chairman's
16	discretion during longer presentations.
17	Lastly, please do not use any virtual
18	meeting feature to conduct sidebar technical
19	discussion, but, rather, contact the DFO if you have
20	any technical questions, so we can bring those to the
21	floor.
22	We now proceed with the meeting. I will
23	ask Mr. Samir Darbali, electronics engineer of the
24	Long Term Operations and Modernization Branch,
25	Division of Engineering and External Hazards, in the
I	1

(202) 234-4433

	7
1	Office of Nuclear Reactor Regulation, to share his
2	screen with us, while Mr. Eric Benner, the Director of
3	the Division of Engineering and External Hazards in
4	the Office of Nuclear Reactor Regulation, will make
5	some introductory comments before we begin today's
6	presentations.
7	Also, Mr. Bhagwat Jain, known as "BP"
8	normally, Senior Project Manager of the Plant
9	Licensing Branch, the Division of Operating Licensing
10	in the Office of Nuclear Reactor Regulation, will also
11	provide some background information.
12	With that
13	DR. BLEY: Hey, Charlie?
14	CHAIRMAN BROWN: Yes, Dennis?
15	DR. BLEY: Yes, just a quick question
16	before we get started. Can you refresh my memory a
17	little. We had meetings and talked about this some
18	time ago. Were we expecting to get a new version
19	here? I guess I would ask the speakers, anything
20	that's really changed substantially to emphasize that,
21	as you go through it.
22	CHAIRMAN BROWN: You mean a new version of
23	the outline? We do not have a copy of the SECY.
24	That's in preparation.
25	DR. BLEY: Okay.

(202) 234-4433

	8
1	CHAIRMAN BROWN: All we have is the
2	outline and the two presentations, or at least the NRC
3	presentation will cover in the slides how they are
4	proposing to address introducing the risk-informed
5	approach, but integrated with the current approach.
6	DR. BLEY: Okay. Thanks.
7	CHAIRMAN BROWN: So, I think it's going to
8	be a productive it sounds like a productive
9	meeting, and it looks like they responded to our
10	request in terms of how do we identify what we're
11	doing. Okay?
12	And then, NEI will also be making a
13	presentation, after NRC makes their presentation, with
14	their view of how it should proceed.
15	Does that answer your question, Dennis?
16	DR. BLEY: It does. That was very
17	helpful. Thanks, Charlie.
18	CHAIRMAN BROWN: Okay. Now where am I?
19	Okay. With that, Eric, would you like to
20	start your comments? And I presume BP is going to be
21	presenting, is that correct?
22	MR. JAIN: That is correct, yes.
23	CHAIRMAN BROWN: Okay. Eric, would you
24	like to go ahead and make some opening comments or
25	not?
	1 I I I I I I I I I I I I I I I I I I I

(202) 234-4433

	9
1	MR. BENNER: I would. Thank you.
2	CHAIRMAN BROWN: All right.
3	MR. BENNER: Thank you, Member Brown.
4	Your characterization of where we are at
5	in this process is correct. You were, strictly
6	speaking, just provided an outline of the paper, but
7	I think the combination of the outline and the
8	substance in the presentation slides, while you don't
9	have a Commission paper before you, we're going to
10	cover in a fair amount of detail the substance that we
11	are planning on putting into the Commission paper.
12	Now, obviously, we will get feedback through this
13	mechanism and through the full Committee meeting, and
14	we have a public meeting scheduled for June 8th. So,
15	we will assess that feedback to see if course
16	corrections are necessary.
17	But we think it is time for this. And if
18	you recall, we did a Commission paper in 2018 that
19	said at that time that we didn't believe that the
20	applicable policy which is contained in the Staff
21	Requirements Memorandum to SECY-93-087 needed to be
22	changed because we kind of felt that all the
23	initiatives we had going on, it wasn't an impediment.
24	Now those initiatives are mostly done.
25	And as we've moved forward, and in addition, with a

(202) 234-4433

proposal we got from industry, we believe it is the right time to take a hard look at that policy and look at how we could better incorporate the use of risk insights.

5 And we think this has two benefits. One, a more risk-informed approach would be an obvious 6 7 benefit. The second is, you know, we have all had the 8 discussion about the balance between simplicity and 9 diversity in digital I&C design. So, while diversity 10 is still an important component for addressing software CCF, and certainly, there likely would be 11 situations where we still would require diversity, 12 situations 13 there may be other where requiring 14 diversity is not necessarily the right option because 15 of the increased complexity that comes with that.

So, I think Samir and some of the other staff -- we have a broad set of staff who've been working on the working group for this, and Samir is going to highlight some of those people.

20 So, we've had people with different skill 21 sets come to this working group to say, what is the 22 best way to incorporate an option for using risk 23 insights, greater use of risk insights, into this 24 policy?

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

So, with that, I will turn it over to

(202) 234-4433

25

1

2

3

4

	11
1	Samir to kick off the detailed presentation.
2	CHAIRMAN BROWN: Okay. But, before Samir
3	starts, I would just like I did go through your
4	slides. I really appreciated them providing, your
5	staff providing them to us to take a look at, so we
6	would have a sense of where you all were going.
7	Because it wasn't real clear from looking at the
8	outline.
9	MR. BENNER: That's understandable.
10	CHAIRMAN BROWN: Okay. And that's not a
11	problem. It's just an observation. And I think the
12	slides provide we may have differing opinions in
13	some ways, which we will, but I think that ought to
14	highlight some interesting discussion, as we go
15	through and even at the end.
16	My intention I have hardly any
17	restraint at all during these meetings, as you've
18	probably observed before I will try to restrain
19	myself, as I go through, because I think the slides do
20	present a good, complete picture of how you're trying
21	to accomplish it.
22	Actually, one of my main concerns was
23	losing 7-19 because I don't want to lose that. But,
24	yet, you all addressed that, and how you do it is
25	presented in these slides. And we may have a few
1	I Contraction of the second

(202) 234-4433

	12
1	questions on that, but at least the words you had in
2	there say, hey, we're not throwing away the baby with
3	the bath water here, which I think is an important
4	thing to have done.
5	So, anyway, I'll go ahead and pass on, and
6	I will try to restrain myself. Hopefully, Dennis will
7	also. That's okay, Dennis, do what you want.
8	MR. BENNER: No, no restraining. We like
9	the rank conversation. We appreciate the feedback
10	from the Committee on previous activities.
11	CHAIRMAN BROWN: Okay.
12	DR. BLEY: We can go to that when you
13	speak for yourself, Charlie.
14	(Laughter.)
15	CHAIRMAN BROWN: I have a hard time, as
16	you're well aware of.
17	So, go ahead. Samir, you have the floor.
18	Thank you, Eric.
19	MR. BENNER: Thank you.
20	MR. JAIN: This is BP, then. I will
21	introduce
22	CHAIRMAN BROWN: Oh, BP, I'm sorry, I
23	forgot. I knew you wanted to do some intro also.
24	MR. JAIN: Yes, yes.
25	CHAIRMAN BROWN: Go ahead.
	I contract of the second s

	13
1	MR. JAIN: Yes, yes.
2	Well, good afternoon, Charlie and
3	everybody else.
4	My name is BP Jain, and I'm the Senior
5	Project Manager in NRR's Division of Operating Reactor
6	Licensing. Along with Michael Marshall, we perform
7	the project management of all things digital in NRR.
8	In today's meeting, the NRR staff will
9	present an outline of a SECY paper on potential
10	expansion of the current policy regarding CCF in the
11	digital I&C system.
12	Today's presentation is led by Samir
13	Darbali and is supported by Steve Alfernik and Norbert
14	Carte.
15	Norbert will present and discuss the
16	current path and the staff-proposed expanded CCF.
17	But, as you can see, the SECY paper is a collaborative
18	effort of several next slide, Samir yes, it's a
19	collaborative effort of several NRR Divisions and the
20	Office of Research and the Office of General Counsel.
21	Samir, the lead presenter, is I&C tech
22	staff in the Division of Engineering and External
23	Hazards, the DEX. Mr. Darbali is highly experienced,
24	as you know, in licensing and inspection of digital
25	I&C upgrades. He led the Division in Interim Staff

(202) 234-4433

	14
1	Guidance, ISG-06, and has made a significant
2	contribution to organize the agency's digital I&C
3	regulatory infrastructure.
4	Norbert, who will be presenting as well,
5	he's a Senior I&C Tech Staff Reviewer. He has a wide
6	range of nuclear and non-nuclear industry experience
7	in licensing and modification of the digital I&C
8	system. Norbert will present and discuss the current
9	path in the staff's proposed expanded CCF policy.
10	The third presenter who will assist Samir
11	is Dr. Steve Alfernik. He's a Reliability and Risk
12	Analyst in the Division of Risk Assessment. He's an
13	expert in risk assessment and is experienced in risk-
14	informed methods to support resolution of regulatory
15	issues. He will present and discuss the risk-
16	informing aspect of the staff's proposed expanded CCF
17	policy.
18	Now, with that, as we said before, the
19	staff is requesting the Committee's feedback on the
20	staff's proposed expanded CCF policy, and we look
21	forward to your comments and engagement.
22	With that, I will turn to Samir for his
23	presentation.
24	Samir?
25	CHAIRMAN BROWN: Before Samir starts, in

(202) 234-4433

	15
1	response, I do have a few thoughts on how you do your
2	implementation, but it's in line with what you all are
3	doing and I will save those for the end, so that
4	they're just compacting in one place in the
5	transcript.
6	So, we should go ahead and get started.
7	I just wanted to let you know that, as you probably
8	suspected, I am not without thought processes here.
9	MR. JAIN: Thank you. Thank you, Charlie.
10	CHAIRMAN BROWN: Okay. No, thank you.
11	Appreciate it.
12	MR. JAIN: Samir?
13	MR. DARBALI: Okay. Thank you.
14	So, this slide shows the topics that we'll
15	be presenting today. We'll cover the key messages;
16	the background of our work activities; the subject and
17	purpose of the Draft SECY paper, and the proposed
18	expanded policy that allows for following the current
19	path or a risk-informed path. And we'll end with a
20	status update on the Draft SECY paper and the next
21	steps.
22	I am now on slide 5.
23	As we all know, nuclear power plants
24	continue to replace aging I&C safety systems with
25	modern digital I&C technology. While digital I&C
	1

(202) 234-4433

	16
1	technologies provide increased reliability and safety
2	benefits, they can also introduce new types of
3	potential systematic and non-random concurrent
4	failures of redundant elements; also known as common-
5	cause failures or CCFs.
6	SRM-SECY-93-087 describes the NRC position
7	on defense against potential common-cause failures and
8	digital I&C systems. And we recognize that the SRM
9	and the SECY both use the term common-mode failure,
10	and we'll talk about these in a later slide.
11	The SRM directs that, if the defense-in-
12	depth and diversity assessment show that a postulated
13	CCF could disable a safety function, then a diverse
14	means, which may include manual actions, shall be
15	provided to perform that safety function or a
16	different function.
17	Now the staff has been expanding the use
18	of risk-informed approaches as much as it is allowed
19	by SRM-SECY-93-087. However, this SRM, which we
20	recognize is about 30 years old, does not allow for
21	the use of a risk-informed approach to determine
22	specific circumstances that would not require a
23	diverse means for addressing digital I&C CCF.
24	Because of this, the staff is developing
25	a SECY paper that will provide recommended language
	I contract of the second se

(202) 234-4433

	17
1	for an expanded policy which allows for greater use of
2	risk-informed approaches to address digital I&C CCF
3	for high safety-significant systems.
4	I am now on slide 6.
5	So, this slide shows the key messages for
6	the staff's work to expand the policy. The proposed
7	expanded policy will encompass the current points of
8	SRM-SECY-93-087 with clarifications and expand the use
9	of risk-informed approaches. And the use of risk-
10	informed approaches will be expected to be consistent
11	with the Commission's safety goal policy statement;
12	the Commission's PRA policy statement, which provides
13	the Commission's direction on the use of PRA methods
14	in regulatory matters, and SRM-SECY-98-144, which
15	provides the Commission's expectation and definition
16	of key terms for risk-informed and performance-based
17	regulations. And finally, the current underlying CCF
18	policy will continue to remain a valid option for
19	licensees and applicants.
20	I am now on slide 7, and we'll discuss
21	some background information.
22	So, consideration of the possibility of
23	CCFs in the design protection system has been an NRC
24	concern since the mid-1960s. In the late 1970s, the
25	NRC started receiving applications that included
	I

(202) 234-4433

	18
1	digital I&C as part of the protection systems, which
2	differ significantly from the analog systems
3	previously used.
4	In the early 1990s, digital I&C rose to a
5	new level of concern as a new source of potential CCF.
6	SECY-91-292 explained the staff's concern regarding
7	the use of digital I&C in evolutionary and advanced
8	light water reactors.
9	The NRC's current digital I&C CCF policy
10	is expressed in various documents, which include
11	SRM-SECY-93-087, SECY-18-0090, and BTP 7-19, the
12	latest revision being Revision 8.
13	Again, the staff recognizes that
14	SRM-SECY-93-087 was issued almost 30 years ago, and
15	since then, there have been many advances in the
16	digital I&C design development practices and quality
17	assurance tools. Given that, digital I&C CCFs still
18	remains an area of concern.
19	I am now on slide 8.
20	So, the current effort is being driven by
21	the agency's move towards being a modern, risk-
22	informed regulator. And so, the staff is following
23	the 1995 PRA policy statement and the SRM-SECY-98-144.
24	This work is also part of the agency's
25	effort to modernize the digital I&C regulatory
	I

(202) 234-4433

	19
1	infrastructure. As I mentioned earlier, the staff has
2	been expanding the use of risk-informed approaches as
3	much as it is allowed by SRM-SECY-93-087.
4	As part of the Digital I&C Integrated
5	Action Plan, the staff issued guidance in BTP 7-19,
6	Revision 8, and RIS 2002-22, Supplement 1, on risk-
7	informed graded approaches to address digital I&C CCF
8	for low safety-significant safety systems.
9	The staff believes that this is an
10	appropriate time to expand the current policy on the
11	underlying CCF to include the use of risk-informed
12	approaches for high safety-significant safety systems.
13	So, I am now on slide 9, which covers the
14	subject and the purpose of the SECY paper.
15	The subject of the SECY paper is
16	"Expansion of Current Policy Regarding Potential
17	Common-Cause Failures in Digital I&C Systems"
18	DR. BLEY: Samir?
19	MR. DARBALI: Go ahead.
20	DR. BLEY: This is Dennis Bley.
21	Not to be argumentative, but in that
22	history you just went through, it wasn't so much a
23	characteristic of digital I&C systems common-cause
24	failure, I think, but that, with the digital I&C
25	systems, we were seeing levels of integration of

(202) 234-4433

	20
1	controlling safety systems that we never saw before,
2	such that common-cause failure could affect many more
3	parts of the plant at one time. I think that was
4	really the concern that drove it.
5	What do you think about that?
6	MR. DARBALI: That's correct, Dennis. We
7	agree with that.
8	Any other questions, comments?
9	CHAIRMAN BROWN: Yes. Me.
10	I wanted to expand on Dennis' comment
11	because he's right on the mark.
12	Just to provide a mental calibration, if
13	you can think about it this way, in the analog
14	systems, each and every instrument had its own channel
15	with a detector, an amplifier, and then, it fed some
16	information out to meters and/or a voting unit of some
17	kind normally, relays.
18	In a typical plant and I will pick on
19	plants I know you could have up to four or five
20	pressure detectors, four or five level items for
21	sometimes, depending on how much you wanted, you had
22	four or five temperature between cold and hot legs.
23	Then, you had level detectors, where you also had to
24	integrate those into the system. So, you,
25	effectively, had somewhere in the neighborhood of 30
	1

(202) 234-4433

	21
1	to 40 defense-in-depth, independent items.
2	I will tell you, when I had to start
3	introducing this into the Navy program and this is
4	not naval nuclear propulsion information at all; it's
5	strictly in the design-type stuff we had to make a
6	decision, how do we start out? And we made the
7	decision to literally just take out the amplifier and
8	put in a microprocessor. That's all we did.
9	So, we still had 30 or 40 independent
10	paths, which, then, could send out, actually, a
11	hardware-based, fast-able-type up, you know, high or
12	low signal to a voting unit. No voting units were
13	microprocessors with one exception, but that's a
14	side point, another project.
15	So, Dennis was right on because now, after
16	we did that first project, another project came along,
17	and we had to figure out how we now know what we did
18	and how do we integrate, you know, go down to four
19	divisions, similar to what you have in the commercial
20	world or what you're looking at with the integration
21	of processors.
22	So now, you've got four major paths, and
23	the only way you can complement that is by having
24	independent detectors for each of those divisions,
25	which, then, provides you some additional defense-in-
	I contract of the second se

(202) 234-4433

	22
1	depth. And by running those asynchronously, so that
2	they're not timed the same, you have an additional
3	path, that not everything's being processed the same
4	in every channel going through it. So, there's a lot
5	of delays.
6	So, the point there comes at, what are the
7	vulnerabilities once you integrate? And you have to
8	kind of figure out, where is the problem with the
9	integration? And the real problem with the
10	integration now, you've got better algorithms, you've
11	got all the other better stuff you can do, but some
12	improvements even that that integration brings you.
13	And fundamentally, if you look at it, the

13 biggest efficiency with the processors is they can 14 15 lock up, based on corrupt data, or if you have an interrupt-driven microprocessor, you never know what 16 17 it's doing. And you might be in the process of doing something and it stops and runs off somewhere; it 18 doesn't come back because it gets confused. Just like 19 when you move your mouse or your touchpad, and all of 20 21 a sudden, the pointer's not moving anymore, the only 22 way to recover is turn everything off.

And so, you bring in the thought process of watchdog timers, such that, if you don't complete a cycle within 100-200 milliseconds, it resets

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

	23
1	everything automatically. Sometimes it's more than
2	that time, depending on the nature it depends on
3	how much complex software you have. Today's
4	commercial software can take, as we've known on one
5	project, 5 to 10 minutes to reset.
6	And if you have a simple software
7	operating system where you don't have all the stuff
8	branching up and doing stuff you don't need to to meet
9	a commercial need, you can do it in the matter of 200
10	to 300 milliseconds, which is consistent with analog
11	equipment.
12	So, those were the major real failure
13	modes that you had to look at and how you address.
14	Now we came down in terms of looking, there was no
15	way, even with our resources, of making sure that
16	every line of code, which we did examine, was going to
17	be perfect all the time and not have some glitch
18	somewhere.
19	So, the diverse thought process rolls into
20	the picture about that point. So, from our
21	standpoint, we understood and we were looking at
22	what the commercial world was thinking about when they
23	just came in, although they didn't do much back in the
24	late seventies and early eighties; whereas, we did.
25	So, how do you introduce that diversity is
	I

(202) 234-4433

an interesting thing. We've at this point -- and I'll 1 just introduce this now -- we've had four new design 2 3 projects: AP1000, APR-1400, NuScale, and Diablo 4 Canyon. 5 The struggle on AP1000 was a struggle because there was very little detail. 6 On APR-1400, or on Diablo Canyon rather, 7 I guess they springboarded from some of the stuff we 8 9 did, and they came in. It was pretty simple, very 10 straightforward, easy to understand. APR-1400 was more complex, much more 11 It had a lot of diversity in it --12 complex. Can somebody turn off their mic in the 13 14 background? Thank you. 15 Who is that, anyway? It looks like Aaron Green. 16 MR. BENNER: 17 Can you mute your mic? He's obviously on the CHAIRMAN BROWN: 18 19 phone. 20 Thank you. I lost my train of thought here. 21 Where was I? 22 MR. DARBALI: You were going through the 23 24 past examples, I think --25 CHAIRMAN BROWN: Oh, yes, yes.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

www.nealrgross.com

24

	25
1	DR. BLEY: You were on 1400.
2	CHAIRMAN BROWN: Oh, APR-1400, I said it
3	works nicely, but it is more complex. There's a lot
4	of diversity in there.
5	NuScale took a separate thing with the
6	FPGAs and were able to simplify the amount of
7	diversity they have much more straightforward, and
8	you don't have "software software." It's literally
9	you program it and it's burned in, depending on how
10	you want to look at volatile and non-volatile Field-
11	programmable Gate Arrays.
12	So, I guess I'm just trying to get people
13	to think about bearing that in mind, that diversity is
14	all in the eyes of the beholder. You can go overboard
15	or you can use a design approach that really ends up
16	and that's about all they have. But it went
17	through the design, your all's approval process, and
18	the ACRS review APR-1400 and NuScale and Diablo
19	Canyon through the Subcommittee, one full
20	Committee. Everything was approved.
21	Very, very smooth, because they took what
22	we talked about in ISG-06, when we started to
23	introduce the focus on the architecture. It's got to
24	be the lead-in on all of these. You can't do defense-
25	in-depth; you can't diversity, without having a well-
1	I Contraction of the second

(202) 234-4433

	26
1	defined architecture.
2	And when I saw your all's proposals,
3	that's what I was worried about, that we would somehow
4	deviate and move away from the thought process of how
5	we start.
6	So, anyway, that's just a little
7	background of my thought process.
8	So, I'll let you go on now. Please go on.
9	Thank you for bearing with me.
10	MR. DARBALI: I appreciate the background,
11	Chairman, because I think you characterize very well
12	that each common-cause failure and how it's addressed
13	has been done in different ways in the last 30 years.
14	And so, that's one of the things we've been
15	considering as we've been working on expanding the
16	policy. So, I appreciate that.
17	CHAIRMAN BROWN: We did do that in the
18	naval nuclear program, but I can't tell you how we did
19	it. That's classified. And it worked. And it was
20	very simple.
21	All right. Go ahead. I'm sorry.
22	MR. DARBALI: Yes, thank you.
23	So, we were going through the purpose of
24	the proposed SECY paper or the Draft SECY paper, which
25	is to provide the Commission a recommendation on

(202) 234-4433

	27
1	expanding the current policy to include the use of
2	risk-informed approaches for addressing digital I&C
3	and CCFs.
4	This recommended expanded policy will
5	encompass the current position in SRM-SECY-93-087 and
6	the use of risk-informed approaches to determine the
7	appropriate level of defense-in-depth and diversity to
8	address digital I&C CCF.
9	We're now on slide 10, to discuss the
10	proposed expanded policy.
11	The staff is proposing a single expanded
12	policy that will include the current position in
13	SRM-SECY-93-087 and provides for risk-informed
14	approaches. The expanded policy includes the position
15	in points one, two, and three of SRM-SECY-93-087 with
16	appropriate clarifications and corrections from
17	SECY-18-090. It will also include the position in
18	point four of SRM-SECY-93-087 with appropriate
19	clarifications, and will include the addition of risk-
20	informed approaches to points two and three. This
21	expanded policy will provide for the deterministic
22	demonstration of adequate diversity and the
23	flexibility to use risk-informed approaches.
24	And in the next slide, I will show some
25	DR. BLEY: Samir?
1	1 I I I I I I I I I I I I I I I I I I I

(202) 234-4433

	28
1	MR. DARBALI: Go ahead.
2	DR. BLEY: May I ask you this is Dennis
3	again.
4	As you were doing this work, did you look
5	at all at the NEI document on the LMP about how they
6	look at those same issues?
7	MR. DARBALI: Are you referring to
8	NEI 20-07?
9	DR. BLEY: No. It's something 04.
10	MEMBER PETTI: NEI 18-04.
11	DR. BLEY: 18-04, yes.
12	MR. DARBALI: 18-04? I don't recall. If
13	somebody in the working group
14	DR. BLEY: Okay. It's, essentially, a
15	plan for doing a risk-informed approach to licensing.
16	But, in there, they looked at the issues on diversity,
17	and a couple of other things you mention in your last
18	slide, in ways that it combined both administrative
19	and technical thoughts that probably should factor
20	into your paper. I think it would be helpful.
21	Anyway, something you can look at.
22	MR. DARBALI: Yes, I appreciate that.
23	Thank you.
24	Okay. So, the next slide will show how
25	the proposed expanded policy will look, and that's on

(202) 234-4433

	29
1	slide 11.
2	So, this figure represents the proposed
3	expanded policy. Again, it's composed of four points
4	that provide for two paths to address digital I&C CCF.
5	The text itself in the points will read as four points
6	one, two, three, and four. And points two and
7	three will allow for the option to follow the current,
8	the deterministic path or a risk-informed path.
9	So, on the left in green is the current
10	deterministic path. Again, it's made up of the four
11	points of SRM-SECY-93-087 with some clarifications.
12	And this path allows for the use of best estimate
13	analyses and diverse means to address a potential
14	digital I&C CCF.
15	On the right, on the orange-peach color,
16	is the risk-informed path, which incorporates points
17	one and four of SRM-SECY-93-087 with clarifications,
18	and provides in points two and three for the use of
19	risk-informed approaches. The risk-informed path
20	allows for the use of risk-informed approaches and
21	other design (audio interference) or measures of the
22	diversity to address a potential digital I&C CCF.
23	Again, the text will read as four points.
24	Any questions?
25	MEMBER PETTI: Yes, just to clarify in my

(202) 234-4433

www.nealrgross.com

mind, so this risk-informed path is sort of a thought 1 process similar to 50-69 where one's looking at risk 2 3 and delta risk to kind of make sure that you've got 4 adequate protection against CCF, but not excessive 5 protection, where you've got, you know, very little increase in risk, and so, you don't need it? So, it 6 7 helps to balance your design space in a sense to optimize your solution relative to overall risk? 8 9 MR. DARBALI: Right. And Steve will cover 10 the details of points two and three in the following slides. 11 MEMBER PETTI: Oh, great. Great. Thanks. 12 MR. DARBALI: Yes. 13 Sure. 14 And again, after this slide, I'll be 15 turning it over to Norbert. He'll be covering the current path, and then, Steve will cover the risk-16 17 informed path. So, I'll now turn it over to 18 Okay. 19 Norbert. 20 MR. CARTE: Next slide, please. Let's go to slide 13. 21 So, I'm Norbert Carte, an I&C Technical 22 Reviewer in the Office of NRR. I've been working in 23 24 NRR for almost 20 years doing licensing of digital I&C 25 systems.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

30

	31
1	So, as was stated many times previously,
2	we intend to leave the current path in place and as a
3	viable option. And that current path consists of four
4	points and some guiding principles in SECY-18-090.
5	The four points are, basically, that you
6	will assess the defense-in-depth and diversity of the
7	I&C system; a particular manner in which you'll
8	analyze the impact of common-cause failure that is,
9	you postulate the common-cause failure in the presence
10	of a design basis event using best estimate methods.
11	If the CCF could disable a safety function, then the
12	diverse means is required. Finally, the fourth point
13	is that you would have a diverse set of displays and
14	controls.
15	Next slide, please.
16	So, one of the things that happens and
17	I'll touch a little bit on Charlie's point here; it's
18	a little bit of a deviation but, in essence, the
19	whole licensing approach that we have was envisioned
20	in the 1960s, and it was based on a simple set of
21	siloed systems. And in that sense, looking at
22	diversity within a particular echelon, like the I&C,
23	within a particular context, is appropriate.
24	However, once you start changing your
25	system design or systems of systems design, it may no

(202) 234-4433

	32
1	longer be appropriate to look just at diversity within
2	a particular echelon, and maybe you want to look at
3	the big picture. And that's kind of why we're looking
4	at doing risk-informed. But that's just addressing
5	Charlie's point a little bit.
6	Next slide, please. Slide 15.
7	So, what we're doing is we are providing
8	some clarification of the current policy language.
9	We're not trying to change anything. We're trying to
10	reflect how it's being implemented today.
11	So, we use the term "common-cause" rather
12	than "common-mode" failure, predominantly. As
13	mentioned with respect to Charlie's point, we want to
14	emphasize that the facility is adequately protected,
15	not that there's adequate diversity within the I&C
16	equipment. There's maybe a little nuance there. And
17	again, we're adding defense-in-depth, where
18	appropriate, to focus on it's the defense depth and
19	diversity of the facility that needs to be ensured to
20	be adequate to provide reasonable assurance of
21	adequate safety.
22	Next slide, please.
23	Okay. So, I'll discuss the risk-informed
24	path a little bit.
25	Well, points one and four are the same.
	I Contraction of the second

(202) 234-4433

	33
1	So, I'll talk about those.
2	So, next slide, please. We're now on
3	slide 18.
4	So, right now, the current policy is that
5	you will assess
6	CHAIRMAN BROWN: Norbert, could you back
7	up again, please, to 15?
8	MR. CARTE: Okay.
9	CHAIRMAN BROWN: Bullet one is fine.
10	Okay? I guess bullet two is where it focuses on
11	proposed I guess would argue a little, not argue,
12	have a slightly different viewpoint. Right, the
13	current language focuses on the proposed I&C system;
14	that it's the diversity in that system which is used
15	to ensure that you have defense-in-depth within the
16	facility.
17	I mean, diversity, I don't know what you
18	mean by "diversity of the facility." I mean, you've
19	got
20	MR. CARTE: Well
21	CHAIRMAN BROWN: Let me finish quick.
22	I mean, you've got diversity in depth.
23	You've got multiple just use an LWR as an example,
24	okay, because that's what we're familiar with right
25	now. You've got multiple trains of safeguards.

(202) 234-4433

```
www.nealrgross.com
```

	34
1	You've got multiple trains of reactor trip functions.
2	So, those are defense-in-depth approaches, but in
3	order to make sure they work, what was being done is
4	you had to have some diversity within those in order
5	to get there and make sure the reactor was safe.
6	So, I struggle a little bit with changing,
7	you know, adding the word "facility" in there, because
8	I'm not quite sure how this defense-in-depth and
9	diversity of the facility, you know, how do you
10	incorporate that into the I&C system? That, I
11	struggle with it. I'm just telling you that right off
12	the bat.
13	MR. CARTE: Well, right. So, part of the
14	thing which gets difficult here is sometimes the words
15	are used by different disciplines in different
16	manners. So, if you talk to the PRA guys, defense-in-
17	depth includes redundancy and diversity. But if you
18	talk to the I&C guys, we think of redundancy as
19	something separate and diversity is something separate
20	from defense-in-depth.
21	But the idea of that particular phrase,
22	defense-in-depth at the facility, we want to make sure
23	that the facility is adequately protected. And there
24	will always be some required diversity. 603 and 279
25	both require a manual actuation of a system-level
l	I contraction of the second

(202) 234-4433

www.nealrgross.com
	35
1	actuation, push button. So, you will always need to
2	have the the operator will always have the ability,
3	unless they take an exception to 603 or 279, to
4	manually initiate a protective function.
5	The real question is whether there's
6	sufficient time for the operator to do that, and
7	whether a diverse automatic means is also necessary.
8	So, there will always be diversity. But the question
9	is, when do you need automatic diversity to initiate
10	a protective function?
11	And we want to encourage looking at the
12	overall facility rather than just well, the current
13	philosophy is for a certain set of plants and a
14	certain design scheme, then you make sure you have a
15	certain level of diversity within the protection
16	system.
17	You may want, for other designs, you may
18	want more diversity or you may want less diversity.
19	For instance, it's been explained to me that the CANDU
20	reactor has a positive power coefficient. And they
21	have two triple-redundant diverse trip systems because
22	they feel they need more diversity than we have. But
23	that's because they have a positive power coefficient.
24	Now, some plants in the U.S. do have
25	positive power coefficients during a limited range of

(202) 234-4433

	36
1	operation, but, predominantly, they weren't designed
2	that way. So, you may want more diversity and, given
3	the inherent safety of the facility, you may want less
4	diversity.
5	So, it's diversity in the context of
6	defense-in-depth to ensure the facility is adequately
7	protected. And I think that's what we're trying to
8	adopt in the risk-informed approach. We're trying to
9	allow for that.
10	So, by allowing the current approach, that
11	is always acceptable. But if you're going to
12	radically different designs, then maybe you have a
13	risk-informed approach that looks at the bigger
14	picture.
15	CHAIRMAN BROWN: I don't disagree with
16	well, let's put it this way: I agree with your not
17	that I don't disagree, since that's a double negative
18	I agree with your thought process. But you've
19	commented that defense-in-depth and diversity are
20	different. I, actually, have always viewed diversity
21	as an element of defense-in-depth because there are
22	parts you can develop a defense-in-depth design,
23	but, yet, when you look at it, there may be an element
24	where you have some concern, such as replacing all the
25	amplifiers with microprocessors, not using a main

(202) 234-4433

operating loop processing systems, where it's a fixed time, always does it, and there's no interrupts, zero interrupts, and then, you substitute interrupt systems where you never know when the system is going to come back to the main path, or it may lock up and get confused.

So, those are all defense-in-depth paths, but, yet, in order to make the defense-in-depth path work, we've introduced diversity into the individual divisions to ensure that you're okay.

So, I'm just quibbling a little bit with 11 the idea that diversity is not an element of defense-12 in-depth, because I think it is an element. 13 I'm not 14 saying you can't do without -- I can make a design, I 15 can make an assumption and do a design, and actually made those decisions at one time, did we want to 16 17 continue doing what we were doing for a diverse trip function? And we decided to do it anyway. 18

Even though we didn't think we had a problem, based on the design and the elements of the design, and the depth of the defense-in-depth, if you want to call it that, but we went ahead and did what we had been doing otherwise because it was a good idea. So, I mean, that's --

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

MEMBER DIMITRIJEVIC: If I can add from

(202) 234-4433

25

1

2

3

4

5

6

	38
1	the PRA perspective, because it was very well said by
2	the presenter.
3	From the PRA point of view, having three
4	breakers is not diversity; it's redundancy. Diversity
5	would be if they're made by different manufacturers;
6	they're in a different location; you have different
7	maintenance, you know, use different lubricants.
8	That's diversity.
9	CHAIRMAN BROWN: I agree.
10	MEMBER DIMITRIJEVIC: So, PRA has a
11	slightly different, obviously, terminology. So,
12	diversity is there to prevent the common-cause
13	failure. Redundancy is number of available trains.
14	So, both diversity and redundancy contribute to the
15	that.
16	CHAIRMAN BROWN: Yes, I totally agree with
17	you, Vesna. I don't disagree.
18	And I can tell you that there were designs
19	where the diversity we cranked in, it was a totally
20	different setup. And it's, actually, that mode of
21	operation is actually implemented in one of the
22	project designs that we looked at.
23	MEMBER DIMITRIJEVIC: Right.
24	CHAIRMAN BROWN: So, I mean, it was like
25	having two different design breakers.

(202) 234-4433

	39
1	MEMBER DIMITRIJEVIC: Right, right.
2	CHAIRMAN BROWN: Okay?
3	MEMBER DIMITRIJEVIC: No, I was just
4	referring to the slight differences in the terminology
5	between the PRA folks and the
6	CHAIRMAN BROWN: Yes. No, that's good.
7	I appreciate that. I appreciate that.
8	And I agree with you. Two different
9	design breakers is diversity. Having two or three
10	breakers of the same design is not diversity. It's
11	defense-in-depth. I totally agree with your if
12	that's the way you think or the PRA people think.
13	That's the way I think, also.
14	MEMBER DIMITRIJEVIC: And I said
15	redundancy. Defense-in-depth is both. You have to
16	have redundancy and it has to be diverse.
17	CHAIRMAN BROWN: Yes, I agree with you.
18	Okay. Go ahead, Norbert.
19	DR. BLEY: No, I'd like to interrupt. I'm
20	sorry.
21	CHAIRMAN BROWN: Oh, go ahead, Dennis. Go
22	ahead.
23	DR. BLEY: Norbert, you and maybe both the
24	previous speakers have over and over again talked
25	about SRM-SECY-93-087 and points one, two, and three.
	1

(202) 234-4433

	40
1	And when I look through SRM-SECY-93-087 and its
2	attachment, I'm not quite sure what you're talking
3	about. The nice diagram we had in the previous talk
4	would have made sense if I really understood what
5	points one, two, and three were. Can you give me a
6	short description? Because I don't see them jumping
7	out at me.
8	MR. CARTE: Can we go to slide 13, Samir?
9	So, points one, two, three, and four in
10	essence, point one is the applicant "shall assess the
11	defense-in-depth and diversity of the system." So,
12	it's really an overarching requirement to do an
13	assessment.
14	And point two is, in that assessment, they
15	shall analyze it's the process for doing the
16	assessment they'll analyze each common-mode failure
17	in the presence of each design basis accident using
18	best estimate methods.
19	DR. BLEY: Okay.
20	MR. CARTE: And then, point three is sort
21	of the acceptance criteria that, if a CCF could
22	disable a safety function, then a diverse means with
23	a documented basis that it is diverse is required.
24	And point four is a set of operator
25	displays and controls are needed that are diverse and

(202) 234-4433

	41
1	independent from the automatic system.
2	DR. BLEY: Okay. I know we went through
3	this before, but we went kind of fast, and I didn't
4	remember them. And when I looked over the SECY, they
5	didn't jump out at me. So, I guess they're in there
6	somewhere.
7	MR. BENNER: Yes, Dennis, this is Eric
8	Benner. We can get you that. It's in an attachment.
9	DR. BLEY: I've got the attachments. I
10	was looking through it. But it didn't jump out
11	clearly at me.
12	MR. BENNER: Yes, it's 18.II.Q.
13	DR. BLEY: II.Q. II.Q.
14	MR. BENNER: Yes, "Defense Against Common-
15	Mode Failures in Digital Instrumentation and Control
16	Systems."
17	DR. BLEY: Ah, okay. Thank you
18	MR. BENNER: And then, there's four points
19	under there, and that's the four points we refer to.
20	So, you know, shame on us for not making it painfully
21	clear where it is in that document.
22	DR. BLEY: Well, that's a big document
23	and
24	MR. BENNER: Yes, yes, yes.
25	DR. BLEY: And they're not even numbered,

42 1 you know, when you get over to that document, but they're there. 2 3 Okay. Thank you. MR. BENNER: Okay. 4 5 MR. CARTE: And, Vicki, you have your hand 6 up? 7 MEMBER BIER: Yes. I just wanted to expand briefly on Vesna's point which I thought was 8 excellent. 9 And, in particular, one of the things that 10 I haven't heard discussed that may at least sometimes 11 be applicable is spatial separation. Obviously, 12 sometimes if you're trying to sense a certain thing, 13 14 there's only one place you can put the sensor or the 15 control, or whatever. But there are circumstances 16 where putting a device in a different location could 17 reduce the risk of high heat or dust, or whatever. And is that relevant to this or not really? 18 19 MR. CARTE: It's not necessarily relevant to this particular policy. So, in reality, what 20 happens is the current plants have their sensors in 21 the current locations. So, we're not going to change 22 that. 23 24 In new plants, 603 does require separation in order to achieve independence. So, separation is 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

	43
1	one of the criterias to achieve independence, but
2	that's not really what we think of in terms of
3	diversity.
4	MEMBER BIER: Yes. Okay.
5	CHAIRMAN BROWN: Vicki, the separation
6	correct me if I'm incorrect, Norbert I thought on
7	one of my visits I was at the one plants and they
8	actually had parts of the I&C system in different
9	rooms to separate them, so that they couldn't both be
10	taken out with fire.
11	MR. CARTE: Some of the facilities have
12	that, yes.
13	CHAIRMAN BROWN: Yes. Okay.
14	MR. CARTE: AP1000 I think has that. Oh,
15	no, I mean APR-1400 has that; I know that.
16	CHAIRMAN BROWN: Yes.
17	MR. CARTE: I just forget which facilities
18	do.
19	But one of the problems is that they all,
20	in general, the cabinets end up being in the control
21	room in the end, anyway.
22	CHAIRMAN BROWN: Yes.
23	MR. CARTE: Part of all core divisions.
24	CHAIRMAN BROWN: That's what I've seen,
25	based on what I've seen in most of the new

44 1 applications. It's they're all up -they're 2 They're behind all the maintenance -separated. they're in a little separate area, but they are 3 4 virtually next to each other. If the control room 5 goes out, they go out. MR. DARBALI: Digital I&C common-cause 6 7 failure, that's a hardware aspect. And that's not changed, and that physical separation or hardware 8 common-cause failure is addressed in other documents. 9 CHAIRMAN BROWN: That's correct. 10 Thank you for reminding us. 11 Is that okay? Are you good with that, 12 Vicki, for right now? 13 14 MEMBER BIER: Yes. No, I appreciate the 15 explanation. I just wanted to raise that as a point. CHAIRMAN BROWN: That's fine. That's the 16 17 purpose of the meeting here -- to get everybody on the same page. 18 19 MR. CARTE: Samir, can we go to slide 15 again? 20 Vicki, your hand is still up. 21 Thanks for the 22 MEMBER BIER: Sorry. 23 reminder. 24 MR. CARTE: Not to belabor the point too much. 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

```
www.nealrgross.com
```

1 The difference between -- I agree with 2 what you said about diversity and being part of 3 defense-in-depth. It sometimes is sort of a pragmatic 4 issue. 5 So, the reason we sometimes think about 6 them differently is, when someone is replacing a 7 particular system, we don't really reevaluate the

8 other echelons of defense at the facility. We're just 9 looking that particular replacement system and whether 10 diversity is needed.

So, in that sense, we're not evaluating, 11 reevaluating the defense-in-depth of the facility. 12 We're just evaluating whether diversity is needed for 13 14 this particular set of equipment. So, in that way, 15 that's how we come to think of it as different things. 16 But, yes, I agree that defense-in-depth is 17 a philosophical mindset when you approach any problem. And it's approached at the facility level, and then, 18 19 also needs to be addressed within the I&C equipment at

20 the I&C level.

21 But, yes, all right. That's kind of why 22 we sometimes talk about it differently, though. But 23 let's --

> MR. DARBALI: Yes, if I could add to that? So, another reason why we focus on the

> > NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

24

25

46 1 facility is, if the facility already has another diverse system which could be ATWS, it could be 2 3 credited. Then, that could be credited as diverse to 4 the digital I&C safety system. And so, that's, in a 5 sense, why we look at the defense-in-depth and diversity of the facility with the incorporated 6 7 digital I&C system. 8 CHAIRMAN BROWN: Manual scram also falls 9 into that category. 10 MR. DARBALI: Correct. Timely manual actuation also falls --11 12 CHAIRMAN BROWN: Okay. You can proceed, Norbert. 13 14 MR. CARTE: Next slide, please. 15 MR. DARBALI: Eighteen. 16 MR. CARTE: Fifteen to 18. Okay. Ι 17 forgot what --(Laughter.) 18 19 MR. DARBALI: Yes, I'll show what we skipped. 20 What happened to 16? 21 CHAIRMAN BROWN: MR. DARBALI: Sixteen is risk-informed 22 23 path. 24 CHAIRMAN BROWN: Oh, there it is. So, you're on 17 now, right? 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

	47
1	MR. CARTE: Right. And so, we're now
2	transitioning into the risk-informed path, but we're
3	actually going to talk I'll talk a little bit about
4	points one and four, since they're the same. And
5	Steve will, then, talk about points two and three.
6	So, we believe point one does not preclude
7	the use of the risk-informed approaches to do a D3
8	assessment. And so, in essence, it doesn't need to be
9	changed. So, that's why we're not proposing any real
10	changes, except the minor wording changes we mentioned
11	previously.
12	And in point four go to the next slide,
13	slide 19 point four is consistent with current
14	regulations, and there's not much you would do to
15	change point four that wouldn't conflict with
16	regulations. So, effectively, there's no reason to
17	change point four.
18	Most plants are required to either in
19	operation today either meet 279-1968 or 279-1971,
20	and both of those require a manual scram or a manual
21	division-level actuation for every automatic actuation
22	there is. 603 requires the same thing. 279 requires
23	safety-related displays. 603 has slightly different
24	display requirements. Both 279 and 603 require the
25	use of minimum equipment in the manual actuation.
1	

(202) 234-4433

```
www.nealrgross.com
```

	48
1	Now, that is open a little bit to interpretation about
2	what is minimal equipment. But using the whole
3	reactor trip system may not be minimal.
4	And then, if you go to the general design
5	criteria, again, for light water reactors
6	CHAIRMAN BROWN: Norbert? Norbert?
7	MR. CARTE: Yes?
8	CHAIRMAN BROWN: Go back to that point you
9	just made. First, I want you to explain I'll give
10	my pitch or my perspective on that, but I want to make
11	sure I get it right.
12	You said it's I've forgotten your words
13	now. The manual actuations, it's a debate as to what
14	we mean by the most direct, or something like that.
15	MR. CARTE: Minimal of equipment is the
16	CHAIRMAN BROWN: Minimal equipment. And
17	for those who aren't familiar with that, arguments
18	have been made that, if an operator actuates a switch
19	in the main control room that, then, processes through
20	part of the electronics before it goes to the reactor
21	trip or the pumps or the SFAS system, whatever the
22	switch is, that is not direct enough.
23	In other words, typically, a manual the
24	diverse approach is you've got to have a hardware
25	switch. You bypass all the electronics. All the
	I contraction of the second seco

(202) 234-4433

	49
1	stuff that could give you a problem from CCF is
2	bypassed. So, you've got a switch in the control room
3	that de-energizes if you've got a (audio
4	interference) in your scram breakers, it de-energizes
5	the scram breakers. That's the direct path.
6	Some have argued that they can get away
7	with putting some other electronics in between, and
8	it's always a nasty discussion when they try that.
9	MR. CARTE: Right.
10	CHAIRMAN BROWN: Did I get that right,
11	Norbert?
12	MR. CARTE: That's correct. And what
13	happens, it's mostly a distinction between new
14	facilities and existing facilities.
15	Existing facilities predominantly have
15 16	Existing facilities predominantly have simple, independent, hard-wired manual switches today.
15 16 17	Existing facilities predominantly have simple, independent, hard-wired manual switches today. So, when they're replacing the reactor trip or SFAS
15 16 17 18	Existing facilities predominantly have simple, independent, hard-wired manual switches today. So, when they're replacing the reactor trip or SFAS system, they're not going to rip out their switches
15 16 17 18 19	Existing facilities predominantly have simple, independent, hard-wired manual switches today. So, when they're replacing the reactor trip or SFAS system, they're not going to rip out their switches and put in something else. So, in general, for
15 16 17 18 19 20	Existing facilities predominantly have simple, independent, hard-wired manual switches today. So, when they're replacing the reactor trip or SFAS system, they're not going to rip out their switches and put in something else. So, in general, for digital upgrades of existing facilities, this manual
15 16 17 18 19 20 21	Existing facilities predominantly have simple, independent, hard-wired manual switches today. So, when they're replacing the reactor trip or SFAS system, they're not going to rip out their switches and put in something else. So, in general, for digital upgrades of existing facilities, this manual switch is not an issue because they're just not going
15 16 17 18 19 20 21 22	Existing facilities predominantly have simple, independent, hard-wired manual switches today. So, when they're replacing the reactor trip or SFAS system, they're not going to rip out their switches and put in something else. So, in general, for digital upgrades of existing facilities, this manual switch is not an issue because they're just not going to touch them.
15 16 17 18 19 20 21 22 23	Existing facilities predominantly have simple, independent, hard-wired manual switches today. So, when they're replacing the reactor trip or SFAS system, they're not going to rip out their switches and put in something else. So, in general, for digital upgrades of existing facilities, this manual switch is not an issue because they're just not going to touch them. The problem comes in new reactor designs
15 16 17 18 19 20 21 22 23 24	Existing facilities predominantly have simple, independent, hard-wired manual switches today. So, when they're replacing the reactor trip or SFAS system, they're not going to rip out their switches and put in something else. So, in general, for digital upgrades of existing facilities, this manual switch is not an issue because they're just not going to touch them. The problem comes in new reactor designs and, as Charlie has pointed out, some people have
15 16 17 18 19 20 21 22 23 24 25	Existing facilities predominantly have simple, independent, hard-wired manual switches today. So, when they're replacing the reactor trip or SFAS system, they're not going to rip out their switches and put in something else. So, in general, for digital upgrades of existing facilities, this manual switch is not an issue because they're just not going to touch them. The problem comes in new reactor designs and, as Charlie has pointed out, some people have proposed that the manual trip switch is just another

(202) 234-4433

	50
1	digital input into the reactor trip system, which then
2	decides to trip, based on the operator's suggestion
3	that it should trip.
4	And I haven't been involved in the new
5	reactor designs, but, for certain things like a
6	reactor trip, it's really not that onerous to run a
7	pair of wires. There are other functions that could
8	get a little bit more complicated. Some of the ESF
9	functions, especially when you have sequenced actions,
10	you're talking about more wires, but, in essence, it's
11	really not that hard. And it's very practical.
12	So, let's go to the next slide to GDC 22.
13	Oh, sorry, we're there.
14	So, one of the things about GDC 22, it
15	says, "to the extent practical." And is it practical
16	to run one set of wires out to the trip breakers to
17	disconnect them? Yes, that's pretty practical. It's
18	hard to argue that that's not practical. So, there's
19	a strong case that can be made for a certain level of
20	diverse manual actuations.
21	Anyway, so we don't think that point four
22	needs to be changed and we think it's consistent with
23	current regulations. SECY 3 was the SRM was issued
24	in '93; 603 was incorporated into regulations in '99.
25	So, it was a little premature. So, the regulations
	1 I I I I I I I I I I I I I I I I I I I

(202) 234-4433

	51
1	have been updated, but the regulations are consistent.
2	So, there's no need to change point four in our
3	current position.
4	With that, I think we can transition to
5	Steve and point two. Next slide.
6	MR. ALFERNIK: Thank you, Norbert.
7	My name is Steven Alfernik. I'm a
8	Reliability and Risk Analyst in the Division of Risk
9	Assessment.
10	I am now on slide 20, and I will address
11	points two and three on the risk-informed path.
12	When discussing point two, it is important
13	to note that the current approach focuses on the
14	consequences of the digital I&C CCFs, but it does not
15	consider the likelihood of the accidents evaluated in
16	the Safety Analysis Report.
17	The staff considers point two to be
18	appropriate for risk-informing the evaluation of
19	postulated digital I&C CCFs. As Norbert discussed
20	earlier, point two contains acceptance criteria for
21	the evaluation of the postulated CCFs.
22	In developing the proposed expanded
23	policy, the staff's goal is that risk-informed
24	approaches will be consistent with all five principles
25	of risk-informed decisionmaking, as listed in
I	

(202) 234-4433

	52
1	Regulatory Guide 1.174.
2	Next slide, please. I am now on slide 21.
3	When discussing point three, it is
4	important to note that the current approach only
5	provides one way of addressing undesirable outcomes,
6	and that is diverse means.
7	The staff considers point three to be
8	appropriate for risk-informing the evaluation of
9	design techniques or prevention and mitigation
10	measures other than diversity that are implemented to
11	reduce the risk from a digital I&C CCF. Point three
12	addresses the measures used to address the CCFs.
13	In developing the proposed expanded
14	policy, the staff's goal is to apply a graded approach
15	for the level of justification needed for design
16	techniques or measures other than diversity. The
17	staff's intent is that a graded approach for point
18	three will be based on the risk significance of the
19	postulated CCF, not the risk significance of the
20	digital I&C system.
21	A graded approach can allow a distinction
22	between digital I&C CCFs that constitute failures,
23	misbehaviors, or spurious operations of the system.
24	In practice, the staff expects that the risk
25	significance of CCFs will be determined via the change
	1

(202) 234-4433

	53
1	in risk to a facility for example, change in CDF
2	alert from each postulated digital I&C CCF, and
3	that this risk significance will be determined using
4	a bounding risk assessment.
5	The use of a bounding risk assessment will
6	address uncertainties in quantifying the probability
7	of occurrence of the digital I&C CCFs.
8	CHAIRMAN BROWN: Your slides are being
9	blanked for a minute by admissions. Can we get those
10	admissions cleared? Can I do that?
11	DR. BLEY: No, on my screen they're still
12	showing. I guess it's controlled
13	CHAIRMAN BROWN: Yes, it just disappeared
14	on mine finally. Okay. I didn't know whether anybody
15	else does Norbert need to repeat something because
16	of that block that was in there?
17	DR. BLEY: No, but I have a question, if
18	I might.
19	CHAIRMAN BROWN: Go ahead.
20	DR. BLEY: You mentioned a bounding risk
21	assessment. I certainly agree with that, but I don't
22	know if you've been following it. The folks
23	developing Part 53 seem to have had some trouble
24	describing a bounding risk assessment, and they've
25	kind of moved well, I won't say any more than that.

(202) 234-4433

	54
1	It hasn't been transparent for them.
2	Do you have any definitions or is there
3	some guidance you're going to be giving on what that
4	means?
5	MR. CARTE: Well, I'll let Steve take it
6	first.
7	MR. ALFERNIK: Yes, go ahead.
8	MR. CARTE: I was going to let Steven take
9	a first crack at that.
10	MR. ALFERNIK: The short answer is, at
11	this point, we're looking at revising the policy to
12	allow for that, recognizing that there may be some
13	difficulties defining it.
14	At this point, a bounding risk assessment
15	doesn't necessarily need to assume that the digital
16	I&C CCF will occur, nor we don't necessarily need to
17	assume a probability of one. But we do recognize
18	that, if you propose other numbers, there needs to be
19	some kind of technical justification for it.
20	DR. BLEY: Okay. That will be interesting
21	to see how that goes. I agree with you and I think
22	it's a reasonable approach, but it may run into
23	difficulties along the way.
24	MR. CARTE: So, one of the thoughts on
25	this is, we wanted to use a simple bounding approach,

(202) 234-4433

and hopefully, we can arrive at alignment on what that is. But since the likelihood of CCF or the reliability of software is sort of a hot potato or hard to quantify, has a lot of uncertainty, it would be easier not to argue about the reliability of digital I&C if you could get away with a bounding approach, and that was our thinking.

Yes, the bounding 8 MEMBER DIMITRIJEVIC: 9 approach is used in some of those advanced reactors. Does that mean, actually, using the selected number 10 common cause, not advanced. Somebody 11 for the mentioned (audio interference). 12 If you use (audio interference), I mean, you have -- you know, that 13 14 changes in CDF and LOCA big. So, like 10 to the minus 7 or 10 to minus 6 is the common number. Is that what 15 you mean by bounding approach? 16

MR. ALFERNIK: I would say the bounding approach would not necessarily involve the best estimate of the number; just some value where there is a technical justification that we're comfortable that it will not exceed that.

22 MEMBER DIMITRIJEVIC: Okay. So, that 23 number was not selected, that's what you mean, in the 24 -- I mean, there is no number in the mind when we 25 discuss the bounding approach?

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

1

2

3

4

5

6

7

	56
1	MR. ALFERNIK: Correct. At this point, we
2	are just looking at revising the policy to see if we
3	can approach it from this manner. We have not
4	developed a technique yet.
5	CHAIRMAN BROWN: So, you don't know
6	whether it's going to be I'm struggling a little
7	bit. I'm not a PRA or a statistician. So, I'm trying
8	to figure out how you ever come up to, well, that's
9	not likely and it's only about 10 to the minus 5th or
10	10 to the minus 6th. I have a hard time seeing how
11	you can ever come up with a number like that to
12	address a CCF for software-based systems. Okay?
13	I mean, I can make an argument that, once
14	you've programmed, it's going to do what it's
15	programmed to do unless it gets confused, in which
16	case, if you've got a watchdog timer, you will catch
17	it. The question is, do you catch it in two or three
18	minutes or do you catch it in 300 or 400 milliseconds?
19	That makes a difference from an accident standpoint.
20	So, that's, to me, where you would make the judgment
21	on the risk involved in doing anything other than just
22	having the watchdog timer operate, if it takes five
23	minutes to finally reset and/or trip the system, or at
24	least trip one division.
25	I'm obviously talking outside of my area

I'm obviously talking outside of my area

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

	57
1	of expertise, but that's the old engineering judgment
2	approach that I would have used back in my old days.
3	MR. CARTE: Charlie, if I could comment?
4	So, in essence, what this SRM or what this
5	SECY is doing is it's opening the door and it's
6	starting the work.
7	(Laughter.)
8	Well, no, see, the problem is that we
9	can't evaluate alternatives to diversity or the
10	acceptability of alternatives to diversity because the
11	policy doesn't allow it. So now, if we get the policy
12	to allow it, then we can have the discussions of what
13	would be acceptable. We haven't had those
14	discussions, and we don't have the answer yet. But
15	this policy change is to allow us to try and find an
16	answer that is different than diversity is the only
17	way.
18	CHAIRMAN BROWN: I don't disagree. I
19	mean, I agree with you. Okay?
20	I'm not against getting rid if you
21	could get rid of diversity, I'd be happy. I'm not
22	against that. I'm all for that.
23	Just stepping back, I'll talk about this
24	later, after we have the NEI one. I've got a couple
25	of thoughts that I'll throw out at the table at that
	I

(202) 234-4433

	58
1	time, instead of doing it now. I'll go ahead and let
2	you finish this, and let NEI finish.
3	But that's my thought, is that I don't
4	want you to think I'm against finding a way to not
5	have to use diverse means. That would be great, in my
6	estimation.
7	But I start getting a little nervous when
8	I start hearing the 10 to the minus 5th and 6th
9	getting thrown into this ballpark. Engineering
10	judgment I can live with, but basing my thought
11	process or judgment on a number, when we don't have
12	any idea what the input looks like, I'd probably do it
13	anyway, but it would be on a judgment basis, not
14	because it was 10 to the minus 6th, when somebody says
15	it's really 10 to the minus 2 for some reason.
16	MR. BENNER: Member Brown, we share that
17	concern. And I don't want to get too far ahead
18	because I think you're right that, when NEI makes
19	their presentation, we'll have a little more there.
20	Because we're looking at it from the other
21	direction, not to do that sort of quantification of a
22	CCF. But, in reality, right now, even if we assumed
23	that the likelihood of the CCF was one, we don't have
24	a mechanism to consider other likelihoods as a reason
25	to not do diversity. So, if nothing else
1	1 I I I I I I I I I I I I I I I I I I I

(202) 234-4433

	59
1	CHAIRMAN BROWN: I got that.
2	MR. BENNER: this opens up the door for
3	us to sort of rank, right, hey, there might be a CCF
4	that, yes, if you have that CCF and you go straight to
5	core damage, that's not good. But you may have a CCF
6	that you need other things to go wrong before you get
7	to core damage, and that might be a situation where we
8	don't want to impose diversity. And we don't even
9	have the flexibility now to do that.
10	CHAIRMAN BROWN: I'm onboard with that.
11	I probably sound like I'm an old curmudgeon sometimes,
12	but I've always worried about diversity getting in the
13	way of a simple design, as opposed to a more complex
14	design. And that's a double-edge sword, as you can
15	well imagine.
16	I often have a difficult time thinking
17	that I've got four channels, even though I've got
18	as long as I maintain a strong defense-in-depth
19	architecture, I think an argument can be made; I'm not
20	so sure you can quantify it, because once you're
21	running all these things on a different clock
22	asynchronously, it's hard to imagine some of these
23	things occurring all simultaneously in all four
24	divisions.
25	But we've never taken we've never gone
	1 I I I I I I I I I I I I I I I I I I I

(202) 234-4433

	60
1	after that path. And that's what you're all trying to
2	do, from what I can see. Is that correct sort of?
3	MR. BENNER: Yes. Yes.
4	CHAIRMAN BROWN: Okay. All right. Go on.
5	Sorry.
6	Good conversation. I think it's a good
7	discussion. Thank you all. Go ahead.
8	MR. ALFERNIK: So, I'll go ahead and
9	address the last bullet here. And this has just
10	emphasized that diverse means will continue to be an
11	acceptable method to address digital I&C CCFs. And as
12	discussed earlier, diverse means may include manual
13	actions.
14	Next slide, please. So, I'm on slide 22.
15	As we've been discussing, the staff is
16	providing recommended language for an expanded policy
17	which will allow greater use of risk-informed
18	approaches to address digital I&C CCFs.
19	CHAIRMAN BROWN: Steve?
20	MR. ALFERNIK: Yes?
21	CHAIRMAN BROWN: How about backing that
22	one up a minute? Okay? Go back to that last slide,
23	that last item.
24	Let me get this phrased correctly. When
25	you look at the analysis that's done for DBAs and all
	I contraction of the second

(202) 234-4433

61 1 the other critical accidents that we address, and you look at how they're calculated and the conservatisms 2 3 that are involved, we've never attempted to try to say, what's the likelihood of all those really coming 4 5 together all at once, all those super-conservatisms, 6 such that а manual operator action, based on 7 indications that he's seeing, would not be adequate to 8 shut down the plant? We've never really gone after it 9 that hard. 10 So, that's another area of what other things would you look at to determine, do we need to 11 do something or are manual means okay? And we've 12 always faced that, what it was -- it's the 30-second 13 14 rule, or something like that -- for taking action. 15 But it's always based on these accident analyses that occur faster than 30 seconds. 16 17 So, anyway, I'm just rambling on. I'll let you go on now. 18 19 MEMBER PETTI: This is Dave. I just want to say that, when you look at 20

some of the stuff and think about advanced reactors, 21 where time constants are very different from light 22 23 reactors in many cases, because of water the 24 combination of the moderator and the coolants, this is 25 a really nice approach. Because I think it can give

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

	62
1	some flexibility while still assuring safety. So, it
2	makes some sense to see where it evolves to for
3	advanced reactors.
4	CHAIRMAN BROWN: Yes, Dave's got a good
5	point. They are all different from what we're used to
6	dealing with.
7	Okay. Thank you for letting me interrupt.
8	Go ahead, Norbert or Steve. I'm sorry.
9	MR. ALFERNIK: Norbert has his hand
10	raised. I'll let him jump in first.
11	MR. CARTE: Yes, the other thing that
12	comes up with diverse means is it's being done using
13	best estimate. But sometimes best estimate can also
14	be debated.
15	So, for instance, does best estimate mean
16	taking your accident analysis code and putting in
17	realistic values and running it? Or does best
18	estimate mean, well, in a large break LOCA, we really
19	have leak before break; therefore, there's plenty of
20	time to do it manually? Because if you don't have
21	leak before break, you don't have time to do it
22	manually, right? So, what does best estimate mean?
23	So, there's a lot of dimensions on these
24	things that people can discuss also.
25	Sorry.

	63
1	MR. ALFERNIK: Okay. I'm on slide 22 now.
2	Okay. As I was saying, the staff
3	envisioned several potential benefits in expanding the
4	current policy.
5	First, risk-informed approaches can
6	provide flexibility to address digital I&C CCFs and
7	are consistent with the PRA policy statement.
8	Risk-informed approaches can have
9	different levels of PRA use, and they could support a
10	graded approach in determining the level of
11	justification needed for design techniques or measures
12	other than diversity.
13	Next, PRA models can be used to
14	systematically assess the need to reduce the risk
15	introduced by the digital I&C system, and the PRA
16	models can identify initiators or scenarios for a lack
17	of digital I&C diversity that does not compromise
18	safety.
19	Taken together, risk-informed approaches
20	can provide licensees and the staff the flexibility to
21	expend resources commensurate with safety and risk
22	significance.
23	Next slide, please. I am now on slide 23.
24	If the Commission approves the staff's
25	recommendation, the staff will apply the following

(202) 234-4433

64
guiding principles to ensure consistent implementation
of the expanded policy:
First, the expanded policy will not
conflict with existing regulatory requirements.
Therefore, a rule change or exemption will not be
required to implement it.
Second, the expanded policy will be
implemented consistent with the Commission's PRA
policy statement, SRM-SECY-98-144, and the current
agency focus on expanding risk-informed
decisionmaking.
Implementation of the expanded policy will
continue to provide reasonable assurance of adequate
protection of public health and safety.
Next slide, please. I'm now on slide 24.
And the last two guiding principles are
that:
The use of risk-informed approaches will
be consistent with all five principles of risk-
informed decisionmaking.
And then, PRAs used for risk-informed
approaches will be technically acceptable. For
example, read the guidance in Regulatory Guide 1.200
and included in the affected PRA configuration control
and feedback mechanism.

(202) 234-4433

	65
1	And now, I'll turn the presentation back
2	to Samir.
3	MR. DARBALI: Thank you, Steve.
4	So, to summarize the proposed expanded
5	policy, it's composed of four points that provide for
6	a deterministic path or a risk-informed path to
7	address digital I&C CCFs. And Norbert and Steve
8	covered the details of those points.
9	And here again, on slide 26, are the key
10	messages, and the policy will encompass the current
11	points in SRM-SECY-93-087, with clarifications, and
12	expanded use of risk-informed approaches. Any use of
13	risk-informed approaches will be expected to be
14	consistent with the safety goal policy statement, the
15	PRA policy statement, and SRM-SECY-98-144; and that
16	the current underlying CCF policy will continue to
17	remain a valid option for licensees and applicants.
18	DR. BLEY: Thanks. Can I ask you another
19	question?
20	This SECY you're putting together, I guess
21	I think from what you said earlier the main
22	purpose is to get something beyond the SRM on
23	SECY-93-987 to allow more flexibility, is that
24	correct?
25	MR. DARBALI: Yes, that's correct.
	I contraction of the second seco

(202) 234-4433

	66
1	DR. BLEY: Okay. Thanks.
2	Will we get to see your draft before it
3	goes to the Commission or is this our only chance to
4	give you some thoughts on it?
5	MR. DARBALI: I believe that the current
6	process doesn't have the SECY being shared before it
7	goes to the Commission.
8	DR. BLEY: Okay. Thanks.
9	CHAIRMAN BROWN: That's why we're doing
10	this, Dennis.
11	MEMBER REMPE: So, as a follow, then, if
12	it does go to the Commission, I assume it would be
13	available to us and we could write our letter at that
14	point. Is that what your process would accommodate?
15	CHAIRMAN BROWN: Yes. That's me talking.
16	MEMBER REMPE: I just am wondering if the
17	staff realizes I mean, you can do it the way you're
18	planning, but, then, of course, the downside is that,
19	although we've got some slides here and their
20	supporting information, what's finally submitted to
21	the Commission, the only way we'll weigh into it is
22	after you submit it to the Commission.
23	DR. BLEY: Joy?
24	MEMBER REMPE: Yes?
25	DR. BLEY: I thought the intent
	1

(202) 234-4433

	67
1	Charlie's on the hook for a letter, I think, for next
2	week. It would be based on this, but I think you
3	folks would have to say that it's based on discussions
4	with the staff, but not on a review of the related
5	SRM.
6	MEMBER REMPE: Okay. So, if the
7	DR. BLEY: But I think it's to write a
8	letter.
9	MEMBER REMPE: Well, as a clarification,
10	during P&P, I asked Charlie explicitly, "Are we going
11	to do a letter?" And he said, "No, I don't know." I
12	know it's on the AWS, but, no, he wasn't sure.
13	And, yes, we can do a letter and say all
14	we have are the slides and this discussion, but one of
15	the outcomes of this meeting is, are we going to do a
16	letter? Because it wasn't clear.
17	And two, just so everybody understands,
18	then, of course, if there's something that comes up in
19	what's submitted to the Commission, by omitting ACRS
20	I mean, I heard earlier today you're going to have
21	another meeting with public comments that you'll
22	consider before you finalize things, even after this
23	ACRS discussion. So, you know, you may hear a public
24	comment and put something in that we would have no
25	clue about in what we write.

(202) 234-4433

1 And I just am kind of exploring that concept a bit more to understand that everybody 2 understands where we are in this process, because it 3 4 just seems a little different than what we usually 5 have an opportunity and when we have an opportunity to 6 comment on it. 7 CHAIRMAN BROWN: Joy, what I commented on 8 or the way I presented it on "Do we or don't we do a 9 letter on it," it was because I didn't know any of 10 this at the time. MEMBER REMPE: Right. I understand that. 11 And my biggest concern CHAIRMAN BROWN: 12 was we've put a lot of effort into, over the last few 13 14 years, into a number of -- like ISG-06, for instance, 15 was initially focusing on architecture, getting that 16 concept in to how we evaluate these systems. The 17 ISG-06 is а prelicensing evaluation. the So, applicant knows what to expect or what the NRC 18 19 expects. And then, BTP 7-19, Rev. 8, while they 20 didn't put everything in that we recommended, that was 21 largely on the cyber -- not on the cyber -- but on the 22

24 concerning. It's a very good document relative to defense-in-depth and diversity evaluations. 25

control of the access issue, which we had discussions

**NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

23

	69
1	So, my basic concern was this SECY was
2	going to decimate part of BTP 7-19. I believe that's
3	not the case from what I saw in either this
4	presentation or in my review of the NEI presentation.
5	I don't know that the staff has looked at the NEI
6	presentation or not, but that was my take out of their
7	brief also.
8	Am I correct in that assumption, Samir or
9	Eric?
10	MR. DARBALI: Right.
11	CHAIRMAN BROWN: Whoever wants to answer
12	it?
13	MR. DARBALI: Right. The NRC's work on
14	this Draft SECY to expand the current policy will not
15	decimate BTP 7-19 will still, as you can see in the
16	last bullet here, the current policy will continue to
17	remain a valid option.
18	CHAIRMAN BROWN: Yes, I haven't asked you
19	how you were going to implement this yet. Are you
20	going to make changes to BTP 7-19 or, once you get the
21	SRM back from the Commission, you have to get this out
22	in the world of regulation, right, or guidance?
23	MR. DARBALI: That's correct. That goes
24	into the next slide for the next steps.
25	CHAIRMAN BROWN: Okay. Let me finish my
	I

(202) 234-4433

thought process first here, if you don't mind.

1

2

3

4

5

6

7

8

One of the things we did with ISG-06 -and I've forgotten how long -- it was a couple of years ago, four years ago or so -- we were advised that and incorporated an alternate review path. We didn't decimate what as there, but we provided an alternate review path, which provided a different approach in several areas. It simplified the process.

9 And I guess my thought was, in going in 10 and modifying 7-19, you ought to leave it intact and attach an appendix which, then, incorporates the parts 11 of 7-19 that stay the same, but how steps two and 12 three get executed in a different manner before it 13 14 comes back. But keep them separate, so that you don't 15 have to wade through and decide what you're looking at. Depending on what the applicant wants to do, it's 16 just a matter of how you present the information. 17

I was going to make that comment later, but since we got into that now, I just went ahead and said it.

And, Joy, that was my big concern. If we wrote a letter, I would have been objecting to something. Right now, I don't have any particular problem with what they're doing. I do understand that, if they change it from what they're telling us,

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433
	71
1	then that's a different issue and we won't find out
2	until after the fact.
3	MEMBER REMPE: And that was my concern, is
4	we're not going to find out until after the fact. And
5	the timing of how this process is going just seems a
6	little more susceptible.
7	Why is it that you didn't do a draft
8	before it went up to the Commissioners and have us
9	review at that time? I guess that is what I am
10	curious and that I was going to ask the staff. And I
11	was going to wait until the last slide. But since
12	Dennis opened that door, can the staff explain to us
13	why we weren't engaged later or given another
14	opportunity?
15	MR. BENNER: This is Eric Benner.
16	I mean, we have been working within the
17	management chain and within Commission expectations of
18	a schedule. So, we are trying to meet those
19	expectations while maximizing the ability of the
20	Committee to weigh in.
21	Getting to the mechanics, we acknowledge
22	that this is a little unusual. We certainly have
23	tried to put as much in here, such that, you know, you
24	have the substance of what would be in the paper. In
25	having both this meeting and the full Committee
l	

(202) 234-4433

1 meeting and the public meeting, you know, I suspect our presentation at the public meeting is going to be 2 very similar to this presentation, such that we're 3 4 just telling stakeholders what we are doing, and we 5 are not expecting any significant changes. So, from the Committee's standpoint, we 6 7 certainly respect your decision as to doing a letter 8 after the full Committee meeting back to the EDO. And 9 certainly, if the paper, in your mind, does not align

with the presentations we'll be making today and at the full Committee, we certainly acknowledge that you have the authority to do a letter to the Commission.

I think we certainly would be open to, 13 14 after we do our public meeting on June 8th -- because 15 I'm sure we will be briefing internally on any changes we made as a result of that public meeting -- we would 16 17 also provide that summary to the Committee, so they knew of any changes we have made as a result of that 18 19 public meeting.

MEMBER REMPE: Yes, I'm glad you explained 20 what's going on. Again, this is something that I 21 wanted to explore more, and we'll just have to decide. 22 23 But thank you.

CHAIRMAN BROWN: We can discuss after the 24 NEI presentation, I think, on a path forward relative 25

> **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

10

11

12

Í	73
1	to our June full Committee meeting. I was going to
2	bring that up amongst the Committee here, so we can
3	figure out what do you want me to do. I mean, I could
4	write a letter, but, right now, it would be giving
5	suggestions of which one of them is just what I
6	just said.
7	MEMBER REMPE: Well, that's an idea, but,
8	then, I'm just thinking about what goes up to the
9	Commissioners in the long term, and if it gets
10	changed, do we write a second letter?
11	CHAIRMAN BROWN: Yes
12	MEMBER REMPE: But, anyway, let's wait
13	CHAIRMAN BROWN: we could do that.
14	MEMBER REMPE: until all the
15	presentations are over.
16	CHAIRMAN BROWN: But we could see the SECY
17	afterwards, and if we think something's out of line,
18	we could I have no problem with writing another
19	letter with Committee input.
20	MEMBER REMPE: Okay. Yes, let's go ahead
21	and hear the rest of the presentations.
22	Thank you.
23	CHAIRMAN BROWN: Yes.
24	MR. DARBALI: All right. So, I think
25	we've, essentially, covered the bullets in this slide,
	1

(202) 234-4433

74
but I'll just repeat them.
So, we're currently drafting the SECY.
And we're going to have a public meeting in early
June. We are planning to send to the Commission the
SECY paper by the end of July of this year. And upon
approval of the expanded policy, then we will begin
work on however a BTP 7-19 update would look like to
implement the guidance on the expanded policy.
CHAIRMAN BROWN: And that's why I made the
suggestion of what it would look like. I think you
could use ISG-06 as an approach with an altered, like
an appendix, just 7-19. So, you don't intertwine the
risk stuff with the current path. That's all right.
MR. DARBALI: Understood. Thank you.
CHAIRMAN BROWN: But that's after the
fact. We will review 7-19.
MR. DARBALI: Understood.
CHAIRMAN BROWN: Okay. Thank you.
I wasn't trying to be demanding. We would
expect to review 7-19.
MR. DARBALI: Yes, right. Right. Yes.
And based on our past presentations, we understand
that expectation.
CHAIRMAN BROWN: Okay. Thank you, Samir.
MR. DARBALI: All right. So, that

(202) 234-4433

	75
1	concludes the staff's presentation.
2	CHAIRMAN BROWN: Okay. We have another
3	presentation.
4	Are there any other questions from the
5	Committee before we segue into the next presentation
6	by NEI?
7	(No response.)
8	I'm not going to do public comments until
9	NEI finishes their presentation.
10	DR. BLEY: Are you going to do a break,
11	Charlie?
12	CHAIRMAN BROWN: Yes, I am. I was just
13	making sure we didn't have any questions.
14	So, if no other questions from the
15	Committee members, we will break until 2:50. That's
16	15 minutes.
17	That will give people time to if you're
18	at home, Walt, get your dog out. I'll get mine out.
19	And we can get set up; NEI can get set up to have
20	their presentation ready to go at 2:50. Is that okay?
21	MEMBER KIRCHNER: Yes. Thank you,
22	Charlie.
23	CHAIRMAN BROWN: Okay. We're recessed
24	until 2:50.
25	(Whereupon, at 2:35 p.m., the foregoing

(202) 234-4433

	76
1	matter went off the record and went back on the record
2	at 2:54 p.m.)
3	CHAIRMAN BROWN: All right. We're up with
4	NEI.
5	And, Alan, are you there?
6	MR. CAMPBELL: I am online. Can everybody
7	just need to adjust just one okay, can everybody
8	see my slides?
9	CHAIRMAN BROWN: Okay. Are you going to
10	be the sole presenter in this circumstance?
11	MR. CAMPBELL: I will be the primary
12	presenter, and I have a few individuals that will be
13	supporting me.
14	CHAIRMAN BROWN: Okay.
15	MR. CAMPBELL: I have Warren Odess-
16	Gillett
17	CHAIRMAN BROWN: Oh, okay.
18	MR. CAMPBELL: who's a fellow engineer
19	at Westinghouse, and Neil Archambo, who's an industry
20	digital subject matter expert, as well as Victoria
21	Anderson with NEI, who is our risk applications
22	subject matter expert as well.
23	CHAIRMAN BROWN: Okay.
24	MR. CAMPBELL: They'll be helpful in
25	responding to any questions, but I'll be the sole

(202) 234-4433

```
www.nealrgross.com
```

	77
1	presenter.
2	CHAIRMAN BROWN: Okay. Since Joy asked me
3	if I was here, I haven't checked to see if everybody
4	else is back. Is anybody missing?
5	(Laughter.)
6	That's the wrong way to ask the question,
7	but I thought I'd try it anyway. We needed some humor
8	here.
9	We'll go ahead and get started. They'll
10	come in when they show up. Go ahead, Alan, and have
11	at it. Okay?
12	MR. CAMPBELL: Understood.
13	And good afternoon. And thank you very
14	much for extending an invitation for NEI to provide
15	some input on this important matter.
16	Again, my name is Alan Campbell. I am a
17	Technical Advisor with NEI. I started almost a year
18	ago. It was the end of last June. Prior to my role
19	at NEI, I was also a Cybersecurity Manager at Vogtle
20	3 and 4, where we were building the first fully
21	digital plant. And then, prior to that, I worked in
22	the industry on digital modifications for various AE
23	firms. So, I appreciate the time this afternoon.
24	I already introduced some supporting
25	members today to help out. Warren Odess-Gillett, who

(202) 234-4433

is, as I mentioned, a fellow engineer with Westinghouse, and Neil Archambo, who is an industry SME. Both of these individuals have been instrumental in NEI support of the Integrated Action Plan and the various initiatives that have stemmed from that. We also have Victoria Anderson, who I mentioned is our Risk Specialist at NEI.

8 The purpose for NEI's involvement today, 9 we really would like to provide industry input on how 10 we propose to address digital CCFs. So, taking a look at our proposed implementation that was provided last 11 September, NEI's 20-07, Rev. D.; and also, recognize 12 the impacts that this policy has on the quidance, and 13 14 vice versa. So, take a look at how we're proposing to 15 address CCF, and then, its implications into policy.

16 We did provide a white paper in April that 17 describes our perspectives on how we can address common-cause failure within policy. We do plan to 18 I was hopeful 19 issue a revision to that white paper. to get that out prior to this meeting, but I was not 20 successful in that. But we plan to submit that or 21 transmit that early next week for review as well. 22

23 Some of the, well, all of the 24 clarifications that we plan to provide in the white 25 paper revision will be covered today. And those

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

1

2

3

4

5

6

7

www.nealrgross.com

78

	79
1	include recognizing some of the limitations of how we
2	apply risk and as it pertains to digital I&C. So,
3	some of the points that were brought up earlier in the
4	NRC presentation. And also, another point of
5	clarification is our treatment of manual actions.
6	Okay.
7	CHAIRMAN BROWN: I have one question,
8	Alan.
9	MR. CAMPBELL: Yes, sir?
10	CHAIRMAN BROWN: I got a copy of this
11	let me check. It was a couple of days ago, I think.
12	Yes, oh, it was yesterday. Is this paper
13	representative of the copy we got, by the way, just
14	for my reference purposes?
15	MR. CAMPBELL: Yes, sir, the presentation
16	you're looking at should be the exact same as what you
17	received yesterday.
18	CHAIRMAN BROWN: Okay. Thank you.
19	MR. CAMPBELL: Okay. I wanted to start
20	with just recognition of all the work that has gone
21	into digital I&C, this topic in general. So, the
22	Digital Integrated Action Plan has been successful in
23	driving change throughout the industry related to
24	digital. The items that we have listed here have
25	really helped spur new digital projects and improved
	1

(202) 234-4433

guidance for the regulatory activities supporting these projects.

3 We appreciate the efforts, and including 4 the public interactions, that have supported this over 5 the past six years. Notably, the RIS Supplement and BTP 7-19 revision have provided improved guidance for 6 7 addressing common-cause failure, primarily focused on changes to what are safety-significant and safety-8 9 related systems and non-safety systems. The scope of 10 our discussion today is updating the policy for protection systems; more specifically, RPS and SFAS. 11

So, we appreciate the openness that I've 12 heard in this, the initial presentation, and pursuing 13 14 other design techniques, in addition to diversity. My discussion today is not intended to be critical of 15 Diversity is a useful tool that is very 16 diversity. 17 helpful to design engineers and to the plants, but we believe that, when it's used, it should be performed 18 19 out of or used with engineering basis, and it has limitations like any other tool that could be used. 20

So, why digital safety systems? We just want to reemphasize the point -- I think it's worth belaboring -- how digital technology really supports the long-term and safe operation of our fleet.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

As an industry, we're reaching system

(202) 234-4433

25

1

2

obsolescence on the existing analog technologies, and really the benefits of the digital safety systems can't be understated -- with the system diagnostic capabilities, the availability of data to end-users within the plant, and just better overall knowledge of what the plant is doing and when. It also helps to reduce the hardware inventory compared to other existing systems.

9 landscape today improved Our has 10 dramatically from the time that the original commoncause failure policy was written. The SRM-SECY-93-087 11 informed greatly by the SECY-91-292 titled, 12 was "Digital Computer Systems for Advanced Light Water 13 14 Reactors."

In that SECY paper, the NRC describes some 15 16 of the concerns that were present at the time with 17 digital instrumentation control technology. Those included lack of experience in nuclear applications; 18 19 the absence of requirements and standards, and the standards quidance for software 20 lack of and development processes. That SECY, as I mentioned, 21 helped inform the policy that we have today that's 22 documented in the SRM, and helped create those 23 24 positions back in 1993.

The landscape that we have today, the

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

25

1

2

3

4

5

6

7

8

www.nealrgross.com

81

1 digital I&C technology has improved, both on the 2 technological front and, also, on the production 3 process front, resulting in more deterministic 4 behaviors. We also have a mature community of 5 international standards, such as IEC and IEEE, that They have stable processes for 6 are widely accepted. updates and reflect our current understanding and 7 8 approaches.

9 Lastly, the hazards analysis techniques 10 have really matured from what we had back in the 11 nineties, and we'll go through some of the new 12 processes that we're proposing today,

So, I wanted to start by taking a look at 13 14 the applicable regulation. I think this helps me at least bound the description of where we're at, why 15 16 we're there, and what is stated within the 17 regulations.

There are two primary focus items on the next three slides that we'll take a look at. So, one, how is diversity addressed in the existing regulation? And two, how is manual initiation of protection functions addressed in existing regulation? So, focusing in on point four, which is the manual main control room initiation of protective functions.

The first point is to address the use of

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

25

diversity as the benchmark against which all other means are compared. So, while diversity can be an effective design technique, it is not the only effective design technique.

5 The second point, as I mentioned, is to address the NRC's SECY outline, which describes the 6 7 limitations of using risk-based upon the existing Specifically, policy point four, which 8 regulation. addresses diverse and independent main control room 9 10 displays and controls for manual system-level actuation of critical safety functions is stated to 11 have a regulatory requirement which restricts the 12 ability to use risk insights. 13

14 This first slide takes а look at. 10 CFR 50.55(a)(h), which was addressed within the NRC 15 16 staff presentation. As the NRC staff mentioned, both 17 of these IEEE requirements do require a means to implement manual initiation of protection actions. 18 19 However, within these IEEE standards, neither of these require a diversity aspect to the means of manual 20 initiation. 21

Reg. Guide 1.62 provides guidance for how to implement these IEEE requirements, and there is a position in there that states that diversity should be addressed. However, the basis for that position is

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

	84
1	that diversity is required, based on meeting BTP 7-19,
2	which is based on the policy that we're here to
3	discuss today. So, ultimately, the codes and
4	standards do specify a means of manual initiation
5	protection actions, but these do not specify diversity
6	as a requirement in accomplishing that.
7	I thought I heard somebody chiming in.
8	Okay.
9	Okay. We are on slide 6 now.
10	We also discussed previously the ATWS
11	systems. So, ATWS, 10 CFR 50.62 addresses regulatory
12	requirements and does provide a diversity requirement
13	for functions that are shown on this slide specific to
14	PWRs and BWRs. And for the BWRs, we should note that
15	the second and third requirements do not have
16	diversity requirements within the regulation.
17	The ATWS systems are not part of the
18	protection systems, and these systems were created for
19	specific vulnerabilities where diversity did
20	demonstrate effectiveness. So, per the regulation
21	here, these systems do require diversity, but neither
22	I'm sorry. This requirement does not have any
23	specific manual actuation requirements contained
24	within it.
25	Lastly, we have GDC 22. GDC 22 provides
	1

(202) 234-4433

85 1 desiqn criteria to prevent loss of protection The text you see on this page is directly 2 functions. 3 from the GDC with some emphasis added. 4 BTP 7-19, Rev. 8, states that, for high 5 safety-significant, safety-related systems, GDC 22 requires functional diversity to the extent practical. 6 7 We believe this interpretation of the GDC is too narrow. As shown on the slide, the text from the GDC 8 9 states design techniques shall be used to the extent 10 practical to prevent loss of the protection function. References to diversity are used as examples of design 11 techniques that can be used, not required design 12 techniques. 13 14 So, summarize, how is diversity to 15 addressed in existing regulation? It's addressed in 16 10 CFR 50.62 for specific ATWS functions which are not 17 part of the protection systems. For protection systems, it is described as an example of a design 18 19 technique and not a requirement nor a benchmark for comparison. 20 how is manual initiation of the 21 Then, protection functions addressed in existing regulation? 22 is required by 10 CFR 50.55(a)(h) and their 23 Ιt 24 endorsed standards. However, diversity is not an element required within these standards. 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

	86
1	CHAIRMAN BROWN: Before you go on, let's
2	go back to that again.
3	MR. CAMPBELL: Yes.
4	CHAIRMAN BROWN: Diversity is not required
5	with these standards. I mean, manual actuation is
6	manual actuation. I mean, it's hard to comprehend.
7	I mean, a switch is a switch. And if you want to do
8	something different, then that's different. But if
9	you use something other than a switch, you would
10	probably end up having it, you know, direct-wired.
11	You'd probably end up with an argument.
12	The constant issue about that diversity is
13	not required is correct. Okay? It's not explicitly
14	stated. It's just a part of the overall evaluation.
15	But it's obvious that the desire to de-emphasize any
16	diversity at all, that's been the function of all
17	whatever the slide number is right now the first
18	four or five slides.
19	So, I understand that, but just be a
20	little bit careful. Just because nothing is
21	specifically required, it's hard to argue that manual,
22	direct manual connection and tripping either
23	safeguards, or your scram breakers. Whatever the
24	shutdown method is in the new reactors, it's hard to
25	argue that that's not a good thing to have, regardless

(202) 234-4433

	87
1	that nobody has, quote, "mandated" it in terms of a
2	requirement or a guidance in a Reg. Guide or rule.
3	I just wanted to throw that out there as
4	a counter to the four pages' worth of emphasis on
5	nothing is required for diversity, other than the SRM,
6	it sounds like.
7	MEMBER KIRCHNER: Yes, Charlie, this is
8	Walt. I'd like to join in on this.
9	Manual trip, scram, is, by its very design
10	and nature, a diverse way of achieving the shutdown in
11	the event that the reactor protection system
12	malfunctions or doesn't do its job, or whatever
13	situation arises in the plant.
14	So, yes, I don't get this connection with
15	diversity here, when you're referring back to manual
16	initiation. And I just second what Charlie says,
17	especially for new designs. I hope that that manual
18	initiation is as simple as possible and it's at the
19	very end of the line, and that trips the scram
20	breakers, or whatever the mechanism is, without any
21	electronics in between.
22	Just one person's opinion, but I don't
23	think those requirements on manual initiation have
24	anything to do with the diversity argument, other than
25	the fact that this is a diverse means to achieve a
	1

(202) 234-4433

	88
1	plant shutdown.
2	CHAIRMAN BROWN: It's a facility defense-
3	in-depth, based on the NRC's thought process, as
4	opposed to an I&C focus.
5	MR. CAMPBELL: And I understand and
6	appreciate your points. I just wanted to the
7	intent of these slides is to clarify what is and is
8	not in the regulation. We just want to make sure that
9	there's a clear delineation of where there are
10	diversity requirements and where there are not.
11	And going back to the point of where
12	diversity, outside of manual initiation, is required,
13	it can be a useful tool, and we're not proposing
14	eliminating it. We're just proposing complementing
15	that approach as well, where deemed necessary.
16	CHAIRMAN BROWN: Well
17	MR. CAMPBELL: Warren or Neil, do you have
18	any other thoughts on that?
19	MR. ODESS-GILLETT: I'll let Charlie speak
20	first.
21	CHAIRMAN BROWN: No, I was just going to
22	say, based on the last discussion from the staff, I
23	think I made it clear I'm not against simplifying the
24	diversity wherever you can. Some of the designs we've
25	looked at had a lot. I thought it was overdone, but
	I

(202) 234-4433

we weren't going to tell them not to use it. The design was there. There was one that was very simple, relatively simple, and we didn't tell them to make it more complex.

5 So, there's been a wide range, if you look at those four projects I referenced. I don't know 6 7 whether you all can see those or not, but at least we And I took a lot out of that. 8 saw them. And some 9 applicants have really taken that diverse approach to 10 quite a level of design incorporation, where I thought it was probably overdone. But the system worked and 11 it was clear, and it met the fundamentals that we keep 12 advocating here on the Committee, and that we've tried 13 14 do relative to architecture redundancy, to - -15 independence, determinate processing, defense-indepth, and whatever diversity is thrown in there, and 16 17 then, finally, the control of accessing.

In other words, you always have hardware-18 19 based, not-configured-by-software data communication devices out of the reactor trip and safeguard systems 20 control 21 vour main rooms or to any other to distribution points for data, just to protect them 22 from -- you know, it's like having a door that's 23 24 always shut relative to it.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

But that's the one big problem that the

(202) 234-4433

25

1

2

3

4

90 1 microprocessor stuff introduces into this world. You now no longer just can take care of control of access 2 3 with physical access. You now have to take care of 4 electronic access, and I don't mean cybersecurity. You want a door that nobody can open. 5 The plant, overall facility, needs to be 6 7 cognizant of the cyber issues, but system design inside the safety systems should have no doors. 8 So, 9 that's the last of the five of the majors. So, those 10 are the fundamental pillars that we use in evaluating it. 11 did not 12 You notice Ι emphasize the diversity because I think, just like the staff is 13 14 trying to do, I think they're trying to be very 15 responsive to the thought process and simplifying this process in the diverse world, so that we don't go 16 overboard; and that the staff and NRC don't require 17 more than what really meets the needs -- the needs, 18 19 not requirements, but needs. MR. CAMPBELL: Right. 20 MR. ODESS-GILLETT: So, yes, Alan, this is 21 I'm a loaned employee to NEI Warren Odess-Gillett. 22 from Westinghouse. 23

The purpose of bringing these regulations forward is that, in regards to the staff's proposal

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

	91
1	for position four, it's their position that there's no
2	need to risk-inform position four, which means that,
3	arbitrarily, diverse and independent displays and
4	controls will still be a requirement without any kind
5	of risk insight aspect of it.
6	And the reason that's given is that,
7	because these applicable regulations that are
8	presented here really call for those independent and
9	diverse displays and controls, that we just saw it
10	differently; that's all.
11	CHAIRMAN BROWN: I will provide one
12	insight on that. From '77 until 1999, December 31st,
13	I was responsible for at least seven different
14	integrated designs, which are now trucking around in
15	naval nuclear power plants. And in every one of
16	those, we had diverse and independent displays and
17	controls, every one of them.
18	Now, you've got sailors crunching around
19	under the ocean. So, you really want to make sure you
20	can see stuff. Does that mean it's different for the
21	commercial plants? If I saw some plant that had
22	nothing but touchscreen displays, I would choke myself
23	to death. I'd find a rope and go hang myself from a
24	bridge.
25	That just doesn't make any sense. You
	1 I I I I I I I I I I I I I I I I I I I

(202) 234-4433

92 1 should not have all your -- they can be very erratic. It depends on what's going on. It depends on the size 2 3 and how many, and how many of them you have in terms 4 of redundancy. 5 But I think the position that the staff takes is about valid one on that point, on point four; 6 that when you get to the controls and displays, you 7 8 need to make sure you are not locked into one path 9 only, whatever that means. 10 And I understand your desire to point out what the guidance is that people are looking at when 11 they're reviewing the designs. It's just I just want 12 to make sure it's clear that elimination of some of 13 14 those basic tenets does not sound like a really good 15 idea to me in terms of how they're cranked into the 16 design. 17 I did read your other white paper, also, and I'll have some comments on that later, after you 18 19 finish your presentation, because you incorporated some of the white paper into the end, I think the end 20 of this slide presentation, if I'm correct. 21 MR. CAMPBELL: 22 Yes. I think you didn't 23 CHAIRMAN BROWN: 24 eliminate that, I presume. 25 MR. CAMPBELL: That's correct.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

	93
1	CHAIRMAN BROWN: Okay. Sorry, when I get
2	on a roll, I can't stop sometimes.
3	Nice to see you again, hear from you
4	again, Warren.
5	MR. ODESS-GILLETT: Thank you, Charlie.
6	Nice to hear you, too.
7	CHAIRMAN BROWN: Okay. Go ahead, Alan.
8	I'm sorry.
9	MR. CAMPBELL: We appreciate the
10	commentary throughout. That's helpful.
11	Okay. So, we are on side 8 now.
12	Slide 8 will take a look at how we're
13	addressing common-cause failure today. So, Branch
14	Technical Position 7-19 provides the review guidance,
15	based upon the existing CCF policy.
16	The outline you see here closely mirrors
17	the outline of the actual BTP for addressing common-
18	cause failure in high safety-significant, safety-
19	related systems. Some of the excluded sections did
20	not meet that criteria.
21	CHAIRMAN BROWN: Can I ask a question
22	before you hit the bullets?
23	MR. CAMPBELL: Yes, sir.
24	CHAIRMAN BROWN: The first bullet says
25	"eliminate," and then, "diversity, testing, and

(202) 234-4433

```
www.nealrgross.com
```

94 alternative methods." Are you trying to eliminate all 1 those or does the BTP eliminate CCFs through the use 2 3 of those? MR. CAMPBELL: It eliminates CCF through 4 5 the use of those. I appreciate the clarification. Matter of fact, yes, I 6 CHAIRMAN BROWN: thought we were off-topic here. 7 8 (Laughter.) 9 MR. CAMPBELL: No. I apologize for that. 10 When I was writing it and had the BTP in front of me, it made complete sense. 11 But, yes, just to clarify here, those 12 secondary bullets, the round ones, for "eliminate, 13 14 mitigate, and acceptance," those are the primary 15 sections with BTP 7-19, Rev. 8 --16 CHAIRMAN BROWN: Right. MR. CAMPBELL: -- and addresses how to 17 treat common-cause failure. The bulleted -- or I'm 18 19 sorry -- the diamond bullets are the submethods that are the proposed methods for eliminating common-cause 20 failure, mitigating, or accepting it. 21 CHAIRMAN BROWN: Got it. 22 23 MR. CAMPBELL: Thank you. 24 Okav. So, this slide, it's the same overall method, but I do want to address that, for the 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

```
www.nealrgross.com
```

	95
1	types of systems that we're discussing today, testing
2	is not really a plausible option, due to the system
3	complexity. The approach is intended for simple
4	designs and quoted as such within the BTP.
5	The alternative methods, as stated in the
6	BTP, those methods either need to be preapproved by
7	the NRC or requested in the application. And so,
8	we're aware that some alternate methods have been used
9	throughout the industry. We are not aware, or I'm not
10	aware, of any that have a blanket preapproval from the
11	NRC.
12	And one of the really limiting factors on
13	using alternate methods is that, through requesting
14	approval through the application process, this
15	increases the regulatory risk for a given project and
16	may challenge the application review process as well.
17	Each of the guidance topics within the
18	mitigate CCF portion of the process requires diversity
19	to mitigate the potential common-cause failure as
20	well. So, what we have in BTP 7-19, the preferred
21	guidance for addressing common-cause failure is
22	diversity or acceptance through those techniques. We
23	do recognize that there are other methods described in
24	there, but these are the primary methods that have
25	been used to date and we're aware of moving forward as

(202) 234-4433

well.

1

2

3

4

5

6

7

So, BTP 7-19 does provide us helpful guidance on how to meet the existing policy, but, as mentioned, it's largely dependent on diversity as the design technique. So, the natural question we should ask ourselves here is, is diversity always the right tool that we should be dependent upon?

8 This diagram is taken from -- sorry, we're 9 on slide 11 now -- this diagrams is taken from the NRC digital I&C training material that's made publicly 10 available on the NRC website and is used to describe 11 how the international community views system failures. 12 Typically, the term "systematic failure," or in this 13 14 case, "systematic fault," bounds the introduction of 15 CCF or other latent design failures. As you can see, 16 the picture addresses many sources that can introduce 17 failures into a system, including systematic random faults, incorrect requirements, and others. 18

19 One addition I'd like to make to the interactions. 20 diagram is system We develop specifications 21 requirements and based upon our understanding of system interactions, both controlled 22 and uncontrolled. Safety and hazards analysis experts 23 that 24 outside of nuclear believe these system interactions one of the leading causes of 25 events

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

96

	97
1	outside of the nuclear industry.
2	On slide 13, here we've added a diverse
3	system. Note that I did remove the random fault and
4	trigger boxes, just to simplify the diagram. The
5	first item to note on this slide is that we do not
6	address the ultimate source of our problems where
7	systematic failures are introduced.
8	Both designs are based on the same
9	understanding of the system and its interactions.
10	Sometimes the same requirements can even be used to
11	create both systems. An error at this phase may not
12	provide the protection that we expect.
13	The next noteworthy item is that we have
14	introduced a new failure pathway to the plant. While
15	a failure in either system should result in a safe
16	plant state, we also consider the potential challenges
17	to plant operating staff during that scenario, as well
18	as the plant reliability, since it has a direct nexus
19	to safety as well.
20	I liken the approach to a standard Swiss
21	cheese model. We have added a layer of defense, but
22	each layer introduces new failure possibilities and
23	does not address the source of the failure all the
24	time.
25	So, as we discussed, our OE indicates that

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

1 latent design defects from inadequate requirements and 2 uncontrolled system interactions are the primary 3 contributors to systematic failures, including common 4 cause failure.

5 EPRI performed a study of 17 nuclear events to identify their contributing causes, and from 6 7 this study, EPRI identified that the primary 8 contributing cause, close to 50 percent of the factors 9 found, were requirements errors.

10 So, what can we learn from how we're 11 addressing CCF today? Diversity may be helpful in 12 addressing hazards. However, it has its tradeoffs. 13 It can introduce complexity and a different set of 14 failures. It also may not address the sources of 15 systematic failure, such as requirements errors.

Diversity, as I've mentioned, can be a useful technique, but it should be used when supported by engineering analysis.

19 CHAIRMAN BROWN: Comment.

MR. CAMPBELL: Yes, sir?

CHAIRMAN BROWN: This is Charlie.

Latent design defects have been a problem, whether you've got analog systems or you've got software-based systems. It makes no difference. It's easy to get those wrong.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

20

21

I would like to say that all the systems we ever developed prior to me becoming the head of the program, as well as those after I became head of the program, that we put into ships never required a field change to fix a latent design feature that we found that we made a mistake. So, that's a different issue. Okay?

In diversity, a latent design defect in a 8 9 is everywhere, everywhere hardware system it's 10 duplicated. And if you've got a specification in terms of how the software is processed, that's latent 11 it's there; if the branch is not 12 also. I mean, correct to what you're going off to seek for some 13 14 reason, and you missed it in your design and reviews, that is a design defect. 15 I don't call that a CCF. That's not a failure. 16 It's a we screwed up when we 17 designed the system issue, and those are human errors. And all the diversity in the world won't necessarily 18 19 So, neither will a hazards analysis ever fix those. do that because you probably can't spend four years 20 doing it. 21

Anyway, it's just a thought, and I just wanted to make that point. Latent defects are different in terms of how you have to recognize that they're there.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

1

2

3

4

5

6

7

	100
1	I'm finished.
2	MR. CAMPBELL: Yes, and I was just being
3	thoughtful.
4	So, I agree with you that not all latent
5	design defects are common-cause failures. What we're
6	stating here, systematic failures so, that includes
7	common-cause failures can be a result of latent
8	design defects. So, latent design defects can include
9	common-cause failures.
10	CHAIRMAN BROWN: Yes, but an engineered
11	system can also compensate for those if it's totally
12	and completely independent. Because once you're
13	processing data, if that latent software design defect
14	doesn't get hit in the same way because you're running
15	asynchronously or the data coming into it from the
16	previous A-to-D converters, and then, the processing
17	through, whatever, they're all out of synch. And so,
18	the likelihood I hate to echo this from the NRC
19	thing but that's where you say, hey, look, it's not
20	likely that they're going to all occur at the same
21	time. And you will notice something in one and start
22	getting suspicious, and that's where the operator
23	comes in, if he sees something funny.
24	Anyway, it's just we're going to have to
25	deal with that forever. Just a point.

(202) 234-4433

	101
1	MR. CAMPBELL: Okay. Let's see, Myron,
2	you have your hand up.
3	MR. HECHT: Yes, Charlie Yes, I did.
4	The point is that requirements or
5	erroneous requirements do lead to defects that can
6	cause CCFs.
7	CHAIRMAN BROWN: Oh, I got that.
8	MR. HECHT: It's not that erroneous so,
9	I just wanted to make yes, okay, if you got that
10	CHAIRMAN BROWN: No, I understand.
11	MR. HECHT: then that's okay, too.
12	CHAIRMAN BROWN: I understand that.
13	Future requirements run your toast.
14	MR. HECHT: Yes.
15	CHAIRMAN BROWN: I'm sorry, Alan, go
16	ahead. I just get carried away.
17	MR. CAMPBELL: I appreciate it.
18	Okay. Okay. So, NEI is proposing the use
19	of modern hazards analysis techniques and risk
20	insights to provide a graded approach to addressing
21	the common-cause failure and protection systems. This
22	approach has been proven effective in research, and
23	the techniques are being used widely in other safety-
24	critical industries.
25	And, Charlie, just to address your point
I	

(202) 234-4433

	102
1	that no hazards analysis technique is perfect, we'll
2	walk through the technique that we plan on utilizing.
3	It combines different hazards analysis methodologies
4	and complements the strengths of those, and has been
5	proven effective in identifying important issues that
6	lead to hazards or system losses.
7	CHAIRMAN BROWN: Are you on slide
8	MR. CAMPBELL: So, we'll address that.
9	CHAIRMAN BROWN: Are you on slide 16 or
10	15?
11	MR. CAMPBELL: I'm on slide 15 right now.
12	CHAIRMAN BROWN: Oh, okay.
13	MR. CAMPBELL: Yes.
14	DR. BLEY: Alan, this is oh, well, go
15	ahead. Go ahead.
16	CHAIRMAN BROWN: Go ahead, Dennis.
17	DR. BLEY: It's Dennis Bley.
18	You heard the staff's presentation of what
19	they intend to include in their SECY paper. And they
20	seem to, if I recall correctly, have left the door
21	open to a variety of approaches to do simplified or
22	complex hazard and risk studies within that approach.
23	Are you critical of what they're doing or do you see
24	it as it will open the door to try some of these
25	techniques you're arguing for?
	I contract of the second se

(202) 234-4433

	103
1	MR. CAMPBELL: I think the primary message
2	is that we are aligned with the overall intent of what
3	the NRC staff provided today. There are a few items
4	that I think that we still need to better understand
5	the positions on those, namely, being how we use
6	risk and how it's treated throughout the process, and
7	how we address the manual initiation, really the
8	requirement for diversity, the prescribed environment
9	sorry prescribed requirement for diversity
10	within that.
11	I think those are the two primary items
12	where we would like to better understand, but the
13	intent here is, for the next few slides, we've made a
14	proposal on more implementation-level guidance. And
15	so, we found it helpful to walk through how something
16	could be applied using risk insights, hazards analysis
17	techniques, and how effective it could be in
18	addressing digital common-cause failure, and then, use
19	that how-to implementation guidance to informing
20	important policy points that would enable that sort of
21	method.
22	DR. BLEY: I'd make two comments.
23	The first is I found the discussion of
24	diversity requirements more legalistic than safety-
25	oriented and engineering-based.
	1

(202) 234-4433

	104
1	But, two, the other things you're
2	suggesting, at least to me, seem to fit within the
3	framework of what the staff is proposing. So, maybe
4	at some point later the staff could make a comment on
5	that, too.
6	MR. CAMPBELL: And I would agree with you,
7	especially on the second point on the overall
8	methodology, just with a couple of nuances in there
9	that we got some new information today, and then, we
10	look forward to engaging with the staff during future
11	public engagements as well, to have more direct
12	engagement.
13	DR. BLEY: Yes, and I understand you
14	haven't seen very much of this, either.
15	MR. CAMPBELL: Right.
16	DR. BLEY: It's kind of hot off the press
17	here. Okay.
18	MR. CAMPBELL: Right. Much of what you
19	see today has been developed without seeing what the
20	NRC outline was.
21	Okay. Okay. I'm on slide 16 now.
22	So, NEI provided NEI 20-07, Rev. D, in
23	September of 2021, providing guidance on how to
24	leverage existing EPRI processes to address systematic
25	failures such as common-cause failure. These
	·

(202) 234-4433

approaches, known colloquially as HAZCADS and DRAM, provide a diagnostic approach and use multidiscipline teams throughout the design process, starting early in the conceptual phase -- sorry -- throughout the design process to identify missing, inadequate, or incorrect 6 requirements.

7 Through this approach, the system architecture is analyzed to identify unsafe control 8 9 actions which could lead to hazards. Then, it uses 10 risk insights to address the unique loss scenarios commensurate with the risk to the plant. 11

12 CHAIRMAN BROWN: I presume in all these analyses and design approaches, and everything that 13 14 you're all talking about, you're not advocating the 15 redundancy independence elimination of of or divisions? Or how do you demonstrate that you've got 16 17 repeatable and predictable processing times?

MR. CAMPBELL: That's correct, we are not 18 19 proposing eliminating those concepts.

CHAIRMAN BROWN: I mean, if you don't even 20 have an architecture that lays those out, you can't do 21 that on what I call a -- and I also don't quite 22 understand where you're going to apply the hazards 23 24 analysis. Is it on an architecture one-line diagramtype level? Because you certainly can't get down into 25

> **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

1

2

3

4

5

	106
1	the bits and bytes. That doesn't even make any sense.
2	MR. CAMPBELL: And that is correct. The
3	process starts from a conceptual design. So, you
4	don't start with a blank sheet of paper. This is a
5	diagnostic tool. It's not a design tool.
6	CHAIRMAN BROWN: Okay.
7	MR. CAMPBELL: And so, you have to have a
8	design to start. You also start at high levels of
9	abstraction to understand the overall system and its
10	implications to other systems. And then, as you
11	progress in design decisionmaking, the diagnostic
12	tools then reflect the level of analysis of the
13	information you have at your availability. And so,
14	you have multiple iterations of modeling the control
15	structure, and each one of those gets more detailed as
16	the design progresses and is finetuned.
17	Does that address the comment?
18	CHAIRMAN BROWN: Yes.
19	MR. CAMPBELL: Okay. Okay. So, the
20	research basis the HAZCADS and DRAM process were
21	developed by EPRI after an EPRI study that
22	investigated multiple hazards analysis methodologies
23	used within nuclear and other safety-critical
24	industries.
25	The findings that are cited in the EPRI
	1

(202) 234-4433
report display the strengths and limitations of each 1 methodology used on its own. EPRI, then, used this 2 3 research to develop the HAZCADS and DRAM processes by 4 combining two of the methodologies -- the Fault Tree 5 Analysis, or FTA, and Systems Theoretic Process 6 Analysis, or STPA. The strengths of these two 7 methodologies complemented each other and also reduced the limitations of each method when used on its own. 8 9 On slide 18, unfortunately, one hour is 10 not enough time to fully discuss these processes. I'm actually in the middle of a two-and-a-half-week 11 training on these processes right now. So, they are 12 very detailed. This slide is intended to show at a 13 14 very high level the overall process and where these 15 methodologies are applied. We will discuss some of the unique portions of this methodology in some of the 16 17 upcoming slides as well.

So, using NEI 20-07, the applicant will 18 19 apply STPA, which, again, will be presented in a little bit more detail in the next few slides. Within 20 the intent is to identify unique 21 that process, scenarios that could lead to possible plant hazards. 22 From there, a Fault Tree Analysis is used 23 to 24 understand the risk consequences of each of those loss scenarios and conservatively bound the analysis. 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

107

	108
1	Reg. Guide 1.174, figures 4 and 5, these
2	figures describe the delta CDF and LERF requirements
3	when using risk to justify licensing basis changes.
4	Those figures are used to address each loss scenario
5	and help determine a graded approach in which to
6	address each of those loss scenarios. Ultimately,
7	control methods, or in other words, design techniques,
8	are applied to each of the loss scenarios commensurate
9	with the Fault Tree Analysis mapping exercise.
10	Okay. I'm on slide 19 now.
11	So, STPA is one of the methods used to
12	analyze and diagnose system architectures. It is a
13	multi-step process that uses, again, multidisciplinary
14	teams to analyze systems, their control structures,
15	and potential unsafe control actions. This is a top-
16	down approach using systems engineering principles to
17	diagnose the requirements, design, and system
18	interactions.
19	So, is STPA effective? Many blind studies
20	have been performed to determine if STPA would have
21	been effective in preventing previous events. One
22	such example of a study had a team of people that were
23	familiar with STPA, but unfamiliar with nuclear power
24	plants, analyze the design of a nuclear plant system
25	as it existed prior to an event documented in industry
1	

(202) 234-4433

	109
1	OE. This was a real incident that the participants
2	had no knowledge of.
3	The team used STPA to diagnose the system,
4	and they anticipated the exact flaw that led to the
5	OE, as well as nine other scenarios that were
6	unaccounted for. This is one example, but the results
7	from other studies have shown that STPA has found
8	flaws that were either previously never found by
9	design teams or were found earlier in the design
10	process using this STPA methodology.
11	CHAIRMAN BROWN: Which digital I&C systems
12	did this occur in? I don't want to know whose, but
13	which type? Was this we're talking about electric
14	plant, governors, voltage regulators? There's not a
15	whole lot of digital systems in the reactor trip and
16	safeguards area that have been replaced in the plants.
17	So, I mean, I'm sitting here struggling a
18	little bit to I mean, it's a single point, not
19	always worried about single points.
20	MR. CAMPBELL: Right. Understood. My
21	understanding is this was actually a non-safety system
22	in which the STPA analysis was performed. Matt
23	Gibson, I believe, from EPRI is on the line as well
24	and can provide any additional insights into the
25	actual study details.
	•

(202) 234-4433

	110
1	CHAIRMAN BROWN: I don't think we need to
2	do that. My point being, is this a single-focus,
3	single-function control system that's a digital
4	system? It is obviously more susceptible when it
5	doesn't have redundancy and independence cranked into
6	it in order to achieve a common control output.
7	So, you're saying, with this process
8	you're looking at, you're addressing reactor trip and
9	safeguard systems. So, I'm not trying to discount it,
10	but single-function control systems, very, very
11	difficult if you make them too complex, if it didn't
12	work right.
13	MR. CAMPBELL: Understood.
14	Oh, go ahead.
15	CHAIRMAN BROWN: I'm just saying sometimes
16	everybody gets carried away with the software approach
17	to doing something. They use it where a simple
18	amplifier and relay and a switch would turn the system
19	on, and they put a microprocessor in place anyway,
20	which is not very thoughtful, when you get down to it.
21	But it sends lots of data out. So, everybody is happy
22	because they're getting lots of data.
23	I'm being a little bit I'm exaggerating
24	to a certain extent, but it is just I get nervous when
25	I it's apples and apples it's an apples-and-
	I contraction of the second seco

(202) 234-4433

oranges comparison.

1

2

3

4

5

6

MR. CAMPBELL: And I understand your point, and especially, it's not the apples-to-apples. We do have only one example of where a digital system has been applied in the manner that we're talking about today, at least that I'm aware of.

7 But the intent here is to discuss or show 8 the efficacy of the process, of the STPA process, and 9 not that of the system under analysis. The process 10 without knowing the event, without the individuals 11 knowing the system, resulted in identification of 12 flaws that led to that event, as well as nine other 13 potential flaws or scenarios.

14 CHAIRMAN BROWN: I only bring this up 15 because I was familiar with one specific circumstance where I had recommended that -- this was on a turbine 16 17 generator set governor system. And the vendor had optioneered two power supplies to feed both the 18 19 governor and the overspeed trip system. So, they always would have a supply. 20

Unfortunately, the machine 21 started They couldn't figure out why. 22 hunting. So, thev started troubleshooting, pulled out one of the power 23 24 supplies, and the machine immediately oversped and somehow disabled the overspeed trip, and they barely 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

	112
1	caught it because an operator was standing right
2	beside it and tripped the throttle valve.
3	And that was somehow the noise from the
4	one defective power supply, and they were now
5	immediately back into the mode of providing, quote,
6	"independent power supplies" for each of the
7	functions.
8	MR. CAMPBELL: Uh-hum.
9	CHAIRMAN BROWN: So, I mean, the rules of
10	independence and redundancy just work wonders and
11	override the need to do a lot of detailed "how does
12	one piece within it fail going to affect something?"
13	I'm not saying you don't do some of that. It's just
14	you've got to be careful you don't lose sight of your
15	reliance on some good judgment in terms of the overall
16	design.
17	I couldn't help myself again. I'm sorry.
18	(Laughter.)
19	MR. CAMPBELL: Again, always appreciated.
20	CHAIRMAN BROWN: Myron, do you have your
21	hand up? No? Okay. Somebody's got their hand up. I
22	don't
23	MR. HECHT: Charlie, yes, I do. Yes, I
24	do.
25	And I was just looking at the previous

(202) 234-4433

1 slide to this one, where you identified the 2 methodology, and basically, it starts out with STPA to 3 identify the hazards, and then, FTA to quantify them, 4 quantify the probabilities.

And you pointed out that -- or somebody 5 pointed out -- maybe it was Charlie who pointed out 6 7 that no hazard analysis technique is flawless. And 8 that's true of STPA as well. In principle, it's fine. 9 In practice, particularly identifying those loss 10 scenarios can be difficult. And you may end up with complete -- with an incomplete 11 set of loss а scenarios, which, then, affect your quantification 12 aspects and affect your overall basis for a risk-13 14 informed decision.

I'm just making that point because sometimes I would have hoped that you would have included a diverse means to mitigate the likelihood of overlooking these loss scenarios in this DBA.

19 CHAIRMAN BROWN: I'm going to make a similar comment at the end of your presentation about 20 the two approaches. I'm not against the thought 21 process, but just to make sure you understand where 22 I'm coming from, and you can refute it if it's wrong. 23 24 MR. CAMPBELL: Understood. 25 CHAIRMAN BROWN: Put your hand down,

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

	114
1	Myron.
2	(Laughter.)
3	MR. HECHT: I did.
4	CHAIRMAN BROWN: Okay.
5	MR. HECHT: I did. Thank you.
6	CHAIRMAN BROWN: All right.
7	MR. CAMPBELL: Just one point. I think
8	this is coming up here shortly, but I want to put a
9	pin I was taking some notes here on the
10	quantification of the risk. We will talk about that.
11	I know that's been a topic in the prior presentation
12	as well. We do have many slides on that. So, I'll
13	address that piece of this within a few slides here.
14	But thank you both for the comments.
15	CHAIRMAN BROWN: That's okay. Go on.
16	Thank you.
17	Which slide are we on now?
18	MR. CAMPBELL: We are on slide 21.
19	CHAIRMAN BROWN: So, 21? Okay.
20	MR. CAMPBELL: Twenty-one, yes. I was
21	just verifying that was the right one to land on here.
22	Okay. So, STPA is being used extensively
23	in other non-nuclear industries with safety-critical
24	applications. NEI 20-07 provides a sample of
25	organizations using STPA in these types of
	1

(202) 234-4433

	115
1	applications today. These companies include, or
2	organizations include: Ford, GM, NASA, Google, Tesla,
3	and many other military branches. You can also see on
4	this slide that many other industries have already or
5	are in the process of adopting STPA into industry
6	standards.
7	CHAIRMAN BROWN: I guess Boeing didn't
8	fare so well with the 737, did it?
9	MR. CAMPBELL: Boeing, I don't know how
10	that was I know they have been listed as using
11	STPA. I'm not 100 percent confident on where that's
12	been.
13	CHAIRMAN BROWN: I wasn't trying to say
14	they used STPA. I'm just saying
15	MR. CAMPBELL: Oh, yes.
16	CHAIRMAN BROWN: it was the fundamental
17	thought process of the control function that got them
18	in trouble. Okay?
19	MR. CAMPBELL: That's right.
20	CHAIRMAN BROWN: It took the man out of
21	loop somehow.
22	MR. ODESS-GILLETT: Yes, it sort of
23	reinforced this is Warren it sort of reinforces
24	the concept that these systematic failures often are
25	at the high level of defining requirements.
	I Contraction of the second

(202) 234-4433

	116
1	CHAIRMAN BROWN: Yes.
2	MR. CAMPBELL: Yes, thank you, Warren.
3	Okay. I'm on slide 22.
4	STPA has also been used within nuclear in
5	the NuScale Chapter 7, "Design Certification and
6	Safety Evaluation." The excerpt shown on this slide
7	was taken from the SCR report and concludes that, "The
8	hazards analysis performed by NuScale was effective
9	and acceptable." The hazards analysis that they're
10	referring to is described at length in the DCA, and
11	that DCA describes the STPA process which was used.
12	Okay. Moving on from STPA, we'll describe
13	or discuss how we can and cannot use risk in
14	addressing digital common-cause failure. In previous
15	discussions and white papers, NEI has used the term
16	"risk-informed" in the context described from the NRC
17	glossary, which describes or defines risk-informed
18	decisionmaking as "an approach to regulatory
19	decisionmaking in which insights from probabilistic
20	risk assessment are considered with other engineering
21	insights."
22	This term is frequently associated with
23	specific regulatory guidance; namely, Reg. Guide
24	1.174. So, we've changed the terminology that we're
25	using to "risk insights," rather than "risk-informed,"

(202) 234-4433

	117
1	to improve the clarity of what we're intending to
2	communicate. And we'll go into a little bit more
3	detail in the next few slides on some of the unique
4	aspects of that.
5	So, we do understand the benefits of using
6	risk insights. And Steve with the NRC staff did a
7	great job in describing how using risk allows us to
8	have a better focus-in on important system functions.
9	And within the context of digital I&C, it allows us to
10	have a better understanding of system architectural
11	decisions and inform what design techniques we use to
12	address common-cause failure.
13	I'm on slide 24.

The NRC staff SECY paper outline provides 14 a number of guiding principles in developing the SECY 15 paper. Three of these guiding principles are provided 16 17 here that describe how the staff proposes to use risk information. Additionally, the SECY outline states 18 that PRA models can be used to systematically compare 19 the effectiveness to diversity -- or as an alternative 20 21 to diversity. And I'd like to discuss some of the 22 challenges in meeting these principles and concepts. I'm on slide 25. 23 think through the discussion we've 24 Ι recognized that digital I&C software reliability is 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

1 challenged regarding how we model it within PRA space. In order to model software reliability, significant 2 3 assumptions are used to quantify software failure 4 rates. Because of this, the results produced by -- or 5 I'm sorry -- the results produced based on the digital technology have substantial uncertainties and little 6 7 insight to the significance to plant risk. For this 8 reason, the absolute risk impact of software 9 reliability determining the effectiveness of design 10 techniques and comparing to full diversity are not plausible. 11 Lastly, while NEI 20-07, Rev. D, leverages

12 concepts from Req. Guide 1.74, it does not meet the 13 14 scope of the full application of Reg. Guide 1.74. 15 This Req. Guide provides quidance for justifying licensing basis changes, based on the risk impact of 16 17 the change. NEI 20-07, Rev. D, proposes using insights for each unique conservative risk loss 18 19 scenario to inform design decisions, not to justify the overall impact of the modification or application. 20 Okay. I'm on slide 26. 21 So, how do we propose to use these risk 22 insights? NEI 20-07 uses risk sensitivity analysis to 23 24 determine a conservative bounding impact for specific These unique scenarios are modeled to 25 scenarios.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

118

	119
1	determine their specific impacts to the CDF and LERF,
2	and then, are mapped to the associated figures in Reg.
3	Guide 1.174 as a conservative means of prioritizing
4	the treatment of each of these scenarios.
5	This analysis assumes the failure of the
6	loss scenario or assumes the loss scenario occurs.
7	So, it assumes failure and determines the impact to
8	the plant based on that failure, and then, we apply
9	the graded approach based on that. So, based on those
10	risk insights, the design team applies various control
11	measures or design techniques or design requirements,
12	in accordance with GDC 22.
13	The result of this process is a
14	conservative bounding analysis of the modification
15	that assumes the failure. So, we are not proposing
16	that the absolute risk impact of the digital system or
17	its unique design techniques can or will be
18	determined.
19	For these reasons, the risk-related
20	guiding principles and concepts listed in the NRC SECY
21	outline are not aligned with the proposed use of risk
22	using this technique. In other words, full
23	application of Reg. Guide 1.174 requires one of the
24	guiding or one of the principles stated within that
25	is to minimize the risk of the modification, and we

(202) 234-4433

120
cannot accurately I'm sorry. Because of the
assumptions with the software that we've all referred
to, this would not be possible to describe within
absolute means.
MEMBER DIMITRIJEVIC: Can you repeat this?
Because I nearly failed to understand this last point.
Can you just tell again? And what are you actually
trying to tell us, that you are using the Reg. Guide
1.174 without numerical values? Is that what you're
trying to explain?
MR. CAMPBELL: Yes, we are so, the
process, when we develop the loss scenarios for
specific hazards or for a modification, we assume each
of those loss scenarios occurs and do a risk
sensitivity. So, when this loss scenario occurs, what
is the impact on the plant?
Based on that, we leverage we recognize
that Reg. Guide 1.174 provides means that already
informs, you know, within the regions, how to address
that for modifications of the plant. So, since that's
already defined, we're leveraging that concept that's
described in 1.174, but we're not claiming compliance
with it because the software failure, as we've
acknowledged, cannot be defined within the PRA model
without significant assumptions baked into the

(202) 234-4433

	121
1	process.
2	Does that answer your question?
3	MEMBER DIMITRIJEVIC: Well, it was very
4	well around it. So, let me just discuss with you
5	something. And then, I will see exactly what I don't
6	understand.
7	MR. CAMPBELL: Okay.
8	MEMBER DIMITRIJEVIC: See, the Reg. Guide
9	1.174 evaluates things, the changes, something before
10	and after, right? Right, that's what it is. To
11	justify what is now, you evaluate, you could evaluate
12	what it should be or what it was, right? So, what is
13	actually when you say that those scenarios are
14	assumed to read what they need to say, now what are we
15	evaluating? We are evaluating if the common cause
16	doesn't have a what are we evaluating, actually, in
17	this process through the 1.174? What is the delta
18	risk between? Between what?
19	MR. CAMPBELL: The delta risk is between
20	the existing design, and then, we do a sensitivity
21	the delta is the sensitivity to any given loss
22	scenario. So, we assume the loss occurs. The
23	sensitivity
24	MEMBER DIMITRIJEVIC: Loss of what?
25	MR. CAMPBELL: The loss of function. And
	1

(202) 234-4433

	122
1	then, we use that
2	MEMBER DIMITRIJEVIC: Loss of function
3	which will be lost if you have a common-cause failure?
4	Is that what loss of what?
5	MR. CAMPBELL: Can you repeat your
6	question? I'm sorry.
7	MEMBER DIMITRIJEVIC: Yes, I will. So,
8	you are calculating loss of scenario, which will be
9	loss due to the common-cause failure?
10	MR. CAMPBELL: That is correct.
11	MEMBER DIMITRIJEVIC: So, you evaluate all
12	possible combinations of common-cause failure, and
13	those scenarios are those probabilities of common-
14	cause failure couldn't bear a set to one? Is that
15	what you do? I'm trying to see how this evaluation
16	works in my head, and I haven't really because you're
17	discussing it on an abstract level instead of if
18	you show some specific scenario, it will be much more
19	clear to me.
20	So, is that what you're doing? You're
21	assuming the common-cause failure occurs with
22	probability of one?
23	MR. CAMPBELL: That is correct.
24	MEMBER DIMITRIJEVIC: But failure of the
25	parts of that common-cause failure are not one, right?
	1

(202) 234-4433

	123
1	MR. CAMPBELL: That is correct.
2	MEMBER DIMITRIJEVIC: Let's say that you
3	have a sense in terms of some failure probability,
4	where you're actually setting failure of two sensors
5	to that failure probability, or are you setting a
6	failure of two sensors to one? That's what I'm trying
7	to see.
8	MR. CAMPBELL: We're setting the failure
9	and Matt Gibson with EPRI is, again, on the line.
10	And, Matt, if I'm misspeaking for the "how to" on the
11	HAZCADS and DRAM process, please correct me.
12	The failures are the functional failure
13	or the loss scenario is set to one. And so, we
14	evaluate the impact of a common-cause failure on the
15	plant, and then, prioritize our treatment in a graded
16	approach to either prevent, to the extent that we can;
17	mitigate, or if it's low enough, accept the impacts of
18	that.
19	MEMBER DIMITRIJEVIC: Do you have examples
20	in your white paper of this process?
21	MR. CAMPBELL: Not in the white paper, but
22	within NEI 20-07, Rev. D, which is available within
23	ADAMS. It's described within there.
24	MEMBER DIMITRIJEVIC: Okay. I will check
25	that. Thanks.

(202) 234-4433

	124
1	MR. CAMPBELL: Okay. Matt, I heard you
2	speaking in.
3	MR. GIBSON: Yes, Alan. We can expand on
4	that, but I guess, in the interest of time, probably
5	we won't at this point.
6	MR. CAMPBELL: Okay.
7	MR. GIBSON: So, just I guess move on.
8	MR. CAMPBELL: Okay. Thank you.
9	I see Han Bao has do you have your hand
10	up?
11	MR. BAO: Hi, Alan. This is Han Bao from
12	Idaho National Laboratory. Long time, no see.
13	MR. CAMPBELL: Yes.
14	MR. BAO: And I have one question for your
15	previous slide. If you can go back to yes.
16	So here, the challenge is in the modeling
17	by using PRA tools was already discussed. So, how
18	should we define or how did you define the substantial
19	uncertainties? Which kind of uncertainty can be
20	considered as substantial?
21	MR. CAMPBELL: Your question is regarding
22	the magnitude of uncertainty?
23	MR. BAO: Yes.
24	MR. CAMPBELL: Okay.
25	MR. BAO: Yes.
1	I Contraction of the second

	125
1	MR. CAMPBELL: Victoria, are you online?
2	Can you speak to what a substantial uncertainty would
3	be?
4	MS. ANDERSON: Yes. I mean, I think what
5	we were thinking when we said, "substantial
6	uncertainty," it's where you get to the point where
7	the uncertainty is greater than the point estimate you
8	make, if that makes sense.
9	MR. BAO: Okay. Thank you.
10	MR. CAMPBELL: Okay. I am on slide 27.
11	So, NEI believes that the approach that
12	we've described today is effective and will result in
13	safe digital protection systems. We believe that
14	diversity can be an effective tool when engineering
15	analysis supports its use, but it is not required in
16	all circumstances, except for ATWS, nor is it a
17	benchmark against which other options are compared
18	based upon existing regulation.
19	We believe that the risk insights should
20	be used to apply a graded approach. But, because of
21	challenges in modeling software reliability in PRA
22	models, its use is limited to performing conservative
23	bounding analysis on specific functional losses.
24	The policy considerations listed on this
25	page summarize these points that we've made throughout
	1

(202) 234-4433

today's presentation and were provided within the white paper. And these have remained unchanged, I believe, except for the term "risk-informed" changed to "risk insights" from the version that has previously been sent.

The next two slides provide an example 6 7 policy usinq the considerations that we just 8 discussed. We are aligned with the NRC staff in 9 preserving and updating the existing policy statements 10 in SRM-SECY-93-087. That said, NEI believes а supplemental pathway that should be established, such 11 that the concepts that we've expressed today can be 12 applied with what's currently described as points two, 13 14 three, and four to reflect what we've discussed. Our 15 analysis of the existing regulation does not preclude us from addressing point four, as we've discussed 16 17 throughout the presentation.

The example policy that you see here 18 19 the overall concept maintains of the existing SRM-SECY-93-087, point one, but does specify the scope 20 to RPS and SFAS. We believe this terminology better 21 defines the scope of the policy and is aligned with 22 the original intent of the common-cause failure 23 24 concern. This point also broadens the defense-indepth term to fully specify the plant's defense-in-25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

1

2

3

4

5

	127
1	depth, as was discussed during the NRC presentation as
2	well.
3	Point two describes the overall
4	methodology using risk insights and hazards or
5	reliability analysis.
6	And lastly, our example, point three
7	allows for broader application of design techniques,
8	not just limited to the diversity. So, this is
9	consistent with current policy and, also, consistent
10	with that non-safety-significant I'm sorry non-
11	safety SSCs can still be used.
12	Monitoring and manual operator action are
13	options for design techniques, but not prescriptively
14	required unless already done so by 10 CFR 50.55(a)(h).
15	So, this completes my prepared comments on
16	the topic today. I want to thank the NRC staff for
17	their work on this topic. While there are still some
18	points for us to better understand each other's
19	position, I know that, based on our previous
20	interactions, that we'll continue to have meaningful
21	public dialog and look forward to further engagements
22	on the topic.
23	I also want to thank the ACRS Subcommittee
24	for generously allowing me to present NEI and its
25	members' perspectives today.

(202) 234-4433

	128
1	Thank you.
2	CHAIRMAN BROWN: Okay. Thank you, Alan.
3	I've got a couple of observations I would
4	like to make. But, before I do that, I was going to
5	go back through the members here and see if they have
6	any additional comments. I want to make sure we get
7	those on the record, so that I can find them, if I
8	have to do anything, in the transcript.
9	(Laughter.)
10	So, do members have any comments that they
11	would like to make? Just start chiming in. Or do you
12	want me to call you out name by name? So, somebody
13	can start, if they want to.
14	MEMBER KIRCHNER: Well, Charlie, I'll take
15	a stab, having sat next to you all these years at the
16	table.
17	It seems to me I haven't heard anything
18	that addresses what I think we're looking at is
19	addressing systems, architectures, and reliability,
20	and maybe looking for places where you have common-
21	mode or common-cause failure potential. But I haven't
22	heard anything to obviate the need for diversity in
23	the reactor protection systems and the SFAS systems.
24	Just an observation.
25	CHAIRMAN BROWN: Yes.
1	

(202) 234-4433

	129
1	MEMBER KIRCHNER: I can see the use of
2	these risk techniques to enhance the overall
3	robustness and resilience of the plant to upsets and
4	cases where the upset may be, yes, you have common-
5	cause failure of your choice of electronic digital I&C
6	systems, or whatever, but I haven't heard anything
7	that would, from my perspective, suggest an alternate
8	route to address the fundamentals of, you know, the
9	architectural fundamentals for the reactor protection
10	system and the SFAS systems. That's just an
11	observation, not a question.
12	MR. CAMPBELL: I'd like to respond to
13	that, if that's appropriate.
14	CHAIRMAN BROWN: Yes, go ahead.
15	MR. CAMPBELL: Okay. And it's difficult
16	to get down to a granular level of detail within an
17	hour and a half or so. But the methodology that we're
18	looking at today using STPA and the Fault Tree
19	Analysis, we're not prescribing the use of one design
20	technique over another. What we are suggesting is
21	that all design techniques should be applied, where
22	it's appropriate within the results of the analysis
23	and its impact on risk to the plant.
24	And so, when we look at the example
25	primary and diverse architectures here, the process
1	,

(202) 234-4433

that we are looking, or the STPA and Fault Tree Analysis of HAZCADS and DRAM evaluates the system architecture, but, in doing so, it diagnoses issues with the specification and requirements. It addresses issues on the understanding of your systems. It looks at the system interactions.

7 You know, it starts from a place of 8 everything is possible to occur, and then, it 9 evaluates from there, you know, what the impacts of that are, and then, provides the design techniques 10 that are applicable to it. So, there are a number of 11 things that we could do to eliminate, prevent, or 12 accept those, but what should we do commensurate with 13 14 this risk impact?

15 MEMBER KIRCHNER: No, I agree, Alan, with 16 your application of this methodology. It sounds 17 pretty sound to me. This diagram is a good diagram.

Charlie made an excellent point. It doesn't matter with this diagram whether you have an analog system or a digital system that's prone to common-cause failure. That could be true in an analog system, too.

And then, if the specification errors are wrong for both diverse systems, well, you're in big trouble. But, hopefully, your techniques maybe would

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

	131
1	help you sort that out diagnostically.
2	So, I'm not at all critical of the
3	approach you're taking or anything. I'm just making
4	an observation that I think, if this, for example,
5	were two divisions of a reactor protection system,
6	yes, you could get the specs wrong on both, and then,
7	you tie them together and get an uncontrolled or
8	controlled interaction. Yes.
9	So, going through, whether it's the Fault
10	Tree Analysis or the other, the STPA methodology, and
11	seeing if you're vulnerable to that second box on the
12	bottom, I think a very worthwhile design exercise.
13	So, I'm not criticizing at all.
14	CHAIRMAN BROWN: Anybody else
15	MR. CAMPBELL: Thank you. I appreciate
16	your observation.
17	CHAIRMAN BROWN: Any other members have
18	another comment?
19	(No response.)
20	Okay, I guess it's my turn. It's the
21	five-second rule.
22	How do I start this off here? Let me
23	address the big-picture part of this first, the
24	diversity versus not diversity, and the approach that
25	you show in your example policy-type thing, which
	1 I I I I I I I I I I I I I I I I I I I

(202) 234-4433

	132
1	replicates what was in your white paper.
2	I'll look at it from a higher level. To
3	me, the path you're asking, in order to get away from
4	or eliminate or minimize the use of diversity because
5	of the complication of the additional equipment, and
6	everything else that it may entail, it takes what I
7	would call a micro-approach to doing that. You say,
8	hold it; we're going to use these tools to meet, to
9	assess what failures we may have to deal with.
10	And I take your policy statement No. 2,
11	where it says, "The applicant shall identify each
12	digital common-cause failure that could adversely
13	impact a safety function using risk insights and
14	hazards and/or reliability analyses techniques."
15	You'll never know whether you've found
16	each digital common-cause failure that could adversely
17	impact a safety function. I mean, the analysis would
18	be so complex and have to go down into the bowels and
19	the intestines to sift through every little tendril
20	that's branching off anywhere.
21	Not that you don't take a higher-level
22	approach to some of that as opposed to you know, it
23	just depends on the depth you go to. But that's kind
24	of the microscopic approach to figuring out what your
25	CCFs are, and then, addressing each CCF and doing
I	I contraction of the second

(202) 234-4433

	133
1	something with it.
2	The diverse approach is what I'll refer to
3	as a micro, a coverall-type approach to doing
4	business. Not saying it's perfect, but it bounds it,
5	to use a terminology that the staff used earlier a
6	little bit.
7	In other words, you look at your overall
8	architecture that's been designed with the fundamental
9	principles. Then, you figure out, okay, what may go
10	wrong with those? We can't figure out what they all
11	are. But if we do this with something that looks
12	different than the techniques we use in those four
13	divisions, then we have or in two devices of the
14	other two we at least obviate and reduce the
15	likelihood again, a risk assessment of having
16	anyone CCF damage me.
17	So, that's my view of, do I grovel down in
18	the bowels and get my hands dirty or do I look at the
19	top-level picture and say, look, I've got to bound
20	this stuff. I cannot ever find each and every CCF,
21	and then, make a design change to fix that. It's just
22	never going to happen.
23	I threw that out in my program 20 years
24	ago, or 22 years ago now actually, 40 years ago,
25	when we first started doing these. It was awful hard.

(202) 234-4433

	134
1	And I had far more resources in my hands than the
2	commercial world did.
3	You can't build engineering models that
4	replicate exactly what's going into each and every one
5	of the plants; hook it up to a massive computer
6	system, and then, test every line of code to see that
7	you get the right result.
8	But it's just a different approach.
9	That's what you're stuck with in the commercial world.
10	You don't have any choice. You use very complex
11	computer platforms which have Warren, you can
12	correct me if I'm wrong hundreds of thousands of
13	lines of code, because the guy that designs the
14	platform wants to be able to apply it and make money
15	off of it, and there's nothing wrong with that,
16	either. But that means you have to determine whether
17	all those, the parts of that code that you don't use,
18	but yet the interrupt calls them up sometime, but
19	maybe it interferes. And how do you determine that?
20	It's very, very difficult to figure out what that is.
21	So, it's just different approaches. It
22	doesn't mean some of the techniques can't be used.
23	And it looks like the staff has, I think, tried to
24	take maybe a more cautious approach to say, hey, look,
25	right now, we're prohibited, you know, based on the
I	I Contraction of the second seco

(202) 234-4433

	135
1	rules that say we have to do diverse in these
2	circumstances. And they're trying to open the door to
3	say, "We need to have some flexibility to use our
4	heads during the design process."
5	So, the stress, the problem we've got here
6	is trying to get the Commission to agree with a more
7	flexible approach and not be so prescriptive. People
8	accuse me of being prescriptive all the time, and I am
9	in some circumstances, as Warren and others well know.
10	Okay?
11	So, that's my view of the two thought
12	processes that you're doing going forward or
13	proposing. I don't believe anybody disagrees with me
14	on that, but the critical notion is, obviously, to try
15	to get the Commission to allow the staff to start
16	using their head in terms of how they assess the need
17	for less diversity, which I think is a thing we ought
18	to be doing. I don't know whether all the rest of the
19	Committee members agree with me, but that's my
20	personal opinion.
21	MR. CAMPBELL: Can I take the opportunity
22	to
23	CHAIRMAN BROWN: Of course.
24	MR. CAMPBELL: respond to that?
25	I appreciate the comment. The statements
1	

(202) 234-4433

that you see on the screen here and on the next screen -- obviously, we don't write policy. And so, this was just our saying, hey, this is how you could apply the overall considerations that we would need in order to apply a scenario such as the NEI 20-07, which has been described today.

7 The language that you pointed out is consistent with the existing policy and how it's been 8 9 applied within BTP 7-19. So, where it states to demonstrate the vulnerabilities to CCF have been 10 addressed, and to identify each digital CCF, that's 11 consistent with what's described in SRM-SECY-93-087 12 and BTP 7-19 today. 13

14 And to your point of what the staff is doing, I'm aligned fairly closely with the overall 15 16 approach that the NRC staff is taking. I think 17 reserving the existing pathway and expanding that to allow the use of risk is important and does allow --18 19 it does open the door for further conversations where we can look at NEI 20-07 and challenge it, and 20 understand where other challenges may lie. So, we're 21 aligned on the overall approach. 22

23 We just want to ensure that the 24 methodologies that we are proposing with 20-07 are 25 clearly understood; specifically, within how we're

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

1

2

3

4

5

6

	137
1	using risk and what some of the limitations there are,
2	and where should we have to show absolute risk impact;
3	where the challenges with that may lie.
4	CHAIRMAN BROWN: Okay. No, I understand
5	that.
6	The concern one could have is, by the time
7	you finish some of these complex analyses, a diverse
8	approach is less expensive than spending months and
9	months and months going through and identifying 22
10	things that could happen. And now, I've got to have
11	22 design changes I'm exaggerating just to make the
12	point to correct all those.
13	And diversity has stood us in good stead.
14	Like I said before, I had the opportunity to not do
15	the diversity and opted I can't tell you exactly
16	what because it's in that program. I can't tell you
17	the actual details. But because it simplified an
18	overall argument, we were able to say like, what's our
19	worst circumstance we deal with that we have to worry
20	about getting hit with from an accident standpoint?
21	And so, you can address things like that.
22	There are different approaches. When you
23	look at the DBAs, why beat yourself to death on some,
24	when the worst one we have to care about, use the risk
25	approach to doing that, the likelihood of it
l	1 I I I I I I I I I I I I I I I I I I I

(202) 234-4433

138 1 occurring. But if it's more critical, put something in for that, but be more flexible in the other areas. 2 3 And it seems to me that the staff needs to 4 have some flexibility at doing that and working with 5 industry and NEI, so that we don't overdo it. We need to get these systems into the plants. 6 7 I mean, I could build new analog hardware. 8 I integrated circuits that are out there. You could 9 design the entire systems with integrated circuits and 10 off-ramps, and it would work just fine. You just don't have transistorized amplifiers. 11 But that's not the right way to do it. 12 You get far more information to the applicants -- I 13 14 mean the drift is almost zero, the accuracy of these 15 things. All your drift is the A-to-D converters, 16 basically. There's probably someplace else in there. 17 So, somebody could kill me. So, I'm all in favor and I just want to 18 19 make sure that we help encourage the staff in the right way to not only to be able to stick their toe in 20 the water and address this thing in a coordinated 21 manner, along with industry. 22 The other point is that -- I may be more 23 24 administrative -- is that, if somebody starts trying get the risk-informed or risk insights 25 into to

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

	139
1	eliminating designing equipment with the fundamentals,
2	the five fundamentals, then I get real nervous about
3	that, because I don't see that as being a good idea.
4	If somebody comes in and says, in one of
5	these new plants, that we only need two protection
6	channels, I just can't see me recommending to the
7	Committee members agreeing with that approach.
8	I remember operating with plants that were
9	one out of two. And it was a pain to try to keep the
10	plants operating when you needed to start up. We
11	finally migrated to four for everything, and the crews
12	never have a problem with operating the plants under
13	those circumstances. So, flexibility is important.
14	So, those are my concerns. That's why I
15	wanted to hear these presentations in the first place,
16	so that the Committee could understand a little bit
17	more, the members could understand a little bit more
18	of what's involved in these overall thought processes.
19	And I think we've gotten a good set of
20	presentations today. You have a couple of viewpoints,
21	a lot of them the same, and some of them with some
22	variations. The staff did a good job, and I think you
23	all did a good job in presenting some thought
24	processes of how you all have been thinking about it
25	also.

www.nealrgross.com

	140
1	A big question now for the Committee in
2	our discussions, I guess, is, how do we want to
3	address this in the future?
4	Did you have anything else to say, Alan,
5	or can I address the Committee members now?
6	MR. CAMPBELL: I see that Warren has his
7	hand up. I wasn't
8	CHAIRMAN BROWN: Oh, thank you. I didn't
9	see that.
10	Go ahead, Warren.
11	MR. ODESS-GILLETT: Yes, I just want to
12	make it really clear that NEI has no intention of
13	using risk insights to eliminate what's required in
14	the current set of regulations for independent,
15	single-failure criterion, redundancy, and so on.
16	CHAIRMAN BROWN: Deterministic processing,
17	control
18	MR. ODESS-GILLETT: Deterministic
19	processing, exactly. And defense-in-depth, exactly.
20	Exactly. Right. We have no intention of using risk
21	insights to eliminate any of that.
22	CHAIRMAN BROWN: Yes, I think there are
23	defense-in-depth approaches that don't require you to
24	have diversity. That's one of the areas we have never
25	really addressed fully, but there are approaches that
	I

(202) 234-4433

	141
1	you can consider that those work well.
2	So, anyway, thanks, Warren. I appreciate
3	it.
4	Anybody else?
5	Joy, are you still there?
6	Oh, a hand went up. Whose hand is that?
7	MR. CAMPBELL: It looks like Myron.
8	CHAIRMAN BROWN: Oh, is that you, Myron?
9	MR. HECHT: No, it's Vicki.
10	CHAIRMAN BROWN: Oh, Myron and Vicki.
11	Okay.
12	Vicki, do you want to go first, please?
13	Did you hear?
14	MEMBER BIER: Sorry, I raised my hand
15	second. So, if Myron is ready, he can go first.
16	CHAIRMAN BROWN: No, you go ahead. Go
17	ahead.
18	MEMBER BIER: Okay.
19	CHAIRMAN BROWN: We'll pick up Myron.
20	MEMBER BIER: Great.
21	I just have kind of a high-level comment.
22	I did appreciate the discussion that in some cases
23	diversity could actually increase risk, just by
24	increasing the complexity of the plant and making it
25	more difficult to understand everything that could

(202) 234-4433

```
www.nealrgross.com
```

	142
1	possibly go wrong. But it seems like the burden for
2	demonstrating that is pretty high; that in many cases
3	it would be the diversity would be a benefit.
4	And I just wanted to say that I was a
5	little nervous I don't want to put too much into
6	it, because it may just be choice of wording but
7	with wording like, when do we not want diversity? You
8	know, it seems to be more a matter of like, when is it
9	acceptable to have less diversity, not so much when is
10	it better from a risk point of view to have less
11	diversity. You know, I realize there may be some
12	cases where that's true, but that in most cases I
13	think the diversity probably is risk-beneficial, and
14	the real debate is not is it a bad idea, but is the
15	benefit its providing so small that we can justify
16	having less diversity?
17	CHAIRMAN BROWN: Yes, good point. Thank
18	goodness you got that into the transcript, because I
19	would have never remembered it.
20	Thanks, Vicki.
21	Are you done?
22	MEMBER BIER: I am done with my comment.
23	Thanks.
24	CHAIRMAN BROWN: Okay. Myron, you had
25	something else?
	1
	143
----	--
1	MR. HECHT: Yes, I have two, and that's
2	dangerous because, generally, one will be answered and
3	the second one won't, but I'll bring them up anyway.
4	The first comment that I think, in order
5	for STPA to be a viable approach, NEI or EPRI has got
6	to provide some examples, and the NRC's got to
7	understand them. I'm concentrating, I'm thinking
8	specifically about the loss scenarios, but it might be
9	trying to understand what the control loops are in a
10	four-channel plant might be a little bit more complex
11	than might be originally thought.
12	And so, providing the staff with a safety
13	case on the basis of STPA without some preparations
14	and guidance and the ability of the staff to evaluate
15	the STPA is going to be a problem. And, of course,
16	that is the foundation of the EPRI/NEI approach.
17	The second point I wanted to make was in
18	response to the comment you made on chart 25, which,
19	basically, says that, "The absolute risk impact of
20	software reliability cannot be quantitatively measured
21	without substantial uncertainties." Without
22	uncertainties, it's true; without substantial
23	uncertainties, perhaps less so.
24	And I, you know, point to the experience
25	now that we have in guidance systems and missiles, and
1	

(202) 234-4433

1 some missiles which are very, very important to national security, which I'm working on now. 2 And in that technique, in those domains, what's long been an 3 4 acceptable approach has been software-in-the-loop 5 simulations where you can do hundreds of thousands, or even millions, of runs with variations. 6 Of course, 7 the variations have to be proper and representative of 8 the operational profile. And they call that Monte 9 Carlo testing, not to be confused with Monte Carlo 10 simulation the way it's used in some Fault Tree Analysis techniques. 11

But the point is that there is substantial industrial experience and DOD experience in using those techniques to come up with the correctness of the software. It doesn't handle the issue of crashes and hangs, or what Charlie calls "lockups," but it does address the issue of whether the software is going to respond correctly to a particular challenge.

19 With respect to the hangs and crashes, and other things that can also affect operation and cause 20 CCFs, we have, at least in the designs that we've 21 underlying the application software is 22 seen, the operating systems, and the operating systems are where 23 24 we're going to see those effects. And by collecting 25 the data in the right environments and with complete

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

144

ĺ	145
1	control and visibility, you can get hundreds of
2	thousands of hours of operating time in a reasonable
3	amount of time and be using that.
4	Now, you have to set up the right
5	environment to collect that data, and in some cases it
6	has been done. And that can help.
7	I'm just making the point that, you know,
8	you can't use operational experience because these
9	failures are rare, but you can use tests and
10	simulations to help get a better handle on that. And
11	that's been done in other industries.
12	MR. CAMPBELL: I appreciate that input.
13	I was taking some notes here.
14	Just associated with your point one
15	regarding the examples, we do plan on working through
16	some examples once the NEI 20-07 document is available
17	to be reviewed and those conversations can occur. So,
18	supporting the review of an implementation guidance,
19	we would be looking to provide an example to
20	demonstrate the efficacy and what the product of the
21	process would be.
22	I appreciate your comments on the missile,
23	you specifically within the defense industry. I was
24	unaware of that. I think it will be interesting to
25	take a look at that and see how it's been applied and
	I contraction of the second

(202) 234-4433

	146
1	where we may be able to use something like that.
2	Where my mind well, I don't know much about that,
3	those applications, but we'll be interested in
4	learning more. Appreciate the comment.
5	MEMBER DIMITRIJEVIC: I thought sorry.
6	CHAIRMAN BROWN: Go ahead, Vesna. Go
7	ahead.
8	MEMBER DIMITRIJEVIC: I thought you said
9	the examples are provided in the NEI 20-07, Draft D.
10	So, that's what I was counting to see this week, but
11	it is now said the examples will be provided later?
12	MR. CAMPBELL: So, yes, I'll clarify that.
13	Thank you for that.
14	There is a high-level example that is in
15	20-07, Rev. D. It is a limited example that takes a
16	look at just it takes one example of each step of
17	the process, but not a fully-fledged example of what
18	a digital modification or digital application using
19	this would take a look at. For your questions, I felt
20	like the example that was provided could be shown in
21	how we apply that there.
22	MEMBER DIMITRIJEVIC: Okay. Thanks.
23	MR. HECHT: Vesna, if I could, if you type
24	in "STPA Handbook MIT" into a browser, you will get an
25	STPA Handbook, which was produced by Nancy Leveson and
1	I contract of the second se

(202) 234-4433

147 John Thomas, which describes the process and provides 1 not nuclear examples, but some other examples which 2 It's a very well-written 3 could get you educated. 4 document. 5 MR. CAMPBELL: And just that it's included within the citations of the presentation that you see 6 today. I will just note that STPA is one part of the 7 8 overall process. As we discuss, there are other parts 9 using Fault Tree Analysis. And, Vesna, if I remember correctly, your 10 questions were primarily on how we're utilizing --11 MEMBER DIMITRIJEVIC: That's right. 12 MR. CAMPBELL: -- the risk pieces of it. 13 14 MEMBER DIMITRIJEVIC: It's Req. Guide 15 Yes, that was primarily my question, and I'm 1.174. 16 sure if this was by Dr. Leveson, she wouldn't be in 17 that area. Okay. All right. Thanks. 18 19 MR. CAMPBELL: Thank you. I'd make one 20 CHAIRMAN BROWN: Okay. observation on that. When we deal with our strategic 21 missiles, there's a few hundred million dollars now in 22 running all those simulations and making them work. 23 24 Even my program didn't have that kind of money to verify software and make sure every branch was tested, 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

	148
1	to do that for our applications.
2	If we're finished with those discussions,
3	I guess we've got seven of the members here. Any
4	conclusions on how you all would like to proceed
5	relative to a letter or no letter, and have a full
6	Committee meeting, or what?
7	Joy, do you want to go first?
8	MEMBER REMPE: I'd have to unmute.
9	I'm looking some more at the agenda. And
10	before I answer that question or I'm sorry, excuse
11	me the rainbow chart. And before I answer that
12	question, you've got another meeting that's appearing
13	on the one that was most recently sent to us in
14	September on the CCF SECY, which I assume is this
15	document, right?
16	CHAIRMAN BROWN: Yes, but
17	MEMBER REMPE: It's on September 23rd.
18	CHAIRMAN BROWN: it was a placeholder.
19	MEMBER REMPE: Okay. So, are you planning
20	to, after the staff is that going to be before or
21	after the staff sends it to the Commissioners?
22	CHAIRMAN BROWN: No, they've already done
23	we didn't know, I had no idea of their schedule,
24	the actual schedule they were working to. We put a
25	placeholder because August we don't have a full
	I contract of the second se

(202) 234-4433

	149
1	Committee meeting.
2	MEMBER REMPE: Right.
3	CHAIRMAN BROWN: Okay?
4	MEMBER REMPE: And so, you're willing to
5	do everything, and your vision is that you're planning
6	to look at whatever they issue and send up to the
7	Commission, and then, write a letter if you feel like
8	it? And that's why you're having this Subcommittee
9	meeting
10	CHAIRMAN BROWN: No.
11	MEMBER REMPE: if that were the one
12	scenario?
13	CHAIRMAN BROWN: No, no. I wanted to know
14	before in case we wanted to intervene and say, "Stop."
15	DR. BLEY: Charlie, that placeholder
16	happened today, right? That's not a different
17	meeting?
18	CHAIRMAN BROWN: No, there's one in
19	September also we had.
20	DR. BLEY: Okay.
21	CHAIRMAN BROWN: We put a placeholder out
22	in September.
23	Christina, are you there?
24	MS. ANTONESCU: Yes, I'm here, Charlie.
25	CHAIRMAN BROWN: That is a place I am
	1

(202) 234-4433

	150
1	correct, we put that out there. Was that during full
2	Committee week or Subcommittee week?
3	MS. ANTONESCU: It's Subcommittee week.
4	CHAIRMAN BROWN: Yes, that was a
5	placeholder, I thought, for what we depending on
6	what we got out of this meeting, if we needed to do
7	more from a Subcommittee standpoint.
8	MS. ANTONESCU: Correct.
9	CHAIRMAN BROWN: That's why we put it
10	there.
11	The thing here is, do we want to put out
12	a straightforward letter, a simple letter, that says,
13	"Staff, go forward."? Or do we want to remain silent
14	while they go ahead and prepare their SECY and send it
15	up to the Commission?
16	The only purpose of the letter would be
17	that we would encourage them to the real point is
18	we need to kind of encourage the Commission to buy
19	into some additional flexibility for the staff to
20	evaluate the diverse approaches.
21	MEMBER REMPE: So now that I kind of
22	understand what you're saying, Charlie, I think it's
23	great for you to write such a simple letter, but I
24	sure would put a caveat that we haven't seen any
25	text
1	

(202) 234-4433

	151
1	CHAIRMAN BROWN: Oh, yes, I got you.
2	MEMBER REMPE: and we might change our
3	mind when we see what they send to the Commission.
4	Because, I mean, this is a really awkward position, I
5	think, to put ACRS in. It would have been nice if the
6	staff would have gone ahead and written the paper, and
7	we could say, "This paper looks great, except for item
8	A or B," or "It's perfect. Please, Commission, we
9	fully endorse what the staff has." But now they're
10	putting us in a position to write a letter on some
11	slides and an outline. And that's what I've been
12	trying to convey. This is my other comment in the
13	previous meeting.
14	CHAIRMAN BROWN: If they reflect the
15	slides in the SECY, it addresses my major concern of
16	maintaining the 7-19 conventional path. Okay? And I
17	just don't want it to get, you know, entangled.
18	That's why any letter I wrote would be a simple letter
19	that says, "Hey, look, we need to go work on this.
20	Get on with it, but here's a couple of points to
21	maintain."
22	We can't lose sight we can't allow
23	risk-informed to supplant the emphasis on
24	architectures and design principles, and we can't
25	we do not want it to dismember 7-19 in its current
	I

(202) 234-4433

	152
1	form, so that you revise 7-19 like an appendix, or
2	something. Those would be our suggestions in the
3	letter, but that we say we agree with going forward.
4	Even though I'm not a big risk and PRA
5	person, diversity is one of those areas we really
6	ought to be trying to do and not overdo. And I've
7	never taken that up in our previous three or four
8	design applications that we've approved since I've
9	been here.
10	And this was an opportunity to try to say,
11	okay, yes, we agree with going that way, but let's
12	just be careful about doing it. And I think that
13	appears to be what the staff is doing. So, we could
14	encourage that or support that in our letter, and
15	then, see what they come up with. And if we disagree,
16	we'll write a letter to the Commission.
17	MEMBER REMPE: Again, I'm sticking with
18	what I said a simple letter, which, again, history
19	says that's going to be challenging sometimes with
20	your letters, but a simple letter, but a caveat saying
21	that we've not seen the text.
22	CHAIRMAN BROWN: You had to say
23	MEMBER REMPE: And just go on to the next
24	person.
25	CHAIRMAN BROWN: You had to stick a spear
1	

(202) 234-4433

	153
1	in my chest in public, right?
2	MEMBER REMPE: Always, Charlie, like you
3	do me.
4	(Laughter.)
5	Next person, please.
6	CHAIRMAN BROWN: No, Dennis has
7	volunteered to help me focus my thought processes.
8	(Laughter.)
9	So, if he's still on the line, I hope I
10	didn't overstep my bounds, Dennis.
11	DR. BLEY: I'm still here, Charlie.
12	CHAIRMAN BROWN: Oh, okay. Did I overstep
13	or
14	DR. BLEY: Probably not.
15	CHAIRMAN BROWN: are you willing to
16	help? Okay.
17	All right. Vicki, you had something else?
18	MEMBER BIER: Yes. I come down kind of
19	similar to Joy in a way, that it seems like the whole
20	process is still a little amorphous for ACRS to
21	comment intelligently. And maybe that's just that
22	it's amorphous in my head and I haven't understood it
23	thoroughly enough.
24	But I'm kind of on the fence. You know,
25	I understand Joy's comment about we could write a very

(202) 234-4433

I	154
1	simple letter reiterating a few basic principles and
2	advising caution, or whatever. But it's not clear to
3	me that I have at least enough information and
4	understanding. I could also go with not writing a
5	letter and just waiting to weigh in later, when we
6	know more about what they're doing.
7	CHAIRMAN BROWN: Do I hear from any other
8	that is the other path. We could do that.
9	The only observation I lost my train of
10	thought.
11	By making some points in this letter, in
12	a letter right now, we at least get some of the
13	fundamental principles reemphasized, as opposed to
14	waiting. I mean, the nice thing about the existing
15	SECY what is it? 93-087, is it's very clear.
16	Okay? It says these circumstances, diversity. It's
17	very clear.
18	So, it all depends on how the staff
19	proposes in their SECY, and we have not seen
20	they've shown us what they say they're going to say in
21	terms of the dual path. It's not sure, once it gets
22	to the Commissioners, how it will come out of the
23	Commissioners in an SRM. I mean, the Commissioners
24	are the Commissioners.
25	MEMBER KIRCHNER: Charlie, this is Walt.
l	

(202) 234-4433

	155
1	CHAIRMAN BROWN: Yes? Yes?
2	MEMBER KIRCHNER: Is there any compelling
3	reason to write a letter right now?
4	CHAIRMAN BROWN: No, it
5	MEMBER KIRCHNER: It would seem to me
6	CHAIRMAN BROWN: No, I'm happy they're not
7	destroying don't use that word literally, okay?
8	I'm sorry for saying it that way.
9	MEMBER KIRCHNER: You seem to be confident
10	in the direction they're taking.
11	CHAIRMAN BROWN: Yes.
12	MEMBER KIRCHNER: You agree with, I'll
13	call well, there's Charlie's principles, and then,
14	the principles that they put into this outline that
15	we've seen and the viewgraphs.
16	CHAIRMAN BROWN: Yes, they're not throwing
17	the baby out with the bath water.
18	MEMBER KIRCHNER: Right. So, there's no
19	indication of that. So, it would seem to me I
20	don't know what the estimated date for a draft of the
21	SECY is but it would seem to me we could wait until
22	we see a draft version. And we don't even need to
23	have another Subcommittee. We could take it up if you
24	felt if you felt that we should write a letter for
25	or against, there's no need for another Subcommittee

(202) 234-4433

	156
1	meeting. Once we have the document, we could read it
2	in advance; you could walk through it, and you could
3	present a draft letter to the full Committee.
4	CHAIRMAN BROWN: Well, and they could make
5	a presentation at the full Committee.
6	MEMBER KIRCHNER: Yes, and if that was
7	warranted, that, too.
8	CHAIRMAN BROWN: That's fine with me. I
9	do not have to write a letter to express any concerns
10	I had. I think they've put together an approach that
11	maintains the status quo, but opens the door to other
12	considerations without impacting those. So, I'm
13	satisfied from that standpoint. I wasn't a month ago.
14	MEMBER KIRCHNER: So, when we see the
15	draft, we can write an "attaboy" letter or, if we see
16	in the draft you know, trust but verify we've
17	got a concern, you can do an "attaboy" and document
18	the concern, and send that on its way.
19	Is the September-October timeframe for a
20	letter okay?
21	CHAIRMAN BROWN: If it's after the fact,
22	it could be September-October without any question.
23	Eric, you said you're going to be trying
24	are you still on the line?
25	MR. BENNER: I am on the line and
	1

(202) 234-4433

	157
1	CHAIRMAN BROWN: Can I ask you a question?
2	You said you all were going to be trying to get this
3	to the Commission in July?
4	MR. BENNER: That is correct.
5	I wanted to make two points. One, that
6	that is the current timeframe that we have aligned
7	with the Commission on, is to have the paper up to
8	them in the July timeframe.
9	Another point I wanted to make is that
10	this is the policy. I think Member Brown has
11	accurately captured that what we're trying to do is
12	not make any decisions about methodology, licensing
13	decisions. None of that is today. This is opening
14	the door on the policy because of this hard stop that
15	says, if a safety function could be disabled by a CCF,
16	thou shalt have diversity.
17	Any implementing guidance that we would
18	subsequently develop or, for that matter, any major
19	licensing action which would adopt that approach would
20	also come before the Committee for review. So, that's
21	not to try to get you not to do something, if you feel
22	you should do something. But, at least from the staff
23	level, this is strictly focused on opening the
24	aperture to use risk insights on this particular
25	aspect that's contained in the current digital I&C CCF
l	1

(202) 234-4433

	158
1	policy.
2	CHAIRMAN BROWN: Thank you for that, Eric.
3	That's why I'm comfortable with doing
4	nothing. I would just soon not write another letter.
5	DR. BLEY: But
6	CHAIRMAN BROWN: Yes, Dennis, go ahead.
7	DR. BLEY: I would just say something,
8	given the discussion the Committee had. If the
9	Committee wants to have some influence on the
10	Commission's decision on this SECY, writing a letter
11	now would do that. Writing a letter a month or two
12	months after the SECY goes up might be too late. They
13	might have already acted. On the other hand,
14	sometimes they sit up there for a couple of years
15	before they get acted on.
16	(Laughter.)
17	CHAIRMAN BROWN: Yes, that is the other
18	approach. Because, I mean, if in this letter we just
19	point these other things out, but we say we agree with
20	the staff approach, that at least lets the Commission
21	know that we're onboard with it.
22	The problem is we haven't seen the actual
23	language. So, the argument for not writing a letter
24	now would be that we haven't seen the do we want to
25	commit ourselves when we haven't seen the actual
	I contract of the second se

(202) 234-4433

	159
1	language?
2	MEMBER REMPE: Is there any way that this
3	plan to send it up to the Commission in July is going
4	to get delayed? Because I've heard things before and
5	things often get delayed.
6	MR. BENNER: I mean, I wouldn't want to
7	assess a probability for that.
8	(Laughter.)
9	MEMBER REMPE: Well, by the full Committee
10	meeting in a couple of weeks, will you have more
11	insights about that? Or you think, no, there's not
12	going to be any change in the next couple of weeks?
13	MR. BENNER: I mean, the staff is
14	responding to our interactions with our senior
15	management on the Commission expectations for when
16	they would like to see this paper.
17	I would say that the staff has done a lot
18	of heavy lifting, and I feel comfortable saying that,
19	you know, the paper we would write, right, that we
20	would provide to the Commission, will reflect exactly
21	what we presented to you today. Now any such paper
22	has to go through concurrences, but, on this paper, we
23	have been, you know, sharing this information, the key
24	messages, up our management chain.
25	We have, like I said, a diverse set of
1	

(202) 234-4433

1 people on the working group, including legal representation, to ensure that the direction we're 2 3 qoing, it fits within these constraints we've outlined 4 for ourselves; i.e., the PRA policy statement, safety 5 qoal policy statement, existing regulations, whatnot. And like I said, we were going to have 6 7 these three interactions -- today, the full Committee 8 meeting on June 1st, and a public meeting on June 8th 9 -- mainly, to tell people where we were going. And 10 the only course correction we were going to do is, all of a sudden, if there was like a fatal flaw that we 11 believe we have missed. 12 And I can tell you that, from what I've 13 14 heard today, we have not heard anything that we think 15 is a fatal flaw. We've heard definitely some things 16 we want to consider, and we want to look more closely 17 at all the work that's been done on the Licensing Modernization Project to see if there's some synergies 18 19 there we should leverage. But that's where we're at. 20 I mean, our marching order today is we've done what we think is 21 the heavy lifting and the heavy thinking. 22 And now, we're just marching towards making a recommendation to 23 24 the Commission that aligns with the messaging we've given you today. 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1716 14th STREET, N.W., SUITE 200 WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

160

	161
1	MEMBER REMPE: So, wouldn't it be better,
2	from a staff perspective, to have this simple letter,
3	which I hope it's simple, saying we think the staff's
4	going the right way, but we want to make I always
5	want to cover my options, and leave an option in from
6	an ACRS member, and say, "By the way, we haven't seen
7	the text and they may change things, and we'll let you
8	know if that happens," or something like that.
9	Because it's kind of a wishy-washy letter in some
10	respects, but I think it's better for you to have that
11	letter than to just be silent, and then, come in late,
12	don't you think?
13	MR. BENNER: Uh-hum. What you've just
14	verbalized is clearly factual. So, given and I
15	don't want to put words in the Committee's mouth
16	but, given what you've heard today, you think the
17	approach is the right direction for the staff to be
18	going in, but you haven't seen the paper. So, the
19	views you're expressing are not based on a complete
20	paper. And you could even weave in what I just said,
21	that, ultimately, any implementing guidance we would
22	expect to be offered to the Committee for review.
23	MEMBER REMPE: And then, P.S., it would be
24	nice if the staff would have us a little earlier in
25	the process in a more orderly fashion. Now, well, the
	1

(202) 234-4433

	162
1	Committee will decide what goes in there, but, I mean,
2	that's where I've kind of been
3	MR. BENNER: I mean, I will say we have
4	been challenged to try to make sure we're having the
5	right, all of the right stakeholder touchpoints, to
6	make sure that whatever we're sending to the
7	Commission, we're fully aware of all the stakeholder
8	views.
9	I mean, the staff's been working hard
10	because we've had to do a lot of homework, right? I
11	think Christina told me that it was something like 20
12	documents we provided you in preparation for this
13	meeting. And I can assure you the staff has done a
14	lot of homework into the looking at the history on
15	this particular subject, the policy as encapsulated in
16	93-087. But, obviously, a lot of looking at all the
17	other risk-informed guidance that has propagated since
18	1993, to leverage that in how we think we should
19	change this policy. So, the staff's been very busy on
20	this
21	MEMBER REMPE: I know.
22	MR. BENNER: and we appreciate
23	MEMBER REMPE: It's just that the process
24	is a little different.
25	Anyway, I'm still with my position,
1	

(202) 234-4433

	163
1	Charlie.
2	CHAIRMAN BROWN: Yes, the only downside to
3	us writing a letter right now, a simple letter which
4	I think I could I'm not quite sure how I'd do that.
5	How much time do I have? I've only got about 10 days
6	to do that, but I can give it a shot.
7	The only downside is we end up saying we
8	agree with the staff's approach it's trying to take on
9	this issue. And then, if it comes out they do
10	something different in their actual paper than what is
11	here, because of the interactions with some of the
12	concurees, then we have egg on our face.
13	MEMBER REMPE: No, not really, because I
14	want a caveat in that letter, or I'll do added
15	comments saying that, you know, I think the members
16	should have acknowledged that we haven't seen this;
17	all we saw were slides. We knew there was going to be
18	a subsequent stakeholder meeting, and staff changed
19	their mind. And I will promise you I'll do added
20	comments if you write a letter that doesn't have such
21	a hook in it that says
22	CHAIRMAN BROWN: No, I would put a hook in
23	it.
24	MEMBER REMPE: Yes.
25	CHAIRMAN BROWN: Don't worry about that.

(202) 234-4433

	164
1	I'm not that old. I'm not that dumb.
2	MEMBER REMPE: But, anyway, so I don't
3	think there's any risk to us. It just makes it very
4	clear that this thing was kind of out of process and
5	we're putting in something to support the approach,
6	even though we haven't seen the document.
7	CHAIRMAN BROWN: Other members? We've
8	only got two people voting here.
9	Vesna? Open your mic. Are you still
10	there? I didn't look. Did I lose Vesna?
11	MEMBER REMPE: I don't see her there.
12	MEMBER DIMITRIJEVIC: Sorry. I'm here.
13	I'm here. I tended to some delivery and I was just in
14	the door, but I heard all the discussion.
15	Okay. So, tell me, what did you ask me?
16	What did
17	CHAIRMAN BROWN: We've got seven members
18	here. We've got you, Ron, Dave, Vicki, Walt, Joy, and
19	me. Okay? So, we've got seven I think that's
20	seven.
21	MEMBER SUNSERI: And Matt.
22	CHAIRMAN BROWN: And Matt. I'm sorry, I
23	missed you, Matt. You were up on the next line.
24	So, we've got enough. I could write a
25	letter. I know Joy has great angst at me writing a

(202) 234-4433

```
www.nealrgross.com
```

100
and 10
on a
ite a
ley're
igure
ictual
that
ve no
f you
don't
od on
g they
ed to
l with
e you

	166
1	CHAIRMAN BROWN: Oh, okay.
2	Vicki, you didn't see the need for a
3	letter, right?
4	MEMBER BIER: Correct. I don't object to
5	writing one, but I don't think it's necessary at this
6	time.
7	CHAIRMAN BROWN: Okay. Matt?
8	MEMBER SUNSERI: I have the same opinion
9	as Vicki.
10	CHAIRMAN BROWN: Okay. Vicki's a no.
11	Matt's a no. Vesna is
12	MEMBER DIMITRIJEVIC: Whatever you, as
13	Subcommittee Chairman, feel like, I'm with you.
14	CHAIRMAN BROWN: So, either?
15	Ron hasn't answered yet.
16	Who am I missing? Walt?
17	MEMBER KIRCHNER: I align with Vicki and
18	Matt, but I'm neutral.
19	CHAIRMAN BROWN: You align with no?
20	MEMBER KIRCHNER: Yes, "no."
21	CHAIRMAN BROWN: So, there's three and a
22	half noes.
23	And where's Ron? Is he there yet? Ron?
24	(No response.)
25	Ron's always getting his internet
1	

167
connection blows out on him frequently.
So, we've got three and a half to one,
plus me. So, it's three and a half to two noes and
two, one and a half yeses.
So, if we don't write a letter, we don't
need the full Committee meeting presentation. Isn't
that right, Joy?
MEMBER REMPE: That's true. I wouldn't
see a reason for the staff to be presenting to us.
CHAIRMAN BROWN: Yes, I agree with that.
Now, the only thing I'm dealing with is
that you are the Chairman. If you demand a letter, we
will do a letter.
MEMBER REMPE: I don't think the Chairman
has that right. I'll go back and look at the Bylaws,
but I can't do that.
CHAIRMAN BROWN: I don't know. I mean, I
just then, I would suggest we go ahead and wait to
see.
I have confidence that the staff has put
out what they're going to be representing. And I
hope, Eric, if something deviates from that, you all
would let us know.
MEMBER REMPE: No, because this has gone
back and forth so much you know, Jose did just a

(202) 234-4433

```
www.nealrgross.com
```

	168
1	little paragraph and came at P&P and said, "Hey, the
2	Subcommittee said no letter was needed."
3	We heard this, and it's just your opinion.
4	Don't make it five pages or even two or three, more
5	than two or three paragraphs. But say we heard about
6	this; the approach sounds good, but the Subcommittee
7	recommended that we not provide a letter until we
8	actually see it.
9	You see what I'm saying? I think that's
10	a nice way to close the fact that the staff did come
11	and that you, the member, thought their approach
12	sounded good. Would you be willing to do a paragraph,
13	Charlie?
14	CHAIRMAN BROWN: Who do I send the letter
15	to? Who do I send the letter to? To myself?
16	MEMBER REMPE: No, it's not even a memo.
17	It's a paragraph. It's presented at P&P, like Jose
18	did last month. I'm sure that Christina can help you
19	by looking at what was done last month with Jose's
20	thing. Or maybe it's two months ago. Sometimes I'm
21	a month off.
22	But I think it's a nice way to just
23	document that this occurred.
24	CHAIRMAN BROWN: Is it one of the numbered
25	items in the schedule?

(202) 234-4433

	169
1	MEMBER REMPE: It's in the P&P, like the
2	handout that it has.
3	CHAIRMAN BROWN: Yes.
4	MEMBER REMPE: But, you know, we can talk
5	about that offline. But I think that would be a nice
6	way to close this discussion that acknowledges that
7	the staff came, and that you supported it; that the
8	Subcommittee supported the approach. We thought,
9	though, a letter wasn't needed at this time because we
10	haven't seen the final language.
11	CHAIRMAN BROWN: Okay. I'll do a
12	MEMBER REMPE: And, yes, if you have any
13	questions, give me a call.
14	CHAIRMAN BROWN: It will be three or four
15	sentences.
16	MEMBER REMPE: Yes, just a few sentences.
17	Yes, and you can send it to me, and I can look at it.
18	But, again, it's similar to what Jose did.
19	CHAIRMAN BROWN: Hold on. Hold on.
20	MEMBER REMPE: Uh-hum.
21	CHAIRMAN BROWN: You're overworking me
22	here.
23	(Laughter.)
24	MEMBER REMPE: Okay.
25	CHAIRMAN BROWN: I'm 80 years old. How do
I	1 I I I I I I I I I I I I I I I I I I I

	170
1	you expect me to absorb all this?
2	(Laughter.)
3	MEMBER REMPE: We can talk offline.
4	CHAIRMAN BROWN: I will put together three
5	or four sentences along your suggested line.
6	MEMBER REMPE: Okay, and send it to me,
7	and I can tweak it, if you want to take my comments,
8	but it's just a nice way to end the whole situation.
9	CHAIRMAN BROWN: I'll send it to
10	Christina, and she can make sure Larry has it for the
11	P&P preparation, or whoever does that. And you can
12	look at it in whatever process, and I'll send a copy
13	to you.
14	MEMBER REMPE: Wonderful.
15	CHAIRMAN BROWN: Dennis, do you have any
16	other observations?
17	DR. BLEY: No, it's a committee thing.
18	CHAIRMAN BROWN: Yes, okay. Good.
19	DR. BLEY: It's up to you guys.
20	CHAIRMAN BROWN: I know you're a
21	consultant, but you're an important consultant.
22	So, that's good. Okay.
23	Eric, are you still there?
24	MR. BENNER: I am.
25	MEMBER REMPE: I see hands up from Myron
	I

	171
1	and Vicki. Are they old hands or are they new
2	questions or comments?
3	CHAIRMAN BROWN: I don't know.
4	We've made a decision. There will be no
5	letter and there will be no full Committee meeting.
6	MR. BENNER: With what you said, we will
7	commit to, you know, after that stakeholder meeting,
8	to find a way maybe it would be as simple as in the
9	meeting. So, we'll find a way to provide a
10	communication to the Committee as to any changes we've
11	made.
12	MEMBER REMPE: That would be good, just to
13	make sure. Because you may get a letter in September
14	or October that you didn't want.
15	MR. BENNER: You'll get the paper when
16	it's done. But we'll look for a way, after we're
17	having those stakeholder interactions, to overtly
18	describe any changes that we made. Any I mean
19	changes that are from what we presented today.
20	Even today, we clearly have heard things
21	today that we want to polish our messaging and our
22	language and our presentation for that, that
23	stakeholder meeting. But we haven't heard anything
24	today that changes the philosophy of the paper and the
25	key messages of the paper.

(202) 234-4433

	172
1	CHAIRMAN BROWN: Yes, the only other
2	things I would have put in a simple letter were the
3	idea that they've taken an approach similar to ISG-06,
4	where you had an alternate review and you made it
5	separate. Okay?
6	MR. BENNER: Yes.
7	CHAIRMAN BROWN: And whatever we do but
8	that will be a BTP 7-19 review.
9	MR. BENNER: That's an implementation
10	piece.
11	CHAIRMAN BROWN: Yes.
12	MR. BENNER: And we've heard that, and we
13	talk about it offline. I mean, obviously, when we go
14	putting pen to paper, we'll have to see how it best
15	works out, but when we talked internally, we certainly
16	don't have any objection to that. Because, just like
17	we did on the ISG, right, it's an alternate pathway.
18	So, clarity in the implementing guidance as to how
19	people do the different pathways, we certainly support
20	that philosophically.
21	CHAIRMAN BROWN: The other thing to bear
22	in mind and this is a separate subject. Okay? Do
23	you remember when we did 7-19, Rev. 8, we had a
24	recommendation to include something relative to
25	unidirectional communications?

(202) 234-4433

	173
1	MR. BENNER: Uh-hum.
2	CHAIRMAN BROWN: Which you ended up not
3	not "you" personally, okay? but the staff did not
4	incorporate because it was in the cyber world.
5	MR. BENNER: Uh-hum.
6	CHAIRMAN BROWN: 5.71 now says you can use
7	methods for design purposes. It's in the first couple
8	of page now, the preamble.
9	If we do another revision, again, that's
10	a subject. Just bear in mind you will be hearing from
11	me that we ought to
12	MR. BENNER: Okay. We made the commitment
13	that the next version of BTP 7-19 would definitively
14	come to the Committee.
15	CHAIRMAN BROWN: Yes.
16	MR. BENNER: So, solely expect, as part of
17	our closeout to the EDO for EDO's recommendations.
18	CHAIRMAN BROWN: That's good. All right.
19	MR. BENNER: No surprises.
20	CHAIRMAN BROWN: And I didn't want you to
21	be surprised because you know I will be on that one
22	like I hate to use the term
23	MR. BENNER: I would be surprised if you
24	weren't.
25	(Laughter.)

	174
1	CHAIRMAN BROWN: Okay.
2	Any other comments from anybody?
3	(No response.)
4	Okay, I don't hear any. That's the five-
5	second rule again.
6	MS. ANTONESCU: But, Member Brown, the
7	public also might like to have
8	CHAIRMAN BROWN: Oh, I forgot. Thank you
9	very much, Christina.
10	I take it the lines are open and all that.
11	We're at the end now. Is there any public
12	comment?
13	I think, some circumstances, you may need
14	to hit *6 in order to make yourself heard. But, other
15	than that, unmute yourself and identify yourself and
16	who you're with, if you're with anybody, and make your
17	comment.
18	(Pause.)
19	That's the 10-second rule.
20	I'll pass on that.
21	And I'm going to go on to my final
22	comments.
23	I do want to thank the staff and NEI for
24	two very, very good presentations.
25	I thought the discussions that we got into

175
were informative. And personally, I think a lot of
the information you presented now is better understood
by the overall Committee. We had seven of the full
Committee here. So, I think that was beneficial to
hear this a little bit down in the weeds.
So, I thought you all, you presenters, did
a good job, and I much appreciate your efforts on a
nice, crisp presentation, both on the staff's side and
on the NEI side.
With that, I will adjourn the meeting.
Thank you all completely.
(Whereupon, at 5:14 p.m., the Subcommittee
was adjourned.)

## NEI Common Cause Failure Policy Input

Alan Campbell Technical Advisor





©2022 Nuclear Energy Institute

## State of Digital I&C



- The Digital I&C Integrated Action Plan (IAP) has improved regulatory guidance clarity and consistency
  - RIS 2002-22 Supplement 1 provided criteria for qualitative assessments of Common Cause Failure (CCF) in low safety significant safety-related systems.
  - BTP 7-19 Revision 8 incorporated graded approach assessments into staff review guidance
  - NEI 96-07, Appendix D and Reg. Guide 1.187 Rev. 3 provided enhanced guidance for digital systems under 50.59
  - DI&C-ISG-06 Rev. 2 provided an Alternate Review Process to improve regulatory confidence for digital safety systems upgrades.

## Why Digital Safety Systems?



- Existing systems are reaching (or have already reached) obsolescence
- Enhances safety via system diagnostic capabilities to identify and respond to issues
- Improves plant performance via improved accuracy, processing time, and automated capabilities
- Provides more data available to Operations, Maintenance and Engineering resulting in better real-time knowledge
- Reduces hardware inventory compared to existing systems

## Supports long-term, safe operation of our plants
#### Today's Digital Landscape



- Digital I&C technology has design features that provide for deterministic behaviors through the use modern standards
- International standards, such as IEC/IEEE, are widely accepted and have stable processes to reflect current understanding
- Hazard analysis techniques have matured and are used extensively in non-nuclear safety industries (such as aviation/aerospace, defense, automotive, and chemical industries)

NRC needs a modernized digital CCF policy that reflects today's technology, experience, and understanding

#### **Applicable Regulation**



- 10 CFR 50.55a(h) Codes and Standards, Protection and safety systems
  - Requires compliance with either IEEE 603-1991 or IEEE 279-1971
- IEEE requirements
  - Both IEEE standards require means to implement manual initiation of protection actions
  - Neither IEEE standard requires diversity
- RG 1.62 Manual Initiation of Protective Actions
  - Provides guidance for manual initiation/control to meet IEEE requirements
  - Provides a staff position that diversity is required to meet BTP 7-19.

Required codes and standards specify a means for manual initiation of protection actions, BUT do not specify diversity as a requirement.

#### **Applicable Regulation**



- 10 CFR 50.62 Anticipated Transient Without SCRAM (ATWS)
  - PWRs
    - Must have diverse means of automatic Auxiliary (or Emergency) Feedwater Initiation and Turbine Trip
    - 2) Must have diverse SCRAM system (CE and B&W only)
  - BWRs
    - 3) Must have diverse Alternate Rod Injection system
    - 4) Must have standby liquid control system (no diversity requirement)
    - 5) Must have reactor coolant recirculation pump trip (no diversity requirement)

ATWS requirements for diversity are limited to specific functions and do NOT require manual, system-level actuation.

#### **Applicable Regulation**



- 10 CFR 50 Appendix A, General Design Criteria 22 Protection System Independence
  - The protection system shall be designed to assure that the effects of natural phenomena, and of normal operating, maintenance, testing, and postulated accident conditions on redundant channels do not result in loss of the protection function, or shall be demonstrated to be acceptable on some other defined basis. Design techniques, such as functional diversity or diversity in component design and principles of operation, shall be used to the extent practical to prevent loss of the protection function. [emphasis added]

**Design techniques** are required to prevent loss of the protection function.



- Branch Technical Position 7-19, Rev. 8
  - Eliminate
    - Diversity within system or component
    - Testing
    - Alternative Methods
  - Mitigate
    - Existing System
    - Manual Operator Action
    - New Diverse System
  - Acceptance
    - Bounding acceptance criteria



- Branch Technical Position 7-19, Rev. 8
  - Eliminate
    - Diversity within system or component
    - Testing
    - Alternative Methods
  - Mitigate
    - Existing System Requires "sufficient diversity"
    - Manual Operator Action "SSCs used to support the manual operator action are diverse"
    - New Diverse System Requires "sufficient diversity"
  - Acceptance
    - Bounding acceptance criteria



- Branch Technical Position 7-19, Rev. 8
  - Eliminate
    - Diversity within system or component
  - Mitigate
    - Diversity using Existing System
    - Diversity using Manual Operator Action
    - Diversity using New Diverse System
  - Acceptance
    - Bounding acceptance criteria



Primary System #1



NRC Digital Instrumentation & Control Training, Module 3.0 Regulatory Concerns, Figure 3-22



Primary System #1



NRC Digital Instrumentation & Control Training, Module 3.0 Regulatory Concerns, Figure 3-22 ŊÊI







- I&C OE (nuclear and non-nuclear) indicates that most systematic failures are a result of:
  - Latent design defects due to inadequate requirements
  - Uncontrolled system interactions
- An EPRI study on nuclear events<sup>1</sup> indicate that the primary contributing factor is requirements errors

Diversity MAY be useful in addressing hazards (e.g., CCF), BUT:
1. Diversity CAN increase plant complexity and errors.
2. Diversity MAY NOT address all sources of systematic failures.

1. EPRI 3002005385



- I&C OE (nuclear and non-nuclear) indicates that most systematic failures are a result of:
  - Latent design defects due to inadequate requirements
  - Uncontrolled system interactions
- An EPRI study on nuclear events<sup>1</sup> indicate that the primary contributing factor is requirements errors

Industry solution to CCF is a diagnostic approach to addressing systematic failures proven effective in other industries and research.

# **Proposed Implementation Guidance**



#### NEI 20-07 Rev. D

- Leverages EPRI Hazards and Consequence Analysis for Digital Systems<sup>2</sup> and Digital Reliability Analysis Methodology<sup>3</sup>
- Provides a diagnostic approach to addressing systematic failure beginning during early stages of design process
  - Identifies missing, inadequate, or incorrect requirements
- Diagnoses system architecture for unsafe control actions
- Uses risk-insights to address hazards commensurate with plant risk

#### **Research Basis**



- EPRI investigated strengths and limitations of various hazard and failure analysis techniques<sup>4</sup>
- EPRI HAZCADS and DRAM combines Fault Tree Analysis (FTA) and Systems Theoretic Process Analysis (STPA)
  - Complementary strengths
  - Reduces limitations of each method used on its own

# **Proposed Implementation Guidance**



- The applicant will:
  - apply Systems Theoretic Process Analysis (STPA) to diagnose the system architecture and determine specific loss scenarios leading to hazards
  - perform a Fault Tree Analysis (FTA) to determine the risk impact of loss scenarios
  - map results of FTA to RG 1.174 Figures 4 and 5 regions (graded approach)
  - apply control methods to address each loss scenario of STPA commensurate with results from FTA mapping



 Diagnostic tool that iteratively analyzes requirements, design and system interactions



5. STPA Handbook, <a href="https://psas.scripts.mit.edu/home/get\_file.php?name=STPA\_handbook.pdf">https://psas.scripts.mit.edu/home/get\_file.php?name=STPA\_handbook.pdf</a>



- Efficacy proven through blind studies
- Example blind study<sup>6</sup>
  - Real incident caused by digital I&C system analyzed
  - Participants were familiar with STPA and blind to the selected OE
  - Participants provided general description of the system as it existed prior to the incident
  - STPA results compared to actual flaws that led to OE

STPA anticipated exact flaw that led to OE. STPA also identified ~9 other scenarios unaccounted for in the design.



- Utilized in non-nuclear industries (automotive, aviation, chemical, defense, etc.)
- Automotive Standards:
  - ISO/PAS 21448, SOTIF: Safety of the Intended Functionality
  - SAE J3187, Recommended Practice for STPA in Automotive Safety Critical Systems
- Aviation Standards:
  - RTCA DO-356, Airworthiness Security Methods and Considerations
- Cyber Security Standards:
  - NIST SP800-160 Vol 2, Developing Cyber Resilient Systems: A Systems Security Engineering Approach

- Standards in Progress:
  - ASTM WK60748, Standard Guide for Application
     of STPA to Aircraft
  - SAE AIR6913, Using STPA during Development and Safety Assessment of Civil Aircraft
  - IEC 63187, Functional Safety Framework for safety critical E/E/PE systems for defence industry applications
  - IET 978-1-83953-318-1, Code of Practice: Cyber Security and Safety



NuScale used STPA to perform a hazards analysis of I&C systems

- DCA<sup>7</sup> describes how STPA was used to analyze I&C systems
- SER<sup>8</sup> provides NRC acceptance of hazards analysis

#### SER, Chapter 7 Section 7.1.8.6

The NRC staff concludes that the application provides information sufficient to demonstrate that **the proposed HA has identified the hazards of concern, as well as the system requirements and constraints to eliminate, prevent, or control the hazards**. The NRC staff also concludes that **the HA information includes the necessary controls for the various contributory hazards, including design and implementation constraints, and the associated commitments**. The QA measures applicable to HA for developing the I&C system design conform to the QA guidance in RG 1.28 and RG 1.152. [...] On this basis, the NRC staff concludes that the application provides information sufficient to demonstrate that **the QA measures applied to the HA for I&C system and software life cycle meet the applicable QA requirements** of GDC 1 of Appendix A to 10 CFR Part 50; Appendix B to 10 CFR Part 50; and Section 5.3 of IEEE Std. 603-1991. [Emphasis added]

#### **Benefits of Risk**



- "Risk-Informed" v. "Risk-Insights"
- Better system function allocation between components
- Better understanding of the impacts of system architectural decisions
- Inform the use of measures to address a potential common cause failure based upon risk significance
- Understand risk impact to specific loss scenarios

## Proposed Risk Guiding Principles



- Common-Cause Failure (CCF) SECY Paper Outline, "Guiding Principles"
  - All five principles of risk-informed decision making, as listed in RG 1.174, need to be addressed satisfactorily.
  - The PRA used for risk-informed approaches needs to be technically adequate (e.g., meets the guidance in RG 1.200) and include an effective PRA configuration control and feedback mechanism.
  - The expanded policy needs to ensure that the introduction of digital I&C does not significantly increase the risk of operating the facility.

# Proposed Risk Guiding Principles



- Due to challenges modeling Digital I&C software reliability in PRA:
  - The absolute risk impact of software reliability cannot be quantitatively measured without substantial uncertainties
  - The effectiveness of applied design techniques cannot be quantitively measured without substantial uncertainties
  - There are no means of comparing design techniques to using diversity without substantial uncertainties
- NEI 20-07 Rev. D leverages concepts from RG 1.174; however, it is not completely applicable
  - This RG is used in the context of licensing basis changes, not design decisions

#### How Can We Use Risk Insights?



- NEI 20-07 utilizes Fault Tree Analysis to assess the risk sensitivity of each loss scenario
- The result of the sensitivity analysis is mapped to the CDF/LERF regions and used in a graded approach to apply control measures



#### **Policy Considerations**



- Allow for graded approaches based upon plant risk-insights to ensure applicants focus on the most risk-significant functions and to provide flexibility in meeting established system performance criteria.
- Consider the full plant defense-in-depth strategy to prevent (to the degree practicable), mitigate, or respond to a digital common cause failure.
- Allow for the use of modern hazards and/or reliability analysis techniques to examine the system for adverse conditions and identify appropriate system requirements to prevent systematic failures.
- Expand the ability to use design techniques, including diversity when applicable, to prevent (to the degree practicable), or mitigate a digital common cause failure in accordance with GDC 22.

#### **Example Policy**



- The applicant shall assess the impact of the proposed digital instrumentation and control Reactor Protection System (RPS) and Engineered Safety Features Actuation System (ESFAS) on the plant's defense-in-depth systems and procedures to demonstrate that vulnerabilities to digital common cause failures have been adequately addressed.
- 2. The applicant shall identify each digital common cause failure that could adversely impact a safety function using risk-insights, and hazards and/or reliability analysis techniques.

#### **Example Policy**



3. The applicant shall demonstrate commensurate with the risk significance of each identified digital common cause failure adequate measures to address the identified digital common cause failure that could adversely impact a safety function. The measures may include non-safety systems or components if they are of sufficient quality to reliably perform the necessary functions and with a documented basis that the measures are unlikely to be subject to the same common cause failure. The measures may also include monitoring and manual operator action to complete a function.



United States Nuclear Regulatory Commission

**Protecting People and the Environment** 

# Expansion of Current Policy Regarding Potential Common-Cause Failures in Digital Instrumentation and Control Systems

Advisory Committee on Reactor Safeguards Digital Instrumentation & Controls Subcommittee Briefing May 20, 2022

#### **Technical Staff Presenters**

- Samir Darbali Electronics Engineer, NRR/DEX
- Norbert Carte Senior Electronics Engineer, NRR/DEX
- Steven Alferink Reliability and Risk Analyst, NRR/DRA

#### **Digital I&C Project Managers**

- Bhagwat Jain Senior Project Manager, NRR/DORL
- Michael Marshall Senior Project Manager, NRR/DORL



#### **Working Group Members**

- NRR/DEX
  - Norbert Carte
  - Samir Darbali
- NRR/DRA
  - Steven Alferink
  - Shilp Vasavada
  - Sunil Weerakkody
- NRR/DSS
  - Charley Peabody

- NRR/DORL
  - Bhagwat Jain
- OGC
  - Sheldon Clark
- RES/DE
  - Sergiu Basturescu

- Additional NRR/DEX
   and DORL Support
  - Wendell Morton
  - Ming Li
  - Michael Marshall
  - Khoi Nguyen
  - David Rahn
  - Richard Stattel
  - Michael Waters
  - Steve Wyman



#### **Presentation Outline**

- Introduction and Key Messages
- Background
- Subject and Purpose
- Proposed Expanded Policy
  - Current Path
  - Risk-Informed Path
- Status of Draft SECY Paper and Next Steps



#### Introduction

- Nuclear power plants continue to install digital I&C technology
  - Increased reliability and safety benefits
  - Can introduce new types of types of potential systematic, nonrandom, concurrent failures of redundant elements (i.e., CCFs)
- SRM-SECY-93-087 directs that, if the D3 assessment shows that a postulated CCF could disable a safety function, then a diverse means be provided to perform that safety function or a different function
  - Diverse means may include manual actions
  - The current policy does not allow for the use of a risk-informed approach to determine specific circumstances that would not require a diverse means for addressing DI&C CCFs
- The staff is developing a SECY paper that will provide recommended language for an expanded policy, which allows greater use of risk-informed approaches to address DI&C CCFs



#### **Key Messages**

- The expanded policy will encompass the current points of SRM-SECY-93-087 (with clarifications) and expand the use of risk-informed approaches
- Any use of risk-informed approaches will be expected to be consistent with the Safety Goal Policy Statement, PRA Policy Statement, and SRM-SECY-98-0144
- The current DI&C CCF policy will continue to remain a valid option for licensees and applicants



#### **Background – Early Concerns with CCFs**

- Early concerns with CCFs
  - CCFs have been an NRC concern since the mid-1960s
  - In the early 1990s, the introduction of DI&C became a concern as a new source for introducing CCFs, as explained in SECY-91-292
- Current DI&C CCF policy
  - The NRC's current DI&C CCF policy is expressed in various documents, including SRM-SECY-93-087; SECY-18-0090; and BTP 7-19, Revision 8
- Current state of DI&C in the nuclear power industry
  - Design development practices and quality assurance tools have evolved
  - DI&C CCFs remains a serious area of concern



#### **Background – Use of Risk-Information**

- Increased use of risk-informed decision making
  - The staff is following the PRA Policy Statement and SRM-SECY-98-144 to expand risk-informed decision making
- Modernizing the DI&C regulatory infrastructure
  - SRM-SECY-16-0070 approved implementation of the staff's integrated action plan to modernize the NRC's DI&C regulatory infrastructure
  - The staff issued guidance on risk-informed, graded approaches to address DI&C
     CCFs for low safety significant systems (e.g., BTP 7-19 and RIS 2002-22,
     Supplement 1)
  - The staff believes this is an appropriate time to expand the current policy on DI&C CCFs to include the use of risk-informed approaches



#### **SECY Paper Subject and Purpose**

- SUBJECT
  - Expansion of Current Policy Regarding Potential CCFs in DI&C Systems
- PURPOSE
  - Provide the Commission a recommendation on expanding the current policy to include the use of risk-informed approaches for addressing DI&C CCFs
  - The recommended expanded policy will encompass the current positions in SRM-SECY-93-087 and the use of risk-informed approaches to determine the appropriate level of defense-in-depth and diversity to address DI&C CCFs



#### **Proposed Expanded Policy to Address DI&C CCFs**

- A single expanded policy that encompasses the current position in SRM-SECY-93-087 and provides for risk-informed approaches to address DI&C CCFs
- The expanded policy includes:
  - 1) Position in points 1, 2, and 3 of SRM-SECY-93-087 with appropriate clarifications and corrections from SECY-18-0090
  - 2) Position in point 4 of SRM-SECY-93-087 with appropriate clarifications
  - 3) The addition of risk-informed approaches to points 2 and 3 of SRM-SECY-93-087
- The expanded policy provides for:
  - 1) The deterministic demonstration of adequate diversity
  - 2) Risk-informed approaches


### **Proposed Expanded Policy to Address DI&C CCFs**



The Risk-Informed Path allows for the use of risk-informed approaches and other design techniques or measures other than diversity to address a potential DI&C CCF

> United States Nuclear Regulatory Com Protecting People and the Environment

potential DI&C CCF

## **Current Path**



## **Current Path**

- The current policy continues to be a viable option to address DI&C CCFs
- The current four points in SRM-SECY-93-087 will remain as a viable path to licensees and applicants:
  - Point 1 "... assess the defense-in-depth and diversity of the proposed I&C system to demonstrate that vulnerabilities to common-mode failures have adequately been addressed."
  - Point 2 "... analyze each postulated common-mode failure for each event that is evaluated in the accident analysis section of the safety analysis report (SAR) using best estimate methods... demonstrate adequate diversity within the design for each of these events."
  - Point 3 "If a postulated common-mode failure could disable a safety function, then a diverse means... shall be required to perform either the same function or a different function."
  - Point 4 "A set of displays and controls located in the main control room shall be provided for manual, system-level actuation of critical safety functions and monitoring of parameters that support the safety functions..."
- SECY-18-0090 provides guiding principles for the application of policy, which were used in the development of BTP 7-19, Revision 8



#### **Proposed Expanded Policy – Current Path**



The Current Path allows for the use of best estimate analysis and diverse means to address a potential DI&C CCF



## **Clarifying the Current Policy Language**

- Replacing "common-mode failure" with "common-cause failure"
  - The current language in SRM-SECY-93-087 points 1, 2, and 3 uses the term "common-mode failure" when the intent and implementation is "common-cause failure"
- Adding "facility" where appropriate
  - The current language in SRM-SECY-93-087 points 1 and 2 focuses on <u>the</u> proposed I&C system, when the NRC's concern is on the defense-in-depth and diversity of <u>the facility incorporating the DI&C system</u>
- Adding "defense-in-depth" where appropriate
  - The current language in SRM-SECY-93-087 point 2 focuses on demonstrating adequate diversity, when the intent and implementation includes defense-in-depth



# **Risk-Informed Path**



#### **Proposed Expanded Policy – Risk-Informed Path**



The Risk-Informed Path allows for the use of risk-informed approaches and other design techniques or measures other than diversity to address a potential DI&C CCF



#### SRM-SECY-93-087, Point 1 in the Risk-Informed Path

- Point 1 does not preclude the use of risk-informed approaches for the D3 assessment
- Existing policy and guidance support a graded approach and applying a level of rigor for the D3 assessment commensurate with the safety significance of the proposed DI&C system or component



#### SRM-SECY-93-087, Point 4 in the Risk-Informed Path

- Point 4 is consistent with current regulations that effectively require diverse and independent displays and controls
  - 10 CFR 50.55a(h) incorporates by reference IEEE Std 279 and IEEE Std 603-1991, which are mandatory for nuclear power plants licensed since 1971
  - IEEE Std 279, clauses 4.1, 4.17, and 4.20, and IEEE Std 603-1991, clauses 4.10, 5.6.1,
    6.2.1, 6.2.2, and 6.2.3 contain requirements related to automatically-initiated protective actions, manual controls, and information displays
  - 10 CFR Part 50, Appendix A, General Design Criterion 22 states, "... [d]esign techniques, such as functional diversity or diversity in component design and principles of operation, shall be used to the extent practical to prevent loss of the protection function."
- Risk-informed approach to point 4 would not provide appreciable benefits



#### SRM-SECY-93-087, Point 2 in the Risk-Informed Path

- Current approach focuses on consequences
- The staff considers this an appropriate area for risk-informing the evaluation of postulated DI&C CCFs
- The staff's goal is that risk-informed approaches will be consistent with all five principles of risk-informed decision making, as listed in RG 1.174



#### SRM-SECY-93-087, Point 3 in the Risk-Informed Path

- Current approach only provides one way of addressing undesirable outcomes (i.e., diverse means)
- The staff considers this an appropriate area for evaluating design measures other than diversity to reduce the risk from a DI&C CCF
- The staff's goal is to apply a graded approach for the level of justification needed for design techniques or measures other than diversity
- Diverse means will continue to be acceptable



## **Benefits of Risk-Informed Approaches**

- Risk-informed approaches can provide flexibility to address DI&C CCFs and are consistent with the PRA Policy Statement
- Risk-informed approaches can have different levels of PRA use
- Risk-informed approaches could support a graded approach for addressing DI&C CCFs in high safety significant systems
- PRA models could be used to systematically assess the need to reduce the risk introduced by the DI&C system
- Risk-informed approaches can identify initiators or scenarios where lack of DI&C diversity does not compromise safety



## **Guiding Principles for Implementation**

- The expanded policy will not conflict with existing regulatory requirements
  - A rule change or exemption will not be required to implement it
- The expanded DI&C CCF policy will be implemented consistent with the Commission's 1995 PRA Policy Statement, SRM-SECY-98-0144, and the current agency focus on expanding risk-informed decision making
- Implementation of the expanded DI&C CCF policy will continue to provide reasonable assurance of adequate protection of public health and safety



## **Guiding Principles for Implementation (contd.)**

- The use of risk-informed approaches will be consistent with all five principles of risk-informed decision making, as listed in RG 1.174
- PRAs used for risk-informed approaches will be technically acceptable (e.g., meet the guidance in RG 1.200) and include an effective PRA configuration control and feedback mechanism



#### **Proposed Expanded Policy to Address DI&C CCFs**



The Risk-Informed Path allows for the use of risk-informed approaches and other design techniques or measures other than diversity to address a potential DI&C CCF

> United States Nuclear Regulatory Com Protecting People and the Environment

potential DI&C CCF

## **Key Messages**

- The expanded policy will encompass the current points of SRM-SECY-93-087 (with clarifications) and expand the use of risk-informed approaches
- Any use of risk-informed approaches will be expected to be consistent with the Safety Goal Policy Statement, PRA Policy Statement, and SRM-SECY-98-0144
- The current DI&C CCF policy will continue to remain a valid option for licensees and applicants



#### **Status of Draft SECY Paper and Next Steps**

- The draft SECY is currently being developed
- A public outreach meeting is planned for June 2022
- The staff plans to send the SECY paper to the Commission in 2022
- Upon approval of an expanded policy, the staff will proceed to update the implementation guidance in BTP 7-19



# **Questions**?



#### Acronyms

- **BTP** Branch Technical Position
- **CCF** Common Cause Failure
- **D3** Defense-in-Depth and Diversity
- **DI&C** Digital Instrumentation and Control
- **ESFAS** Engineered Safety Features Actuation System
- **GDC** General Design Criteria
- IAP Integrated Action Plan
- **I&C** Instrumentation and control
- MP Modernization Plan
- **NEI** Nuclear Energy Institute

NRC	Nuclear Regulatory Commission
OEDO	Office of the Executive Director for Operations
PRA	Probabilistic Risk Assessment
RG	Regulatory Guide
RIS	Regulatory Issue Summary
RPS	Reactor Protection System
SAR	Safety Analysis Report
SECY	Commission Paper
SRM	Staff Requirements Memorandum

