

Official Transcript of Proceedings
NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards

Docket Number: (n/a)

Location: teleconference

Date: Wednesday, October 5, 2002

Work Order No.: NRC-2113

Pages 1-100

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1716 14th Street, N.W.
Washington, D.C. 20009
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23

DISCLAIMER

UNITED STATES NUCLEAR REGULATORY COMMISSION'S
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

The contents of this transcript of the proceeding of the United States Nuclear Regulatory Commission Advisory Committee on Reactor Safeguards, as reported herein, is a record of the discussions recorded at the meeting.

This transcript has not been reviewed, corrected, and edited, and it may contain inaccuracies.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION

+ + + + +

699TH MEETING

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

(ACRS)

+ + + + +

WEDNESDAY

OCTOBER 5, 2022

+ + + + +

The Advisory Committee met via hybrid In-Person and Video-Teleconference, at 8:30 a.m. EDT, Joy L. Rempe, Chairman, presiding.

COMMITTEE MEMBERS:

JOY L. REMPE, Chairman

WALTER L. KIRCHNER, Vice Chairman

DAVID A. PETTI, Member-at-Large

VICKI M. BIER, Member

VESNA B. DIMITRIJEVIC, Member

GREGORY H. HALNON, Member

JOSE MARCH-LEUBA, Member

MATTHEW W. SUNSERI, Member

ACRS CONSULTANT:

DENNIS BLEY

1 STEPHEN SCHULTZ

2

3 DESIGNATED FEDERAL OFFICIAL:

4 MICHAEL SNODDERLY

5 DEREK WIDMAYER

6

7 ALSO PRESENT:

8 ELIJAH DICKSON, NRR

9 JEREMIAH DOYLE, NuScale

10 TYLER ELLIS, Public Participant

11 SID FOWLER, Public Participant

12 STEVE LYNCH, NRR

13 ANDREW PROFFITT, NRR

14 WILLIAM RECKLEY, NRR

15 DIEGO SAENZ, Department of Homeland Security

16 MOHAMED SHAMS, NRR

17 JOSEPH STAUDENMEIER, RES

18 DUNCAN WHITE, NMSS

19

20

21

22

23

24

25

CONTENTS

1		
2		
3	Opening Remarks	4
4	Joy Rempe, ACRS Chairman	
5		
6	SECY Paper on Fusion Energy Systems	6
7	Regulatory Framework	
8	David Petti	
9		
10	NuScale Topical Report "Methodology	91
11	for Establishing the Technical Basis	
12	for Plume Exposure Emergency Planning	
13	Zones" Revision 2	
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

P R O C E E D I N G S

(8:30 a.m.)

1
2
3 CHAIR REMPE: Good morning. The meeting
4 will now come to order. This is the first day of the
5 699th Meeting of the Advisory Committee on reactor
6 safeguards. I'm Joy Rempe, Chairman of the ACRS.

7 Other members in attendance are Vicki Bier,
8 Vesna Dimitrijevic, Greg Halnon, Walt Kirchner, Jose
9 March-Leuba, Dave Petti and Matthew Sunseri. I note
10 we do have a quorum.

11 Today the Committee is meeting in person
12 and virtually. The ACRS was established by the Atomic
13 Energy Act and is governed by the Federal Advisory
14 Committee Act.

15 The ACRS section of the U.S. NRC public
16 website provides information about the history of this
17 committee and documents, such as our charter, bylaws,
18 federal register notices for meetings, letter reports
19 and transcripts of all full and subcommittee meetings,
20 including all slides presented at the meeting.

21 The committee provides its advice on safety
22 matters to the Commission through its publicly
23 available letter reports. The federal register
24 notice, announcing this meeting was published on
25 September 19, 2022.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 This announcement provided a meeting
2 agenda as well as instructions for interested parties
3 to submit written documents or request opportunities
4 to address the Committee.

5 The designated Federal Officer of today's
6 meeting is Mr. Derek Widmayer. A communications
7 channel has been opened to allow members of the public
8 to monitor the open portions of the meeting.

9 The ACRS is now inviting members of the
10 public to use the MS Team's link to view slides and
11 other discussion materials during these open sessions.

12 The MS Team's link information was placed
13 in the Federal Register notice and agenda on the ACRS
14 public website. We have received one request to make
15 an oral statement from a member of the public regarding
16 the topics that will be discussed during today's
17 session.

18 And periodically, the meeting will be
19 opened to accommodate this request and to accept
20 comments from other participants listening to our
21 meetings.

22 Written comments may still be forwarded
23 to Mr. Derek Widmayer, today's Designated Federal
24 Officer. During today's meeting, the Committee will
25 consider the following topics: SECY Paper on Fusion

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 Energy System Regulatory Framework and the NuScale
2 Topical Report, Methodology for Establishing the
3 Technical Basis for Plume Exposure Emergency Planning
4 Zones, Rev. 2.

5 A transcript of the open portions of the
6 meeting is being kept, and it is requested that speakers
7 identify themselves and speak with sufficient clarity
8 and volume so they can be readily heard.

9 Additionally, participants should mute
10 themselves when not speaking. At this time I'd like
11 to ask other members if they have any opening remarks?

12 Hearing none, then I'd like to ask Dave
13 Petti to lead us in our first topic for today's meeting.
14 SECY PAPER ON FUSION ENERGY SYSTEMS REGISTRY FRAMEWORK

15 MEMBER PETTI: Okay. So this is a
16 follow-on to our subcommittee meeting of a couple of
17 weeks ago on the draft SECY White Paper. And Steve
18 is here, so I'm assuming he wants to lead us off. Go
19 ahead, Steve.

20 MR. LYNCH: Thank you. Appreciate the
21 members welcoming us back on a quick turnaround. We
22 appreciate the incites that were shared on our initial
23 presentation on September 23rd for the NRC staff's
24 considerations of establishing a regulatory framework
25 for fusion technologies.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 In particular, the staff presented on the
2 options that were contained within a draft white paper,
3 titled Licensing and Regulating Fusion Energy Systems.

4 This white paper forms the basis of the
5 staff's forthcoming SECY Options paper that will be
6 presented to the Commission by the end of this month.

7 This paper will contain options for
8 establishing a fusion regulatory framework, as well
9 as include a recommendation from the staff to the
10 Commission on how on what we believe to be the best
11 path forward on this matter.

12 Establishing a fusion regulatory framework
13 is important to meet the needs of developers that expect
14 to have commercial fusion energy systems under
15 development now and in the next decade.

16 Also establishing this fusion regulatory
17 framework is consistent with the requirements of the
18 Nuclear Energy, Innovation and Modernization Act, which
19 requires the NRC to establish a regulatory framework
20 for advanced reactors to include fusion technologies
21 by the end of 2027.

22 We look forward to productive feedback
23 today on our updated presentation material. Today's
24 presentation seeks to address some of the open items
25 from the subcommittee meeting a couple of weeks ago.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 The staff will be providing additional
2 details and considerations of its recommended approach,
3 including the ability of Part 30 to scale with the
4 material acknowledging potential hazards of proposed
5 fusion systems.

6 We will also identify specific revisions
7 of 10CFR Part 30 that would need to be augmented should
8 that approach to be followed to efficiently regulate
9 fusion energy systems.

10 We are also going to discuss our next steps
11 in what implementation of a bi-product material
12 framework may look like for fusion energy systems.

13 With me at the table today is Andrew
14 Proffitt, Senior Project Manager in the office of
15 Nuclear Reactor Regulation and Duncan White, Senior
16 Health Physicist in the office of Nuclear Materials
17 Safety and Safeguards.

18 So with this, I will turn the presentation
19 over to Andrew to begin our remarks for today. Thank
20 you.

21 MR. PROFFITT: All right, thank you Steve.

22 And I'll also point out that we have, you know, other
23 members of our fusion working group on the line.

24 A couple of members to note, Bill Reckley
25 as you heard him contribute during the subcommittee.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 Joe Staudenmeier, in our Office of Research, one of
2 our fusion experts here at the agency.

3 And another one to note as we mentioned
4 at the subcommittee our partnership with the agreement
5 states who have been to date regulating and overseeing
6 the fusion devises that are out there now.

7 He's joining us on the lines for his
8 perspective, if need be, so. You know, as Steve said
9 we really don't want to rehash what we talked about
10 at the subcommittee meeting.

11 I think we have that direction to cover
12 new ground and provide some more information related
13 to some of the discussion and open items that we heard,
14 so. We'll do a quick review of the options and then
15 we'll spend the bulk of the time talking about our
16 recommendation and what that could look like.

17 Some of the context into that
18 recommendation, the scalability of the provisions and
19 requirements that are there in Part 30. Some of the
20 augmentation we see, we're going to get into specifics.

21 Duncan will walk us through that.

22 And then what implementation could look
23 like. And look like we're directed down that path by
24 the commission. And then finally talk about some of
25 the enhancements to the paper.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 The paper is actually maybe close to double
2 the size as it was to when we released it to you all
3 as the white paper. So there is a lot more information
4 in there and we'll cover that and how the discussion
5 of the subcommittee helped us bolster that. And then
6 a path forward.

7 So our options for commission
8 consideration so quickly, we have three options with
9 one with a sub-option.

10 The first option would be to treat fusion
11 energy systems, all fusion energy systems as
12 utilization facilities as defined in the Atomic Energy
13 Act which we covered last meeting. And we, the staff's
14 approach there would be to supplement Part 53.

15 So Part 53 right now is being developed
16 for advanced fission reactors largely. It could
17 address fusion. It's not specifically addressing
18 fusion now, but that would be a potential path forward.

19 Legally and technically it could be applied to fusion
20 energy systems.

21 A couple other things there that draw
22 concerns for the staff is there are some requirements
23 in the Atomic Energy Act that we have discussed, you
24 know, related to financial assurance, the licensing
25 process in hearings, and a few other items that are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 really geared toward fission reactors.

2 And given the differences with fusion and
3 the hazards that are posed, the fundamental
4 differences, you know. Sometimes in the subcommittee
5 meeting we may have said lower risk or lower hazards.

6 I think we're pivoting a little bit to separate the
7 hazards. They're different hazards.

8 MEMBER PETTI: So I would challenge you.

9 Yes, it doesn't have a clinical chain reaction. But
10 there's lots of other hazards that fission systems have
11 that are shared by fusion systems.

12 They have inventories of radioactive
13 material, particularly tritium and activated dust.
14 They have energy sources, decay heat chemical
15 reactions, slow damaging sources.

16 So there's a, you know fundamentally
17 different. It's the word fundamentally that I think
18 is, yes, there are some differences, but they're not
19 fundamental.

20 What's actually more fundamentally
21 different is the distribution of the hazards. You
22 know, fission by and large, take the spent fuel pool
23 out, it's all about the core.

24 In fusion, it's a distributed hazard.
25 Which makes the safety analysis even more complicated,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 and the design more complicated. You've got
2 inventories in places, important inventories, all over
3 the place.

4 And so that's a difference. But again,
5 these are in details. I just worry about words, adverbs
6 that are very strong, when in almost all these things
7 it's shades of grey.

8 MR. PROFFITT: Yes --

9 MR. LYNCH: Sure. Yeah, no. Appreciate
10 that, Member Petti. You know, I think one of the signs
11 we have specifically tailored, is acknowledging that
12 there are a fundamental set of programs that regardless
13 of the option that is chosen, that need to be addressed.

14 You're looking a physical security,
15 emergency planning, radiation protection, and we're
16 going to go into that as best addressed in our proposal
17 program.

18 MEMBER PETTI: My just concern is, you
19 know, as the commissioners read it, they're not as
20 necessarily technically savvy as, you know, the working
21 level engineer.

22 And words to them can have, imply meanings
23 that maybe, you know, we would say yes, we take that
24 away differently than they do. That's the concern.

25 MR. LYNCH: Understand. And we can be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 sensitive to that language as we continue to revise
2 and update our SECY paper.

3 MEMBER HALNON: Yeah, and this Greg.
4 Further on that, when you use the term, you know, it's
5 legally able to be covered under Part 53, or legally
6 able to be covered under Part 30, or hybrid too, I
7 mention this at subcommittee.

8 If the statements are considerations
9 doesn't intend fusion or doesn't mention fusion, to
10 shoehorn it in, it doesn't seem like legally it would
11 be a good -- because when I was in the industry, if
12 I tried to apply a regulation to something outside the
13 statements of considerations, I was stumped.

14 So we've got to be careful there also.
15 Now I understand technology inclusive could be pretty
16 broad, so you could interpret that as well.

17 But I know that Dave, I guess I wouldn't,
18 if you've gotten the preamble, is that part of Part
19 53 as fusion is part of, isn't --

20 MEMBER PETTI: I'm only halfway through
21 the preamble so anything -- I didn't say anything about
22 fusion.

23 MR. LYNCH: Yeah, I can provide some
24 clarity there.

25 MEMBER HALNON: I don't think it's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 explicit but that doesn't mean it doesn't -- I just
2 want to be careful there also.

3 MR. LYNCH: So, yes, to provide some
4 clarity on that, Part 53, as it is currently written,
5 does not include fusion energy systems. What we're
6 looking at here as we put these options on the table
7 is that one potential approach is to treat fusion energy
8 systems as a utilization facility.

9 We put Part 53 out there as a starting point
10 where, similar to Part 30, in order to include fusion
11 energy systems, we would need to make deliberate updates
12 to accommodate the technologies, the structure systems
13 and components, hazards and different types of
14 analysis.

15 MEMBER HALNON: Okay. So, so this does
16 not preclude rule making --

17 MR. LYNCH: Correct.

18 MEMBER HALNON: -- to put it in there.

19 MR. LYNCH: Correct.

20 UNKNOWN MALE: Requirement.

21 MEMBER HALNON: To make it that legally.

22 MR. LYNCH: Correct. Correct.

23 MEMBER HALNON: Okay. Good. Thank you.

24 MR. PROFFITT: Yes. So moving to the
25 second option being regulating fusion energy systems

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 under our bi-product material framework that would be
2 to enhance Part 30 and one of the, you know, we sort
3 of use Part 30 almost in slang a little bit, but that
4 entails Part 20, the rest of the chapters in the 30s,
5 you know.

6 The framework is in Part 30, but it builds
7 on several other regulations that it references and
8 that help it perform its job, so.

9 That's what's currently used for research
10 and development in limited commercial fusion activities
11 that are going on in the states right now.

12 And we believe that Part 30 provides a solid
13 foundation to scale with the, with the technologies
14 in the industry as it grows.

15 So it's currently addressing those
16 systems, and we can foresee, and we will get into a
17 lot more detail with this about how we could grow as
18 the industry grows to address larger hazards, larger
19 risks, and just more complicated facilities in general.

20 CHAIR REMPE: I have a question, and I
21 haven't looked at the slides.

22 MR. PROFFITT: Yes, sure.

23 CHAIR REMPE: I have a question and I'll
24 look at your slides, so maybe it's covered later. But
25 when I thought about this a bit more, and I kind of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 refer this at this subcommittee meeting, I don't see
2 a lot of difference between Option 2 and Option 3A.

3 If you would explain, very carefully, what
4 are the decision criteria on when you need to do
5 something else and scale the requirements.

6 And are you planning to have a, define some
7 criteria in your Option 2 of when you need like above
8 a certain power level, or tritium amount on site you
9 need to do something more?

10 MR. PROFFITT: So a lot of that is in
11 Duncan's, our Part 30 expert, and we will get into that
12 into specifics about there are items in Part 30 where,
13 you know, if you go over this amount of material, you
14 then need to address, you know, things like emergency
15 plan, or things like that.

16 So there is scalability in the current
17 regulations in Part 30. I mean, they currently
18 regulate things from like a portable gauge up to a
19 panoramic irradiator with millions of theories of
20 cobalt 60.

21 So there is some of that in Part 30. We
22 would need to bolster that. We definitely see that
23 we would need to do that and augment. We would have
24 -- I mean it would be significant work, any of these.

25 CHAIR REMPE: Yes. Wait, what's the real

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 difference then if there's some cut off criteria in
2 Part 30 between Option 2 and Option 3A, other than you're
3 going to put it in 53. Because again, Option 2 seems
4 very fuzzy. If I want regulatory certainty, I'd like
5 to know where those cut offs are.

6 And then, I understand the staff isn't
7 quite sure what you're going to do, because we've not
8 had that happen yet, and in both cases I think something
9 else is going to come down the pike.

10 So what's the real difference?

11 MR. PROFFITT: Sure. So, right now, so,
12 we do not have firm decision criteria of what that would
13 look like. But what the decision criteria would be
14 based on is looking at the Atomic Energy Act and what
15 are those definitions of what constitutes a utilization
16 facility.

17 And while there are specific provisions
18 for fission facilities, there's also a more general
19 provision for facilities that would present a
20 significant enough hazard to the common defense and
21 security such that we would need to provide those
22 additional provisions contained within the Atomic
23 Energy Act for a utilization facility.

24 So this would mean we need to look at
25 additional sighting considerations. For example, Part

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 100 would be more stringent than what would be under
2 a materials framework.

3 You may also need to look at additional
4 security requirements beyond what's in Part 37,
5 emergency planning that could be more similar to what's
6 at a nuclear power reactor than what may be looked at
7 for a materials facility.

8 As of today, we've done extensive
9 stakeholder outreach to understand the technologies
10 that are proposed.

11 And the technologies that have been
12 presented to the NRC staff by developers from a
13 technical perspective do not seem to exceed material
14 quantities or expected hazards to workers or members
15 of the public that would necessitate treatment outside
16 of the existing frameworks in Part 30.

17 So that's where we're at. Right now the
18 bounding facility that we're aware of for treatment
19 of hazards and material contents would be the ITER
20 facility.

21 And even looking at ITER, we believe if
22 a facility similar to that were licensed in the United
23 States, that our existing materials framework could
24 accommodate that with some specific enhancements that
25 we'll get into, that would better define definitions

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 of facilities.

2 And this gets back to your point, Member,
3 that yes, we have imperfect definitions in Part 30 as
4 it is for particle accelerators, that while the
5 framework for Part 30 may be generally acceptable, we
6 need to have a clear entry pathway for that.

7 And that's what we need, we're proposing
8 that we work on. So I will pause --

9 CHAIR REMPE: I guess I -- I'm not hearing
10 again. What's the real difference between Option 2
11 and Option 3A? Why are you guys saying oh Option 2's
12 better because you're saying, what I'm hearing is yes,
13 we need some cut off criteria too to figure out when
14 you need to start scaling and what changes to be made.

15 Why is it you're focusing on 2 versus 3A?

16 MR. PROFFITT: Sure. So I guess to
17 clarify a little bit, what it comes down to is how we
18 best focus our resources and efforts at this time.

19 We're not aware of any facilities that
20 would necessitate a medium ad approach to go into a
21 utilization facility approach at this time. Our
22 approach is to meet developers where they're at and
23 the plans for facilities to be developed in the next
24 several decades.

25 Right now, we're not hearing of designs

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 that would necessitate that additional higher option
2 of regularization of --

3 CHAIR REMPE: Okay. So if I said I'd like
4 Option 3A, but let's defer it, have some cut off
5 criteria, but let's defer what is needed next.

6 Whether it's Part 53 or doing something
7 else under Option 2, are we saying they're the same
8 thing?

9 MR. PROFFITT: That's certainly an
10 approach we could take.

11 CHAIR REMPE: Okay. That's what I kind
12 of thought and that's what I was kind of getting to.

13 When Dave asked the question about why you had more
14 flexibility with Option 3, and I kind of said, before
15 you answer that if you put cut off limits on Option
16 2. You're in Part 1 of Option 3A in my opinion. And
17 I think that I got the answer to my question.

18 MEMBER PETTI: You know, the other thing,
19 as I said in subcommittee, nobody knows, truly, what
20 their next steps are going to look like. Okay? There
21 are uncertainties that are so different than anybody
22 here who has spent their careers in fission reactor
23 safety understand.

24 These are so fundamental. Okay? Having
25 spent a decade running the Fusion Safety Program in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 the United States, we ran into these issues all the
2 time.

3 How do you craft a strategy when the
4 uncertainties are in fact, you know, we don't think
5 we can convince anybody, because the physicists
6 themselves, you know.

7 You get five physicists together; you get
8 about eight answers. And I don't say that, you know,
9 facetiously. It's that complex to understand the
10 response of the plasma, particularly when you get close
11 to, at and above ignition. They're just not there.

12 And making sure that you've -- the problem
13 is that you're making a decision that's going to affect
14 things very long term. And I just, you know, you'll
15 see in the draft letter, this is not the National and
16 International consensus of the approach developed in
17 the 1990s. Okay?

18 And the letter cautions you to look at that,
19 all that evidence that was not in the white paper.
20 Lots of very serious people looked at this stuff,
21 including John Holdren. You all probably know the
22 name, right? Former OSTP under President Obama.

23 This has been studied extensively. Okay?

24 And I'm just cautioning that there's a lot of factual
25 inaccuracies that were in the paper that we're trying

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 to set the right context for the commissioners.

2 That's the concern that I have. That if
3 -- it makes it look like it's a slam dunk to go over
4 here. It is nowhere near that. It's very, very fuzzy.

5 And flexibility to me is really critical at this point.

6 CHAIR REMPE: I understand your reasoning,
7 but I think I wanted to understand versus --

8 MEMBER PETTI: Yes, yes. Moe has a
9 question.

10 CHAIR REMPE: Yes, Moe does, but just to
11 make sure everyone understands. I see a hand up
12 externally. Unless the staff needs that person, we're
13 not calling on external people. There's time for
14 public comment later.

15 MR. PROFFITT: Diego is part of our working
16 group from the State of Wisconsin.

17 CHAIR REMPE: Oh, that's up to you guys
18 to call on them. I will not be doing so. Go ahead,
19 Moe.

20 MR. SHAMS: Thank you, I appreciate it.
21 Moe Shams with the NRC, with the staff.

22 I just couldn't be more grateful for the
23 comment that you all are providing us about how we
24 strengthen the paper and, you know, we build it right
25 to make sure that we have the right words for the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 Commission.

2 But I also wanted to share with you where
3 the staff is coming from. I think we're exactly where
4 you want us to be, perhaps except we're just seeing
5 things in a slightly different way.

6 We're seeing that the Part 30 approach
7 gives the flexibility to the Commission and the staff
8 to grow with this framework as the industry matures.

9 We're looking at the landscape currently.

10 We're seeing what technology's being presented to us,
11 the size of the technologies that are being presented
12 to us. And we feel that Part 30 can give us the time
13 to understand the hazards better, to build the tools
14 that we need better.

15 We do have tools at our disposal -- to
16 add to Part 30, licensing condition, orders, rules of
17 particular, these are all instruments for us to add
18 as we see the hazards moving perhaps beyond where we
19 feel comfortable to just leave 30 as it is.

20 So we do have these tools and we think
21 they're the right tools to use now as opposed to forcing
22 perhaps a more defined box than an Option 3 would
23 require.

24 Or one that say go, no go, here's a line
25 that if you cross over -- we think that's a level

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 precision that perhaps is not, is not advisable for
2 us to go after now.

3 Rather the Part 30 is the right foundation
4 with the right augmentation in addition to the all the
5 instruments that we have. So we're coming to the
6 problem perhaps with just a slightly different thinking
7 as, you know.

8 But I think we're trying to reach the same
9 point. Make sure that the hazards are covered, make
10 sure that we have the right instruments in place, and
11 make sure that we have the right flexibility to allow
12 the framework to mature with the industry and with the
13 technology.

14 CHAIR REMPE: Is there someplace where
15 you're going to get to such a large hazard that you
16 think Part 30 would not be appropriate with your
17 approach? I mean that's why Dave's --

18 MR. SHAMS: Potentially --

19 CHAIR REMPE: And how will you back track
20 after you say Option 2 and we're going to stick with
21 Part 30 no matter what. How will you get out of your
22 decision?

23 MR. SHAMS: I wouldn't need to get out of
24 the decision. I mean, we still have the ability and
25 the tools to add requirements as appropriate as I shared

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 with you that the idea is we have instruments.

2 We can issue additional requirements. We
3 do that in other areas that currently are not covered,
4 you know, under Part 50 or 52 for utilization
5 facilities.

6 We do know how to apply additional
7 requirements.

8 CHAIR REMPE: A Part 30 facility will have
9 emergency planning and all the stuff that you've got
10 to deal with for the activated materials. It'll be
11 like as cumbersome as with a rove reactor.

12 MR. SHAMS: We believe that it's not going
13 to start out this way. But if a facility grows to a
14 place where these hazards and these considerations
15 needed to be considered, we have the instruments and
16 the tools to address them.

17 Just the Part 30 option gives us that
18 elasticity to be able to grow as opposed to draw a solid
19 line that we have to go another way. That's our
20 thinking. Thank you.

21 MEMBER HALNON: So these instruments and
22 tools that you have that may supplement Part 30, would
23 just inform future rule making for specific, that
24 specific line that Joy is looking at.

25 MR. PROFFITT: Certainly. I mean I think

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 if we look 30 years in the future, 40 years in the future,
2 and there's a viable fusion energy industry in this
3 country, right, I mean I think we would have a part
4 in the regulations, like Part 50, that addresses fusion
5 energy systems.

6 MEMBER HALNON: Yeah, that's what I --

7 MR. PROFFITT: But to make a decision, I
8 mean I think that's also one of the staff's concerns.

9 A decision now to either go utilization facility route
10 or have a bifurcated approach, there's a lot of work
11 to be done under the utilization facility approach to
12 tailor it to the systems we see now.

13 Certainly, there could be systems in the
14 future or as we learn more about the systems that are
15 being, you know, deployed in the country, that may
16 necessitate that. But to build it now starting from
17 a top, down approach and having to really tailor it
18 to what we're seeing it today, would maybe not be the
19 best use of resources.

20 Where if we could start with Part 30, what's
21 currently regulated in the facilities, we've --
22 Duncan's done a lot of work looking at what specifically
23 needs to be augmented, how we can make tailored changes
24 to the regulations, and more significantly in guidance
25 to fully address the systems that are out there and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 grow as the industry grows.

2 You know, one of the things I think about
3 a little bit, right, I mean, we didn't have Part 50
4 the way it is today when we licensed the current fleet.

5 You have a third of the current fleet
6 operating that didn't have the GVCs when they were
7 licensed, right? So, and we continue to have rule
8 makings on Part 50 today.

9 We have Part 52 in the late '80s, we're
10 working on Part 53 now. So, and that's what certainly
11 would be great to have perfect framework that would
12 deal with all these systems for 30 years to come and
13 be certain that these were the appropriate requirements
14 that we needed and the framework that was necessary.

15 But to try to do that now we may well develop
16 something that isn't useful at all. I guess, I mean,
17 I'm seeing a lot of great colleagues that could do a
18 lot of great work, but we see that as probably not the
19 best approach and stuff.

20 CHAIR REMPE: So I will call on our
21 consultant, Dennis Bley. Go ahead Dennis.

22 MR. BLEY: Yes, thanks. Where you just
23 got to is where I guess some of us have been a little
24 uncomfortable.

25 We started with Part 50, and we patched

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 it together to cover new situations until we had a real
2 patchwork regulation and that led us to wind some new
3 ones.

4 It almost seems to me the way you're going
5 is one ought to call this a regulation rule making for
6 test and proof of concept facilities that will get
7 patched up later, when things get more difficult.

8 I, having the alternative structure, even
9 if you only developed one part of it at this time and
10 leave the others as blanks to be filled in later, but
11 making it clear that we really might need a different
12 framework when we get to much larger machines, should
13 we ever get there, is what makes some folks
14 uncomfortable with starting out the way we're starting
15 out.

16 It almost sounds as if we're convinced
17 there are never going to be machines that have a
18 substantial hazard associated with them. Anyway,
19 that's enough from me.

20 Mr. Proffitt: Yes, I appreciate that.
21 And I think we'll cover some of that hopefully as we
22 go through the presentation. So let me just let's move
23 us forward a little bit and we'll get a little bit more
24 into the details here as we go, so.

25 Back to an overview of our recommendation

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 here. So we're recommending the bi-product material
2 approach, strengthened by a targeted rule making and
3 development of supporting guidance.

4 So what that would look like is as Steve
5 mentioned, you know, definitions in Part 30 to
6 explicitly include fusion energy systems, using
7 devices, fusion facilities, something to that regard.

8 And then also update the regulation in Part 30 to
9 include a content application requirement for these
10 types of designs.

11 So the current Part 30 is, you know,
12 addresses radiation protection ways to fission security
13 on materials and hazards possessed by these fusion
14 technologies.

15 The byproduct material framework right
16 now, as we mentioned, is used to cover R&D, and then
17 the content application requirement, if it's a specific
18 thing we feel it would do is it would help scale Part
19 30 the way it currently is to ensure technology
20 inclusivity and for potentially larger hazards.

21 So we believe that this rule making and
22 guidance developed would cover the foreseeable
23 technologies that we've heard from industry planning
24 to deploy.

25 And then the guidance along with the rule

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 would obviously be prepared in parallel and ahead of
2 expected licensing submittals.

3 MEMBER PETTI: Andrew, one augmentation
4 to clarify. As we talk about this concept of scaling
5 Part 30, this looks at existing scaling that is within
6 Part 30 for decisions currently are certain facilities
7 may not need emergency planning considerations for
8 example.

9 But we want to make sure that should hazards
10 be presented to workers, members of the public, that
11 we have that clear criteria for commercial fusion
12 facilities that, indeed, emergency planning would be
13 required.

14 Now that's on a very based supple of scaling
15 for just an in or out. But we also have the ability,
16 as part of this rule making, to the Member's comments,
17 to continue to look forward of what our different
18 options, for example, emergency cleaning that may be
19 needed in the future.

20 And the staff is not precluded from
21 borrowing concepts from Part 50, or Part 53, or even
22 the new emergency planning rule making that has been
23 developed to incorporate into something like this to
24 provide full spectrum of scaling.

25 Even though we are suggesting that a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 starting point based on the focus on byproduct material
2 at these facilities as being Part 30. So I wanted to
3 include that, that we are precluded from incorporating
4 other concepts from throughout the regulations into
5 our rule making, even starting on a foundation of Part
6 30.

7 MEMBER HALNON: So it, that's just taking
8 emergency planning as an example. If you're going to
9 pick maybe attributes of Part 50, you have to go back
10 and look at ACRS comments relative to that emergency
11 planning as it would still apply.

12 For instance, with --

13 MEMBER PETTI: Absolutely.

14 MR. PROFFITT: -- the off-site planning
15 comments that we made.

16 MEMBER PETTI: Absolutely.

17 MR. PROFFITT: So a little context into,
18 you know, what we had in our mind when we were selecting
19 the recommendations. So again, I know Member Petti,
20 you don't like this word, but different hazard profile
21 of fusion technology.

22 So we see, the way we currently see fusion
23 technologies is it's different than fission in that
24 when you have an upset or potential accident, you don't
25 continue to progress necessarily.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 The fission, the fusion reactions are
2 obviously very difficult to achieve at this time, right?

3 I mean that's, we've talked about, you know, we
4 currently haven't had a breakeven or above fusion
5 reaction.

6 Now there have been significant
7 advancements in recent years to enable that and the
8 private developers foresee that in the next couple of
9 years.

10 But it's obviously a very, at this time,
11 it's very difficult to achieve those conditions that
12 are required to have continued fusion reactions.

13 So we see the machine as having an upset
14 or accident progression, it would stop that reaction.

15 You wouldn't continue to have energy being produced
16 other radionuclides produced.

17 You would have an upset and the state of
18 the facility would be, the state of the facility in
19 regard to radioactivity, and radionuclides, and
20 radioactive material would be, that's what you have.

21 You're not continuing to produce more or produce more
22 energy than is physically --

23 MEMBER MARCH-LEUBA: I was going to say.

24 How, how confident are you in that? Once is extremely
25 difficult to achieve ignition. But once you have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 ignition, what prevents you from blowing up?

2 MR. PROFFITT: At this time, the way we
3 see it and the requirements for the reactions the
4 developers have and the designs that they have --

5 MEMBER MARCH-LEUBA: You have negative
6 activity perhaps, but let's hope they're right.

7 MR. PROFFITT: Well certainly, and that's
8 part of why we acknowledge, we have other tools that,
9 as Moe mentioned, we believe this brainwork could scale
10 as appropriate. You know, different hazards,
11 different --

12 MEMBER MARCH-LEUBA: Obviously, the
13 machine we have now don't achieve ignition.

14 MR. PROFFITT: Yes.

15 MEMBER MARCH-LEUBA: So, they're going to
16 be different than what we have now and once you reach
17 criticality, I'm using fusion, you're there. I mean
18 if you go with a positive feedback --

19 MEMBER PETTI: So a good designer, though,
20 understands the physics as best they understand the
21 day. You design the system for better confinement than
22 the model tells you -- more heat generated because you
23 don't know.

24 And so there's, you've got to have that
25 margin in there because until you get there, you don't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 know.

2 And so they don't even know exactly where
3 the heat will go -- the blanket, the converter, these
4 different paths. So you over design it because you
5 don't know until you get there.

6 MEMBER MARCH-LEUBA: Yes. My point is the
7 only fusion machines that work today are called H-bombs.
8 Okay? So this is --

9 MEMBER HALNON: Yes, but that's, that's
10 inertial fusion. That's a very, very different system.

11 MEMBER MARCH-LEUBA: But a blanket
12 statement, that nothing can possibly go wrong, it's
13 a little naive. This has to be considered.

14 MR. PROFFITT: Certainly, certainly. And
15 I see Diego raised his hand again. Diego, go ahead,
16 if you can come off mute.

17 MR. SAENZ: Yes. So I think one of the
18 important things to contextualize and I think maybe
19 going back even to the Part 30 decision point. I think
20 one of the things to address head on, I know Steve and
21 Moe touched on this, but we really just don't see a
22 criteria where you would have to step outside of Part
23 30.

24 Specifically, commercial versus R&D does
25 not seem appropriate. Right now, we're licensing a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 tritium handling system for SHINE. I mean, you're
2 familiar with the SHINE facility, but they're doing
3 the R&D side under the state licensing and that includes
4 their prototype of their tritium handling system.

5 When you look at that tritium handling
6 system versus some of these other proposed full scale
7 commercial R&D power facilities, those tritium handling
8 systems can look pretty similar.

9 So you look at a Helion versus what we're
10 licensing right now under SHINE, and those look very
11 similar. So, I think that's another important context
12 here is we don't want to end up in a framework where
13 just because of the commercial that would drive it.

14 The other complicating factors, we
15 currently do license commercial uses of fusion, and
16 they have significant activation products and we --
17 significant enough to require financial assurance.

18 The other side of that is even the
19 accelerator side, so non-fusion, we're seeing
20 accelerators with much higher power levels, such that
21 those activation products are requiring significant
22 financial assurance.

23 So these could have much higher activation
24 products than some of these fusion facilities and
25 without any fusion. And to add to that, that's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 currently a problem that this definition for byproduct
2 material would fix.

3 So this same facility that is having such
4 high amounts of activation products using accelerators
5 not using fusion currently would not meet the definition
6 for bi-product material under the NRC, because those
7 activation products would not, you know, be for
8 commercial research or whatever uses.

9 So right now, that would also benefit from
10 an update to that definition. So that's some other
11 context, it's not specific to fusion, but I think it's
12 really important to understand the decision that we've
13 chosen.

14 I think the other thing to note, like
15 specifically when we're talking about having some kind
16 of specific decision point from stepping outside of
17 Part 30, would be the hazards do not scale with thermal
18 power unlike fission.

19 It's very dependent on the specific
20 reactions, the specific fusion reactions, so when we
21 talk about aneutronic versus neutronic systems, that's
22 really important.

23 So I think that that's some other important
24 context that I wanted to highlight here. And the other
25 part is, we're not saying the hazards are not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 significant.

2 Right now the states have what I would
3 consider very significant hazards under their
4 jurisdiction. When you look at some of these panoramic
5 irradiators, we have millions of curies of cobalt and
6 other isotopes.

7 That's a very significant hazard that we
8 have to consider and there are facilities that have
9 emergency plans under the state's jurisdiction.

10 So I think that that's some important
11 context. I know the ACRS isn't as familiar with that,
12 so would be happy to provide more context. But I did
13 want to provide that context as well here. So I hope
14 that helps.

15 MR. SHAMS: Can I make a -- please don't
16 use the chat to -- somebody send me a message in the
17 chat about my comment. Don't use the chat to do
18 technical comment, because that's not recorded. And
19 with respect to my previous remark, very rapidly it
20 moves into classified material. So don't use the chat.

21 MR. PROFFITT: Okay. Thank you, Diego.
22 I think that provides some additional good context.
23 Moving through some of the other considerations here.

24 So we believe we are proposing an approach
25 that best accommodates the specific hazards and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 security considerations associated with the use of the
2 material at these sites.

3 Again, we're anticipating, consistent with
4 DOE and the White House's bold decadal vision, potential
5 commercial deployment in the early to mid-2030s, and
6 we believe our framework aligns with that and can meet
7 and support developers' schedules.

8 And Diego mentioned this too, but the
9 current array is very broad and it isn't just one hazard,
10 all these different designs. And I think if you look
11 at the Fusion Industry Association's report, you know,
12 there are over two dozen different philosophies of
13 fusion that are being addressed.

14 And, you know, some of the considerations
15 would be lower no neutron technologies versus very high
16 neutron technologies that produce a lot of activation
17 products versus some that produce very little, or none.

18 And then there are some that produce a lot
19 of tritium or use a lot of tritium. And there are some
20 that don't use tritium or produce very little tritium.

21 So there is a broad array and certainly
22 technology and inclusivity is very important as we
23 develop this framework.

24 CHAIR REMPE: How do you provide
25 regulatory certainty when you have such a broad array

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 of designs being approved, by agreement, state
2 regulators.

3 I mean, unless you have some firm cut offs
4 in Part 30 to make sure that folks don't get away with
5 something in Wisconsin versus Massachusetts.

6 MR. WHITE: I can take that question. The
7 current agreement state's program there's a requirement
8 there for the states to maintain what's called an
9 adequate and compatible program.

10 That's words from the actual act. And
11 compatible means compatible with NRC requirements.
12 That includes rule making and guidance. And again,
13 although the system does have some flexibility built
14 into it, there is, states have to follow the general
15 objectives of that guidance.

16 They have to have stuff, guidance that's
17 in place that's deeply protective or in some, if it's
18 allowed to be more protective. And that, again, that's
19 done at, the compatibility's done during rule making
20 for guidance. It goes, it's evaluated internally and
21 to decide what that is.

22 But again, the comment about consistency
23 relates, really relates back to that. If we, the
24 agreement, current agreement states structure right
25 now, with rule making or with guidance states have to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 have, they have to be in line with what the NRC has
2 to have in place.

3 So it kind of addresses your question.
4 They can't, someone can't go off, you know, like in
5 Wisconsin, go off, you know, go off and do something
6 very extreme or anything like that. That's, that deal,
7 we all have to be in the same ballpark to do that.
8 Yes, go ahead.

9 CHAIR REMPE: So what if they have a new
10 widget and they say yes, I have 20 million tons of
11 tritium, but I have a new widget that keeps that tritium
12 highly absorbed; it'll never get out.

13 Do they come back and say okay, they're
14 exceeding your limit, but it's being held in by my new
15 widget that has some sort of data. Does that come back
16 to NRC to evaluate? Or do they get to make that
17 decision?

18 MR. WHITE: They, the way the agreement
19 program was set up was they, they're the ultimate, they
20 get to license it, but often they will come back to
21 us and talk to us about --

22 CHAIR REMPE: They don't have to, it's just
23 if they feel like it?

24 MR. WHITE : Oh they will come back, they,
25 they end up coming back to talk to us, because again,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 there is the, you can see this in area -- medical area,
2 you know, there's a lot of sharing of information that
3 goes back and forth in the medical --

4 CHAIR REMPE: But it's their decision.
5 It's not a requirement.

6 MR. WHITE: It's their decision because
7 they sign the license. And we also review their --
8 we also periodically review their programs.

9 And part of that review we would look at
10 specific licensing cases, just making sure that they
11 are -- that they stay within the balance of where they
12 -- with the program, a compatible program.

13 MR. LYNCH: Yes. And we do have another
14 tool as well that which each agreement state we have
15 a specific agreement in place with them that authorizes
16 specific activities they can carry out, including, in
17 some cases, quantities of material or certain
18 facilities that they may or may not have jurisdiction
19 over.

20 And some, a tool that we have at our
21 disposal is, as we look forward, if we think there are
22 certain checks that need to be in place, we can revisit
23 those agreements.

24 Is that correct Duncan? It's another way
25 we can look at it?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 MR. WHITE: Yes, that, that's what the
2 audit program is designed to do is to look at those
3 particular, be sure that they maintain an adequate
4 program and make sure that they, we -- that's a statutory
5 requirement. That's in the Act that we require to do
6 that.

7 CHAIR REMPE: All right.

8 MR. PROFFITT: Yes, and another thing, you
9 know, we see with the, with the recommendation that
10 we have is building off the framework that we're using
11 for R&D, allowing that the scale as we've talked about.

12 But it also provides certainty for an
13 industry that's moving forward. And a couple of items
14 with the decisions criteria.

15 One, you know, as we've mentioned, there's
16 not necessarily a clear delineation that we see today
17 of a facility that would utilize that decision criteria,
18 that would be above that criteria.

19 And a lot of the paper and, as Steve
20 mentioned, we benchmarked the ITER a little bit more
21 in the paper now and describe these facilities.

22 And everything we've heard from the
23 industry today is that everything will be significantly
24 smaller than the scale of ITER, whether it be a tritium
25 inventory or some of the complex systems that we have,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 so.

2 And I've gone to the organizations
3 sometimes, is this a true statement? Your
4 significantly lower tritium inventories and potential
5 hazards than ITER? And they continue to tell us that
6 that is true, so.

7 It, valid cruncher, and they, and other
8 consideration with the criteria is, it would be tied
9 to the Atomic Energy Act, as Steve mentioned, but many
10 of the ways of developing the criteria would likely
11 lead to an NRC review to determine whether or not you
12 met that criterion.

13 So it would provide a lot of uncertainty
14 when you're coming in for an application about what
15 box you may end up in. And you may not know until
16 significantly into a review to where that would happen.

17 And we're going to get a lot more into this
18 with Duncan's presentation as I think Moe mentioned
19 to you, there's no clear end point to Part 30, as we
20 see it today.

21 Obviously, it needs augmentation through
22 rule making, needs augmentation through significant
23 guidance development to address these systems, and we
24 feel like we can build as the industry matures and
25 evolves.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 And I think I touched on the last item here
2 with the scale of ITER consideration. So I'll hand
3 it over to Duncan.

4 MEMBER PETTI: And I don't want to belabor
5 the point on tritium. But all of this uncertainty you
6 talked about, all effects what you think the tritium
7 is, your best estimate of how much tritium you think
8 you're going to have on site is uncertain.

9 So fine, you're not, you're not at the scale
10 of ITER. Your near kilograms scale for power of
11 challenge any of them.

12 Just because the number on the record,
13 you'll see it in the letter, it's a little less than
14 56 kilograms per gigawatt year is what needs to be burned
15 per gigawatt year. You can then calculate from that.

16 That's how much is being burned. But you
17 need more than that and, you know, to say that I'm only
18 going to have a couple hundred grams is not credible.

19 Now, you know, near kilogram at a minimum.

20 MR. SHAMS: It's not that. You're just
21 moving the proton to a storage facility.

22 MEMBER PETTI: Yes, well, I mean, that's,
23 yes, that's where the inventory's at. Yes. And, you
24 know, it has to do with things like holdup and just
25 all this, all these other uncertainties that make that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 very difficult.

2 MR. PROFFITT: Joe, I see you have your
3 hand up here. He's a member of our working group.

4 MR. STAUDERMEIER: Yes, I mean, you're
5 going to be, you need to produce that much tritium a
6 year, but you're not going to have this whole stock
7 of that much tritium to start out with.

8 You're going to be producing it as you're
9 operating it and you, yes, the amount of inventory in
10 your system does depend on things that we won't know
11 until they develop full scale systems.

12 But the upper estimates that we've seen
13 from the potential plant developers are more in the
14 hundred-gram range and not in the kilogram range, and
15 --

16 MEMBER PETTI: The challenge -- that's
17 just a --

18 MR. STAUDERMEIER: -- they're attempting
19 to get it much lower than that and it's, it all depends
20 on the efficiency of their tritium processing system
21 is what it comes down to.

22 And they're developing new systems for
23 that, and we'll have to wait, it's a thing we'll have
24 to wait and see on. It's something that's known like
25 right now. As you said, there's uncertainties.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 MR. PROFFITT: Thanks, Joe. We'll turn
2 it over to Duncan now and I think we'll get into a lot
3 more specifics here about Part 30, and I think this
4 is really the meat, meat of the presentation here.
5 So Duncan, take it over.

6 MR. WHITE: Thanks. On this slide, we
7 talked a lot about what's in Part 30. Again the Part
8 30 has high, a lot of high-level licensing requirements
9 that the applicant's required to address.

10 We talked a lot about emergency planning.
11 Again, in Part 30, if you have more than 20,000 curies
12 of tritium or about 2 grams, you'll have to evaluate
13 if you need an emergency plan or not.

14 If you have an off-site dose of one REM,
15 you have to have an emergency plan and submit that
16 emergency plan and it has to be part of your license
17 to be, you know, be approved.

18 VICE CHAIR KIRCHNER: Duncan, sorry to
19 interrupt here. Would you just repeat what you said
20 again for the record?

21 MR. WHITE: Current requirements in Part
22 30 right now do, you know, do cover emergency planning
23 for tritium.

24 And in Part 30 right now it's about, it
25 says 20,000 curies and assumes a release fraction of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 about 50 percent, and that's the threshold, that's
2 what's in the regulations.

3 But if you -- from a licensing standpoint,
4 if you have more than 20,000 curies, or about two grams,
5 you have to do an emergency planning evaluation.

6 You have to demonstrate why the facility
7 is going to be less, have an off-site dose of less than
8 one gram.

9 VICE CHAIR KIRCHNER: The point I, thank
10 you, because you already said something that addresses
11 one of Dave's points.

12 Two grams, two grams is the threshold
13 effectively when rated to curies for tritium release.

14 We're talking about a lot more than two grams to run
15 any of these facilities. Beyond research, you know.

16 I guess one of the problems this connects
17 -- I guess I'm having is that we're, like I said at
18 the subcommittee meeting, thinking forward
19 successfully that this is a viable future mechanism
20 for producing energy and electricity, it's just, as
21 Dave said, just work the numbers.

22 How much tritium, you know, I know there
23 are non-tritium concepts, but they are more difficult
24 to achieve. So, if we just stick with the tritium-based
25 system, you're dealing with a lot more than two grams.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 I just want that to be in the record.

2 MR. WHITE: Absolute agreement. There's
3 a proposed, they're building a facility right now.
4 It's a research facility. They're using five grams.

5 I mean, and there are designs out there that go even
6 much higher than that.

7 I absolutely agree. So that's, we talked
8 about financial assurance and decommissioning I already
9 mentioned. And anything over 120-day half-life, you
10 have to evaluate what you have on site.

11 Yes, you have activation products. Over
12 120-day half-life and yes, you're going to have to take
13 that into account from a licensing standpoint.

14 And again, these facilities will most
15 likely have to submit what you call decommissioning
16 funding plans under Part 30 and under -- it would have
17 to fund those plans.

18 And yes, it could be, you know,
19 decommission funding plans can get very expensive, but
20 they have to, again, it has to be put into place before
21 we would issue the license.

22 And again it would be, obviously, tritium
23 would fall under that, any activation products would
24 fall under that. And again, this is operational and,
25 you know, and obviously what's stored in waste, waste

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 management.

2 A little bit about fissile security.
3 Obviously, tritium's covered by that. Radiation
4 safety is covered under Part 30. Again, my reference
5 is to Part 20 there.

6 Facility design requirement, again, the
7 very high-level facility design requirements, but again
8 specific, again, we use, Part 30 we use the regulations
9 in concert with guidance.

10 And again, that's, the applicant to submit
11 specific information for their facility with specific
12 information on, you know, on how they're going to be
13 protected for health and safety.

14 And then, again, environmental
15 protection's another area where, again, in the NRC space
16 for Part 30, Part 51 again, there might be a requirement
17 there to do an environmental assessment.

18 MEMBER PETTI: So, these are really broad
19 areas. Things like conduct of operations, technical
20 specifications, do they fit in one of those?

21 MR. WHITE: Yes.

22 MEMBER PETTI: Okay.

23 MR. WHITE: Yes, they would. Again,
24 because this is just, again, we just want to use samples
25 from starting points here, but again guidance would

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 provide, ask for very specific information about the
2 design versus how they're going to do, operate their
3 facility.

4 And I'll give you an example about
5 emergency planning. One of the things, obviously,
6 they're going to have to look at, you know, radiological
7 hazards and non-radiological hazards that would drive
8 off-site, potential off-site, you know, public
9 scenarios are most likely.

10 And again, and that's the type of thing
11 you would be looking for in the application. What,
12 you know, what do they have on site, what would drive
13 potential off-site, you know, credible or they may just
14 decide to battle it if they, you know, they have very
15 conservative case.

16 Depends on what they choose to do. But
17 that's what you're looking for there. So they, so it's
18 a lot, it says it's a lot of high-level, but again,
19 add the guidance to it and, again, and there's
20 additional, some of these have additional requirements
21 listed under ITER and you have to look at a lot of
22 different things here to, again, to issue a license
23 and approve the license to do that.

24 And again, regulations will go, will work
25 with, in concert with guidance to, again, specific

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 purpose fusion facilities which, again, would have to
2 be put into place with the rule makings.

3 MEMBER HALNON: So on part of this, the
4 numbers may show, you know, whatever grams or curies,
5 but there's a couple of other aspects that just like
6 emergency planning, it's not just what can get off-site,
7 it's what can get in on site.

8 Because you may be relying on ambulance
9 or law enforcement and other things that -- the other
10 part of this is the public perception. Fusion nuclear
11 plant.

12 Just the word nuclear fusion in itself
13 could require beyond just when you say doesn't require
14 emergency planning if it's below a certain point,
15 there's always emergency planning.

16 And these are always dealing with hazards,
17 and security as well. You're always going to rely on
18 certain amount of off-site law enforcement. So a lot
19 of these things you can go by the numbers, but you have
20 to look at what you're doing, what you're talking about
21 --

22 MR. WHITE: Yes. I absolutely agree with
23 that.

24 MR. LYNCH: And to augment slightly, I do
25 want to make sure it's clear that listing these topics

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 on the slide here are not implying that the current
2 regulatory requirements or guidance associated with
3 this are necessarily fully adequate for future fusion
4 facilities.

5 We highlight these as a starting point
6 where we would then scale, add additional requirements
7 to the point that was made about tritium quantities
8 and how that maybe play into emergency planning.

9 That could be an area as, and I think Duncan
10 will give some examples on the following slides, where
11 augmentations to the regulations would be necessary
12 and updates to guidance to appropriately handle the
13 commercial fusion facilities.

14 MR. WHITE: Yes. I was just going to say,
15 we have a couple of slides, take some of these examples
16 and, you know, dive in, and say this is why we need
17 more development in these area as to best fusion
18 facilities.

19 Last bullet, and we mentioned before,
20 again, we have the ability to oppose whatever official
21 safety security requirements as in stressors and
22 specific hazards of the designs.

23 Again, we can do this, you know, through
24 the licensing process and if necessary, you know, of
25 other tools like orders. Next slide.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 Yes, the, again, the, we talked about the
2 recommended option would include limited rule making
3 and augment Part 30. And this would be I think the
4 most part, looking at adding one thing definitions,
5 you know, to kind of fusion clearly, you know, squarely
6 in the relative framework.

7 The other more important thing has a
8 section to regulations talks about what's the contents
9 of the application for a fusion facility. What type
10 of things would it cover?

11 Again, it wouldn't be super specific, but
12 it would be, cover the high-level things that we would
13 expect to see. And again, this would be augmented by,
14 augmented by guidance.

15 Currently, and we talked about this, fusion
16 R&D is going to be licensed either by NRC or states,
17 you know, with compatible programs, again, and whoever,
18 what state this is located in.

19 Again the guidance would, the initial
20 guidance that we would do would probably be geared
21 towards early movers, but again, the advantage of doing
22 guidance is that you can update and revise guidance
23 as you learn and go along.

24 And, again, this gets back to the last point
25 too is, again, is you see what applications, what

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 technologies, and moving forward you can, then you can
2 fill your guidance and learn from that and update your
3 guidance as you move forward to ensure that there is,
4 that there's been NRC and for the agreement states that
5 the guidance is covering the advancements of the
6 technologies as it goes forward.

7 The hazards that may, again, we talked
8 about what happens if you do go over ignition, you know,
9 what does, what's that going to look like. Maybe we'll
10 see that, and we can learn from that, and the guidance
11 can be updated to reflect that.

12 And again, the other thing I'd like to point
13 out too is with regard to the evolution of regulations
14 and guidance, we use the example of NRC did with
15 panoramic irradiators. We had, for years we licensed
16 them on a case-by-case basis. We had minimal
17 regulations, and we used mainly some of Part 20 and
18 Part 30 to regulate them.

19 And as, once the industry matured and some
20 standardizations of designs, we actually did, at that
21 point, decide to implement a separate part for that.

22
23 So again, it was a conscious decision as
24 we moved forward. We decided that we hadn't, that the
25 industry, we put actually a new part in place that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 specifically addressed, found what we believe, what
2 we knew about panoramic irradiators.

3 Again, it was years down the road when we
4 started doing that. But again, it's what, we've gone
5 down this path. We've done this path before.

6 And regulating on these on a case-by-case,
7 really on a case-by-case basis, this is how we've
8 approached, you know, new technologies in the past.
9 Next slide.

10 And here's, again, I'll talk a little bit
11 about, a little bit more about what we need augmentation
12 for Part 30, you know. As I said, Part 30 is not
13 complete right now for fusions. It's not, it's just
14 not.

15 So we're going to have to -- we do have
16 requirements in place, but again, we may not have the
17 current applicable guidance that we have sitting on
18 the shelf today.

19 We may have to pull that in from other
20 sources. We may have to develop it ourselves. And
21 we need to prepare that for, again, looking in the,
22 for the early movers, what we would need to do.

23 In this particular case, Diego mentioned
24 tritium handling. Then there's nothing specific in
25 Part 30 about tritium handling. We don't have, we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 really don't have anything in place right now for, you
2 know, large, larger scale fusion, you know, tritium
3 handling systems.

4 So we would have to have appropriate
5 guidance in place, use, you know, so we can reference
6 other guidance we could use. To do that, we could pull
7 from part, other parts of the regulations to do that.

8 Chilling and designs is another area that's
9 going to be needed. Again, that's something that would
10 be design specific and there are certain requirements
11 already to handle the operational radiation to do that.

12 Some of the design features will be, you
13 know, very site specific. We may have to, you know,
14 from other sources to do that. And, again, if the
15 Commission does choose this option to move forward,
16 we would have to do guidance and rulemaking again, and
17 we would have to weigh in together.

18 I think I talked about emergency planning
19 quite a bit there. Again, I think there's not much
20 more to say about that. Again, it's, the guidance was
21 developed not specific to tritium or fusion facilities.

22 So -- and the new guidance would have to
23 provide more specific information, how to look at this,
24 and how to handle that, again, revise the framework
25 to move forward.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 Again, and as a general requirement to what
2 you have to consider in the scenarios, but again, you
3 would want in the current, in the new guidance exactly
4 what you want to look at and how you want. Next slide.

5 Mr. Petti talked about the inventory and
6 how inventory is spread over the facility. Absolutely
7 right, how are you going to track that and account for
8 that? Absolutely correct.

9 Active products. What type of materials
10 are you going to use? What type of activation products
11 are you going to do? It's going to be challenging to,
12 it's going to be a challenge to, you know, what's the
13 inventory for that?

14 And obviously, it doesn't, it goes without
15 saying, you have to know where things are, how much
16 you have, do some of these other analyses. No question
17 about that.

18 Physical security, again, we do have
19 physical security requirements under Part 30 and
20 they're in Part 37. Tritium is not listed there. That
21 will have to be addressed.

22 But, again, if we look at fusion
23 facilities, I think it's up to about -- what we've seen
24 proposed now for fusion facilities by industry which
25 fall under what we call category. It would be IA

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 Category 2 quantities.

2 Again, these categories are based on the
3 deterministic effects from certain quantities of those,
4 stuff that was used on (audio interference) only. And,
5 again, what we've seen for inventories -- that again,
6 but we also may go into Category 1.

7 And, again, we have regulatory -- we
8 regulate that under Part 30 now. We have about 130
9 facilities across the country that are classified as
10 Category 1, the highest category in terms of physical
11 security.

12 So I think, but we're going to have to
13 augment Part 30 to look at tritium particularly and
14 to have the facility and how you do that. And, again,
15 you know, a tritium facility is very different. Where
16 tritium is going to be at a fusion facility, it looks
17 very different than it's going to be panoramic
18 irradiator and how you deal with and how you address
19 that. There's no question about that. So that's one
20 of the reasons you have to update guidance, to make
21 sure how you're going to address that and meet those
22 requirements.

23 Non-radiological hazard, and I touched on
24 that a little bit with the emergency planning. But,
25 again, you have to, you know, those could be very

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 important in look at potential off-site scenarios and
2 for operational considerations, once again, because
3 of, again, those different designs have different --
4 you're talking about magnetic hazards, you're talking
5 about biogenic hazards, you're talking about the
6 hazards that could, you know, that could control --
7 it's just that there's a lot, it's just that these are
8 complex machines, and a lot of things can go wrong.

9 Again, we need to, we need to be able look
10 at those and evaluate those. Again, Part 30 does
11 provide a -- provides the requirement that you need
12 look at these things. Again, it would have to be design
13 specific.

14 Andrew talked about aneutronic devises.
15 They have very -- they look very differently than a
16 Tokamak. So we're going to have to think about and
17 look at those.

18 What are the hazards associated with that
19 design versus, let's say, a Tokamak design? And,
20 again, have that evaluation. It has to be part of that.

21 And Part 30 does provide, does require you
22 to do that because, again, it recognizes the facilities
23 are going to look different.

24 Is this your slide or my slide?

25 MR. PROFFITT: Yes. I think that was the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 last slide on Part 30, but I think the message that
2 we're trying to send is, you know, the foundation that's
3 in the framework in Part 30, being augmented as we've
4 mentioned with the guidance and specific regulatory
5 requirements that we see that need to be updated right
6 now, can help us.

7 Can address what we have today and be a
8 bridge to the future, adequately addressing the systems
9 as they come, the devices and concepts as they're
10 deployed, and move us to a place where we fully expect
11 to have, you know, a Part 38 or Part something like
12 that in the future if there was a full fusion industry
13 in this country.

14 So I think, I hope we did that and if there
15 are any more questions that relate to Part 30, I'll
16 call on Diego here. I see his hand up and he has a
17 lot of good insight from a state perspective of
18 implementing Part 30. So Diego, go ahead and then we'll
19 entertain any more discussion on specifics of Part 30.

20 MR. SAENZ: Yes. Another context that I
21 would add these slides is that a lot of this would also
22 apply under a Part 50 framework as well, right. As
23 you know, there is no specific guidance for tritium
24 handling even under Part 50.

25 Inventory tracking for tritium would be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 something that we would need to develop those techniques
2 and guidance under a Part 50 framework as well.

3 So I do want to contextualize that as well,
4 that this isn't a, only if we go under Part 50. A lot
5 of these things would need to be done regardless of
6 the approach, but we just wanted to illustrate some
7 of those things that we recognize readily need to be
8 enhanced in the framework.

9 MEMBER PETTI: I'm just, I'm sure you're
10 aware of the safety documents, the hazard
11 categorization the DOE uses. The DOE faces a really
12 broad range of facilities.

13 So there's a whole document that was
14 developed on guidance for fusion facilities that pulled
15 all the tritium handling guidance that was available
16 at the time, this is 1990, in one place.

17 And so, you know, they've done the
18 categorization and they have three levels, and, you
19 know, done the dose calculations. So there is a
20 structure there that's worth, I think, looking at.

21 MR. WHITE: I just want to reemphasize --

22 MR. PROFFITT: We have -- Oh, I'm sorry.

23 MR. WHITE: I just want to re-emphasize
24 Diego's point. I think we recognized early on that
25 the requirements either be under Part 53 or Part 30.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 You going to access the same information before you
2 go in terms of regulating these.

3 MR. PROFFITT: I mean I would just say that
4 technology inclusiveness for out fusion, this makes
5 Part 53's technology inclusiveness a piece of cake.

6 I mean, this is so much broader, you know.

7 And Moe's laughing. He gets it. I mean, this is a
8 much, much broader than landscape to have to navigate.

9 That's for sure.

10 MR. SAENZ: I did want to quickly respond
11 to that point about the DOE's guidance. So, as we've
12 been licensing fusion systems, that DOE guidance has
13 been critical to us right now to license fusion
14 facilities.

15 So I'm glad you're highlighting that
16 because that has been of great use to us. So, we've
17 been using that to date, and it's been extremely
18 helpful.

19 MR. PROFFITT: Thanks, Diego. Any other
20 specifics on Part 30 before we move on?

21 All right, so obviously great discussion
22 at the subcommittee meeting. I mean, it really
23 challenged us to look at our paper and think about what
24 we had and make sure we were fully informing the
25 commission to make their decision.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 So a couple of the aspects that we have
2 here, and again, the paper is probably nearly double
3 the size that it was that was provided in the white
4 paper format.

5 But I've got greater detail on the scope
6 and magnitude of the designs under consideration,
7 benchmarking some to ITER and sort of using that as
8 a limiting box of what we expect.

9 Additional information related to
10 potential hazards from fusion energy systems to
11 bolstering that section. Member Petti, you brought
12 up the dust explosion and that's, that consideration
13 is in the paper now, along with others.

14 Specifics, as Duncan went through, some
15 of the examples we've talked about today and the
16 augmentations that would be needed to Part 30 and
17 certainly not trying to give the impression that Part
18 30, as is, is appropriate, but would require significant
19 work.

20 And then also, assessment of common defense
21 and security considerations related to fusion energy
22 systems. So we've talked about this line in decision
23 criteria, and that is a line that would require that
24 they be considered utilization facilities based on the
25 Atomic Energy Act. If they were determined to be of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 significance to common defense and security, that is
2 a line to be drawn.

3 So, Chairman Rempe, I think you mentioned
4 one, you know, a very large facility maybe million of
5 tons or something. So I think something of that nature
6 would likely trip a common defense and security finding
7 and would be categorized at a utilization facility and
8 would need to be treated that way.

9 But, again, the understanding that we have
10 of the landscape that's out there and its sort of
11 benchmarking that to ITER, don't feel it would
12 necessitate following a utilization facility.

13 So we appreciate the discussion at the last
14 meeting. We think the paper's in a lot better position
15 now.

16 So moving forward, I mean I think this top
17 bullet is the same from the last presentation but is
18 really the key and we'll continue to fulfill our mission
19 through licensing on the other side of fusion energies.

20 If we get down the road at some point and
21 we realize the path we're on is inadequate, we have
22 tools to address that and we do that today with the
23 systems.

24 We expect that future designs and hazards
25 as they evolve, will continue to inform the requirements

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 that are needed, the guidance that we have, the
2 requirements that we set to receive a license, and
3 lastly, we'll continue to involve that framework as
4 the industry matures as consistent with how we've
5 regulated new industries in the past.

6 So moving forward here, we'll finalize the
7 SECY paper that the Commission will direct us to
8 implement the framework as they see fit and we will
9 produce, if there's any rulemaking required based on
10 the framework, and certainly there be significant
11 guidance development. We'll seek to have that in place
12 by 2027 based on the NEMA deadline that Steve discussed.

13 So our final steps here are delivering the
14 paper, hopefully on track for later this month. I'd
15 say we still have significant work to do, but we believe
16 we're on track to deliver that paper ahead of the
17 Commission's set meeting in early November on the topic.

18 And that's our presentation for today.
19 Welcome any more discussion.

20 VICE CHAIR KIRCHNER: One observation I
21 would make is, again, and I don't want to repeat comments
22 from the subcommittee meeting, but this being success
23 oriented, that this may work, and it may contribute
24 significantly to clean energy in the future.

25 If you -- and I understand the advocacy

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 those people who are advocating fusion want to make
2 this distinction from fission and so on, but it is a
3 form of atomic energy.

4 So I think sooner or later you have to cross
5 that line. It's a utilization facility. I'm not
6 saying therefore use Part 50, because I don't think
7 that would very well.

8 So, the big thing in the fission business
9 that I think will happen and also in fusion unless
10 there's some direct conversion, is you're going to
11 couple it through some kind of power conversion Carnot
12 cycle.

13 And that's where things get complicated.

14 That's where things get complicated for fission, and
15 that's where I expect things will get complicated for
16 fusion.

17 Because then you're building a more complex
18 system. The nominal goal is 24/7 electricity, high
19 capacity factor, and so on. And that's what will take
20 fusion from R&D accelerators to something that's a lot
21 more complicated.

22 And, you know, and first, thermodynamics,
23 the first rule is to push up the temperature. And as
24 soon as you push up the temperature of a system's light
25 fission, you get a lot of complexity.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 And the same thing, I believe, is going
2 to happen with those fusion systems that, at least right
3 now, that look credible as contenders for purposes of
4 making electricity.

5 And that, I'm just planting a seed, that
6 that changes the game. It changes the hazards. It
7 changes -- it makes, as Dave was saying earlier, you've
8 got a system with if it's a neutron driven power
9 conversion system, neutrons all over the place.

10 You've got tritium, if you're breeding
11 tritium for fueling your system, that's another
12 complication because tritium at high temperatures is
13 really hard to manage, and so on.

14 So, and just, I just put this observation
15 of caution out there, that once you cross over to making
16 useful power, the design and complexity of the systems
17 goes up and it pushes you.

18 And it will, unless there are some
19 techniques that I'm not aware of in the fusion area,
20 it will, you want useful power, you're going to push
21 up the temperatures and you're going to be dealing with
22 a lot of neutrons and a lot of complexity.

23 And that's where things get a lot more
24 complicated, and that's where things like hazard
25 analysis and such gets more complicated, because you're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 running at higher temperatures, and yes, there's not
2 decay heat like you had with fission, but you've got
3 a pretty hot machine, with a lot of a high energy.

4 And you've got radiation, you've got
5 materials that have been activated, and you've got
6 tritium. And so when that system then shuts itself
7 down for whatever reason, in part for whatever, then
8 the complexity goes up much more than you have to worry
9 about when you're running a particle accelerator at
10 a laboratory.

11 And so, I think Dave, it's not quite the
12 same way you said it, but that's my concern that you,
13 that when you build this framework that you're really
14 building a framework that can realistically address
15 hazards that are going to be there which are, are going
16 to be, I won't make the fission/fusion comparison, but
17 just, it'll have its own set of challenges and hazards
18 when it's scaled up to something that's useful for
19 making energy.

20 MR. PROFFITT: Yes, go ahead, Moe.

21 MR. SHAMS: All right. I couldn't agree
22 more with the point being made, and I heard it a couple
23 of times about that uncertainty in the physics yet and
24 the uncertainty around the hazards that you have.

25 And we're totally mindful of that. Just

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 even the structure of us looking at things, you are
2 looking at it as well, provides the assurances that
3 this will be looked at.

4 We come from the reactor side of things
5 where also, safety features, novel safety have to be
6 addressed, have to be fully vetted, have to be looked
7 at.

8 So we're definitely not abandoning that
9 thinking. And if we look at the moment in time in fusion
10 that we're in, it's in Research and Development. It's
11 in proving of concepts.

12 So we're definitely on that journey looking
13 and learning and understanding before we license
14 anything that's quite different than what we're already
15 seeing or being proved so far.

16 So I just don't want us to come across as
17 we're not recognizing or dismissive of the concept,
18 that there's a long journey for the technology to go
19 and prove itself.

20 And we're on this side. We've got to be
21 the ones that are ensuring the best outright. So at
22 the end of we have to make sure it's done, you know,
23 safely. So your reminder to us is incredibly important
24 and thank you for that.

25 MEMBER PETTI: Other members? Comments?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 Okay, let's turn to public comment then.

2 CHAIR REMPE: I believe there was a member
3 of the public who is here in the room, and I believe
4 the best thing to do is still, to come to the mic?

5 MEMBER PETTI: The mics don't work.

6 CHAIR REMPE: The mics don't work? Oh,
7 so you're going to have to use the microphone there
8 and turn it on and make your comments.

9 MR. ELLIS: Can you hear me?

10 MEMBER PETTI: Speak a little closer to
11 the microphone.

12 MR. ELLIS: All right. Well thank you
13 very much, Chairman Rempe and other members of the
14 Advisory Committee on Reactor Safeguards. Thank you
15 for the opportunity today to make public comment as
16 you and your members are reviewing the NRC's staff's
17 work on evaluating regulatory framework for fusion
18 energy systems.

19 My name is Tyler Ellis and I'm with
20 Commonwealth Fusion Systems or CFS, and by way of
21 background, I completed my bachelors, masters, and
22 doctrine degrees in nuclear science engineering at MIT,
23 as well as an MBA at Harvard Business School.

24 I've built out TerraPower from its founding
25 by both leading the engineering design effort as well

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 as looking at the licensing frameworks, in a variety
2 of international markets.

3 With CFS I focus on several areas including
4 regulatory affairs. And to start out, I'd like to say
5 that I support the NRC's staff's proposal to regulate
6 fusion energy system under Part 30 approach.

7 At the last ACRS meeting there were several
8 questions raised as to both what was in Part 30, and
9 I think the NRC staff covered a lot more detail of that
10 as well in this meeting, as well as the current status
11 of the private fusion industry, which I'd like to
12 provide some perspective on.

13 So we've submitted a letter for the record,
14 which covers a lot of the points that I'll kind of
15 briefly mention here. And if you'd like even more
16 detail, I'd encourage you to read the longer letter
17 that we've submitted to Chairman Hanson, summarizing
18 the two-plus years' worth of public meetings discussing
19 all of this material as well as the Fusion Industry
20 Association's white paper on Igniting the Fusion
21 Revolution in America.

22 So over just the past five years, the
23 private fusion industry has really rapidly progressed,
24 raising over \$5 billion of capital spread out over
25 30-plus companies around the world with the view to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 put the first fusion megawatts on the grid by the early
2 2030s in order to address climate change.

3 This is in line with a decade old vision
4 that was announced by the White House to construct a
5 commercial fusion power plant within the next ten years.

6 And most of the private fusion companies were not in
7 existence ten years ago.

8 So a lot of the work that was performed
9 then would probably focus more on ITER and DEMO scale
10 type of facilities as opposed to the current concept
11 that have been developed rapidly over the last couple
12 of years.

13 So CFS specifically is currently building
14 a fusion energy demonstration facility called SPARC
15 in collaboration with MIT. We're both designing and
16 conducting a global citing search for a first commercial
17 fusion power plant called ARC which will put fusion
18 electricity on the grid in the early 2030s.

19 We have kind of raised enough money through
20 the fund raiser this past October, as well as the
21 demonstration of the magnet breakthrough last
22 September, where we demonstrated a 20 Tesla sized coil
23 at fully representative size for fusion energy
24 facility.

25 And that will fully fund the completion

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 of SPARC as well as the design activity for ARC.

2 Right now we are building SPARC in Devens
3 with the goal of achieving net energy, so Q greater
4 than 1 by 2025, and Q greater than 10 shortly thereafter.

5 With a -- which is basically about a decade more before
6 ITER.

7 The scientific basis for the plans have
8 been peer reviewed in the special edition of the Journal
9 of Plasma Physics, so if any of you are interested in
10 that, I encourage you to read.

11 And if you actually would like to come out
12 to see the Devens site and see the progress we are
13 making, we extend the invitation for all of you to come
14 out and we would be more than happy to host.

15 I'd just like to cover a couple of brief
16 points that address some of the questions that were
17 raised in the previous ACRS meeting in five major areas.

18 So first is risk profile, second is tritium
19 volumes, third is the activated waste stream, fourth
20 is regulatory flexibility, and then the final one is
21 kind of the tide lines.

22 So some of the questions were raised on
23 the anticipated risk profile for future fusion energy
24 systems. We think that the future fusion energy
25 systems present risks that are much more similar to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 particle accelerators than fission systems.

2 There are no special nuclear material on
3 site. There are no criticality concerns. They do not
4 create high level waste.

5 A lot of the hypothetical accident
6 scenarios that have been discussed and presented in
7 previous NRC public meetings were showing that
8 estimated off-site doses were well below the NRC Part
9 30 evaluation criteria of 1,000 millirem for the
10 coordination of off-site emergency evacuation
11 response.

12 Dust generation was also another topic that
13 was raised at a previous meeting and several of the
14 publications from the jet facility, which actually
15 utilizes the new ITER like wall, which is more like
16 a tungsten wall as opposed to a carbon wall that a lot
17 of the previous research has been based upon, shows
18 that it produces about 100 times less dust than a carbon
19 wall, and then that dust actually holds on to tritium
20 about 100 times less effectively than a carbon wall.

21 So, this is a significant difference from
22 the research that was conducted many decades ago on
23 a lot of the carbon-based walls. The tungsten-based
24 walls will be, create much less dust and it will also
25 retain much less tritium.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 On the kind of a related point of metrics.

2 So we just wanted to kind of reemphasize the point
3 that I think the NRC staff mentioned before, that power
4 level and electricity production are probably not good
5 metrics to look at evaluating this just because it
6 doesn't correlate to the off-site risk.

7 We think the post appropriate metric is
8 expected dose to the off-site public, which is kind
9 of contained within the, within Part 30.

10 And then one of the other comments today
11 kind of discussed distributed sources, and in fusion
12 facilities much of the tritium is immobilized on solid
13 metal beds and thus not releasable in accident
14 scenarios.

15 So I just wanted to kind of bring up that
16 important distinction where, you know, we talk about
17 total tritium inventories for the site, doesn't
18 necessarily correlate to what is actually is released
19 in an accident scenario.

20 And then kind of similar to some of the
21 aneutronic approaches, you know, which also generate
22 neutron fluxes from secondary reactions and
23 preactivated materials, just like a tritium system
24 does, but just at a lower level comparatively.

25 And we think that the metric of off-site

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 dose to the public is a pretty effective metric because
2 that can ramp up or ramp down based upon the hazard
3 that the actual facility presents.

4 On the tritium area, one of the questions
5 was about the amount of tritium that is required.
6 Private fusion energy facilities will have far smaller
7 tritium inventories than ITER or DEMO. The magnet
8 demonstration that CFS just demoed last September,
9 shows that you can build a Tokamak that is 40 times
10 smaller than ITER. Forty times smaller.

11 It's a significant size in volume
12 reduction. Other private companies are looking at
13 similarly sized facilities. Nobody is looking at ITER
14 or DEMO sized facilities for deploying of these
15 systems.

16 And I think that's just a practicality up
17 here. Talking about a 30-to-50-billion-dollar sized
18 facilities, private companies can't afford to do
19 something like that.

20 You have to have most of the governments
21 of the world come together in order to fund that, so.

22 For a private endeavor to try to take that on is not
23 necessarily realistic.

24 Now looking at SPARC's tritium inventory,
25 SPARC's tritium inventory is estimated to be 10 grams.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 This compares to ITER's 5,000 grams. They are both
2 kind of accomplishing a similar mission to demonstrate
3 Q greater than 1.

4 But that is the difference in scale between
5 these 40 times smaller sized machines. Just try to
6 put the tritium amount in context.

7 ARC itself is expected to be slightly
8 larger than SPARC but will also have significant smaller
9 tritium inventories than either ITER or DEMO, which
10 is currently estimated up at about 15,000 grams.

11 When you're looking at tritium consumption
12 to operate an ARC sized power plant, about 250 megawatts
13 electric, you're looking at a consumption rate of about
14 81 grams per day.

15 So if you're actually kind of going back
16 and doing the math in a lot of these different
17 facilities, the reason that it's different is because
18 unlike experimental machines like ITER and DEMO, which
19 have large inventories of tritium on site in order to
20 run repeated experiments and then change the parameters
21 quickly and go up and down quickly, commercial fusion
22 energy machines utilizing a DT reaction have a
23 completely different operational philosophy.

24 It is focused on consistent operations that
25 use, generate, and recirculate that tritium very

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 rapidly, as opposed to kind of storing a large amount
2 on site in order to draw from to run experiments.

3 So there are a lot of significant
4 differences between the tritium systems that are
5 designed for an ITER and DEMO size system, and what
6 is currently being developed for private systems.

7 Just a quick note on the activated waste
8 stream. So, a lot of the preliminary calculations that
9 we have for SPARC is that the total amount of low-level
10 waste that's generated is going to be to orders of
11 magnitude smaller than what they expect for ITER.

12 So again, significantly smaller amounts
13 of low-level waste. Lion's share of that will be Class
14 A. And likewise, ARC is expected to generate a pretty
15 small fraction of low-level waste associated with what
16 they expect for either an ITER or DEMO sized system.

17 We expect that all the activated materials
18 are going to comply with NRC standards under Part 61.

19 And for SPARC, a majority of this is going to be Class
20 A, low-level waste.

21 For ARC, we are designing this facility
22 such that the waste will be Class C and below, not
23 greater than Class C.

24 So on the regulatory flexibility point,
25 we think actually that the Part 30 regulations are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 flexible enough to be able to ramp up and ramp down
2 based on the hazard that the specific facility presents.

3 And this has been the approach that the
4 NRC has taken with well loggers and irradiators as has
5 been mentioned earlier in this meeting, so.

6 We think that experience from multiple
7 cycles of development, operations, and maintenance for
8 several cycles is pretty critical before any additional
9 guidance is necessary to be developed because that's
10 been kind of the historical precedent that's been
11 followed so far.

12 Finally, on the timeline, just wanted to
13 clarify some points around the pace of the commercial
14 fusion energy and kind of the need for regulatory
15 certainty.

16 One of the areas where there was some
17 questions was the need and the time for developing a
18 regulatory pathway for fusion and is it needed for a
19 while.

20 So most private companies are developing
21 fusion energy systems and they are targeting the early
22 2030s for deployment in order to be able to deliver
23 something on the timeline and for the decadal vision
24 from the White House.

25 Assuming a five-year construction schedule

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 and a three-year design period, fusion companies would
2 need regulatory certainty by like about 2023 in order
3 to support this timeline and keep the United States
4 as a viable location for the initial ARC and other types
5 of private power plants.

6 So, just trying to give some time
7 perspective of why it's actually important to be able
8 to develop an appropriate framework in the near term.

9
10 So thanks very much for the opportunity
11 to offer public comment.

12 CHAIR REMPE: Thank you. We do have the
13 letter you submitted, and it will be part of the
14 transcript. Most of what, we don't do question and
15 answers, and most of what you said I could hear, but
16 you mentioned I think 250 megawatts electric.

17 And was that correct? Because that number
18 did not appear in what your paper was, and so I could
19 not quite hear that. Could you repeat that number?

20 MR. ELLIS: Yes, article, you know, can
21 be approximately around there. It's not set, because
22 the design is still being formulated, but that's --

23 CHAIR REMPE: That's different than what
24 I saw in an earlier paper, I guess. But it's 250
25 megawatts electric is what you're going to demonstrate.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 Thank you. Are there any other --

2 MR. ELLIS: No, I'm sorry. For ARC, for
3 SPARC?

4 CHAIR REMPE: Which one is it though?

5 MR. ELLIS: Well SPARC is what we are
6 building now.

7 CHAIR REMPE: And it is?

8 MR. ELLIS: So the power level equivalent
9 is not isolated because it's a pulse machine, so it
10 doesn't necessarily, it doesn't produce electricity
11 for the grid and --

12 CHAIR REMPE: And then the smaller one will
13 be 250 megawatts?

14 MR. ELLIS: Yes. The commercial unit ARC
15 would be 200-megawatt electric class machine.

16 CHAIR ELLIS: Electric, okay. Are there
17 any other public comments?

18 Okay Dennis, did you have a closing remark
19 you wanted? I'm sorry, what?

20 MR. BLEY: Yes, I do.

21 CHAIR REMPE: Oh hold on Dennis, there is
22 another public comment. I thought we only had one
23 person who wanted to make public comments. There's
24 two in the room?

25 MR. FOWLER: Yes. Thank you very much.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 So my name is Sid Fowler, here on behalf as counsel
2 for the Fusion Industry Association.

3 I just want to make a couple of very quick
4 comments to sort of add some clarity to what the staff
5 said which I know you had asked about the Option --

6 CHAIR REMPE: If you could bring the mic
7 real close to you.

8 MR. FOWLER: Oh, sorry. I know you'd
9 asked about the Option 3, which is the cut-off criteria.

10 I just wanted to emphasize that in the
11 Atomic Energy Act the commission always has the
12 authority to declare anything, a utilization facility,
13 by rule making at any time.

14 And so the staff, the proposal, the Part
15 30 proposal in no way locks the Commission in to never
16 declaring any fusion technology in the future to be
17 a utilization facility.

18 The Atomic Energy Act always gives the
19 commission that discretion. Okay, so I just wanted
20 to clarify that.

21 The other thing is that you know the
22 discussion of tritium facilities and large amounts of
23 tritium is that under Part 30, large tritium facilities,
24 they would already be licensed under Part 30, and
25 they've never been considered utilization facilities,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 even when they have very large quantities of tritium
2 on site.

3 And those are the two comments we wanted
4 to clarify. And then I believe the Fusion Industry
5 Association might like to submit a short letter
6 addressing some of the technical issues for the record.

7 Thank you for the opportunity to -- and
8 thank you very much.

9 CHAIR REMPE: Okay, and then I think we're
10 back to Dennis.

11 MR. SAENZ: And Joy, I did want to make
12 a comment, I don't know --

13 CHAIR REMPE: Are you a public, member of
14 the public here now, at this point?

15 MR. SAENZ: I'm in a hybrid role so, but
16 yes, maybe I'll make comment as a member of the public.

17 CHAIR REMPE: Go for it.

18 MR. SAENZ: Okay. I think one piece of
19 context that I think would really be helpful here is
20 the working group was mostly composed of NRR folks with
21 a familiarity of Part 50, and 52, 53.

22 So I think there's few people, like me,
23 which some of you may remember from the operate
24 subcommittee presented on Mello Plus and EFW in the
25 past, that I have kind of worked both sides.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 So kind of the default of the group really
2 was how do we fit this into a Part 50 framework? A
3 Part 50 framework? A utilization facility framework?

4 That really was the starting point. And
5 even if you look at the SECY paper that created the
6 working group, it's made some comment along the lines
7 of it didn't really see a role in this for the agreement
8 states.

9 To the great credit of the working group,
10 which I'm lucky to be a part of, those members kept
11 an open mind and as we went through this process and
12 learned more about the current technologies, got
13 presentations from future facilities that are being
14 proposed and companies are working on, we eventually
15 started to work to the hybrid approach.

16 Okay, it looks like some of these
17 facilities could fit under a Part 30 approach and then
18 as we came to a close of this process, we've come to
19 the conclusion where we are now, which is we haven't
20 seen a line where something that is foreseeable would
21 require that Part 50 approach.

22 Now, of course, as Dennis highlighted and
23 as we've seen with the SHINE Part 50 license, we have
24 that capability of putting something that doesn't right
25 now fit under Part 50, in a, you know, needed timeline

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 to fit it into Part 50 as a utilization facility.

2 That tool always exists.

3 I think it really was something that we
4 needed to address from the last meeting of, hey why
5 don't we -- why are we boxing ourselves now to one
6 decision, why don't we have some, you know, go that
7 hybrid approach, and leave that door open?

8 And that's because we really aren't seeing
9 that line. So I guess I want to provide that context
10 and I also know a lot of the folks here at the ACRS
11 are more familiar with that Part 50 approach.

12 So I understand your concerns, you know,
13 as somebody who lived in the Part 50 world prior to
14 coming to the Part 30 world. I wasn't aware that a
15 lot of these mechanisms existed.

16 So, you know, I think that that's all of
17 your comments have resonated very well with, you know,
18 my own experience going through this process. So I
19 wanted to very much recognize that as well. So I hope
20 that's helpful. Thanks.

21 CHAIR REMPE: Any more public comments
22 before I allow Dennis to speak? Okay Dennis, you're
23 up now.

24 MR. BLEY: Okay, thanks Joy. Two, two
25 things. One I was beginning to feel kind of guilty

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 like I missed the boat when several members of the staff
2 talked about a revised white paper that's twice as big
3 as it was very much expanded.

4 I've nosed around, and apparently, I didn't
5 miss the boat, they have a new draft that the Committee
6 hasn't seen and if it's revised as extensively as they
7 say, it seems, I wonder if it's wasted time for you
8 folks on the Committee to be writing a letter on what
9 we saw a few weeks ago.

10 Then I had a question for you and Dave.
11 My copy that I read of the original white paper has
12 an Option 2A and 2B, but it doesn't have an Option 3A
13 and 3B. I'm guessing you mean the two different paths
14 under Option 3.

15 One for the bi-product material model and
16 one for the utilization facility. Is that right?

17 MR. PROFFITT: Yes. I think so. And
18 actually, to make things more confusing, in the slides
19 today it was Option 3, Option 1, 1 and 2, which are
20 sub-options under that.

21 And I thought they were A and B at the
22 subcommittee. So, I was a little confused as well.

23 MR. BLEY: Okay, so you were taking it from
24 your memory of the subcommittee meeting. I just
25 wondered because I didn't have an A and B, but I figured

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 I must know what you were talking about. And I did.

2 CHAIR REMPE: With respect to, is it
3 wasting our time? And we can clearly say, the white
4 paper and the slides and make sure everyone understands
5 what we were talking about.

6 My concern is, and Dave and other members
7 may have different opinions, is that the SECY, the
8 revised paper that we weren't given an opportunity to
9 see, is going on up to the commission in October and
10 there's a public meeting.

11 So I think they haven't changed what they
12 told us they were going to at the subcommittee meeting
13 and so if ACRS wants to comment, I think the time is
14 now. Other members may have a different opinion.

15 MR. PROFFITT: Well I just think when they
16 see if everything survives in the draft letter, there
17 may be some more useful information in the letter to
18 incorporate into the white paper as well.

19 CHAIR REMPE: Yes, Moe has his hand up.

20 MR. SHAMS: Thank you. Yes, I just wanted
21 to take on the point of the revision to the paper.

22 The SECY is built --

23 MR. BLEY: Moe, can you stay on the
24 microphone. It's hard to hear you.

25 MR. SHAMS: Oh, I'm sorry Dennis. I'll

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 get closer. The SECY is built directly off the white
2 paper and the technical discussions in the white paper.

3 We've expanded some of the legal areas a
4 bit to get through some definition of utilization
5 facilities versus material framework and what have you.

6 But that ultimately had no bearing
7 ultimately on the recommendation we've made, which we
8 presented to you today. And the technical positions
9 that we've laid out in the paper with respect to risks
10 and what's missing in Part 30.

11 So, in my view what you have is the thrust
12 of the paper. The rest is really augmentation to
13 support the commission decision.

14 MEMBER PETTI: Okay. Well with that, then
15 I want to thank the staff. Good discussion, good
16 presentations. And I turn it back over to you, Joy.

17 CHAIR REMPE: Sure. We're actually ahead
18 of schedule which is amazing with all the discussion
19 for less than 12 slot, because it's only really 11.
20 But anyway, I would like to suggest we take a 15-minute
21 break and come back and let you read through your letter
22 at 10:25, which is five minutes sooner.

23 I'd also like to tell the court report that
24 we're going to go off the record at this time and ask
25 him to return at, or someone else, whoever's covering

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 this afternoon, at 1:00 p.m.

2 Okay, and that said, do you have a comment?

3 No. Okay, we'll see you at 10:25. Okay.

4 MEMBER PETTI: Yes, thank you.

5 (Whereupon the above-entitled matter went
6 off the record at 10:11 a.m. and resumed at 1:00 p.m.)

7 CHAIR REMPE: Good afternoon, everyone.
8 It's 1:00 p.m. I thought my microphone -- oh that one.

9
10 Good afternoon, everyone, it's 1:00 p.m.
11 and we are resuming the full committee meeting, but
12 there has been an issue with admitting some members
13 of the staff, and I'm waiting to get a go ahead from
14 the staff.

15 Is it acceptable to go ahead and start?

16 MR. SNODDERLY: No, if I could please, this
17 is Mike Snodderly, I'll be the DFO for this portion
18 of the meeting, and there's some members of the staff
19 that had the wrong invite and we believe we have the
20 right invite for them now. So I just want to make sure
21 they're here before we get started.

22 CHAIR REMPE: So we'll wait until we get
23 a go ahead from you.

24 MR. SNODDERLY: Yes. Thank you.

25 (Whereupon the above-entitled matter went

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 off the record at 1:01 p.m. and resumed at 1:05 p.m.)

2 CHAIR REMPE: Okay, I've been told by our
3 Designated Federal Officer for this session that we've
4 resolved enough of the issue that we can begin.

5 So at this time, I'd like to ask Member
6 Kirchner to lead us to the topic regarding the
7 methodology for establishing the technical basis for
8 the plume exposure emergency planning zones.

9 VICE CHAIR KIRCHNER: Thank you Chairman.
10 I think to start, first I'll just observe that I believe
11 all the members of the Committee were at our
12 subcommittee meeting in September when this material
13 was presented by the applicant and the staff.

14 So we did not ask for that to be repeated
15 today, but I wanted to open the floor to any members
16 who might have questions based on what was presented
17 in September.

18 We have staff and new scale available.
19 I'll start with the Chairman.

20 CHAIR KEMPE: Well if no one else has, this
21 is a minor question. This is a minor question and I
22 apologize for not asking earlier, but I was just curious
23 when on Page 11 when you're talking about the codes
24 that can be used for this methodology and the applicant
25 mentioned MELCOR, RELAP, and MACCS, you brought up some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 other codes, such as TRAC.

2 And I just was curious, usually in NCR,
3 they ask for something and you say yes, you can do this,
4 and what was the motivation for that?

5 MR. DICKSON: This is Elijah Dickson with
6 the staff. TRAC is an updated version of RELAP,
7 effectively at --

8 CHAIR REMPE: It actually has some
9 additional capabilities like the couple draft --

10 MR. DICKSON: That's right additional
11 capabilities. I myself am not an expert user in that.

12 I would reach out to our office of research. They
13 are developing all those codes. And they said in
14 general the agency is moving away from that older
15 software and moving on to these new ones.

16 CHAIR REMPE: And of course the applicant
17 has a methodology that they're using and I frankly --
18 the agency's codes aren't really, well this is a
19 different story, but.

20 They were going to do a different type of
21 submittal, or something and they have their approved
22 code and RELAP is approved for their applications.

23 I'm not sure that, although TRAC has some
24 additional, wonderful capabilities, I'm not sure that
25 the staff would accept it for some types of responses.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 I mean, frankly, it would be nice to see
2 the applicant do it for some things because of the
3 coupled reactor physics from a hydraulic feedback, but
4 I just was surprised basically that you don't really
5 have a stronger reason for it other than --

6 MR. DICKSON: No, other than researching
7 and reaching out to the folks using the code and
8 developing the code that said in general, they are
9 moving on to these other codes, though internally.

10 CHAIR REMPE: Oh, absolutely. The staff
11 has I agree with that, but they can use, the applicant
12 can use.

13 MR. DICKSON: Yes. That's it.

14 CHAIR REMPE: You're basically giving this
15 applicant to use an NRC code for corporate regulatory
16 application, which is kind of interesting, but it's
17 not the traditional.

18 MR. DICKSON: Yes. I understand.

19 CHAIR REMPE: Anyway, I dug that point out.

20 Thank you.

21 VICE CHAIR KIRCHNER: Thank you. Other
22 members? Also, I believe we have our consultants
23 Dennis Bley and Steven Schultz on the line. Dennis
24 or Steve, have you any questions of the staff or the
25 applicant?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 MR. BLEY: No, nothing from me beyond what
2 we've talked at subcommittee.

3 MEMBER DIMITRIJEVIC: Walt, I have a
4 general question.

5 VICE CHAIR KIRCHNER: Go ahead, Vesna.

6 MEMBER DIMITRIJEVIC: All right, so my
7 very general question is we call this the risk inform
8 application, right? And so my question is, what is
9 the risk here we are considering? Which risk are we
10 talking about?

11 VICE CHAIR KIRCHNER: Are you asking the
12 question of me?

13 MEMBER DIMITRIJEVIC: No, no, no. I'm
14 asking question of the NuScale when they said it is
15 risk inform, what is their understanding? What
16 risk we addressing here? I just want to know that
17 because we often, they make up the numbers and sequences
18 we call this risk inform application. But I always,
19 you know, my, one of my specific things when it comes
20 to that is can, we discuss what is the risk we are talking
21 about.

22 Because like 1174 is very clear. We are
23 talking coal frequency or lab release frequency. So
24 what is the risk we are discussing here? You understand
25 what you mean. What is the risk we are talking about

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 when we say this a risk inform application?

2 Are you talking about exposure? What is
3 the risk, those, what are risk we are addressing here?

4 In your opinion, how you see it when you say that's
5 a risk inform application.

6 MR. DOYLE: This is Jeremiah with NuScale.
7 Can you hear me?

8 VICE CHAIR KIRCHNER: Yes, Jeremiah.

9 MR. DOYLE: Okay. Yes, the risk that we
10 are discussing here is the risk of release and the
11 off-site dose risk to the public.

12 MEMBER DIMITRIJEVIC: So we are discussing
13 off-site risk to the public is what is our risk measures
14 here?

15 MR. DOYLE: That is correct. Those three
16 dose criteria. We're looking at the off-site dose risk
17 to the public.

18 MEMBER DIMITRIJEVIC: Okay, but we don't
19 have an established expectations for that risk measure,
20 right? I mean, we don't have a really, let me try to
21 say that we don't have a really acceptable level of
22 risk defined here, right?

23 MR. DOYLE: Well, we have a, we have three
24 kinds of acceptable limits for, for protective action
25 planning. You know, we do set those three, those three

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 dose criteria and I would say those are our risk limits
2 here.

3 MEMBER DIMITRIJEVIC: Sorry, my
4 microphone was off. So what you are saying meeting
5 those criteria is what gives you risk inform thing.

6 I'm sorry to be like this, but this is
7 something from my point that important that we often
8 as soon as we see number, you know five minus five or
9 1.5, we say oh this is this inform application.

10 But I truly, this inform application is
11 something which shows, represents low risk to something
12 or we have a reduction in risk to something.

13 And so my question to you by meeting those
14 criteria you are saying that this is that should be
15 fine risk inform.

16 MR. DOYLE: Okay, thank you for that
17 explanation. Yes. I would say there's two, there's
18 really two pieces of the risk inform to this.

19 One is the, we're informing the spectrum
20 of accident sequences to be evaluated. And that's
21 based on risk incites from the PRA and deterministic
22 inputs from, you know, Chapter 15.

23 So there's that balance of the
24 quantitative, the quantified probabilistic risk and
25 the deterministic risk. And that combination there

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 is part of the risk informed process.

2 And then the other piece of the risk
3 informed process is for that defined spectrum of
4 accident sequences. You know, what is the distance
5 at which we meet the dose criteria.

6 And so we're really then ultimately risk
7 informing that that location where we we're having the
8 commensurate level of risk to the public at and beyond
9 the EPZ boundary as the currently established 10-mile
10 EPZ.

11 MEMBER DIMITRIJEVIC: Okay. All right.
12 I just wanted to hear your opinion about such. Okay.
13 Thanks.

14 VICE CHAIR KIRCHNER: Thank you, Vesna.
15 If there are no other questions or comments, what I'm
16 going to proceed to do is read that document and that
17 is the version that the staff prepared --

18 MR. SNODDERLY: Excuse me Walt.

19 VICE CHAIR KIRCHNER: -- the evaluation
20 against -- yes?

21 MR. SNODDERLY: Yes. I think that now
22 that we're at the end of the question-and-answer period,
23 I don't believe we need the court reporter any longer,
24 so.

25 CHAIR REMPE: Furthermore, I'm wondering,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 what do we do about public comments? Maybe we should
2 ask if we should have public comments before.

3 VICE CHAIR KIRCHNER: We would take any
4 public comments on this particular topic. I think if
5 you're on-line you have to press *6 to unmute yourself.

6 If you're on Teams, go ahead and activate your
7 microphone.

8 MR. SNODDERLY: Ms. Sarah Fields is on --

9 CHAIR REMPE: Do you hear previously that
10 she did want to make --

11 MR SNODDERLY: No, I just saw that she was
12 one of the ones --

13 CHAIR REMPE: Oh, there were several that
14 I recognized that -- and we'll give them another few
15 minutes. Not hearing any comments then I think we are
16 done with this public comment portion, and we will ask
17 court report and ask him to return tomorrow at 8:30
18 a.m. Thanks. 8:30 tomorrow morning is good.

19 MR. NGUYEN: Excuse me, Chairman. I think
20 it's P&P tomorrow so did you want him to --

21 CHAIR REMPE: That's true. And we've got
22 a lot of people with echoes. But we will have a session
23 tomorrow at 1:00. And I sent you and Larry a note and
24 Quynh. Can someone -- everyone turn off their mics?

25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 Quynh, Larry? Okay, so I ask us to -- okay,
2 I asked before, with my opening remarks. I sent you
3 and Larry a note, and Quynh. And you coming back and
4 said, yeah, what you have is fine.

5 But I thought we do need to have an opening
6 remark at 8:30 to make sure that we cover what's going
7 to happen at one o'clock. And we definitely want a
8 court reporter.

9 But I mentioned it several times. And we
10 were just going to have this guy on the line for about
11 ten minutes. Now is that true?

12 MR. NGUYEN: That's understood.

13 CHAIR REMPE: Is that true? Because I did
14 sent you a note, you and Quynh, a note back. Okay,
15 and Quynh, is that true?

16 I mean, this is a weird situation but
17 because of what we are starting off and then starting
18 at 1:00, in the middle of a session, if you don't have
19 an opening remark, to me seems strange.

20 MEMBER MARCH-LEUBA: My agenda says 1:30.

21 CHAIR REMPE: Okay, 1:30, but is it 1:30
22 when we are to resume?

23 MEMBER MARCH-LEUBA: That's what it is.

24 CHAIR REMPE: Okay, so anyway, please come
25 back at 8:30 tomorrow morning, court reporter, okay?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 And then we'll get right to -- yes, until probably
2 1:30.

3 Jose's probably right because I was just
4 doing it from memory. Okay, so at 1:30, then, we'll
5 have a longer time. Thank you for correcting me.

6 MR. NGUYEN: Thank you, Chairman.

7 (Whereupon, the above-entitled matter went
8 off the record at 1:18 p.m.)

9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25



Advisory Committee on Reactor Safeguards

Full Committee

Licensing and Regulating
Fusion Energy Systems

October 5, 2022

Agenda

- Review of Options
 - Treatment as utilization facility
 - Adaptation of byproduct material framework
 - Hybrid approach
- Staff Recommendation of 10 CFR Part 30 Approach
 - Context for recommendation
 - Scalability of requirements
 - Potential augmentation of requirements
 - Expected implementation
- Enhancements to SECY Paper
- Path Forward

Options for Commission Consideration

- Option 1: Treatment as Utilization Facility – Supplement Part 53
 - Would impose requirements in Atomic Energy Act (AEA) currently applied to nuclear fission reactors
 - Would present challenges because hazards associated with fusion devices are fundamentally different than fission-based systems

- Option 2: Regulate under Byproduct Material Framework – Enhance Part 30
 - Part 30 framework addresses the most significant hazards associated with fusion energy systems
 - Currently used to safely license and regulate fusion research and development (R&D) facilities
 - Would scale requirements to address expected hazard levels

- Option 3: Hybrid Approach – Scale Between Options 1 and 2
 - Bifurcated approach with decision criteria to regulate as utilization facility or byproduct material

Staff Recommendation – Part 30

- Staff recommends a byproduct material framework approach to fusion regulation; strengthened by a targeted rulemaking and development of supporting guidance
 - Part 30 and associated regulations addressing areas such as radiation protection, waste, and physical security provide relevant foundation to address material and hazards posed by fusion technologies
 - Byproduct material framework is currently used to safely license and regulate fusion R&D facilities
 - Limited rulemaking would scale existing requirements to ensure technology inclusivity and provide content of application requirements
 - Guidance would be prepared in parallel with rulemaking to support expected licensing submittals

Context for Staff Recommendation

- Fusion technologies have fundamentally different hazard profile than fission reactors
- Staff proposing an approach that best accommodates specific hazards and security considerations associated with possession and use of byproduct material
- Anticipate first commercial systems, consistent with the Department of Energy's "Bold Decadal Vision" in the early-to-mid 2030s
 - Staff proposing a rulemaking approach that is timely and supports developers' schedules
- Fusion energy systems under development vary greatly in technological approach and potential hazards; necessitates a scalable, technology-inclusive approach
 - Different technologies: low/no neutron technologies vs. high neutron technologies
 - Different hazard considerations: large vs. low/no tritium inventory
 - Building upon the materials framework used for R&D facilities, would support a technically consistent and predictable regulatory infrastructure, while ensuring adequate protection of public health and safety
- No facility of the scale and tritium inventory of ITER is being considered in the U.S.
 - Additional safety and security considerations under a utilization facility framework unnecessary

Part 30 Framework and Scalability

- Part 30 includes high-level licensing requirements that address design, safety, and security considerations relevant to fusion facility materials and technologies, including:
 - Emergency planning
 - Financial assurance and decommissioning
 - Physical security
 - Operator training
 - Radiation safety
 - Facility design requirements
 - Environmental protection
- NRC will scale or impose additional safety or security requirements as needed to address specific hazards for the applicant's design

Expected Implementation of Byproduct Material Framework

- Staff would initiate a limited rulemaking to augment Part 30 with technology inclusive definitions as well as updated, scaled content of application requirements
- Fusion R&D, not within DOE jurisdiction, would continue to be licensed by the NRC or Agreement States with compatible programs
- As needed, guidance would be developed to support early movers
- As fusion energy systems are deployed and industry evolves, staff will evaluate the need for further rulemakings and/or guidance updates
 - Incorporate licensing and operating experience
 - Further tailor and scale requirements to designs and associated hazards
 - Consistent with evolutionary nature of regulation

Augmentation of Part 30 for Fusion Energy Systems

- Facility design requirements and radiation safety for tritium handling systems
 - Current requirement: 10 CFR 30.34(a)(2); no current applicable implementing guidance
 - Specific guidance to be developed on:
 - material properties and composition in very high neutron fields
 - tritium handling systems
 - shielding and design

- Emergency planning
 - Current requirements and guidance: 10 CFR 30.32(i) and Regulatory Guide (RG) 3.67, “Standard Format and Content for Emergency Plans for Fuel Cycle and Materials Facilities”
 - Current guidance is not specific to tritium or fusion facilities. New guidance will need to provide specific information on how to evaluate the release of tritium based on design specific accident scenarios such as loss of coolant, loss of vacuum, fires, or explosions to determine if the potential offsite doses exceed 1 rem effective dose equivalent.

Augmentation of Part 30 for Fusion Energy Systems

- Radioactive material inventory
 - Current requirements: 10 CFR 20.2006, 20.2201, 30.3, 30.33(a), and 30.35
 - Accurately tracking large quantities of tritium: Licensing guidance will address demonstration of process for accounting of the tritium inventory.
 - Accounting for activation products from neutron activated components: Licensing guidance will address means of tracking inventory for meeting waste management and financial assurance requirements.
- Physical security
 - Current requirements and guidance: 10 CFR Part 37 and NUREG-2155, “Implementation Guidance for 10 CFR Part 37, ‘Physical Protection of Category 1 and Category 2 Quantities of Radioactive Material’”
 - Fusion facilities may use quantities of tritium in excess of IAEA Category 2 quantities. Part 37 and associated guidance do not currently include tritium as one the radioactive material requiring physical protection.
- Non-radiological hazards
 - Current requirements: 10 CFR 30.32(i) and 30.34(e)
 - Current guidance is not specific to fusion energy systems. Licensing guidance will need to provide specific information to integrate non-radiological hazards into evaluation of operational and incident scenarios. Some non-radiological hazards that could initiate scenarios that would release radioactive material include fire, loss of vacuum, or loss of plasma control.

Enhancements to SECY Paper

- Based on discussion at the September ACRS subcommittee meeting, staff have enhanced the draft SECY paper to better inform the Commission of its consideration of options to regulate fusion energy systems, including the following modifications:
 - Greater detail on the scope and magnitude of fusion energy system designs under consideration
 - Additional information related to potential hazards from fusion energy systems
 - Specifics on augmentations to Part 30 framework
 - Assessment of common defense and security considerations related to fusion energy system

Path Forward

- NRC will continue to fulfill its mission of protecting public health and safety through the licensing and oversight of fusion energy systems
 - Designs and hazards of anticipated fusion energy systems, inform the development of requirements
 - As appropriate, staff will continue to evolve regulatory framework for fusion energy systems as the industry matures, including consideration of new designs, hazards, and operating experience
- Commission will direct the staff to implement the appropriate regulatory framework
 - Staff will continue stakeholder engagement to inform its development of selected framework
 - Rulemaking and/or guidance will be completed by the end of 2027 (NEIMA deadline)
- Next steps
 - Staff to deliver options SECY to Commission later this month (October 2022)
 - Commission meeting on fusion energy systems scheduled for Tuesday, November 8, 2022

Discussion

