

Official Transcript of Proceedings
NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards

Docket Number: (n/a)

Location: teleconference

Date: Wednesday, February 1, 2023

Work Order No.: NRC-2246

Pages 1-59

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1716 14th Street, N.W.
Washington, D.C. 20009
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23

DISCLAIMER

UNITED STATES NUCLEAR REGULATORY COMMISSION'S
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

The contents of this transcript of the proceeding of the United States Nuclear Regulatory Commission Advisory Committee on Reactor Safeguards, as reported herein, is a record of the discussions recorded at the meeting.

This transcript has not been reviewed, corrected, and edited, and it may contain inaccuracies.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION

+ + + + +

702ND MEETING

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

(ACRS)

+ + + + +

WEDNESDAY

FEBRUARY 1, 2023

+ + + + +

The Advisory Committee met via
teleconference at 8:30 a.m., Joy L. Rempe, Chairman,
presiding.

COMMITTEE MEMBERS:

- JOY L. REMPE, Chairman
- WALTER L. KIRCHNER, Vice Chairman
- DAVID A. PETTI, Member-at-Large
- RONALD G. BALLINGER, Member
- VICKI M. BIER, Member
- CHARLES H. BROWN, JR., Member
- VESNA B. DIMITRIJEVIC, Member
- GREGORY H. HALNON, Member
- JOSE A. MARCH-LEUBA, Member
- MATTHEW W. SUNSERI, Member

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

ACRS CONSULTANT:

DENNIS BLEY

DESIGNATED FEDERAL OFFICIAL:

WEIDONG WANG

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CONTENTS

	<u>Page</u>
Call to Order	4
ACRS Chairman Opening Statement	4
ACRS Chairman Agenda	6
NRC Staff Introductory Remarks	
Bill Jessup, NRR	7
Kairos Topical Report on Graphite Materials	
Margaret Ellenson	9
Staff Comments	
Alex Chereskin	26
Public Comments (None)	37
Kairos Topical Report on Metallic Materials	
John Price	38
Dr. George Young	42
Staff Comments	
John Honcharik	48
Public Comment (None)	59

P-R-O-C-E-E-D-I-N-G-S

8:30 a.m.

MEMBER REMPE: Good morning. It's 8:30 on the East Coast, and this meeting will now come to order. This is the first day of the 702nd meeting of the Advisory Committee on Reactor Safeguards. I'm Joy Rempe, Chairman of the ACRS.

Other members in attendance are Ron Ballinger, Vicki Bier, Charles Brown will be here soon, there were some delays on the road, Vesna Dimitrijevic, Greg Halnon, Walt Kirchner, Jose March-Leuba, Dave Petti and Matt Sunseri. So we do have a quorum today.

Today the Committee is meeting in-person and virtually.

The ACRS was established by the Atomic Energy Act and is governed by the Federal Advisory Committee Act. The ACRS Section at the U.S. NRC public website provides information about the history of this Committee and documents such as our charter, bylaws, Federal Register notices for meetings, letter reports and transcripts of all full and subcommittee meetings, including all slides presented at the meetings.

The Committee provides its advice on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 safety matters to the Commission through its publicly
2 available letter reports.

3 The Federal Register notice announcing
4 this meeting was published on December 27, 2022, and
5 this announcement provided a meeting agenda as well as
6 instructions for interested parties to submit written
7 comments or written documents or request opportunities
8 to address the Committee.

9 The Designated Federal Officer at today's
10 meeting is Mr. Weidong Wang.

11 The communications channel has been opened
12 to allow members of the public to monitor the open
13 portions of the meeting. The ACRS invites members of
14 the public to use the MS Teams link to view slides and
15 other discussion materials during these open sessions.
16 This link information was placed in the Federal
17 Register notice and the agenda on the ACRS public
18 website.

19 We've received no written comments or
20 requests to make oral statements from members of the
21 public regarding today's session. Periodically, the
22 meeting will be open to accept comments from
23 participants listening to our meetings.

24 Written comments may be forwarded to Mr.
25 Weidong Wang, today's Federal Officer.

1 During today's meeting, the Committee will
2 consider the following two topics, the Kairos Topical
3 Report on Graphite Materials and the Kairos Topical
4 Report on Metallic Materials.

5 Note that portions of these Kairos topic
6 discussions may be closed as stated in the agenda. A
7 transcript of the open portions of the meeting is
8 being kept, and it is requested that speakers identify
9 themselves and speak with sufficient clarity and
10 volume so they can be readily heard. Additionally,
11 participants should mute themselves when not speaking.

12 Before we begin today's meeting, I do have
13 one announcement I would like to make. On December 9,
14 2022, it was publicly announced that President Biden
15 appointed Member Ballinger to the Nuclear Waste
16 Technical Review Board. So please join me in
17 congratulating Member Ballinger for this appointment.

18 And so at this time, I would like to ask
19 other members if they have any opening remarks.
20 Seeing no one, I would like to ask Dave Petti to lead
21 us in our first topic in today's meeting. Dave?

22 MEMBER PETTI: Okay. We're going to talk
23 about the draft safety evaluation of graphite material
24 qualification for Kairos fluoride high temperature
25 reactor. To start is Bill Jessup on the line to give

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 opening comments?

2 MR. JESSUP: Yes, sir. And thank you,
3 Member Petti and thank you, Chairman Rempe, for the
4 opportunity to present to the Committee today.

5 I am Bill Jessup, Chief of Advanced
6 Reactor Licensing Branch 1 here in the Division of
7 Advanced Reactors in Non-Power Production and
8 Utilization Facilities, or DANU, in the Office of
9 Nuclear Reactor Regulation, or NRR.

10 Today the staff will be providing brief
11 presentations on our reviews and the safety
12 evaluations for two Topical Reports from Kairos Power.

13 The first Topical Report on the
14 qualification of graphite materials to be discussed
15 this morning describes the testing required to qualify
16 the structural graphite materials used in the safety
17 related components of Kairos Power's fluoride-cooled
18 high-temperature reactor or KP-FHR designs.

19 The second Topical Report on the
20 qualification of metallic materials to be discussed
21 this afternoon focuses on the testing and modeling
22 required to qualify the structural alloys that will be
23 used in the safety-related portion of the KP-FHR
24 designs.

25 The staff presented on these topics to the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 ACRS Kairos Subcommittee on January 12, 2023. And
2 today's presentations are going to highlight key areas
3 from the staff's reviews and relevant limitations and
4 conditions associated with the future use of each
5 Topical Report.

6 As mentioned during last month's
7 subcommittee meeting, the staff is currently reviewing
8 the construction permit application from Kairos for
9 its non-powered Hermes test reactor that would use the
10 KP-FHR technology.

11 And the two Topical Reports that we're
12 going to be discussing today would apply to both the
13 non-power and power reactors that are currently under
14 development by Kairos. Therefore, the reviews of the
15 Topical Reports we are going to talk about today will
16 need to be finished before we can complete the
17 construction permit application review.

18 We're looking forward to today's
19 discussions. Always appreciative of the Committee's
20 insights and comments on these topics. And with that,
21 I'll turn it back over to you, Member Petti and
22 Chairman Rempe.

23 MEMBER PETTI: Okay. Thank you, Bill.
24 With that, Kairos? Margaret, are you ready to get
25 your slides up?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 MS. ELLENSON: Yes, I am. Can you hear me
2 all right?

3 MEMBER PETTI: Perfectly. Thank you.

4 MS. ELLENSON: Okay. Great. Thanks. I
5 increased the noise reduction so hopefully that will
6 help a little bit.

7 Hi. I'm Margaret Ellenson. I'm with
8 Kairos Power. And I'm the lead for this graphite
9 material qualification for KP-FHR Topical Report.

10 We presented to the subcommittee back in
11 January, and we're excited to be able to speak to the
12 full Committee today. Thank you for your time.

13 Kairos is a mission centered organization.
14 And our mission is to enable the world to transition
15 to clean energy with the ultimate goal of dramatically
16 improving people's quality of life while protecting
17 the environment. Along the path, there will be many
18 steps to bringing this clean technology to the market
19 and qualifying graphite is one of those steps.

20 This is a general background on the
21 Graphite Topical Report. Our purpose in submitting
22 this report to the NRC is to present the methods for
23 qualifying structural graphite for the use in a KP-
24 FHR. And by structural graphite, we really mean the
25 reflector structure in the core, not the pebbles.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 The secondary purpose there is to align
2 with the NRC staff on the methods for qualifying
3 structural graphite. Because this is -- while
4 graphite is not a new material in the nuclear space,
5 it is relatively new in the licensing space. So we
6 were interested in aligning early on what the methods
7 can be to close data gaps.

8 The scope of the report is applicable to
9 both a test in a power reactor as was previously
10 mentioned. The graphite that we're going to be
11 qualifying is ET-10, which is a super fine grain
12 graphite with nearly isotropic properties.

13 The reflector structure serves two
14 different safety functions. It provides that physical
15 pathway for maintaining core cooling, and it provides
16 a physical pathway for reactivity control insertions.
17 However, the reflector serves that safety function
18 simply by maintaining its integrity. It's a pretty
19 simple safety function there.

20 And I wanted to take a moment to take note
21 of our quality assurance program. So the ASME Section
22 III, Division 5, code, which we will talk more about
23 in a minute, states specifically to use an NQA-1 based
24 quality assurance program.

25 For the power reactor application, we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 expect to fully meet the code. So any information
2 that we rely on for a power reactor application would
3 be under an NQA-1 based program.

4 However, the NRC does not require an NQA-1
5 based program for test reactors. So for a test
6 reactor application, you're going to take a deviation
7 from the code by using instead the more commonly used
8 code for QA for a non-power reactor, which is the
9 ANSI-15.8-1995.

10 So I wanted to make sure that point was
11 clear before we move on. And I'll pause here in case
12 there are any questions.

13 MEMBER PETTI: So let me just be clear.
14 Then any data developed for the test reactor will be
15 not used for the power reactor. There will be two
16 separate data sets because they are under two
17 different quality programs.

18 MS. ELLENSON: So there are methods -- so
19 the data is the data, right? The NQA program -- or
20 sorry, the quality assurance programs are different
21 methods for being able to evaluate how that data was
22 generated.

23 So we could use the same data for both.
24 I actually don't think we will be. I think actually
25 all of the data that we will be generating will be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 either for the test reactor or the power reactor. But
2 just to be clear about, you know, what is involved in
3 an NQA or an ANSI 15.8, the differences are
4 procedural, not necessarily in testing protocol if
5 that makes sense.

6 And I will, in case Darrell is on the line
7 and would like to weigh in, I'd like to give him that
8 opportunity as well. Darrell, are you on the line?

9 MR. GARDNER: Sure. So this is Darrell
10 Gardner, Senior Director of Licensing for Kairos
11 Power. And I think it's a good question.

12 What I would point out is that NQA-1 has
13 provisions for using data from various sources. And
14 so I can't remember the -- it's a non-mandatory
15 appendix. And I just don't recall the number offhand.

16 But the point we want to make is that we
17 will comply with the NQA-1 revisions in that appendix
18 to evaluate our inputs, one of which would be data.
19 So that allows the use of evaluation of equivalency of
20 QA programs. It evaluates legacy data. There are
21 several pathways in that appendix to NQA-1 for data
22 use.

23 MEMBER BALLINGER: This is Ron Ballinger.
24 Now to be clear on this, are we to assume or could I
25 assume that if it's NQA-1 qualified it's automatically

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 qualified according to the ANSI?

2 MR. GARDNER: One could certainly make
3 that argument, right? If you have data developed
4 under an NQA-1 program, it would bound any
5 expectations under the ANSI/ANS standard.

6 MEMBER PETTI: So, Darrell, my concern,
7 and again, I'm not a quality expert, but I ran an NQA-
8 1 program of a gas reactor. And I asked my quality
9 experts sort of the same question, like, why can't I
10 just do good science and good quality and publish it
11 and then it becomes legacy data? And I don't need all
12 the extra costs from NQA-1.

13 And they told me that's not the intent,
14 you know, of what's meant, you know, that part of NQA-
15 1 when one is allowed to bring in legacy data.

16 So it's probably a gray point, right? If
17 95 percent of your data was sitting out there not
18 under an NQA-1 program, that's a different situation
19 than if 95 percent is in the NQA-1 program then I got
20 to bring in 5 percent. So that's how I mentally
21 rationalize it.

22 (Simultaneous speaking.)

23 MEMBER BALLINGER: I'm a little bit
24 confused. You were saying -- I always assumed that if
25 you had an NQA-1 program for which the data qualified,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 then it was automatically qualified for ANSI.

2 MEMBER PETTI: Yes, I'm talking about the
3 opposite --

4 MEMBER BALLINGER: Okay, okay. That's
5 what --

6 MEMBER PETTI: -- the opposite situation
7 where they use --

8 MEMBER BALLINGER: If you use NQA-1,
9 you're good.

10 MEMBER PETTI: Yes, you're good, the best.

11 MEMBER BALLINGER: Yes.

12 MEMBER PETTI: But if you use ANSI -- so
13 it's a matter of, I think, how much of the data will
14 be under ANSI and potentially be brought in.

15 CHAIRMAN REMPE: Have you talked about
16 this with the staff and said, hey, we may be bringing
17 in some data for the test reactor in trying to qualify
18 it under NQA-1?

19 MR. GARDNER: So to be -- this is Darrell
20 Gardner again. To be clear, we're jumping ahead into
21 a particular license application question as opposed
22 to the methodology.

23 But we have not yet discussed what I would
24 argue is -- the question you're asking is about an
25 FSAR application in the actual qualification program

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 that was used for the graphite we're going to install.
2 With that in mind, we do have plans to discuss many
3 things about the actual FSAR application when we start
4 pre-application engagements with the staff.

5 CHAIRMAN REMPE: So for this application,
6 we are to assume what Margaret said. You're going to
7 use the ANS methodology for the test reactor and then
8 you'll have a separate set of data for the power
9 reactor and that's what we should assume that is being
10 proposed.

11 MR. GARDNER: I don't think we're saying
12 that. I think what we're saying is we will comply
13 with NQA-1 and all the provisions that it has for
14 processing data. That's a different question from
15 whether it's the exact same data set.

16 My point is I think, you know, we don't
17 want to leave a conclusion that use of these two
18 programs automatically requires independent data sets.
19 We don't believe that's the case for NQA-1.

20 MEMBER PETTI: I think this is a question
21 we can get back to when the staff talks because I
22 recall reading a limitation condition around this
23 issue, but we'll wait for the staff so.

24 MS. ELLENSON: And it might be helpful
25 also I'll just kind of quickly walk through what are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 these data sets that we're talking about. Like the
2 historical data that's out there that we would be
3 using that would be non-NQA-1 for the test reactor
4 would be things like the historical data from Ibiden
5 about lot-to-lot variation, the historical data about
6 a variation in material properties over time, that
7 kind of thing.

8 That would be -- the new data that we
9 would generate for the test reactor would be under the
10 15.8 for those types of data. The data that we would
11 be using for irradiation properties was originally
12 generated under an NQA-1 program so it's kind of moot
13 for that.

14 So really when we're talking about future
15 data being collected, we're talking about power
16 reactor application data. And in that case, you're
17 talking about again the data that we would be
18 generating for the material properties of unirradiated
19 graphite, the lot-to-lot variation data that, again,
20 is historical.

21 So we would be using the NQA-1 program to
22 look at that historical data but then also the
23 irradiation data. And our intent there for something
24 that would be under the power reactor would be pulled
25 under that NQA-1 based program. That would be the new

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 data.

2 So when we're talking about what is the
3 actual data that is being talked about? Like Darrell
4 said the important part is if NQA-1 doesn't
5 necessarily require a new set of data. However, I
6 think that will actually end up being the case because
7 the only difference would be that irradiation data for
8 the power reactor.

9 Okay. All right. So the next slide here,
10 the code that we're going to use to qualify the
11 graphite is ASME BPV Section III, Division 5. We have
12 a couple of exceptions that we talked through in more
13 detail at the subcommittee. And we can revisit those
14 if you would like here.

15 Basically, that Division 5 code divides
16 qualification into three different elements,
17 characterization of as-manufactured graphite. That is
18 mechanical and thermal properties and property
19 variation.

20 Characterization of properties under
21 irradiation, we call that basic irradiation properties
22 and irradiation creep and then evaluation of
23 environmental compatibility.

24 So qualification of unirradiated and
25 irradiated graphite, tackling the first part of that,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 unirradiated graphite, we will conduct testing from
2 mechanical properties, thermal properties, impurity.
3 We have a few limited departures from the code where,
4 for example, taking measurements at room temperature
5 as opposed to a variety of temperatures is actually
6 conservative from a modeling perspective.

7 We will be taking data both with grain and
8 against grain. And the final design of the reflector
9 will take into account uncertainty in property values
10 due to any anisotropy that we note. And I think we
11 noted at the subcommittee meeting that the difference
12 in anisotropy is not huge. We said it was something
13 on that order, 10 percent.

14 And we will be combining new testing data
15 and historical data like I mentioned. The data that
16 Ibiden has for property variation over time, that
17 would be the historical data and then the new testing
18 data that we would have for properties would be
19 comparing back to that historical data.

20 We will also use the Division 5 code, the
21 articles that are listed here for irradiated graphite
22 properties.

23 Applicable data exists for the operating
24 conditions for KP-FHR for basic irradiation
25 properties. And the data that's available is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 applicable to both the power and the test reactor
2 application.

3 We will generate new test data for
4 irradiation creep for a power reactor application.
5 And also applicable data already exists for the
6 irradiation creep coefficients for the non-power
7 reactor application.

8 For environmental compatibility between
9 Flibe and ET-10, Kairos evaluated the available
10 Phenomena Identification Studies through technical
11 literature and identified these four items that are
12 listed in this chart.

13 First off, infiltration, we plan to
14 conduct testing that graphite mechanicals are not
15 degraded by infiltration itself. I would also note
16 here that freeze-thaw cycles are outside the design
17 basis for a KP-FHR. So that is really the only
18 mechanism that we expect would change physical
19 properties. So we don't expect to see any difference
20 in mechanical properties from infiltration alone.

21 I would also note that the test reactor
22 will be designed in such a way that the maximum
23 pressure in the vessel is going to be below the
24 threshold infiltration pressure so we don't expect to
25 see infiltration for a non-power reactor.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 DR. BLEY: Excuse me. This is Dennis
2 Bley. May I ask you a question here?

3 MS. ELLENSON: Sure.

4 DR. BLEY: That was well-qualified. You
5 don't expect to see any changes by infiltration alone.
6 Would infiltration compound or affect other mechanisms
7 that you're going to talk about next?

8 MS. ELLENSON: That's not what I intended
9 to imply. I was merely speaking to the effective
10 freeze-thaw cycles. That's all I meant by that.

11 DR. BLEY: Okay.

12 MS. ELLENSON: That there is literature
13 data that suggests that Flibe that has infiltrated and
14 gone through a freeze-thaw cycle could change physical
15 properties, but that is outside the design basis for
16 a KP-FHR.

17 Okay. Okay. So abrasion and erosion, we
18 have testing underway to demonstrate that there is no
19 significant abrasion or erosion under prototypical
20 operating conditions.

21 We are conducting those tests on
22 structural graphite in Flibe. And again this is
23 another thing that is more of a confirmatory test
24 because we don't expect to see a great deal of
25 abrasion or erosion effect.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 And one of the reasons that we have
2 confidence in that expectation is that the MSRE
3 operating data, which we spoke about at the
4 subcommittee, there was at least one full power
5 equivalent operating time, and there was no observed
6 abrasion or erosion on the graphite in that test.

7 We also looked at chemical compatibility.
8 We looked at the applicable literature. And
9 intercalation was the one phenomenon that was of
10 interest to ET-10 and Flibe. And the literature
11 studies indicate that intercalation in this
12 environment is thermodynamically unfavorable. So we
13 do not intend to do any further testing on that.

14 The last one on the list here is
15 oxidation. Oxidation is an interesting one. As you
16 can imagine with an inert environment like KP-FHR will
17 have, during normal operation, the oxidation would be
18 extremely low, if any. So what we're really talking
19 about are during postulated event conditions for
20 oxidation.

21 So Kairos will be measuring oxidation
22 kinetic parameters. We'll be determining
23 relationships between weight loss and strength. And
24 then we'll be assessing oxidation depth profiles. And
25 that really is scenario dependent so we'll be giving

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 more information at a specific application time.

2 And then lastly we're going to do a
3 confirmatory test that submerged graphite doesn't
4 occur in a KP-FHR environment to a degree that would
5 affect its strength.

6 MEMBER HALNON: This is Greg. I have a
7 quick question on abrasion and erosion.

8 MS. ELLENSON: Great.

9 MEMBER HALNON: The surface roughness does
10 affect -- degrade infiltration to some extent based
11 on, well, surface roughness. If you see in your
12 confirmatory testing, is part of that testing that if
13 you see something that you didn't expect you would go
14 back and check for infiltration again or are they
15 mutually exclusive in that testing?

16 MS. ELLENSON: I think I might ask Chong
17 and Gabriel to weigh in. Are either of you on the
18 line that would like to answer that question?

19 MR. CHEN: Yeah, this is Chong Chen, and
20 I can answer some of the question. And the roughness
21 will impact infiltration in the way it may change the
22 contact angle of -- graphite slightly but not in a
23 huge amount.

24 I think the erosion and infiltration could
25 be two different mechanisms to impact the graphite.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 Abrasion/erosions stay on the surface. Infiltration
2 is really needed to generate damage once the flap goes
3 into the graphite, and it goes through a free cell
4 cycle.

5 Does this answer your question?

6 MEMBER HALNON: I guess to some extent.
7 When you do confirmatory testing, you look and see.
8 And if you don't have any further questions, you move
9 on. I guess the question more is if you saw something
10 you didn't expect, like, you know, more erosion or
11 abrasion than you expected, would you go back -- if
12 you had already done the infiltration confirmatory
13 test, would you go back and redo the confirmatory test
14 on that sample for infiltration as well just to make
15 sure that that contact angle didn't go -- you know,
16 make a huge, bigger weathered surface and cause
17 additional issues that you weren't actually looking
18 for at the time.

19 MR. CHEN: Infiltration actually covers
20 the weight, and the pressure ranges cover weight above
21 and in the regular operation condition. So if we see
22 something not usual in abrasion/erosion pass, I think
23 it is looking into more aware of graphite and that
24 leads to -- wear of a graphite, does not lead to
25 change of infiltration. And the pressure has more

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 impact.

2 MEMBER HALNON: Right, right. So are
3 those two confirmatory tests done on the same sample
4 then?

5 MR. CHEN: Would you restate again,
6 please?

7 MEMBER HALNON: Are those confirmatory
8 tests for infiltration and abrasion/erosion done on
9 the same sample?

10 MR. CHEN: No, it's not -- the same
11 material, but not same sample set.

12 MEMBER HALNON: Okay. I understand it's
13 not a real issue for the test reactor, but the power
14 reactor coolant infiltration is a potential -- I would
15 hope that the confirmatory test procedures would have
16 a brain in it that if you don't see anything -- if you
17 see something you're not expecting to see that you
18 would at least go back and see if the other
19 confirmatory tests are valid or not. That's just my
20 comment. You know, I understand the margin.

21 MR. CHEN: Yes, I agree. So if we see
22 something unusual, we will dive into it. I guess it
23 depends on what kind of things would work there.

24 MEMBER HALNON: Right. Okay. Thanks.

25 MR. CHEN: Thank you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 MS. ELLENSON: Okay. Any other questions
2 there? Okay. Great. So in summary the Graphite
3 Material Qualification Topical Report describes how
4 we're going to qualify ET-10 for structure-related
5 graphite -- I'm sorry, for structural graphite for use
6 in a KP-FHR specifically.

7 The qualification plan conforms with that
8 Section III, Division 5, code. We have a few limited
9 departures that are described in the report. And
10 we'll use both existing data and data from new tests.
11 And then just a last note there, a reminder that
12 seismic qualification is outside the scope of this
13 particular Topical Report.

14 And that's all the prepared comments that
15 we had. Any last questions?

16 MEMBER PETTI: Yeah, I had a question on
17 the oxidation testing. It is your anticipation that
18 it's going to look like other graphite grades that
19 have similar veracity in grain size? I know you said
20 you have to do it because every grade is a little
21 different. But you're not anticipating something
22 different from the closest twin to ET-10?

23 MS. ELLENSON: Yes. No, we're not
24 expecting any --

25 MEMBER PETTI: All right.

1 MS. ELLENSON: -- differences. But Chong,
2 do you want to weigh in? Are there any reasons to
3 think ET-10 would behave any differently?

4 MR. CHEN: No, I do not expect a huge
5 difference. The trend will be similar.

6 MEMBER PETTI: All right. Thanks.

7 MR. CHEN: Thank you.

8 MEMBER PETTI: Members, any other
9 questions? Okay, if not, staff? I'll give them a
10 minute to get to the table.

11 PARTICIPANT: Can everybody see the
12 presentation?

13 MEMBER REMPE: Yes. But we need you to go
14 presentation mode, please?

15 PARTICIPANT: Yup. There you go.

16 MEMBER REMPE: All right. Thank you.

17 MR. CHERESKIN: Good morning, everyone.
18 This is Alex Chereskin from the NRC staff. I'm here
19 in the room today, but I am joined by my colleagues
20 Rich Rivera, Matt Gordon and Meg Audrain. So I will
21 be giving the presentation for the NRC staff's
22 evaluation of the Kairos Power Graphite Material
23 Qualification Topical Report.

24 And can I have the next slide, please? So
25 for the introduction, Kairos had requested the staff

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 review and approve this Topical Report. And this
2 Topical Report provides the methodology of Kairos to
3 qualify their ET-10 graphite for use in either the KP-
4 FHR non-power or power reactor designs.

5 In general, the methodology proposes to --

6 MEMBER PETTI: Alex, could you move the
7 mic closer to you?

8 MR. CHERESKIN: Sorry about that.

9 MEMBER PETTI: I think everybody else can
10 hear, but in the room it's a little hard.

11 MR. CHERESKIN: Oh, sorry. Is that
12 better?

13 MEMBER PETTI: That's better, yeah.

14 MR. CHERESKIN: Okay. I'll find somewhere
15 else to put my notes, I guess.

16 Okay. So in general the qualification
17 methodology follows the ASME Code Section III,
18 Division 5, requirements, with certain deviations that
19 were reviewed and approved by the staff as we
20 discussed in the subcommittee meeting.

21 The NRC's staff's review focused on the
22 overall qualification framework. And this includes
23 the use of existing data, unirradiated testing
24 together with graphite properties or radiation
25 testing, oxidation testing and environmental testing.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 That includes testing in molten salt that Kairos
2 described in their presentation.

3 Next slide, please. So the regulatory
4 basis for this review includes portions of 10 CFR 50
5 and 54 that are related to information that is
6 required to be submitted in licensing applications and
7 information related to graphite material properties
8 will need to be supplied as part of a license
9 application.

10 And so the staff also evaluated the
11 Topical Report against several Kairos PDC that were
12 previously reviewed and approved by the NRC staff in
13 the referenced Topical Report.

14 The principal design criteria include PDC
15 1, quality standards and records, which requires that
16 system structures and components that are safety
17 significant be designed to quality standards
18 commensurate with safety significance.

19 PDC's 34 and 35, which are similar,
20 contain removal requirements. And the graphite
21 components will be needed to maintain structural
22 integrity and maintain physical geometry at the core
23 in order to support adequate heat removal.

24 And PDC 74, which requires the design of
25 the reactor vessel system to support the integrity of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 the graphite during postulated accidents to ensure
2 geometry for passive heat removal and allow sufficient
3 insertion of neutron absorbers, and the graphite will
4 be required to maintain its integrity in order to
5 achieve these functions.

6 Next slide, please. This slide is a
7 condensed version of what was discussed previously
8 over the course of several slides at the ACRS
9 subcommittee meeting. The staff's evaluation focuses
10 on a couple of specific areas, the first one being the
11 qualification of unirradiated graphite properties.

12 And the staff had found that the proposed
13 testing plan will satisfy the requirements of Section
14 III, Division 5, specifically the article listed here
15 for properties of as-manufactured graphite. In
16 addition, the Kairos Power Topic Report proposed to
17 evaluate the intra-billet and lot-to-lot property
18 variations of graphite.

19 The staff also evaluated the method to
20 qualify the irradiated properties of the ET-10
21 graphite. And, again, this is consistent with code
22 requirements for irradiated material properties for
23 graphite, which requires measurements of certain
24 irradiated properties.

25 As Kairos mentioned during their

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 presentation, this includes the basic irradiated
2 properties and the irradiation creep properties that
3 will require additional irradiation testing for the
4 power reactor design.

5 Finally, the NRC staff reviewed the
6 environmental effects testing proposed by Kairos
7 Power. This includes the molten salt infiltration
8 testing, oxidation testing and the testing for
9 abrasion and erosion. And the staff had reviewed
10 these and found them acceptable as noted in the staff
11 safety evaluation.

12 Next slide, please. So in conclusion, the
13 staff had reviewed the Topical Report and concludes
14 that the graphite material qualification program is
15 acceptable for the ET-10 graphite to be used in the
16 non-power or power reactor designs of KP-FHR as
17 described in the Topical Report and subject to NRC
18 staff limitations and conditions.

19 This Topical Report will in part meet the
20 applicable PDCs. For example with principal design
21 criteria number one, the graphite components will be
22 qualified to the ASME Code, which is, you know,
23 commensurate with the safety function of the graphite
24 components.

25 And additionally, the qualification plan

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 will help to ensure that graphite components maintain
2 their integrity, need to achieve the heat removal
3 functions of PDC 34 and 35 as well as the functions of
4 PDC 74 related to maintaining geometry, permit
5 sufficient insertion of neutron absorbers and also to
6 maintain adequate core cooling in a postulated
7 accident.

8 The NRC staff also includes certain
9 limitations and conditions on the use of this Topical
10 Report. They fall into a few broad categories. The
11 conditions are there to ensure that the data collected
12 by Kairos bounds the anticipated qualification
13 envelope for their reactor, ensure that certain future
14 actions stated in the Topical Report are reviewed and
15 approved by staff, ensure that as certain design
16 aspects change, they are appropriately addressed, for
17 example, the use of potentially an incompatible
18 intermediate coolant. That's just one example of what
19 I mean here.

20 And as Member Petti noted before, there is
21 a condition related to the use of quality insurance
22 requirements. That one was geared specifically to the
23 power reactor as stated in the condition. And that
24 was to show that the data meets code requirements for
25 the power reactor design. So there is a condition

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 there for the power reactor as you noted earlier.

2 Are there additional questions?

3 MEMBER MARCH-LEUBA: Yes, a qualification.
4 You just said the data must meet the Code, the ASME
5 Code requirement. Have you guys considered the
6 discussion we had earlier, is that one data is
7 developed, and there isn't quality assurance program
8 level. Have you considered the implications?

9 MR. CHERESKIN: Yes. So this is how I
10 think we've considered the implications in that the
11 way that everything is structured that this will have
12 to be reviewed as part of a license application.

13 And for a power reactor, we would have to
14 ensure that it meets NQA-1 requirements and for the
15 non-power reactor the applicable ANSI requirements.
16 And if Kairos develops separate data sets, it would
17 clearly be more work. However, in the end as part of
18 a licensing action, we would still need to make sure
19 the applicable quality requirements are met for non-
20 power or power reactor design.

21 And so I think, I guess, from what I'll
22 call a licensing standpoint, we still perform that
23 review as part of a license application.

24 MEMBER MARCH-LEUBA: You can think at a
25 high level that the reason we are doing a test reactor

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 is to do an internal test of everything else, and
2 therefore all those results from the test reactor
3 would be available to a quality assurance level at
4 this load and not required for the power reactor.

5 So, I mean, it helps to think a little bit
6 before the power reactor comes for licensing, and we
7 know what to say.

8 MR. CHERESKIN: That makes sense.

9 MEMBER HALNON: This is Greg. Just real
10 quick, I mean, the data set which you use and how you
11 use it and what you are using it for and what you are
12 crediting makes all the difference in the world in
13 this. I mean, data to inform a design is one thing,
14 but data to credit a design is a different story. So
15 that's where my understanding of a quality program
16 data set is in play is, what are you using it for?

17 So, I mean, just like the MSRE, they are
18 using data from MSRE to inform their testing and their
19 design and their data collection. The same thing is
20 going to happen. They are going to use the test
21 reactor data to inform what they are doing with the
22 power reactor, but they are going to credit the data
23 from a safety perspective. And then they're going to
24 have to meet NQA-1 data collection and integrity and
25 all that stuff.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 So to me it looks like it's a question of
2 what am I using the data for not necessarily can I use
3 the data or not?

4 MEMBER PETTI: My only concern is, you
5 know, you gather the data on the test reactor QA and
6 somehow when you get to the power reactor you need to
7 credit it. And there is something you find out that
8 is missing in the QA pedigree that NQA-1 requires that
9 isn't required in ANSI.

10 I mean, they act different, you know. And
11 there is a process to dedicate ANSI. I understand all
12 that. But just make sure that it is thought through
13 because this data is not insignificant from a cost
14 perspective to gather, you know? And you don't want
15 to, you know, find out at the end.

16 MEMBER HALNON: But like what you're
17 saying, the bottom line is when you credit it, it's
18 going to have to meet NQA-1 standards --

19 MEMBER PETTI: Correct.

20 MEMBER HALNON: -- for a power reactor.

21 MEMBER PETTI: Correct.

22 MEMBER HALNON: Right.

23 MEMBER PETTI: And most of the data that
24 we talk about, you know, the irradiation, that stuff
25 is all going to be in NQA-1. That's not what I'm

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 talking about. And the historical data is the
2 historical data, you know.

3 MEMBER HALNON: Right.

4 MEMBER PETTI: And that sort of
5 information but, yeah. Any other questions, members?

6 MEMBER KIRCHNER: And Dave, this is Walt.

7 MEMBER PETTI: Yeah.

8 MEMBER KIRCHNER: May I make an
9 observation?

10 MEMBER PETTI: Sure.

11 MEMBER KIRCHNER: It's along the lines of
12 Greg's earlier questions about cause and effect
13 between different test regimes. I just would observe
14 -- I don't think -- well, first I'll make this
15 observation. This is not part of a qualification of
16 materials per se. It's more of a design
17 consideration.

18 From what we note to date about the Hermes
19 design, it appears that the irradiation of the
20 graphite will not be significant for the lifetime of
21 that test reactor and probably not, you know, anything
22 close to what may be seen in the actual power reactor.

23 But with dimensional changes of graphite
24 under temperature and irradiation, then the fastening
25 structural support for this reflector system becomes

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 a design issue because you worry about the potential
2 with dimensional change of flow-induced vibrations.
3 Using Flibe as a coolant, there is a certain amount of
4 levitation of the graphite blocks. And any resulting
5 loose fit then could exacerbate abrasion and wear,
6 which then becomes a source for infiltration and
7 oxidation and other deleterious effects.

8 So I'm just making an observation that as
9 long as things are within the prototypical operating
10 conditions, fine. But if it turns out that the
11 dimensional changes with the graphite lead to other
12 effects, then as Greg was suggesting for example, if
13 you do see abrasion, do you go back then and look at
14 the considerations of infiltration and oxidation and
15 such?

16 So this is an observation beyond the
17 materials qualification methodology ATR to design
18 considerations for probably more so for the power
19 reactor than for the Hermes test reactor. Thank you.

20 MEMBER PETTI: Okay. No other questions
21 then I think we thank our speakers.

22 CHAIRMAN REMPE: We need to open the line
23 to public comments --

24 MEMBER PETTI: Oh, yes.

25 CHAIRMAN REMPE: -- at this time.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 MEMBER PETTI: Any member of the public,
2 unmute yourself, state who you are and your comment.
3 Okay. I'm not hearing any. We're ready.

4 CHAIRMAN REMPE: Okay. At this time then,
5 we're going to go off the record.

6 (Whereupon, the above-entitled matter went
7 off the record at 9:14 a.m. and resumed at 1:01 p.m.)

8 CHAIRMAN REMPE: So it's 1:01 p.m., and
9 we're back in session. And I'm going to ask Member
10 Ballinger to lead us through our next topic.

11 MEMBER BALLINGER: Thank you. Thank you,
12 Madam Chairman. We're going to cover the second
13 Topical Report, this one on metallic materials, this
14 afternoon. And we've had a pretty much very good
15 introduction this morning, which basically covered
16 both so we don't need to do that, I don't think unless
17 there is staff that wants to say something initially.
18 Is that correct? No. Okay.

19 So we'll start off with Kairos and then
20 finish with the staff. And so who at Kairos goes? Is
21 it Margaret?

22 MR. PRICE: No. This is John Price. Can
23 you hear me okay?

24 MEMBER BALLINGER: We can hear you fine.

25 MR. PRICE: Okay. Hello.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 MEMBER BALLINGER: Take it away.

2 MR. PRICE: Okay. Thank you very much.
3 Hello, my name is John Price. I'm a senior licensing
4 engineer for Kairos Power. And I'll be presenting
5 with Dr. George Young the slides for the Metallic
6 Materials Qualification Licensing Topical Report Rev.
7 4.

8 First of all, I'd like to thank the full
9 committee for this opportunity to make this
10 presentation. This is a summary of the presentation
11 given to the ACRS Subcommittee on January 12.

12 Slide 2. As we always start off, our
13 company's mission is to enable the world's transition
14 to clean energy with the ultimate goal of dramatically
15 improving people's quality of life while protecting
16 the environment.

17 What this means as we go through this
18 meeting is that if the Licensing Topical Report gets
19 approval, we are one step closer to transitioning to
20 a cleaner energy and improving people's quality of
21 life while protecting the environment.

22 Slide 3. Dr. Young and I would like to
23 present the Metallic Materials Qualification Topical
24 Report and our methods used to qualify these materials
25 for use in the KP-FHR, specifically addressing the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 environmental effects on materials.

2 MEMBER BALLINGER: Excuse me. This is Ron
3 Ballinger. Somebody is crinkling paper, doing
4 something in the background. So whoever it is, could
5 you mute your microphone, please, unless it's the
6 speaker, in which case, stop crinkling it.

7 MR. PRICE: You got it.

8 CHAIRMAN REMPE: It's a technical term,
9 right?

10 MEMBER BALLINGER: Okay. Thanks.

11 MR. PRICE: Yeah. Today Dr. Young and I
12 would like to present the Metallic Materials
13 Qualification Topical Report and our methods used to
14 qualify these materials for use in the KP-FHRs,
15 specifically addressing the environmental effects on
16 materials.

17 The testing plan is for metallic materials
18 used in Flibe-wetted areas for safety-related, high
19 temperature components in non-power test reactors,
20 which we will call Hermes, and for the commercial
21 power reactor, which we will call KPX.

22 The materials, 316H and the associated
23 Weld Filler Metal 16-8-2, were chosen because of
24 existing qualification in high temperature
25 applications and because they are provided by the ASME

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 Code Section III, Div. 5, and endorsed by Reg. Guide
2 1.87.

3 The materials used to exhibit desirable
4 mechanical properties have demonstrated compatibility
5 with Flibe salt and have extensive experience based in
6 nuclear applications.

7 MEMBER BALLINGER: This is Ron Ballinger.
8 I'm told by our staff that 1.18 -- Reg. Guide 1.87 is
9 now on the street.

10 MR. PRICE: Great. The metals are used in
11 other industry applications, near time and temperature
12 with the KP-FHR.

13 Qualified materials provide assurance that
14 components can be designed for extremely low
15 probability of abnormal leakage, resistance to rapidly
16 propagating failure and resistance to gross rupture.

17 As this is a methodology document, the
18 demonstration of qualification will be documented in
19 the safety analysis reports as part of our future
20 licensing actions, provided the limitations specified
21 in the staff safety evaluation are met.

22 Slide 4. The Alloy 316H is qualified by
23 ASME Code Section III, Div. 5, for 816°C. The
24 associated Weld Filler Metal 16-8-2 is current
25 qualified for only 650°C.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 The ASME qualification of the weld filler
2 metal will be extended by testing to match the base
3 metal temperature for Alloy 316H. This will be
4 provided by elevated temperature tensile testing,
5 creep-fatigue testing and by creep-rupture testing.

6 The qualification for the power reactor
7 will satisfy NQA-1 based QA program and the
8 qualification for the non-power test reactor will
9 satisfy ANS-15.8 1995-based program.

10 There is a limitation stated in the draft
11 SC that Kairos Power plans on complying with. At this
12 time, I'm going to turn it over to Dr. George Young,
13 if there are no other questions, to complete the open
14 session presentation.

15 Dr. Young is a fellow scientist at Kairos
16 Power. Dr. Young has a BS in materials engineering
17 from Rensselaer Polytechnic Institute and an MS and
18 PhD degrees in material science from the University of
19 Virginia.

20 He has over 30 years of experience in the
21 nuclear power industry and is an expert with material
22 selection and performance for both conventional and
23 advanced nuclear power systems.

24 At Kairos Power, Dr. Young leads
25 structural materials qualification efforts in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 environmental degradation testing. Dr. Young has
2 authored over 50 peer-reviewed articles and book
3 chapters in the research areas of environmental
4 assisted cracking, welding metallurgy and physical
5 metallurgy. So, Dr. Young, take it away.

6 DR. YOUNG: Thanks, John. Hopefully, you
7 can hear me okay.

8 MEMBER BALLINGER: We can hear you fine.

9 DR. YOUNG: Great. Thank you. If we go
10 to the next slide. All right. We used the Phenomena
11 Importance and Ranking Table, the PIRT, approach for
12 the Metallic Materials Testing Program. We convened
13 the panel of experts about four years ago now, three,
14 four years ago.

15 And this PIRT review identified and ranked
16 the appropriate environmental degradation phenomena
17 that are applicable to the Flibe-wetted safety-related
18 components of our KP-FHR reactor technology.

19 From that review, we highlight that the
20 reactor vessel is the only safety-related structural
21 metallic component which serves the function of
22 retaining the coolant around the fuel and that the
23 PIRT -- and again, this PIRT was for the power reactor
24 -- identified two potential accident scenarios that
25 could affect the structural integrity of these Flibe-

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 wetted safety-related components.

2 I note that these effects are mitigated by
3 design features. Those are air ingress into the
4 reactor and the potential for intermediate cooling
5 ingress into the primary coolant Flibe that only
6 pertains to the power reactor.

7 For the demonstration reactor, Hermes, we
8 a have a Flibe to air heat exchanger so there is no
9 intermediate coolant.

10 So that testing program that was informed
11 by the PIRT consists of kind of two major efforts,
12 testing and high temperature air to support ASME
13 design and then testing in molten Flibe salt to
14 account for any potential environmental degradation.

15 Next slide. So for the test in high
16 temperature air on Alloy 316H, these tests that
17 support the ASME model calibration and validation
18 include tensile testing, stress relaxation testing,
19 strain rate change, sometimes called stress dip tests,
20 uniaxial creep testing, notch bar creep-testing and
21 creep-fatigue testing so quite an extensive high
22 temperature air testing program to validate our high
23 temperature design.

24 Next slide. So as far as environmental
25 degradation, we grouped these in kind of four

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 categories. So these are the phenomena that were
2 assessed in detail based on the PIRT ranking. And
3 these form the basis for our testing plans.

4 So corrosion testing in Flibe, we intend
5 to perform, and are performing, corrosion tests in
6 Flibe. Those use compositional analysis of the salt
7 and also electrochemical potential monitoring to
8 monitor the test conditions there.

9 We identified environmentally assisted
10 cracking now where there may be some interaction of
11 the Flibe environment with applied stress on the
12 material. And we intend to assess the well-accepted
13 slow strain rate methodology, a very severe tensile
14 test in Flibe salt, and also fracture mechanics-based
15 testing where now we're using pre-crack samples to
16 look at corrosion fatigue and the potential for stress
17 corrosion cracking.

18 Then additionally, we'll use both our slow
19 strain rate test for the power reactor dedicated test
20 to look at the potential interaction of pre-bloating
21 in the Flibe environment.

22 The next topic on the upper right here is
23 kind of a catch-all we call metallurgical effects or
24 kind of other phenomena. Here we're going to look at
25 potential degradation modes like stress relaxation

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 cracking, phase formation, embrittlement. And we did
2 consider thermal cycling and thermal striping quite a
3 bit. I want to note that last bullet is mitigated by
4 design and don't require any additional testing.

5 Lastly, we assessed irradiation effects or
6 potential effects. These include just irradiation
7 induced embrittlement and then potential interactions
8 with the Flibe, irradiation affected corrosion and
9 irradiation assisted stress corrosion crack. So
10 that's an overview.

11 Next slide. So in summary, we have two
12 major efforts here. We are doing metallic materials
13 qualification testing to support the design and
14 licensing of both the non-power reactor Hermes and the
15 commercial power generation reactor, what we call KPX.

16 The scope of the testing is limited to the
17 structural alloys, the Base Metal 316H, and the Weld
18 Filler Metal 16-8-2. Those were used for construction
19 of the reactor vessel and, again, that's with
20 determining the primary safety related component of
21 interest.

22 The reactor vessel maintains the inventory
23 of Flibe coolant around the fuel pebbles and that's
24 the safety function so that we can credit the Flibe
25 salt as another barrier to the fission products.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 And by using qualified materials like
2 these, we are providing assurance that the reactor
3 vessel can be designed for extremely low probability
4 of abnormal leakage, resistance to reactor leak
5 propagating failure and resistance to gross rupture.

6 So materials testing then consists of two
7 major efforts. That's in the tests we discussed in
8 high temperature air that support ASME design as well
9 as extension of the ASME Code for the weld filler
10 metal up to 816C and then the testing of the molten
11 Flibe salt to assess the potential environmental
12 degradation modes.

13 Any questions on that?

14 MEMBER KIRCHNER: George, this is Walt
15 Kirchner, just a clarification. You're limiting the
16 scope of testing for the reactor vessel, but I presume
17 you intend to use these same alloys for the primary
18 coolant boundary?

19 DR. YOUNG: That's right. All our piping
20 or hot leg and cold leg piping is 3/16th inch.

21 MEMBER KIRCHNER: Thank you.

22 MEMBER BALLINGER: Any questions from the
23 members, consultants? Okay. I should have mentioned
24 we have the possibility of a closed session if we need
25 it for this, but so far we haven't needed one. But if

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 we need one, we have that opportunity. So if there
2 aren't any questions from the members and consultants,
3 we can thank you very much for your presentation and
4 then is the staff ready to go?

5 MR. RIVERA: Hi. This is Richard Rivera,
6 and yes, I have the presentation on my screen as soon
7 as you are available to share my screen.

8 CHAIRMAN REMPE: Would the folks from
9 Kairos please quit sharing?

10 DR. YOUNG: Will do.

11 CHAIRMAN REMPE: Thank you.

12 MEMBER BALLINGER: Well, we'll get there.
13 We'll get there.

14 CHAIRMAN REMPE: Okay. Time for the staff
15 to share.

16 MR. RIVERA: Let me know if you can see
17 the screen.

18 MEMBER BALLINGER: Yes, we can. Thank
19 you.

20 MR. RIVERA: All right. Thank you. And
21 John Honcharik was the lead reviewer for this Topical
22 Report and will lead the presentation.

23 MR. HONCHARIK: Thanks, Rich. I'll turn
24 my microphone.

25 MEMBER BALLINGER: Yeah, turn your mic so

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 you can -- have it pretty close to you if you can.

2 MR. HONCHARIK: Thank you. Is this good?
3 Good afternoon. I'm John Honcharik, Senior Materials
4 Engineer in the Division of New Licenses.

5 Alex Chereskin in the Division of Advanced
6 Reactors also reviewed this Topical Report with me.
7 I will present to you our evaluation and conclusion of
8 the Metallic Materials Qualification Topical Report
9 for use in the Kairos fluoride salt-cooled reactor.

10 Next slide. The NRC staff reviewed the
11 Topical Report, which provides the qualification plan
12 for metallic structural materials used in Flibe-wetted
13 areas for safety-related high temperature components
14 of the KP-FHR power and non-power test reactors.

15 The planned material testing includes
16 analysis and monitoring programs that will be used to
17 address the materials reliability and compatibility of
18 the metallic material in an environment of the KP-FHR
19 designs in order to partially satisfy PDC 14 and 31 of
20 the Kairos principal design criteria that was approved
21 by the staff in Topical Report KPR-003.

22 These PDCs are applicable to the
23 qualification of the metallic components for the
24 Kairos designs on which the staff based this review.
25 And the results of these planned tests and analysis

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 will be provided in future licensing applications that
2 references Topical Report along with the detailed
3 description of the design, inspection and surveillance
4 programs for the KP-FHR designs in order to
5 demonstrate the materials reliability.

6 Next slide. The staff's review focused on
7 the overall testing framework to conclude there is
8 reasonable assurance that the testing for
9 environmental effects of Flibe on metallic structural
10 materials provided in Section 4 of the Topical Report
11 will partially satisfy PDCs 14 and 31.

12 The specific topics reviewed include the
13 materials, which are 316H and ER16-8-2 stainless steel
14 weld metal. The test environment and the four
15 degradation categories, which were corrosion,
16 environmentally-assisted cracking, effects on
17 metallurgical properties and irradiation.

18 Next slide. First, we'll discuss the
19 material to be used. The metallic structural
20 materials proposed for KP-FHR designs are 316H, also
21 known as stainless steel, and the associated ER16-8-2
22 stainless steel weld fill metal.

23 These materials are qualified for use in
24 ASME Code, Section III, Division 5, for high
25 temperature applications with respect to mechanical

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 properties. Division 5 of Section III, as someone
2 pointed out, is endorsed in Regulatory Guide 1.87,
3 Rev. 2, which was just published, I believe,
4 yesterday.

5 There is a Limitation and Condition 4
6 related to the weld material mechanical properties
7 since the fill metal is not currently qualified to the
8 higher temperatures necessary to support the accident
9 scenarios of the KP-FHR designs. Therefore, NRC
10 imposed the condition that the fill metal must be
11 qualified to the temperature in accordance with the
12 ASME Code Section III, Division 5, requirements that
13 bound postulated accident conditions and are approved
14 by the staff.

15 Next slide. Next, we will discuss the
16 test environments used for the proposed material
17 testing. The staff found that the material testing
18 environment duplicates the operating environment for
19 the Kairos designs for both normal operating and
20 postulated accident conditions.

21 There is a Limitation and Condition 3
22 which requires that if the time and temperature for
23 both normal and postulated accident conditions change
24 for the Kairos designs, they must still be bound by
25 the NRC-endorsed ranges found in Table 2 of Reg. Guide

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 1.87 for the 316H and fill metal.

2 NRC staff also finds the impurity test
3 acceptable since it will be conducted for the
4 commercial power reactor similarly intermediate salt
5 ingress and air ingress into the Flibe salt while the
6 non-power test reactor testing will similarly air
7 ingress into the Flibe.

8 In addition, Limitation and Condition 8
9 applies since the details of impurity testing, that is
10 the concentration of the contaminants have not been
11 determined. Therefore, the condition states that the
12 specific concentration of each contaminant used in
13 impurity effects testing shall bound accident
14 scenarios postulated in the transient analysis for the
15 KP-FHR designs.

16 MEMBER BALLINGER: This is Ron Ballinger.
17 I have a question about since 1.87 endorses Division
18 5, aren't these limitations and conditions in effect
19 redundant because assuming that they satisfy both 1.87
20 and the ASME Code, don't those documents require you
21 to do these tests in effect to meet those limitations
22 and conditions?

23 MR. HONCHARIK: No. The ASME Code for
24 metallics does not provide what you need to do for
25 testing for environmental compatibility.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 MEMBER BALLINGER: I'm not talking about
2 the environmental part. I'm talking about the
3 mechanical part.

4 MR. HONCHARIK: The mechanical part, yes.

5 MEMBER BALLINGER: Yes.

6 MR. HONCHARIK: Mm-hmm. Right. Yeah. I
7 think what we're saying here is the limitation and
8 condition is that you have to do it. You have to have
9 it qualified so that your accident temperature,
10 whatever that will be, that they are postulated by the
11 transient air.

12 MEMBER HALNON: Okay. So this is Greg.
13 That answers I think a question I had about this.
14 Like the filler material qualification, it is not
15 qualified to the higher temperature because it just
16 wasn't tested that high. It's not the technical issue
17 where something happens to the grain structure or
18 something, is it?

19 MR. HONCHARIK: Right.

20 MEMBER HALNON: Okay.

21 MEMBER BALLINGER: But again, not to beat
22 a dead horse, but the point is if the filler gets the
23 material in Section II so then you can use it in
24 Section V, it has to be qualified for a temperature
25 that is at least, I think 25 degrees or so higher than

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 the operating temperature.

2 So the limitation and condition is
3 redundant because just the application applying to the
4 Code means you're going to have to do that testing to
5 get in Section II.

6 MEMBER HALNON: Is operating temperature
7 the same as accident temperature?

8 MEMBER BALLINGER: Well, they don't call
9 it operating or maximum. They just call it maximum
10 temperature.

11 MEMBER HALNON: Maximum temperature. Okay.

12 MEMBER BALLINGER: Corrosion is a different
13 story.

14 MR. HONCHARIK: All right. Next slide.
15 The next topic is the degradation mechanisms. The
16 first is corrosion. This includes the various types
17 of corrosion, such as general corrosion, crevice
18 corrosion, thermal aging, erosion and wear.

19 So the NRC staff found the proposed
20 testing acceptable to determine the impacts Flibe has
21 on the corrosion rates of materials based on several
22 variables including temperature, microstructure, salt
23 composition, which would include the nominal redox and
24 impurity ingress chemistries, geometry,
25 erosion/corrosion, thermal aging, presence of graphite

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 and redox control. The corrosion rates of 316H and
2 its fill metal can be determined from these proposed
3 tests.

4 The next degradation category is
5 environmentally-assisted cracking. For stress
6 corrosion cracking and corrosion fatigue, the NRC
7 found the proposed testing plan provides reasonable
8 assurance in determining the crack growth rates for
9 fatigue and stress corrosion cracking relative to the
10 environment of the Kairos designs.

11 For environmental creep degradation, the
12 NRC staff found the proposed testing plan acceptable
13 because creep testing in both nominal Flibe and in air
14 would be conducted to determine if the Flibe
15 contributes additional degradation beyond those
16 determined in the creep test performed on the air.
17 Also additional testing will be required to quantify
18 any increase in degradation caused by the Flibe.

19 Next slide. Next is metallurgical effects
20 degradation as designated in the Topical Report.

21 For stress relaxation cracking, the NRC
22 staff found the proposed testing acceptable because
23 testing air is acceptable since the triaxial stresses
24 are the major contributors to stress relaxation
25 cracking not the environment. And the tests will be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 used to conduct failure future analysis and design
2 requirements of the Kairos designs.

3 For phase formation embrittlement, the NRC
4 staff found the proposed testing plan acceptable
5 because the testing will determine whether the
6 material picks up any element during its exposure to
7 Flibe and form a deleterious second phase.

8 As part of this testing, Condition 11 is
9 applicable, which states that, if intermetallic
10 formation occurs, an applicant will need to perform
11 testing to quantify the effects on the mechanical
12 properties of 316H and the associated weld metal.

13 For thermal cycling, the NRC found that
14 the thermal stresses will be addressed by conducting
15 analysis through refined design and operation of the
16 Kairos designs.

17 As part of this testing analysis,
18 Condition 12 applies in that the applicant will assess
19 the thermal cycling and striping in future licensing
20 submittals by minimizing the thermal gradients via
21 appropriate design and operating conditions.

22 Next slide. The next degradation
23 mechanism is irradiation-induced effects. The NRC
24 staff found the testing acceptable for irradiation-
25 induced embrittlement because the degradation factors

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 will be based on existing data and supplemented by
2 irradiation tests conducted on material to quantify
3 design margins at the irradiation levels for the non-
4 power test reactor and the commercial power reactor.

5 As part of this testing, Limitation and
6 Condition 13 would apply and that the test environment
7 shall bound the Kairos designs, including expected
8 irradiation damage and healing content.

9 For irradiation-affected corrosion, the
10 NRC found the proposed testing plan acceptable because
11 existing data will be used to develop degradation
12 factors and be monitored by a materials surveillance
13 program and in addition an inspection program.

14 As part of this surveillance and
15 inspection program, Condition 14 applies in that the
16 material surveillance program and inspection and
17 monitoring program must be implemented for the non-
18 power test reactors and commercial power reactors.

19 And finally for irradiation-assisted
20 stress corrosion cracking, the NRC found the proposed
21 testing plan acceptable because stress corrosion
22 cracking testing program specified in Section 4 will
23 determine if stress corrosion cracking is a credible
24 degradation mechanism and a materials surveillance
25 program will be used to monitor the irradiation stress

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 corrosion cracking for the non-power reactor and
2 commercial power reactor systems. In addition,
3 Condition 14 also applies.

4 Next slide. So in conclusion, the staff
5 finds that there is reasonable assurance that the
6 material testing plan, including analysis,
7 surveillance and monitoring for 316H and ER16-8-2,
8 with the limitations and conditions noted in the
9 safety evaluation can be used to provide the necessary
10 information to address the materials reliability and
11 compatibility in the environment of the Kairos
12 designs. And that is because testing duplicates the
13 material operation and accident condition environments
14 that the material will experience in these designs.

15 The material test samples are
16 representative of actual weldments. Analysis will be
17 performed to mitigate stress relaxation cracking and
18 thermal cycling through design and operations.

19 The material surveillance program will be
20 used to monitor for irradiation effects on corrosion
21 and stress corrosion cracking.

22 And, as I stated before, the results of
23 these planned tests and analysis will be used for
24 future licensing applications to ensure the components
25 perform its safety function and that there will be an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 extremely low probability of normal leakage or rapidly
2 propagating failure, which would partially satisfy
3 PDCs 14 and 31.

4 And that concludes my presentation.

5 MEMBER BALLINGER: Thank you. I have one
6 last -- well, I have a question. How does the
7 document compare with the ESG?

8 MR. HONCHARIK: Oh, are you talking about
9 the ISG Report?

10 MEMBER BALLINGER: The ISG.

11 MR. HONCHARIK: Yes. It is very similar
12 to it. I think we basically were reviewing this --

13 MEMBER BALLINGER: Similar?

14 MR. HONCHARIK: -- at the same time.

15 MEMBER BALLINGER: Yeah.

16 MR. HONCHARIK: So we kind of, you know --

17 MEMBER BALLINGER: Okay.

18 MR. HONCHARIK: -- used this as a --

19 MEMBER BALLINGER: For the record --

20 MR. HONCHARIK: -- template.

21 MEMBER BALLINGER: -- very, very close.

22 MR. HONCHARIK: Yes.

23 MEMBER BALLINGER: Questions from the
24 members?

25 MEMBER HALNON: Were any of the limitations

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 and conditions, were any of those controversial in any
2 way? Did the applicant accept all of those as a good
3 thing?

4 MR. HONCHARIK: Yeah, from what I know,
5 yeah, there was no really confrontational report --

6 MEMBER HALNON: Okay.

7 MR. HONCHARIK: -- of those conditions.

8 MEMBER HALNON: So technically everybody
9 agrees that this is good stuff?

10 MEMBER BALLINGER: It's hard not to agree.
11 It's very extensive. Other questions? I don't think
12 we need a closed session then. So we need to go out
13 and ask the public for comments. So if you're a
14 member of the public and you would like to make a
15 comment, please do whatever it takes to unmute
16 yourself and make your comment. Thank you.

17 Hearing no comments, thank you very much.
18 And I'll turn it back over to you, Madam Chairman.

19 CHAIRMAN REMPE: Thank you. So at this
20 point, we're going to go off the record. And that
21 will be going off the record for the rest of this
22 meeting, so thank you, Mr. Court Reporter.

23 (Whereupon, the above-entitled matter went
24 off the record at 1:34 p.m.)

25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309



Kairos Power

Metallic Materials Qualification Topical Report

ACRS Kairos Power Full Committee Meeting

February 1, 2023

Background

- **Purpose:** This report presents a materials testing plan methodology, including analysis and monitoring, for metallic structural materials used in Flibe-wetted safety-related high temperature components.
 - The materials include Alloy 316H and Weld Filler Metal 16-8-2. These materials were chosen because of existing qualification in high temperature applications and because they are provided by ASME Code, Section III, Division 5 and endorsed by Regulatory Guide 1.87.
 - Alloy 316H and its weld metals exhibit desirable mechanical properties, have demonstrated compatibility with Flibe salt, and have an extensive experience base in nuclear applications.
 - Alloy 316H and its weld metals are used in other industry applications near the time and temperature of the KP-FHR.
 - Qualified materials provide assurance that components can be designed for extremely low probability of abnormal leakage, resistance to rapidly propagating failure, and resistance to gross rupture.
- **Scope:** The report is applicable to both the KP-FHR test reactor and power reactor designs, provided the limitations specified in the report are met.
 - The material qualification test results generated by this methodology will be used as a basis in future licensing actions to address materials reliability and environmental compatibility in KP-FHR reactor designs.

Codes and Standards Applicability

- ASME Code
 - Alloy 316H and Weld Filler Metal 16-8-2 are approved materials for high temperature reactors in ASME Code, Section III, Division 5
 - Alloy 316H is qualified for 816°C
 - Weld Filler Metal 16-8-2 is currently qualified to 650°C
 - The ASME qualification of weld filler metal 16-8-2 will be extended by testing to match the base metal temp for Alloy 316H:
 - Elevated Temperature Tensile Testing
 - Creep-Fatigue Testing
 - Creep-Rupture Testing
- Quality Assurance
 - The qualification for the power reactor will satisfy an NQA-1 based QA program
 - The qualification for the test reactor will satisfy an ANSI/ANS-15.8-1995 based QA program

Testing Program Overview

- A phenomena importance and ranking table (PIRT) was created for the metallic materials testing program
 - The PIRT review identified and ranked the appropriate environmental degradation phenomena that are applicable to the Flibe-wetted safety-related components of the KP-FHR.
 - The reactor vessel is the only safety-related structural metallic component which serves the function of retaining the coolant around the fuel.
 - The PIRT identified two potential accident scenarios that could affect the structural integrity of Flibe-wetted safety-related components (Note that these effects are mitigated via design features):
 - air ingress into the reactor
 - intermediate coolant ingress into the Flibe (power reactor only)
- The testing program is informed by the PIRT results and consists of two major efforts:
 - testing in high temperature air to support ASME design, and
 - testing in molten Flibe salt to account for potential environmental degradation.

Testing Program Overview (continued)

- The following tests are conducted for Alloy 316H stainless steel to support model calibration and validation of ASME design methodologies (all conducted in high temperature air):
 - Tensile Testing
 - Stress Relaxation Testing
 - Strain Rate Change (Stress Dip) Testing
 - Uniaxial Creep Testing
 - Notch Bar Creep Testing
 - Creep-Fatigue Testing

Testing Program Overview (continued)

- The following potential degradation phenomena were assessed in detail and form the basis for the testing plans:
 - Corrosion
 - Corrosion Testing with Use of Compositional Analysis and Electrochemical Potential (ECP) Monitoring
 - Environmentally Assisted Cracking
 - Slow Strain Rate Testing (SSRT)
 - Fracture Mechanics Based Testing – Corrosion Fatigue (CF) and Stress Corrosion Cracking (SCC)
 - Environmental Creep Testing
 - Metallurgical Effects / Other
 - Stress Relaxation Cracking
 - Phase Formation Embrittlement
 - Thermal Cycling / Striping
 - Irradiation Effects
 - Irradiation-Induced Embrittlement
 - Irradiation-Affected Corrosion
 - Irradiation-Assisted Stress Corrosion Cracking (IASCC)

Summary

- Metallic materials qualification testing is being conducted to support the design and licensing of both the non-power test reactor (Hermes) and the commercial power generation reactor (KP-X).
 - The scope of testing is limited to structural alloys 316H and 16-8-2 for the reactor vessel, which was determined to be the primary safety-related component of interest
 - The reactor vessel maintains an inventory of Flibe coolant around the fuel pebbles (fission product barriers).
 - Qualified materials provide assurance that the reactor vessel can be designed for extremely low probability of abnormal leakage, resistance to rapidly propagating failure, and resistance to gross rupture.
- The materials testing consists of two major efforts:
 - testing in high temperature air to support ASME design, ASME qualification extension, and
 - testing in molten Flibe salt to account for potential environmental degradation.



Kairos Power

Graphite Material Qualification Topical Report

ACRS Full Committee Meeting


February 1, 2023

Background

- Purpose: This report presents the methods for qualifying structural graphite for use in KP-FHRs
 - Qualification is subject to the conditions specified in topical report
- Scope: This report is applicable to a KP-FHR test or power reactor provided that the report conditions are met
- Graphite to be Qualified: ET-10 is a superfine grain graphite with nearly isotropic properties
- Safety Functions
 - The graphite reflector provides a physical pathway for maintaining core cooling and a physical pathway for reactivity control element insertions
 - Structural integrity ensures the safety functions can be met
- Quality Assurance
 - The qualification for the power reactor will satisfy an NQA-1 based QA program
 - The qualification for the test reactor will satisfy an ANSI/ANS-15.8-1995 based QA program

ASME Code Application

- The qualification plan follows the ASME BPV, Section III, Division 5, code with a few exceptions.
 - A portion of the code specifically addresses graphite materials
- The code and the topical report organize qualification into three elements:
 - Characterization of as-manufactured graphite mechanical and thermal properties
 - Characterization of graphite properties under irradiation
 - Environmental compatibility



Qualification of Unirradiated and Irradiated Graphite

- Qualification for unirradiated ET-10 would follow ASME Code III (5), *As-Manufactured Graphite*:
 - Kairos Power will conduct testing for mechanical properties, thermal properties, and purity with limited departures from the code.
 - Both with grain and against the grain properties will be measured. The final design of the reflector structure will take into account uncertainty in property values due to anisotropy.
 - A combination of testing data and historical data will be used to assess property variation.
- Qualification will apply ASME Code III (5) HHA-2200, *Material Properties for Design and HA-III-3000 Properties to be Determined*, for irradiated graphite properties.
 - Applicable data exists for basic irradiation properties for use in either a power and test reactor application.
 - Kairos Power will generate new test data to characterize irradiation creep for a power reactor application.
 - Applicable data exists for irradiation creep coefficients for use in a test reactor application.

Environmental Compatibility Between Flibe and ET-10

- Phenomena relevant to qualification were identified through review of applicable phenomena identification studies and other technical literature

Phenomenon	Qualification Plan	Purpose
Infiltration	Confirmatory testing (applicable to power reactor conditions only)	Confirm that graphite mechanical properties are not degraded by Flibe infiltration.
Abrasion and Erosion	Confirmatory testing	Demonstrate no significant abrasion or erosion under prototypical operating conditions.
Chemical Compatibility	No testing planned	Applicable literature indicates that intercalation is thermodynamically unfavorable in Flibe.
Oxidation	Testing (applicable to test and power reactors)	Measure ET-10 oxidation kinetic parameters; determine weight loss vs strength; determine oxidation depth profile; confirm that oxidation of submerged graphite does not occur to a degree that would affect strength.

Summary

- The qualification plan in the Graphite Material Qualification Topical Report describes the plan to qualify ET-10 for safety-related structural graphite component design for use in a KP-FHR.
- The qualification plan conforms with the ASME BPV, Section III, Division 5, code with limited departures.
- The qualification plan will use existing data and data from new tests.
- Seismic qualification of the reflector structure is outside the scope of the topical report.

NRC Evaluation of KP-TR-014-P, “Graphite Material Qualification for the Kairos Power Fluoride Salt-Cooled High Temperature Reactor (KP-FHR)”, Rev. 4

Alex Chereskin
Matt Gordon
Meg Audrain

US Nuclear Regulatory Commission

February 1, 2023

Introduction

- Kairos Power, LLC requested staff review and approval of KP-TR-014-P, Rev. 4, “Graphite Material Qualification for the Kairos Power Fluoride Salt-Cooled High Temperature Reactor (KP-FHR)”
- KP-TR-014-P, Rev 4 provides a methodology by which the Kairos ET-10 graphite will be qualified for use in either a KP-FHR non-power or KP-FHR power reactor
- The staff’s review focused on the overall qualification framework including:
 - Evaluation against ASME Code Section III Division 5 requirements (Regulatory Guide 1.87, Revision 2)
 - Use of existing data
 - Unirradiated testing
 - Irradiation testing
 - Oxidation testing
 - Molten salt testing

Regulatory Basis

Title 10 of the *Code of Federal Regulations* (10 CFR) Sections 50.34(a), 50.34(b), and corresponding regulations for design certification applications, combined license applications and standard design approvals

The following Kairos PDC are applicable to this topical report and were previously approved by the NRC staff (KP-TR-003-NP-A):

KP-FHR PDC 1, “Quality standards and records”

KP-FHR PDC 34, “Residual heat removal”

KP-FHR PDC 35, “Passive residual heat removal”

KP-FHR PDC 74, “Reactor vessel and reactor system structural design basis”

Staff Evaluation

- Qualification of Unirradiated Graphite
 - The NRC staff found that the proposed testing plan will satisfy the requirements of ASME Code Section III Division 5 (Section III Division 5) Article HHA-III-3100, "As-Manufactured Graphite"
 - Intra-billet and lot-to-lot property variation
- Irradiated Properties
 - HHA-2220, "Irradiated Material Properties" requires measurements for irradiated properties
 - ORNL data is used for basic properties
 - Additional irradiation testing for irradiation creep for the power reactor design
- Environmental Effects
 - Infiltration, oxidation, abrasion and erosion

Conclusions

- The staff reviewed the topical report KP-TR-014-P, Rev. 4 and concludes that the graphite material qualification program is acceptable for ET-10 graphite to be used in either non-power or power designs of the KP-FHR.
- Will meet applicable PDCs, in part
 - Graphite components will be qualified to ASME Code consistent with PDC 1
 - Graphite component integrity is needed to achieve PDCs 34, 35, and 74
- Subject to NRC staff limitations and conditions
 - Needed to ensure data bounds anticipated conditions
 - Ensures certain future actions stated in the topical report are reviewed
 - Ensure that if certain design aspects change, they are appropriately addressed

Questions?

BACK-UP SLIDES

Limitations and Conditions

1. The NRC staff finds that it is necessary to limit applicability of the topical report consistent with the limitations listed by Kairos in Section 7.2, "Limitations," of the topical report. An applicant referencing this topical report will need to demonstrate that these limitations are met at the time of a license application, subject to NRC staff review and approval.
2. In the topical report, KP described several action items to be performed in the future. These action items, as described below, are subject to NRC staff review and approval once submitted with an application:
 1. Section 3.1.1 states that KP will perform low cycle fatigue testing to demonstrate that ET-10 follows the same fatigue trends as H-451 and PGX.
 2. Section 3.2 states that in order to use historical data, KP will verify that the historical data is applicable as per the process described in Appendix B of the topical report.
 3. Section 4.3 states that the qualification envelope from the irradiation data will be shown to envelope the operating conditions of the reactor.
 4. Section 4.3 states that the ORNL irradiation data will be used to estimate the turnaround fluence with confidence intervals.
 5. Section 4.3.1.2 states that irradiation creep target test temperatures are selected to bound operating conditions, and that the power reactor lifetime is bounded by irradiation creep testing conditions.
 6. Section 4.3.1.2 states that tertiary creep will be identified if it occurs.
 7. Section 4.3.2.2 states that a conservative turnaround fluence limit will be calculated, and that it will be shown that the non-power reactor does not exceed this limit.
 8. Section 5.2 states that KP will quantify wear rates of the graphite via tribological testing with the carbon pebbles, and confirm that no significant loss of volume occurs due to erosion via visual inspection of graphite exposed to moving Flibe.
 9. Section 7.2 states that the design will preclude the coincident effects of oxidation and irradiation that may inhibit the reflector from performing its safety function.

Limitations and Conditions

3. The NRC staff's review and approval of this topical report was conducted against the 2017 Edition of Section III Division 5 and the associated staff endorsement, and associated conditions. Therefore, approval of this topical report is only applicable for the 2017 Edition and any deviations not described in this topical report or use of updated BPVC versions would require separate review and approval.
4. The approval of this qualification methodology is only applicable to the Kairos' power and non-power test reactor designs. Graphite will experience different changes to its properties as a function of its operating environment (e.g., temperature, fluence, coolant). Additionally, graphite components may have different safety functions and damage tolerance depending on the specific reactor design. Therefore, the specifics of this methodology may not be applicable to other designs.
5. If a salt other than the Fluoride used as the primary coolant (e.g. nitrate) salt is used in the intermediate loop for either the power or non-power reactor designs, an applicant referencing this topical report must demonstrate that no adverse effects of graphite exposure to the intermediate salt will occur and quantify these effects to demonstrate that the graphite components can perform their safety functions.

Limitations and Conditions

6. The approval of this topical report is limited to the qualification testing methodology for ET-10 graphite. The NRC staff did not review topics such as the reflector design, margins, monitoring, surveillance, or inspection programs. The approval of this topical report does not include a determination of an acceptable operating life for the graphite components. An applicant will need to demonstrate an acceptable graphite component lifetime based on intended function of the graphite blocks, damage tolerance, reflector design, margins, monitoring, surveillance, and/or inspection programs.
7. An applicant referencing this topical report must describe how flaw acceptance will occur without using fracture toughness.
8. The NRC staff does not currently accept the use of any known documented creep model in literature for modeling tertiary creep of graphite. The staff does not accept the use of the United Kingdom Atomic Energy Authority (UKAEA) creep model, as it was developed on the irradiation response of Gilsonite. Therefore, an applicant referencing this topical report will need to develop its own creep model and demonstrate that it adequately models creep behavior for ET-10 graphite. This includes identification of tertiary creep if it occurs and determination of creep coefficients.
9. An applicant referencing this topical report must demonstrate that the irradiated test data for both basic properties and creep properties bounds the temperature and fluence profiles for the qualification envelope without extrapolation of the data. If this cannot be demonstrated, then the applicant will be required to obtain additional irradiated test data to bound anticipated operating conditions (i.e., temperature and fluence combinations).

Limitations and Conditions

10. An applicant referencing this topical report must demonstrate how the data (irradiated and unirradiated) meet the quality assurance requirements in Section III Division 5 (e.g., HAB-3125, 3127, 3800, and 4000) for graphite qualification for the power reactor design.
11. Dimensional changes of creep samples must be measured and recorded in both the with grain (WG) and against grain (AG) directions, as required by HHA-II-4000, Detailed Requirements for Derivation of the Material Datasheet – Irradiated Material Properties.
12. The following Limitations and Conditions apply to creep modeling for the non-power reactor:
 1. An applicant referencing this topical report must demonstrate that a creep model can be developed for the non-power reactor without using creep data that pre-dates H-451.
 2. Demonstrate that a conservative creep coefficient can be derived from data described in Section 4.3.2.2 of the topical report and show margin to ensure that the graphite components can perform their safety functions.
 3. The proposed creep model is only acceptable because it is limited to applications before turnaround. Additionally, an applicant referencing this topical report must submit the turnaround fluence to the NRC staff for review to confirm that the non-power reactor does not reach turnaround.
 4. Development of a creep model based on the historical data referenced is only acceptable for a non-power reactor.
 5. As stated in Section 4.3.2.2 of the topical report, an applicant must demonstrate that no irradiation-induced stress-driven failure of graphite will occur pre-turnaround.
13. If results of the testing described in Section 5.1.3 of the topical report indicate that there is significant degradation of graphite exposed to the Flibe, then this effect must be accounted for in the design of the graphite reflector.
14. If properties that are not included in this qualification program are needed for the graphite reflector design, an applicant referencing this topical report must perform the necessary testing to obtain properties not included in the qualification program