

Official Transcript of Proceedings
NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards
Fuels, Materials, and Structures Subcommittee

Docket Number: (n/a)

Location: teleconference

Date: Wednesday, June 21, 2023

Work Order No.: NRC-2446

Pages 1-95

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1716 14th Street, N.W.
Washington, D.C. 20009
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23

DISCLAIMER

UNITED STATES NUCLEAR REGULATORY COMMISSION'S
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

The contents of this transcript of the proceeding of the United States Nuclear Regulatory Commission Advisory Committee on Reactor Safeguards, as reported herein, is a record of the discussions recorded at the meeting.

This transcript has not been reviewed, corrected, and edited, and it may contain inaccuracies.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

(ACRS)

+ + + + +

SUBCOMMITTEE ON FUELS MATERIALS AND STRUCTURES

+ + + + +

WEDNESDAY

JUNE 21, 2023

+ + + + +

The Subcommittee met via Teleconference,
at 1:00 p.m. EDT, Ronald G. Ballinger, Chair,
presiding.

COMMITTEE MEMBERS:

RONALD G. BALLINGER, Chair

VICKI M. BIER, Member

CHARLES H. BROWN, JR., Member

VESNA B. DIMITRIJEVIC, Member

GREGORY H. HALNON, Member

JOSE A. MARCH-LEUBA, Member

ROBERT MARTIN, Member

WALTER L. KIRCHNER, Member

JOY L. REMPE, Member

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MATTHEW W. SUNSERI, Member

THOMAS ROBERTS, Member

ACRS CONSULTANTS:

STEPHEN SCHULTZ

DENNIS BLEY

DESIGNATED FEDERAL OFFICIALS:

ZENA ABDULLAHI

LAWRENCE BURKHART

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

TABLE OF CONTENTS

I. ACRS Chairman Introductory Remarks 4

II. NRR Staff Opening Remarks 7

III. Southern Nuclear Staff Opening 9

IV. Southern Nuclear Staff Open Session 9

V. NRC Staff Open Session 44

VI. Public Comment 87

VII. ACRS Member Comments 88

VIII. Open Session Adjourns 95

P-R-O-C-E-E-D-I-N-G-S

1:00 p.m.

MEMBER BALLINGER: Okay. It's 1:00, I think. Yes, 1:00. The meeting will now come to order. This is a meeting of the Fuels, Materials, and Structures Subcommittee of the Advisory Committee on Reactor Safeguards.

I'm Ron Ballinger, Chairman of today's subcommittee meeting. ACRS members in attendance are Jose March-Leuba, Matt Sunseri, Vicki Bier, Joy Rempe, and I believe we will have online Greg Halnon -- I don't see Vesna.

MEMBER DIMITRIJEVIC: I'm here, Ron.

MEMBER BALLINGER: Oh, okay. Vesna Dimitrijevic. Anybody else? Oh, okay. Charlie Brown. And we have our consultants, Steve Schultz, present and Dennis Bley online. If I've missed anybody, my apologies.

Larry Burkhardt is the Branch Technical Chief for the ACRS staff, and he's the designated official. Zena Abdullahi, who is virtually present, is the DFO, as well.

In today's meeting, the subcommittee will receive NRC staff safety evaluation for Southern Nuclear Operating Company's Vogtle Unit 1 and 2

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 amendment request and exemptions regarding the use of
2 lead test assemblies of accident-tolerant fuel. The
3 subcommittee will hear presentations by and hold
4 discussions with the NRC staff and Southern Nuclear
5 and other interested persons regarding this matter.

6 Part of the presentations of the applicant
7 and the NRC staff may be closed, and I anticipate that
8 that's true, to discuss information that is
9 proprietary to the licensee and its contractors
10 pursuant to 5 USC 552(b)(c)(4). Attendance at the
11 meeting that deals with such information will be
12 limited to the NRC staff and its consultants, Southern
13 Nuclear, and those individuals and organizations who
14 have entered into an appropriate confidentiality
15 agreement with them. Consequently, when we go into
16 closed session, we'll need to confirm that we have
17 those conditions met.

18 The ACRS was established by the Atomic
19 Energy Act and is governed by the Federal Advisory
20 Committee Act. The ACRS is independent of the NRC
21 staff. When applicable, the ACRS issues publicly-
22 available letter reports and provides independent
23 technical reviews of NRC staff safety evaluations of
24 licensee's amendments to their operating licenses. As
25 part of the review, we consider not only the staff

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 safety evaluations but also the original submittal by
2 the applicant.

3 ACRS members will ask questions and, at
4 times, make statements. However, these statement are
5 individual member opinions only, this is a
6 subcommittee meeting, and should not be construed as
7 ACRS findings or opinions. We only speak through our
8 letter. ACRS opinions are documented in our letters.

9 We are now joined with Walt Kirchner,
10 Member Kirchner.

11 The ACRS Section of the U.S. NRC public
12 website provides our charter, bylaws, agendas, letter
13 reports, and transcripts of all open-session
14 subcommittee and full committee meetings, which
15 include the slides presented. A transcript of this
16 meeting is being kept and the open portion will be
17 made available.

18 The meeting notice and agenda for this
19 meeting are posted. We have not received any written
20 statements or requests to make an oral statement from
21 the public prior to this meeting.

22 Today's meeting is being held in person
23 and over Microsoft Teams for ACRS staff members,
24 staff, NRC staff, and the applicant. There is also a
25 telephone bridge line. I'll remind people that, when

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 addressing, you should state your name so that it can
2 be transcribed properly.

3 So we'll proceed with the meeting. Let's
4 see. We're going to call on -- who's first? Joe, are
5 you going to make a statement first?

6 MR. MARKLEY: This is Mike Markley. Joe,
7 are you online? Good.

8 MR. DONOGHUE: I am, I am. Yes. Good
9 afternoon, Chairman and members. Thanks for giving
10 him an opportunity to say a few words. My name is Joe
11 Donoghue. I'm the Director of the Division of Safety
12 Systems in the Office of Nuclear Reactor Regulation.

13 I just want to highlight that this
14 amendment, this license amendment request and the
15 exemptions you're hearing about today constitute a
16 first-of-a-kind review for us. You know, it involves
17 increased enrichment over five-person uranium and four
18 lead test assemblies. You'll find that it's
19 applicable only to the current burn-up limits that the
20 staff has approved for Vogtle Units 1 and 2.

21 Staff expects that the future submittals
22 that the industry has requested for higher enrichment
23 and will address higher burn-up will be based on some
24 of the information gained from these LTAs.

25 You'll hear about highlights from the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 staff's safety evaluation. The staff determined that
2 there's reasonable assurance that the health and
3 safety of the public will not be endangered by
4 allowing what's being proposed by the licensee.

5 These LTAs will be placed in limiting core
6 locations without completion of representative testing
7 for two cycles of operation, but that's considered
8 acceptable by the staff.

9 Though a letter report is not required in
10 this instance, we welcome any comments you might offer
11 by letter.

12 And with that, I thank you for allowing us
13 to present to you today. The staff will do its best
14 to answer all your questions. And I turn it back over
15 to you, Mr. Chairman. Thanks.

16 MEMBER BALLINGER: Thank you. I might add
17 that these amendments are not only for increased
18 enrichment but the LTAs are going to have chromium-
19 doped fuel, as well as chromium-coated cladding. So
20 it's a trifecta, if you will, and that's also a first.

21 So, Ryan Joyce, I don't know -- oh, okay.
22 You'd like to make some opening comments, and you're
23 also the presenter for Southern Nuclear, so you might
24 as well just keep right on going.

25 MR. JOYCE: All right. Thank you. This

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 is Ryan Joyce. I'm the licensing manager for Southern
2 Nuclear. I'd like to start off by thanking the ACRS
3 staff for their review of this fairly important
4 initiative. We believe this will provide valuable
5 data for not just SNC but the entire nuclear industry
6 as we move towards the advanced fuel features of
7 accident-tolerant fuel, higher enrichments, and,
8 ultimately, higher burn-up, ultimately allowing plants
9 to ensure plants can stay economically viable and
10 continue to provide safe, clean, and reliable energy.

11 Some benefits of this initiative will
12 ultimately be increased safety margin, low electricity
13 costs, longer fuel cycles, and reduced fuel assemblies
14 for reload. So there's a lot of initiatives. We
15 think this could do a lot of good for the industry,
16 and, again, we appreciate the NRC's staff and ACRS's
17 consideration and look forward to valuable discussion.

18 With that, I will go ahead and share my
19 presentation.

20 MEMBER BALLINGER: I need to correct
21 myself. Chromium doped has sort of turned into an
22 acronym or a common term like Xerox. The fuel that
23 you're proposing is not chromium-doped fuel, it's
24 chromia plus alumina doped, so we need to be careful.
25 I'm sorry.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 MR. JOYCE: For the agenda, we'll go over
2 the LTA program objectives and also talk about some
3 key topics of interest that we believe will really
4 demonstrate to the ACRS the amount of due diligence
5 that went into preparing this amendment request and
6 the analysis done to ultimately show that these LTAs
7 will operate safely and within the analyzed core
8 limits.

9 So for the goals of this program, there's
10 basically two initial goals. We want to irradiate
11 higher-enriched fuel rods up to six percent in a
12 commercial reactor that ultimately will support future
13 license applications. Although it's a very limited
14 amount of rods for this application, ultimately, this
15 will allow us to work through the commercial
16 logistical licensing issues associated with loading
17 higher than, greater than five-percent enriched fuel
18 to allow, ultimately, more than five-percent weight
19 assemblies to be loaded into reactor cores.

20 Additionally, we'll be gaining additional
21 information on accident-tolerant and advanced fuel
22 materials to help, ultimately, to batch loading of
23 these, recognizing some of the benefits of these
24 features.

25 So our LTA program will have four lead

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 test assemblies. Each lead test assembly will have
2 four rods up to six-percent enrichment. All the rods
3 will be AXIOM cladding, all but one rod will be coated
4 with chromium. About half the rods, 136 per LTA, will
5 be the doped ADOPT pellets. The other half will be
6 undoped, 128 will be undoped IFBA pellets.

7 So the Vogtle core, there is 193
8 assemblies, 264 rods per assembly. So there's 50,952,
9 almost 51,000, rods in the Vogtle reactor core. So of
10 this 51,000 rods, 16 of these will have a higher than
11 five-percent enrichment, so, again, a very small
12 percentage of the overall core will have up to six-
13 percent enriched fuel.

14 MEMBER REMPE: So in the open session, and
15 you can defer to the closed session If you want to,
16 but just for the public that might be listening in,
17 could you talk a little bit about what in-pile and
18 out-of-pile testing you've done to give you confidence
19 in the ability of the cladding in an irradiated BWR
20 environment, as well as what type of data you're
21 hoping to get from the exams of the rods after this?

22 MR. JOYCE: Yes. We can discuss that.
23 Jim Smith, who would be the best person to discuss
24 that?

25 MR. SMITH: I'm going to defer to Radu for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 right now.

2 MR. POMIRLEANU: Hello. This is Radu
3 Pomirleanu with Westinghouse. So for in-pile testing,
4 we have had already a program which has irradiated
5 chromium-coated cladding in the Byron Unit 2 reactor,
6 and the same reactor also irradiated ADOPT, the doped
7 pellets.

8 MEMBER REMPE: So the clad tubes were
9 unfueled tubes, is that -- I get some of the different
10 tests confused, but the way you've worded that, the
11 coated rods did not have fuel in them; is that true?

12 MR. POMIRLEANU: Oh, no, they did.

13 MEMBER REMPE: Oh, okay. Good.

14 MR. POMIRLEANU: Yes, so they were fueled
15 rods, yes.

16 MEMBER REMPE: Okay, good.

17 MR. POMIRLEANU: And for the AXIOM
18 features, we had several lead test assembly programs
19 in the past that have irradiated AXIOM for, I believe,
20 it's at least three cycles. So we have quite
21 experience with, you know, in-pile performance of
22 these materials. Of course, for the doped and the
23 chromium-coated cladding, the performance is still
24 limiting at this point, but it's still more than two
25 cycles. Well, it is two cycles.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 MEMBER REMPE: Thank you.

2 MR. JOYCE: Any other questions on testing
3 our or program objectives?

4 Next, I'd like to discuss specific topics
5 of interest, again, to show the due diligence that was
6 done in validating these assemblies will perform
7 safely and within the analyzed limits.

8 So as I'm sure most of you, If not all of
9 you, already know, the tech specs, technical
10 specifications already contain provisions for lead
11 test assemblies, one of these provisions as If they
12 are placed in non-limiting core locations or regions.
13 So we'll discuss why in a couple of slides, why we
14 don't believe we could meet that non-limiting or why
15 we believe we need to be in, quote, limiting core
16 regions.

17 So as part of this, we're modifying Tech
18 Spec 4.2.1 to allow these to be in limiting core
19 regions, except for control rod ejection transients.
20 We'll also explicitly allow the advanced coating
21 cladding with doped or standard fuel material, and the
22 Tech Spec 4.2.1 will allow a maximum of four rods per
23 LTA with a nominal 235 enrichment of up to six
24 percent.

25 In addition, the Tech Spec 3.7.18 fuel

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 assembly storage in the spent fuel pool and Tech Spec
2 4.3 storage will be changed to reflect the LTAs any
3 spent, the spent and new fuel storage restrictions and
4 the allowance for maximum nominal enrichment or four
5 rods up to six percent.

6 I'd like to point out, so since we only
7 have four rods per assembly with up to six percent,
8 the overall, the weighted assembly enrichment is still
9 below five percent. But the curves in the tech spec
10 and the regulation generally just talk about an
11 assembly enrichment of less than five percent. It
12 doesn't really get into the rods of less than six
13 percent. However, we felt it prudent to, A, part of
14 this initiative is to make sure we exercise the
15 regulatory process, go through everything that will be
16 needed to load fuel above five-percent enrichment and
17 then, out of prudence and to reduce any kind of
18 regulatory uncertainty, we felt it was in our best
19 interest to act as if these soon these assemblies will
20 be greater than six percent, or greater than five
21 percent I mean on an assembly basis. So all the
22 exemptions, amendment requests, everything else, are
23 based, while they specify only four rods, they're kind
24 of the process we'd go through to ultimately load fuel
25 beyond five-percent enrichment. Any questions?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 So as part of this amendment and since
2 this is modifying our licensing basis for the
3 criticality accident requirements from a 10 CFR 70.24
4 exemption with an exemption for the monitors to
5 instead adopt 50.68. We'll discuss the why in a
6 couple of slides from now, but modifying our licensing
7 basis from 70.24 to 50.68 resulted in modifications to
8 the operating license to remove discussion of the
9 70.24 exemption we had in place. And this also
10 necessitated that we then submit an exemption to
11 50.68(b)(7), which specifies an assembly enrichment
12 must be less than five percent.

13 In addition, we requested an exemption
14 from 10 CFR 50.46 and from Appendix K based on the use
15 of AXIOM cladding. We'll discuss these exemptions
16 further in the subsequent slides.

17 So 10 CFR 50.46 and 10 CFR 50 Appendix K
18 do not explicitly cover the AXIOM fuel rod cladding
19 material due to a slightly different composition than
20 zircaloy or ZIRLO cladding material. Exemption
21 requests will provide the application of 10 CFR 50.46
22 and 10 CFR 50 Appendix K regulations to the LT designs
23 utilizing AXIOM cladding at Unit 2, Vogtle 2.

24 In conjunction with a 17-percent maximum
25 (Audio interference) station acceptance criteria

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 prescribed by 10 CFR 50.46, a more restricted
2 embrittlement criteria was assessed, which is
3 consistent with the data presented in the AXIOM
4 cladding topical report.

5 So for regulatory clarity, SNC decided to
6 adopt the newer 50.68 regulation to replace the older
7 70.24 regulation that was discussed in the facility
8 operating license. Adopting 50.68 provides a clean,
9 clear regulatory foundation for moving forward with
10 higher-enriched fuel assemblies.

11 Our 50.68(b)(7) exemption, which is
12 mentioned this is required in 50.68(b)(7) exemption to
13 allow LTA rods with greater than five-percent
14 enrichment, our technical justification, the intent of
15 the rule is to preclude inadvertent criticality. We
16 demonstrate through our analyses, as provided in this
17 amendment, the intent of the rule is still maintained.
18 NRC-approved shipping containers include their own
19 criticality analysis. The adherence to this
20 criticality analysis fulfills the 10 CFR 50.68
21 requirements pending placement of the new fuel storage
22 racks. The remaining 50.68(b) criticality
23 requirements aren't affected and will continue to be
24 implemented, the new fuel storage vaults and for the
25 spent fuel pool.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 So the LTAs will have the highest linear
2 heat generation rates at local peaking for parts of
3 the cycle in those steady-state transient conditions.
4 Nonetheless, the tech limits prescribed in the COLA
5 and the cycle specifications will continue to be met
6 for the LTAs and all co-resident fuel.

7 There are no additions needed to the COLA
8 references listed in Tech Spec 5.6.5, and the
9 analytical methods used to determine the cooperating
10 limits will continue to be those previously reviewed
11 and approved by the NRC.

12 CHAIR MARCH-LEUBA: May I interrupt for a
13 minute?

14 MR. JOYCE: Yes.

15 CHAIR MARCH-LEUBA: Can you elaborate a
16 little more on why we needed to put these LTAs on
17 leading positions?

18 MR. JOYCE: I'm sorry. Say that --

19 CHAIR MARCH-LEUBA: Typically, we put LTAs
20 in non-dominant positions. What was the rationale for
21 not doing that?

22 MR. JOYCE: Well, I think, based on the
23 enrichment themselves, these are going to be fairly --
24 so the 260 rods will be by less than five percent but
25 they'll be close to five percent, higher --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 CHAIR MARCH-LEUBA: And because the pin-
2 to-pin peaking power in this particular LTA is --

3 MR. JOYCE: The fact that it will be six-
4 percent enrichments means we'll have the 260 fuel rods
5 in the assembly will be of higher enrichments, but
6 then, of course, the --

7 CHAIR MARCH-LEUBA: So let me say it in my
8 way. You didn't go out of your way to find the
9 position in the core that will be limiting is because
10 you place it in a position that would otherwise not be
11 limiting, this pin-to-pin peaking factor caused you to
12 be limited?

13 MR. JOYCE: So Westinghouse or nuclear
14 fuel can correct me If I misspeak. The position would
15 have been chosen based on the assembly enrichments to
16 ensure that the peaking factors for the whole core are
17 met as far as making sure that the power is fairly
18 evenly distributed throughout the fresh assemblies.
19 The fact that, again, If you have a 4.9 assembly, it's
20 going to be at a higher power level just based on the
21 fact that it's a feed and parts of the cycle -- and
22 you're going to place it on definitely the ring of
23 fire, the outside area, that's going to, again, lead
24 to higher peaking.

25 So, yes, I don't think it was necessarily

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 intentional. I think it was more a byproduct of the
2 fact that it was --

3 CHAIR MARCH-LEUBA: That's not what I'm
4 trying to rationalize. It's not that you were trying
5 to obtain a higher flex to produce accelerating agent.
6 It's just that, by place six-percent enriched uranium,
7 it automatically brings itself up to those limits,
8 right?

9 MEMBER BALLINGER: Do I read between the
10 lines a little bit here in what you said earlier that
11 the long-term plan is to do batch loads. And by
12 putting the LTAs in what I would consider kind of a
13 normal place, not in a limiting place, you're setting
14 us up or setting the situation up so that when it
15 comes time to do a batch, a full reload, you've got
16 data that's not limiting. Is that what I'm reading in
17 here?

18 MR. JOYCE: I would agree with that
19 situation, I would agree with that assessment. The
20 reality, when you're loading LTAs, you kind of do want
21 them to be run harder than normally something would be
22 to get really the data that you want. So I think that
23 the benefit is the fact that, by placing limited
24 assemblies, we will be get more relevant data to
25 ensure batch loading that we're, we'll have greater

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 confidence in batching loading.

2 CHAIR MARCH-LEUBA: Yes. But the other
3 side, we place LTAs in your core because we don't have
4 sufficient data to have enough confidence that it will
5 be provided. So it's very daring, I mean, you putting
6 them in there. I mean, just the leaking, you have
7 problems. So you have to have a lot of confidence in
8 what you're doing that it's okay.

9 MR. JOYCE: I believe, through all the
10 analysis we've done that we have fairly reasonably
11 high confidence that they will operate successfully.

12 CHAIR MARCH-LEUBA: Trust but verify. We
13 have confidence that it works, but that's why we put
14 LTAs to make sure.

15 MEMBER REMPE: So I guess I got the
16 answer to my first, but what data will you be getting?
17 You're just going to be looking to see what happens in
18 the control room? Are you going to do some post-
19 operation exams? Are you going to take the rods to a
20 hot cell and cut them open? What kind of data are you
21 going to get?

22 MR. JOYCE: Radu, can you speak to the
23 validation we'll be getting and inspections we'll be
24 doing?

25 MR. POMIRLEANU: Right now, the PIE plan

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 is not fully developed in support of future needs for
2 the strategy to achieve high-enrichment higher
3 burnups. We will be taking probably, you know, these
4 rods to the hot cell. We don't know at this point,
5 you know, the scope of that full examination. That
6 full examination, the scope of that full examination
7 is going to be determined by the needs of those future
8 submittals. Right now, we're going to be, you know,
9 looking at the rods as they progress through
10 irradiation after each cycle, but the hot cell scope,
11 it hasn't been defined yet.

12 DR. SCHULTZ: This is Steve Schultz. Is
13 a three-batch irradiation planned for these
14 assemblies?

15 MR. JOYCE: That would be the ultimate
16 goal. However, right now, it's very unlikely we'd be
17 able to irradiated more than two cycles without
18 exceeding the license burn-up limit, so the end goal,
19 a separate initiative outside the scope of this, would
20 ultimately be come back in a couple of years to
21 request going to higher burnups and then irradiate
22 another cycle. But, again, that's future plans.
23 That's outside the immediate scope of this request.
24 Right now, we'd most likely limit it to two cycles.

25 DR. SCHULTZ: So that would be for the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 six-percent enriched rods that are in the assemblies
2 could, in three cycles, exceed the rod burn-up?

3 MR. JOYCE: Yes, by the third cycle. But,
4 again --

5 DR. SCHULTZ: It could happen. It's not,
6 I wouldn't expect it would happen.

7 MEMBER BALLINGER: In the third cycle, not
8 the second.

9 MR. JOYCE: We would not exceed, exceeding
10 the license per implement would require a separate,
11 which most likely would happen in a third cycle, would
12 require a separate amendment request and an NRC staff
13 review.

14 MEMBER BALLINGER: But with respect to
15 some of these exemptions, you're kind of, to use a
16 more common term, you're kind of standing on the
17 shoulders of giants. You've got data on all of the
18 various fuel types already. The only thing you don't
19 have is the greater than five-percent enrichment. So
20 what do you suspect that the risk actually is for
21 doing what you're doing?

22 MR. JOYCE: Like you said, we've already,
23 or the nuclear industry, I should say, has already
24 loaded AXIOM, ADOPT, chromium coating. The only thing
25 that hasn't been loaded in the industry is greater

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 than five percent. And as previously mentioned, we're
2 talking 16 rods out of 51,000. So, again, a very
3 small number, a very small number of rods.

4 MEMBER BALLINGER: At least two of those
5 reports have an A at the end, which means they're
6 approved by --

7 MR. JOYCE: Yes, AXIOM and ADOPT, yes.
8 And it's worth it to point out, too, AXIOM and ADOPT
9 have already been now reviewed by the ACRS. Again, we
10 think the risk is very low, especially considering the
11 small number of six-percent rods for this specific
12 program application.

13 MEMBER BALLINGER: Continue to ask
14 questions.

15 MR. JOYCE: Ask away.

16 MEMBER BALLINGER: Forge ahead.

17 MR. JOYCE: All right. The review of the
18 LOCA evaluation models license proposal, which is bash
19 for large break LOCA and no word for small break LOCA
20 include the current models and correlations are
21 acceptable to evaluate the LTA features in operation.
22 Existing large break and small break LOCA analyses of
23 record for Vogtle represent the LTAs, and the co-
24 resident fuel is negligibly impacted by the presence
25 of the LTAs. 10 CFR 50.46 acceptance criteria

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 continue to be met.

2 For non-LOCA transients, there's two types
3 of transients with regard to the core physics inputs:
4 those that are dependent only on core-wide parameters
5 and the other that are dependent also on local
6 effects. The former category of events is not
7 impacted by the LTAs based on the negligible impact on
8 core heat transfer characteristics, decay heat, or
9 initial core-stored energy.

10 The events that are dependent on local
11 effects were evaluated for the potential effects to
12 the LTAs. It was determined that there was no impact
13 to codes or methods. Any impact in novel LTA features
14 is offset by existing margins. While the LTA is
15 mainly the core and peaking factors, they were placed
16 in non-limiting locations with respect to raw ejection
17 analysis. Ultimately, fuel-specific criteria
18 applicable to each accident continues to be met.

19 MEMBER KIRCHNER: This is a public
20 presentation. Unless you're well versed in the fuel
21 cycle business, why don't you explain on the previous
22 view graph what you mean about the rod ejection
23 accident and where you place the lead test assemblies?
24 In plain English, what does that mean?

25 MR. JOYCE: So the raw ejection accident

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 assumes you have a control rod in the assembly and
2 that control rod, due to the pressure, it is ejected
3 out of the assembly location, which leads to very high
4 peaking. And this, of course, analyzed Chapter 15
5 accidents.

6 MEMBER KIRCHNER: So the LTAs are not
7 going to go into control rod locations?

8 MR. JOYCE: Linda, can you speak to that?

9 MEMBER KIRCHNER: At six percent, you
10 would expect --

11 MEMBER HALNON: Hey, Walt, we can't hear
12 you.

13 MEMBER KIRCHNER: With six-percent
14 enrichment in those four rods, If you put it in that
15 location, that's where you would expect the highest
16 impact for an rod action scenario; is that correct?
17 So I'm assuming you're not putting them into control
18 rod locations.

19 MR. JOYCE: Linda, these are --

20 MS. BAKER: Hi. This is Jennifer Baker,
21 Nuclear Fuel. None of the LTAs will be in rodded
22 locations, not for any of the cycles that they reside
23 in.

24 MEMBER KIRCHNER: That's right. I just
25 wanted you to get that on the record. Thank you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 Please, go on.

2 MR. JOYCE: The SNC evaluated the impact
3 of radionuclide inventory on a per-assembly basis to
4 compare the LTA inventory to a standard fuel assembly.
5 The results of the ORIGEN-ARP analysis include there
6 was inconsequential change on a per-assembly basis.
7 Comparisons were made across a broad range, more broad
8 than what's expected for operation, of variables
9 include no consequential impact. Core-wide source
10 terms representative of loading patterns with the LTAs
11 were ORIGEN-ARP and compared to the core source terms
12 used in the analysis of record for transients and
13 fuel-handling accidents. The analysis of record
14 source terms were bound for significant isotopes that
15 contribute to dose. And as part of the reload cycle,
16 as part of the reload process, reload analysis, source
17 term inventories are confirmed every cycle on a per-
18 cycle basis.

19 All fuel performance evaluations for the
20 LTAs are performed with most recent set of NRC-
21 approved performance models, which are PAD5. Although
22 the current licensing basis for Vogtle 1 and 2 is
23 PAD4, the most up-to-date models are used to evaluate
24 the LTAs. The co-resident, i.e. non-LTAs, fuel
25 continue to be evaluated with PAD4 with considerations

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 of thermal conductivity degradation for LOCA.

2 When available, NRC-approved PAD5 models
3 are used for LTA features. This includes PAD5
4 performance models for ADOPT fuel and AXIOM cladding.
5 For chromium cladding, no model currently exists.
6 Instead, the chromium-coated rods are conservatively
7 modeled as though the chromium coating provides no
8 corrosion benefits and evaluating the corrosion as if
9 the chromium coating were extensions of base metal is
10 conservative for fuel performance evaluations.

11 While it's not approved for enrichments
12 greater than five percent, PAD5 fuel performance model
13 was using test data up to 13 percent. Therefore, we
14 feel PAD5 is an acceptable tool for evaluating the
15 impact on enriched fuel.

16 MEMBER SUNSERI: Matt Sunseri. You might
17 get to this later. Are there any -- excuse me. For
18 the iron-enriched pins, are there any limitations on
19 the ramp rates of the fuel or the fuel conditioning
20 limitations that will change, you know, the operating
21 practices?

22 MR. JOYCE: Jennifer, can you speak to
23 that? Have we proposed any additional ramp rate
24 restrictions?

25 MS. BAKER: We're not proposing additional

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 ramp rate restrictions.

2 MR. JOYCE: For core physics, the LTA
3 novel features will be modeled either explicitly or
4 conservatively. There will be no changes to the
5 approved methods for the reload analysis or for the
6 neutronics modeling.

7 As previously mentioned, there's only a
8 very few number of rods with enrichment exceeding five
9 weight percent. While it's expected that these fuel
10 rods will leave the core and peaking factors for
11 portions of the cycle, their placement ensures that
12 neutron spectrum is similar to the currently-operating
13 cycles. Furthermore, prediction of the current codes
14 is benchmarked to PARAGON2, which is approved for
15 enrichments above five weight percent to ensure that
16 peaking factor bias remains conservative.

17 There is no impact to the BEACON core
18 monitoring system because the LTAs do not impact the
19 ability to predict core response and the higher
20 enrichment fuel rods will be placed away from the
21 instrumentation tubes.

22 For thermal hydraulic designs, there are
23 no modifications or updates required for any of the
24 NRC-approved topical reports of thermal hydraulic
25 methods for the introduction of the LTAs. The LTA

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 departure from hydraulic performance is similar to
2 that of the co-resident fuel. While the cladding
3 coating may result in a reduction of flow area, any
4 mixed core effects would be offset by available DNB
5 margin in the reload design.

6 For the criticality analysis, the LAR
7 addresses the increased enrichment, use of ADOPT
8 pellets, and use of the chromium-coated AXIOM cladding
9 with regard to the storage criticality. Modern codes
10 were applied to address the LTA storage. For LTA
11 storage not requiring burn-up credits, a direct
12 reactivity analysis was performed. This analysis
13 included the new fuel storage racks and the spent fuel
14 pool two out of four checkerboard storage pattern.

15 For LTA storage required burn-up credits,
16 a comparative reactivity analysis was performed. This
17 included the all-cell checkerboard storage pattern.

18 DR. SCHULTZ: Ryan, on that slide, what is
19 the intention of your statement modern codes were
20 applied to separately addressed? Is it new codes that
21 have not yet been reviewed and approved or --

22 MR. WENNER: No. This is Mike Wenner from
23 Westinghouse. Essentially, previous versions of scale
24 were used to do the analysis of record. However, we
25 used the modern version of the same code on different

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 hardware, so it's just the same scalable analysis.
2 And then our current tools that we used for initial
3 criticality were developing isotopics with the all-
4 cell storage pattern is our PARAGON code, which we
5 have had usage of for the past 10 or 15 years.

6 DR. SCHULTZ: Okay. So it's not, have not
7 been applied to this particular evaluation at this
8 particular spent fuel pool, but they are codes that
9 have been applied elsewhere.

10 MR. WENNER: Correct, yes. So we were not
11 using the old version of the same code. We're using
12 the modern version and then a different lattice code
13 to develop the --

14 DR. SCHULTZ: Thank you.

15 MEMBER BALLINGER: It's better to use the
16 words updated, as opposed to modern.

17 CHAIR MARCH-LEUBA: And when you say
18 everything is kept under quality control, it's the
19 most up-to-date approved version of the code, correct?
20 The microphone is very sensitive.

21 MR. WENNER: Yes, that's correct. SCALE
22 Version 6.2.3, I believe, we used maybe 6.2.4; I'm not
23 sure. But there's just a patch between the two.

24 CHAIR MARCH-LEUBA: Then all approved
25 under quality control?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 MR. WENNER: Yes, correct, yes. They're
2 all installed as a validation associated with --

3 CHAIR MARCH-LEUBA: There have been cases
4 in the past with other vendors I was involved with
5 where they used the most recent version, but there's
6 25 versions behind the approved version. This is not
7 that case.

8 MR. WENNER: Correct.

9 MEMBER KIRCHNER: So this is where a
10 picture would have been useful. Where would the four
11 pins be located in the fuel bundle?

12 MR. JOYCE: Jennifer, can you, do you have
13 any picture you can show on the screen or describe?

14 MS. BAKER: I do not, but Radu may have
15 one quickly available from past discussions.

16 MEMBER KIRCHNER: Are they adjacent to
17 each other, or they're spread throughout the bundle?

18 MR. POMIRLEANU: This is Radu Pomirleanu
19 from Westinghouse. The pins are not adjacent to each
20 other.

21 MEMBER KIRCHNER: That's what I thought.
22 All right. Thank you.

23 MEMBER BALLINGER: But we need to be sure
24 that, if that information is not in a report that we
25 have, that we get that information in for the record.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 MR. JOYCE: The storage acceptability, the
2 nuclear storage racks, and two out of four spent fuel
3 pool patterns which do not require burn-up credits was
4 determined via direct reactivity analysis. Any fuel
5 storage rack in two out of four results demonstrates
6 significant margins to the storage limits, including
7 dry, fully flooded, and optimal moderation conditions
8 to the new fuel storage racks. Those storage analyses
9 credit IFBA, which will be verified during the reload
10 process.

11 Additionally, multiple fuel pool misload
12 event was evaluated with tech spec limit of 2,000 ppm
13 and demonstrated acceptable results.

14 MEMBER HALNON: This is Greg Halnon. What
15 does a direct reactivity analysis entail? What does
16 that mean?

17 MR. WENNER: This is Mike from
18 Westinghouse again, Mike Wenner from Westinghouse. It
19 was just to make the distinction between what Ryan
20 will talk about on the next slide in that we're
21 looking at the reactivity specifically like we would
22 for meeting the normal requirements. And then when he
23 talked about the comparative reactivity analysis,
24 we're comparing reactivity of 4.9.5 fuel assembly at
25 its current limits to what the LTA looks like, so

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 we're drawing some comparisons between the two and the
2 change in reactivity from the LTA peak where, here in
3 the nuclear storage racks in two out of four, we're
4 looking directly at the reactivity.

5 MEMBER HALNON: Okay. I think I get it.
6 Thanks.

7 MR. JOYCE: For all-cell storage, for
8 spent fuel all-cell storage, the current burn-up limit
9 with the maximum enriched fuel assembly is about 40
10 Gwd per MTU. To provide significant conservatism to
11 this limit, a burn-up limit of 64 Gwd per MTU was
12 selected for the LTA all-cell storage, which is, of
13 course, greater than 24 Gwd from the current burn-up
14 limits or greater than eight percent effective margin.

15 CHAIR MARCH-LEUBA: What does AOR stand
16 for?

17 MR. JOYCE: Analysis of record.

18 CHAIR MARCH-LEUBA: Thank you.

19 MR. JOYCE: Yes, there's acronyms in the
20 back. So 64 Gwd per MTU, the value was selected to
21 apply additional storage options should the LTAs be
22 approved for a third cycle of operations with burn-up
23 greater than 64 Gwd per MTU. So in other words, right
24 now, under our current licensing basis, we do not have
25 a way to load in the all-cell storage without

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 requesting to increase the burn-up limit beyond the
2 current license limit.

3 CHAIR MARCH-LEUBA: So explain this to me
4 because, If you burn longer, your criticality concerns
5 are less, so I don't understand this.

6 MR. JOYCE: Yes. So the all-cell will be
7 the least restrictive requirements, so it's saying
8 that, as you said, the longer you burn them, the less
9 reactive they are. And so we have to burn to at
10 least, for all-cell, the least restrictive loading
11 requirements, we need to burn to at least, the tech
12 specs would require us to burn to at least 64 GWd per
13 MTU, after which --

14 CHAIR MARCH-LEUBA: But the limiting case
15 would be you place in, you start up, and then you got
16 a leak and you have to take them out and put them
17 somewhere.

18 MR. JOYCE: Yes.

19 CHAIR MARCH-LEUBA: That would be a
20 limiting criticality problem.

21 MR. JOYCE: Yes. So until it reaches that
22 64 GWd per MTU threshold, it will have to be stored in
23 the all-cell two out of four spent fuel pool storage
24 pattern.

25 CHAIR MARCH-LEUBA: Oh, you have a special

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 area of the pool for highly reactive?

2 MR. JOYCE: Well, I don't know If I'd call
3 it special area. It's just the loading patterns have
4 to be more spaced out. There have to be more empty
5 cells between fuel cells.

6 CHAIR MARCH-LEUBA: A special loading
7 pattern for highly reactive.

8 MR. JOYCE: Yes, yes, those that do not --

9 CHAIR MARCH-LEUBA: So you plan to burn
10 this to 64?

11 MR. JOYCE: That would be, that's a
12 separate initiative, a separate LAR, but that would be
13 --

14 CHAIR MARCH-LEUBA: The third cycle?

15 MR. JOYCE: Yes, that will be the third
16 cycle. And, again, one of the ultimate goals of this
17 program, you know, it's kind of a two-part program.
18 The first is get approved to load the LTAs in likely
19 two cycles, likely two cycles of operation. And then,
20 during the meantime, the next couple of years, develop
21 a license amendment request justification further, let
22 some of the topical reports, the understanding of
23 higher burn-up become kind of further along the, let
24 some of the research become a little further along
25 and, then in a couple of years, submit a LAR for a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 third cycle.

2 CHAIR MARCH-LEUBA: Understood. The
3 concern I have is with people like Mike that have to
4 calculate the core, you have to take those bundles in
5 year one, year two, or year three. You cannot take it
6 at year two and a half. You can always make it less
7 than 64, but your time to hit 64 is going to be hot --

8 MR. JOYCE: Yes. So until reality, until
9 about third cycle of operation, it will just be,
10 again, it will be loaded in the two out of four spent
11 fuel pool pattern.

12 MEMBER BALLINGER: So once again, you're
13 playing the long game.

14 MR. JOYCE: This is a long game, yes.
15 But, you know, again, that is the long game, and we
16 ultimately do intend, we'd like to submit and
17 ultimately like to seek approval to load beyond the
18 current license limit and be able to take advantage of
19 this work that Mike and others from Westinghouse have
20 done.

21 CHAIR MARCH-LEUBA: Are you going to ask
22 the question, or should I? If you load a fuel core
23 with six percent, you won't be able to just reload
24 one-third of the core every time. You're going to
25 have to increase your batch size or decrease your

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 batch size? The economics want to be there for a
2 high-enriched core. I mean, I know you're going to
3 have or at least should for longer burn-up, and that
4 guides you to a 50-percent core reload.

5 MR. JOYCE: So right now, out of 193
6 assemblies, we might load, typically it was between 89
7 and 92 feeds per cycle. Going to higher enrichments
8 and higher burnups would allow one of two things: less
9 feed assemblies, maybe instead of 89, maybe we load 81
10 for example, or something else, another potential
11 option would be going from, instead of one-and-a-half
12 year cycles to two-year cycles. Again, those would
13 likely necessitate increase burn-up along the way.
14 Both would offer significant advantage, offer their
15 own advantages to --

16 CHAIR MARCH-LEUBA: But you are the
17 customer. You are the one paying for this. So you
18 see a benefit?

19 MR. JOYCE: We see benefit in both. In
20 reduced batch sizes, less spent fuel pool storage,
21 less into dry casks. And, of course, we see benefits
22 in two-year fuel cycles, too: less maintenance
23 outages, less dose to the workers, et cetera.

24 CHAIR MARCH-LEUBA: And is this a
25 difficult optimization problem. Different people can

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 come up with different solutions, but you're the one
2 paying for it and you see a strategy, a scenario in
3 which these will be beneficial?

4 MR. JOYCE: Yes. We have our smart folks
5 over in nuclear fuel that are working to --

6 CHAIR MARCH-LEUBA: And, typically, the
7 smartest guys in the plant are the ones who do the
8 reload calculations.

9 MR. JOYCE: Yes. They'll figure out
10 what's best for us, for Southern Nuclear.

11 All right. That concludes my
12 presentation. Are there any other questions or any
13 other --

14 MEMBER KIRCHNER: What do you see as the
15 major challenges going forward? So let's assume the
16 lead test assemblies, this program is successful.
17 Then the next step, obviously, is looking at higher
18 enrichment for the whole bundle, what are the big
19 challenges that you see down the road in doing that?

20 MR. JOYCE: Mike, you want to give them a
21 high-level discussion of some of the challenges, you
22 know, some of the issues we've --

23 CHAIR MARCH-LEUBA: If you position
24 yourself right under the green light, speak loud.

25 MR. BOONE: This is Michael Boone from

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 Westinghouse. In terms of down the road, the
2 challenges that are there are just getting that
3 regulatory certainty on loading batches of high-
4 enriched fuel, addressing problems such as FFRD,
5 making sure that the plants will operate safely. It's
6 just getting that regulatory certainty about what will
7 be the requirements for the industry moving forward.

8 MEMBER KIRCHNER: But what are the major
9 limits that you see? Is it rod ejection, or is it
10 your power peaking, or is it burn-up? What are the
11 technical challenges, not just the regulatory
12 challenges?

13 MR. BOONE: I would say --

14 MEMBER KIRCHNER: Safety concerns is a
15 better way for me to say it.

16 MR. BOONE: I would say, from my
17 perspective, my limited perspective, others can
18 differ, is just the burn-up and the challenges that we
19 may have there.

20 MEMBER KIRCHNER: So would that, like in
21 the reg guide for rod ejection, you would be looking
22 for more data there to extend the burn-up limits?

23 MR. BOONE: I would have to ask some of my
24 technical experts to kind of weigh in on that. I
25 probably don't have the background to weigh in on that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 specific question.

2 MR. JOYCE: And I think, for rod ejection,
3 when you do a batch loading, If you have 89
4 assemblies, you don't load 89 assemblies enrichments.
5 You might, you know, a typical loading pattern might
6 have, we'll say 40 assemblies that are 4.2 enrichment,
7 24 to 4.2 and the remainder at 4.6 or 4.8 or something
8 like that. So we could always, you know, most likely,
9 we might be looking at, you know, If we go down to,
10 we'll say 81 feeds per reload, we might have 20 of
11 those be above five-percent enrichment. The majority
12 would still be most likely less than five-percent
13 enrichment, depending on the fuel cycle length and
14 anything else.

15 So I think our core designers could work
16 around and make sure that they, for as far as -- we'll
17 not be required that under rod locations they could
18 put either heavily poisoned, you know, IFBA, WABA, or
19 some other kind of advanced poison, heavily-poisoned
20 rods, lower-enriched rods, there's different options
21 they can do to make sure they meet the analyses.

22 MEMBER BALLINGER: Back to the burn-up
23 issue, is the technical long pole, the tent, If you
24 will, how much of it is technical and how much of it
25 is regulatory? What I'm trying to get at is there's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 this looming FFRD issue that is part of, at least in
2 theory, part of the increased enrichment pool, and the
3 industry is working hard to deal with that now.

4 So is that the issue? Is it regulatory
5 with respect to FFRD, or is it a real technical
6 problem, or some other thing?

7 MR. BOONE: I'm going to be careful how I
8 answer that. I think it depends on perspective. The
9 industry needs to have the data to show that it's not
10 a technical concern, and that's what we're working to.

11 MR. JOYCE: So the higher burn-up is one
12 of our end goals, but, for the scope of this request,
13 though, we intentionally kept it separate to --

14 MEMBER BALLINGER: But you're in the long
15 game.

16 MR. JOYCE: Very true.

17 DR. SCHULTZ: It's the purpose of the
18 LTAs. Fairly higher enrichment must bring with it
19 higher burn-up. If you're going to get a benefit.
20 Otherwise, it just costs more.

21 MR. JOYCE: That's correct. I would agree
22 with that statement.

23 CHAIR MARCH-LEUBA: And I'm talking short
24 game. Are you concerned about transition cores? When
25 you load your first third into the core and a fresh 81

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 bundles with high enrichment, are they being warped
2 too much or are you going to use permeable poisons or
3 -- I mean, it's a problem --

4 MR. JOYCE: Yes. So like I mentioned,
5 they have, there's different options that can be used
6 to flatten the core peaking, different permeable
7 poisons. Right now, we primarily use IFBA and WABA If
8 the rods, If the coatings and WABA rods, maybe we need
9 to do some other kind of burn absorber. There's other
10 options out there to ensure that the various peaking
11 factor limits will be met.

12 CHAIR MARCH-LEUBA: But you do have to
13 have a game plan. This is not going to be a one or
14 two-month effort.

15 MR. JOYCE: Yes. Our folks in
16 Westinghouse and our nuclear fuel group have done
17 multiple studies looking at what it would take to go
18 to, for example, two-year cycles to looking at the --
19 these have all been scoped out, again, scoping
20 studies.

21 CHAIR MARCH-LEUBA: And they've been --
22 going to be recycled before you changed the --

23 MR. JOYCE: Yes.

24 MEMBER BALLINGER: Are we all set with
25 your presentation? Are there any other questions from

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 members or I got to be sure to make sure that the
2 folks that are online also have a chance to chime in.
3 Vesna, Greg, or Dennis, Bob?

4 MEMBER HALNON: No, I'm good. Thanks.

5 MEMBER DIMITRIJEVIC: I'm good, too.

6 MEMBER BALLINGER: Okay. We are actually
7 scheduled for a break, but we're ahead of schedule.
8 We're scheduled for a break at 2:30. Now I'm
9 ambivalent.

10 MEMBER BIER: I'm guessing we probably
11 need a break if the next step is closed session.

12 MEMBER BALLINGER: No, the next step is --

13 MEMBER BIER: Oh, okay. Sorry.

14 MEMBER BALLINGER: I'm just trying to
15 guess how long people can survive if we just keep on
16 going.

17 MR. JOYCE: The closed session was also
18 contingent based on the questions asked right now, so
19 I don't actually believe we have a need for the closed
20 session based on the questions asked.

21 MEMBER BALLINGER: Okay. Why don't we be
22 generous and take a -- what time is it? 2:01 to 2:15.
23 Let's recess until 2:15.

24 (Whereupon, the above-entitled matter went
25 off the record at 2:01 p.m. and resumed at 2:15 p.m.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 MEMBER BALLINGER: Okay. Now it's 2:16,
2 and we're back in session. And the staff folks are
3 up, and I'm not sure who is going to do what. Who's
4 the presenter. Okay. So nobody that's sitting up-
5 front. It's something over there that's doing the
6 presenting. Okay.

7 MR. LAMB: Yes. My name is John Lamb. I
8 work at the NRC's Division of Operating --

9 MEMBER BALLINGER: You're going to have to
10 speak up or get closer to the microphone, yes.

11 MR. LAMB: Okay. Can you hear me now? My
12 name is John Lamb. I work with the NRC's Division of
13 Operating Reactor Licensing, DORL, in the Office of
14 Nuclear Reactor Regulation, NRR. I will describe the
15 licensing actions that SNC has requested. Charlie
16 Peabody from the Nuclear Systems Performance Branch,
17 SNSB, in the Division of Safety Systems, DSS and NRR,
18 will discuss the Updated Final Safety Analysis Report,
19 UFSAR, Chapter 15 Accident Analysis, the loss of
20 coolant accident LOCA accident analyses and the non-
21 LOCA accident analyses.

22 Brandon Wise from the Nuclear Methods and
23 Fuel Analysis Branch, SFNB in DSS in NRR will discuss
24 the code analysis, core physics and cladding. Kent
25 Wood from SFNB in DSS in NRR will discuss fuel

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 handling and storage. Joe Donoghue, the Director of
2 DSS in NRR, will provide the conclusions.

3 SNC has requested four licensee actions.
4 One is a license amendment request, and three are
5 exemptions. The license amendment request is to
6 revise the License Condition 2D and three technical
7 specifications. The proposed change to License
8 Condition 2D is to delete a 1986 exemption to Title 10
9 of the Code of Federal Regulations 10 CFR, Section
10 70.24, Criticality Accident Requirements, because SNC
11 is voluntarily adopting 10 CFR 50.68, Criticality
12 Accident Requirements.

13 Three technical specifications that SNC
14 are proposing are to one tech spec, 3.7.18, Fuel
15 Assembly Storage in the Fuel Storage Pool; two, tech
16 spec 4.2.1, Fuel Assemblies; and, three, tech spec 4.3
17 Fuel Storage.

18 The first exemption is to 10 CFR 50.46,
19 which is the acceptance criteria for emergency core
20 cooling systems for light water nuclear power
21 reactors. And the second exemption is 10 CFR Part 50
22 Appendix K, ECCS evaluations models. The proposed
23 exemptions to 10 CFR 50.46 and 10 CFR Part 50 Appendix
24 K would allow the use of coated AXIOM cladding with
25 ADOPT fuel pellets enriched up to six weight percent

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 Uranium-235. ADOPT, AXIOM, PRIME, ZIRLO, and
2 Optimized ZIRLO are registered trademarks of
3 Westinghouse Electric Company, LLC. The third
4 exemption is to 10 CFR 50.68(b)(7) to allow greater
5 than five weight percent Uranium-235.

6 SNC plans to install four lead test
7 assemblies, LTAs, with accident tolerant fuel, ATF,
8 features in Vogtle Unit 2. The four ATF LTAs with
9 ADOPT uranium dioxide fuel, AXIOM cladding, chromium
10 coating, and four rods per LTA, 16 total rods with up
11 to six weight percent enrichment Uranium-235.

12 SNC is not requesting a higher burn-up
13 greater than its current licensing basis of 60,000
14 megawatt day per metric ton uranium. In the future,
15 the NRC staff expects the licensee to request batch
16 loads greater than five weight percent Uranium-235
17 enrichment and/or higher burnups.

18 Four LTAs that SNC is proposing to install
19 in Vogtle Unit 2 is a Westinghouse 17 by 17 PRIME
20 optimized fuel assembly design, and each contain up to
21 132 rods with Westinghouse ADOPT uranium dioxide
22 pellets at maximum of five weight percent enrichment
23 and coated AXIOM cladding; three rods with
24 Westinghouse ADOPT uranium dioxide pellets at maximum
25 of six weight percent enrichment and coated AXIOM

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 cladding; one rod with Westinghouse ADOPT uranium
2 dioxide pellets at a maximum of six weight percent
3 enrichment and uncoated AXIOM cladding. All other
4 rods will have uranium dioxide pellets at a maximum of
5 five weight percent enrichment; zirconium bifluoride
6 integral fuel burnable absorber, IFBA, coated pellets
7 and coated AXIOM cladding.

8 Now I'm going to turn it over to Charlie
9 Peabody to discuss the USFAR Chapter 15 accident
10 analysis and the LOCA and non-LOCA accident analyses.

11 MR. PEABODY: Thanks, John. So as part of
12 my review, I looked at the accident analysis. When I
13 started with that, kind of the way that it was first
14 broken down was to look at accidents that have core-
15 wide effects and accidents that have local effects.
16 So the accidents that deal with core-wide effects, as
17 you can see on this slide, and I think Ryan mentioned
18 it in the earlier presentation, 16 out of about 51,000
19 rods only actually drives up the total enrichment of
20 the core by three ten-thousandths of a percent. So
21 that was negligible and within the margins of the
22 existing analyses of record.

23 Next slide, please, unless there are any
24 questions. All right. Next slide.

25 Like I said, this increased enrichment is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 not a significant driver of increased source term dose
2 consequences of cooling requirements and it's within
3 the bounds of the existing safety analysis, which we
4 use to establish the source term and dose
5 consequences.

6 Next slide. For the LOCA analyses, the
7 LTA parameters were put into the existing analyses and
8 the containment response, again, are primarily
9 impacted by initial pressure and temperature
10 conditions, as well as the break locations. The
11 difference in enrichment doesn't affect either of
12 those, and that basically makes the analysis of record
13 bounding and doesn't cause any changes for the
14 downstream containment and compartment responses
15 either. And the conclusion of both the large and
16 small-break LOCA analysis was that 50.46 acceptance
17 criteria for LOCAs continue to be met without any
18 modifications to the codes.

19 The non-LOCA analyses, Westinghouse was
20 able to perform an evaluation of some of the non-LOCA
21 analyses. There's no impact to any of the computer
22 codes, methodologies, or acceptance criteria. The LTA
23 geometry material properties and reactivity feedback
24 characteristics didn't have any substantive impact on
25 the analyses, but they remain within the existing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 margins and the LTAs do not impact the departure from
2 nuclear boiling ratio or the peak clad temperatures
3 for an of the --

4 CHAIR MARCH-LEUBA: Let me interrupt you.

5 MR. PEABODY: Okay.

6 CHAIR MARCH-LEUBA: All these conclusions
7 about the computer codes being applicable, are they
8 restricted or limited only to this particular LTA
9 application or is it for any six-percent enrichment?

10 MR. PEABODY: That's a very good question.
11 I would agree with that. This is for this particular
12 application that's before us, and it is largely
13 limited because there are so few actual enriched rods.
14 If the licensee was to propose a batch load, the
15 licensing review that would go along with that would
16 have to relook at all these again and I would expect
17 to see more substantive changes.

18 CHAIR MARCH-LEUBA: To the codes
19 themselves.

20 MR. PEABODY: Yes.

21 CHAIR MARCH-LEUBA: Based on what? I
22 mean, six-percent enrichment doesn't feel like that
23 much. I mean, there's a little change in the
24 spectrum, there's a little change on this and that,
25 but the fuel is still 94 percent U-238.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 MR. PEABODY: I don't know. I don't
2 really want to get too far into hypothetical license
3 amendments. When I have an amendment and we're
4 assigned to review it, then we'll kind of pass
5 judgment on it.

6 CHAIR MARCH-LEUBA: These conclusions are
7 exclusively for this particular application.

8 MR. PEABODY: Yes.

9 CHAIR MARCH-LEUBA: But in a future
10 submittal, we can limit it to the preliminary work
11 that we've done here, right?

12 MR. PEABODY: Yes. And that's my
13 understanding is that that's part of, and I don't want
14 to speak for the licensee in this regard, but I
15 believe that the purpose of these LTAs are to gain
16 more data to go towards a more, you know, broad
17 applicability in the future.

18 CHAIR MARCH-LEUBA: I was planning to make
19 this comment at the end of your presentation, but,
20 since I interrupted you, maybe you can address it
21 during the presentation. We've said it before, this
22 is repeated, this is not ACRS comments. It's an
23 individual member and off-the-cuff feeling, but aren't
24 we overdoing this? For God sake, we just put in 16
25 pins in the core. In the real old times, we put 150

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 pins to see what happens. I'm not saying the licensee
2 doesn't need to analyze and know exactly what happens
3 in their core; they do. They're taking the risk
4 putting it there. Are we even doing the review? Can
5 any of the risk-informed concepts guide us to -- it
6 feels like too much review effort for just 16 pins.
7 And that may be above your pay grade.

8 MR. PEABODY: Well, again, I think it gets
9 back to, again, we review the license amendment
10 requests that are presented to us by the licensees.
11 I think it was also brought up that there is a
12 standard lead test assembly program which is in tech
13 specs. In this case, the licensee felt that they
14 needed to get the data from non-limiting locations, so
15 they submitted it under this. And that's something
16 that, you know, when you ask for that change, you
17 know, we need to review the changes that are made to
18 that. And If we didn't conclude that the risk was
19 unacceptable, but I don't think this is necessarily
20 submitted solely on a risk-informed or risk base. It
21 just gets back to the fact that these quantities are
22 within the licensing basis documents, and, If they
23 need to be changed, it needs to be done under a 50.90
24 review.

25 CHAIR MARCH-LEUBA: Let me put in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 record an attaboy for one of your colleagues. We were
2 reviewing a couple of weeks ago a topical report. He
3 used risk-informed approaches to the review. He
4 called it the risk template. You can ask yourself
5 what can possibly go wrong, what is the consequences,
6 and how probable that is. And based on that template,
7 he made a perfect topical report that said what could
8 go wrong is we misestimated thermal power by four and
9 a half percent, the consequence is nothing, and the
10 probability is 100 percent, but still it's nothing.

11 So you've got 16 pins. Maybe we need to
12 start using risk -- I hate probabilistic risk
13 assessment. I absolutely hate it. But there are some
14 places where risk informed does make sense, and that
15 will be the last time I say anything good about PRA.
16 Just my opinion. You don't need to answer. It's way
17 above your pay grade.

18 MEMBER BROWN: Can I ask you a question
19 about why we're doing it. I totally agree with you.
20 I hate PRA also, from that standpoint. You know that
21 well after 15 years. But it seemed to me, from
22 listening to both of them, they exceeded or violated
23 or got outside the boundary of an exemption that was
24 within the licensing basis, and it seems to me, If I
25 was a regulator, put on another hold hat of not only

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 being the designer but the regulator, as well, that
2 they had to seek agreement that it was okay to exceed
3 that exemption. I mean, that's what they pointed out,
4 exceeding five weight percent for the U-235. So
5 that's just an observation.

6 The other question I had, you said this
7 was kind of trivial, which I agree with, 16 out of
8 51,000 pins or whatever, but then asked about what If
9 you put them all in. And to me, that was 4.2 to 6 is
10 more than 30 percent or 25 percent or something like
11 that, and that seems to be a pretty big number. So I
12 guess I'm, so in the few instances, I'm asking you a
13 question, as opposed to you asking me.

14 CHAIR MARCH-LEUBA: Well, let's bypass the
15 staff on this. If you ask yourself on the risk
16 template what can possibly go wrong, the answer -- and
17 then the second one is what are the consequences.
18 Whether there's 16 pins or 100,000, it makes a big
19 difference. But in this particular problem I would
20 ask myself what could possibly go wrong If you put
21 six-percent enriched uranium in the facility? Well,
22 obviously, criticality comes to mind. What would be
23 the consequences? Real bad. If you miss your
24 criticality prediction, that's a bad consequence.
25 And, therefore, we need to review criticality.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 But what can possibly go wrong that the
2 DMB limit is off by one percent because some power
3 change or something like that? What are the
4 consequences? Nothing. So we don't have to
5 concentrate our effort on DMB review, we have to
6 concentrate on criticality.

7 That type of argument, I'm just giving you
8 --

9 MEMBER KIRCHNER: Usually, the criticality
10 margins are even much bigger than DMB margin.
11 Obviously, like in storage conditions, you're looking
12 for a K less than 0.95. That's huge. So four pins
13 are not going to have a big impact there.

14 But as I was suggesting earlier, depending
15 where the four pins are in the bundle, you could
16 actually exceed this last bullet in certain scenarios.
17 So that's a factor, I assume, you all looked at that
18 specifically, If they put the four pins by a control
19 rod guide thimble, you get a nice peak out of that.
20 And If you had a rod ejection, If it were in a control
21 rod location, you'd get a nice bump out of your six
22 percent when you did the analysis --

23 CHAIR MARCH-LEUBA: But they told us --

24 MEMBER KIRCHNER: -- not such an issue for
25 things like --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 CHAIR MARCH-LEUBA: And that's why they
2 put the LTAs on an element. So I'm just thinking here
3 it feels a little bit too much.

4 MEMBER BALLINGER: We're being a little
5 bit tongue-in-cheek here, but the bottom line is, If
6 we write a letter, it has to answer the question is
7 there a safety issue, you know, and that's what we're
8 after. So that's why some of these questions are
9 answered. I mean, a 50.46 exemption, that's a routine
10 thing because Zircaloy-4 is the last one that's in the
11 rule. People have to, If they want to use M5, they
12 got to get an exemption, right? So some of these
13 things are administrative.

14 Anyway, I mostly agree with Jose, but,
15 again, now it's two persons' opinion.

16 MEMBER KIRCHNER: But both parties have to
17 do due diligence.

18 MEMBER BALLINGER: Yes, of course. Yes,
19 yes. And that's what you're doing. That's what
20 you're doing.

21 MEMBER SUNSERI: So this is Matt. I want
22 to be on the record to say I embrace the use of risk-
23 informed decision-making because it reminds us of some
24 of our processes. But that's not my question. My
25 question is you used some language on this slide and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 the previous slide. I'll just read the bullet: no
2 impact to computer codes, methodology, or acceptance
3 criteria. And I just want to make sure I understand
4 what that statement is saying because the way I'm
5 reading this is the enrichment is what's changed and
6 you've looked at the computer codes and they can be
7 used as-is and the methodology can be used as-is. And
8 when I use those computer codes and the methodology
9 with the enrichment that's being proposed, the
10 acceptance criteria is still being met. Is that the
11 way to read that statement, or are you intending
12 something else with the way that's worded?

13 MR. PEABODY: Yes, that is the way to read
14 that statement, but I would give the same caveat that
15 your colleague just brought up that that's for this
16 particular application and the fact that there is a
17 very small overall increase in enrichment that keeps
18 those codes and methodologies bounding. If you had a
19 larger-scale change, you would have to look at that
20 again.

21 MEMBER SUNSERI: Okay. Thank you.

22 MEMBER BALLINGER: Let's proceed on a less
23 philosophical level here.

24 MR. PEABODY: The one localized accident
25 which did have impacts was the control rod ejection

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 event. Again, this was discussed in the last section,
2 and we ultimately came in the amendment to specify
3 that, while we are permitting certain non-limiting
4 locations, they have to remain limiting with respect
5 to the rod ejection analysis.

6 Next slide. This is where I turn it over
7 to Brandon.

8 MR. WISE: Hi. I'm Brandon Wise with the
9 Nuclear Methods and Fuel Analysis Branch, and I did
10 the review for neutronics, core physics, thermal
11 hydraulics, and fuel rod design.

12 For the neutronics portion of the review,
13 SNC used the PARAGON lattice physics code for
14 neutronics calculations. PARAGON itself is not
15 approved for enrichments greater than five percent,
16 but, because there are only 16 rods that are greater
17 than five percent, it's not that big of an issue. We
18 don't believe that there's some significant
19 discontinuity after five percent in PARAGON code
20 performance.

21 Furthermore, PARAGON2 is approved for
22 enrichments greater than five percent, and it was
23 approved partly based on code-to-code comparisons with
24 PARAGON, which showed good agreement between PARAGON
25 and PARAGON2. So that further justifies the use of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 PARAGON for this specific application at enrichments
2 greater than up to six percent.

3 CHAIR MARCH-LEUBA: I'm not familiar with
4 Westinghouse method. What's the difference between
5 PARAGON and PARAGON2 and why didn't they use PARAGON2?

6 MR. WISE: PARAGON2 is an updated code.
7 I can't recall the exact specific --

8 CHAIR MARCH-LEUBA: Was it approved?

9 MR. WISE: PARAGON2 is approved. It's
10 been reviewed and approved, and my next slide will go
11 into, actually the second bullet point there has a
12 line from the safety evaluation that PARAGON2 has been
13 shown to be acceptable to analyze the neutronic
14 performance of new and unapproved fuel designs, which
15 we've extended that to apply to these LTAs and the
16 characteristics of the LTA, such as ADOPT fuel.
17 That's for PARAGON2 but not for PARAGON, of course,
18 because of the code-to-code comparisons with PARAGON2,
19 we've sort of extended it for this specific
20 application.

21 MEMBER KIRCHNER: Usually, you don't do
22 code-to-code within a code sweep or evolution. So I'm
23 assuming somewhere PARAGON or PARAGON2 was benchmarked
24 against NCMP or something else. Is that a correct
25 assumption?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 MR. WISE: It's not the sole justification
2 for the approval of PARAGON2, and I think that's true
3 for just about every code we approve that it can be
4 part of it but it's not the sole reason we would
5 approve a code.

6 DR. SCHULTZ: But, Brandon, is this just
7 a timing issue here that it is that, when SNC did
8 their evaluation, they used PARAGON and NEXUS? It
9 seems like that was an earlier version of what
10 PARAGON2 is.

11 MR. WISE: I'm not familiar with that. I
12 just know that PARAGON and NEXUS are the license codes
13 for SNC. And, lastly, that there's no proposed
14 changes to the nuclear design process, so we don't
15 believe there's any reason that PARAGON would be used
16 out of its comfort range.

17 Next slide, please. For core physics, the
18 FLEX spectrum will continue to be dominated by the co-
19 resident fuel because of the limited number of LTAs
20 and high-enriched rods. The peaking factors remain
21 less than what is assumed in the FSAR. As was stated
22 before, the higher-enriched rods in ADOPT fuel --

23 CHAIR MARCH-LEUBA: And that's used in the
24 six-percent pins?

25 MR. WISE: Yes. There will be some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 increased peaking factors, but those, at increase, is
2 less than the assumptions in the FSAR. The
3 differences between the LTAs and co-resident fuel are
4 modeled explicitly, so the codes that are used to
5 model these LTAs will capture any relevant phenomena.
6 There may be some increases in uncertainty as you go
7 beyond the approved range of applicability, but we
8 don't believe that this will take the codes into areas
9 where they're wildly uncertain. And, lastly, the
10 neutronic impact of the LTAs is likely to be confined
11 to the LTAs, such that they don't adversely affect the
12 neighboring co-resident fuel.

13 Next slide, please. For thermal
14 hydraulics, the codes and methods used by SNC are
15 mostly unaffected by LTAs. The thermal hydraulic
16 performance in general, the enrichment and ADOPT fuel
17 pellets has very little effect on the thermal
18 hydraulic performance. There's no changes to the
19 related acceptance criteria, and there is no expected
20 loss of margin for DMB. And the coated cladding,
21 which might improve thermal hydraulic performance is
22 not credited in the SNC analysis and is instead
23 modeled as an increase in the outer diameter of the
24 AXIOM cladding, which would result in negligible
25 reduction in flow area. And, again, we don't believe

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 this will have any significant impact on the thermal
2 hydraulic analysis.

3 MEMBER KIRCHNER: So, Brandon, I find that
4 last bullet interesting. This coating is microns,
5 correct?

6 MR. WISE: Yes.

7 MEMBER KIRCHNER: Our thermal hydraulic
8 codes aren't good enough to a change of thickness
9 measured in microns first. Is there any significant
10 change in the cladding thermal conductivity as a
11 result of the cladding being coated?

12 MR. WISE: There will be slight
13 differences in the thermal conductivity, but the
14 coated cladding, it's thickness and the differences in
15 the thermal conductivity would have little impact.
16 And the choice for coated cladding is largely due to
17 similarities with the zirconium or Zircaloy substrate.

18 MEMBER KIRCHNER: So, yes, I would just
19 make an observation, it's not a question, that our
20 models aren't that good to change the cladding
21 thickness by microns and expect to see -- If you did
22 see a big difference, I would want to know why because
23 the subchannel analyses and the system codes aren't
24 going to pick that up.

25 But going back to your physics law, it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 would seem to me that the core physics actually, I
2 wouldn't see a big change in uncertainty in core
3 physics because you go to six percent because that
4 part is well-modeled in the actual methods. I mean,
5 the amount of U-235 that's in the fuel and the cross-
6 sections are a count of that, so the uncertainty in
7 the core physics models as you go to six percent is
8 probably not significant.

9 MR. WISE: They probably decrease because
10 the cross-sections associated with U-235 are more well
11 understood.

12 DR. SCHULTZ: I was going to mention that
13 you'll get both have gone over the wide range of
14 enrichment.

15 CHAIR MARCH-LEUBA: If anything, I would
16 be worried about additional burn-up, which are the
17 hardest part to model. So If you are trying to
18 overcompensated for the six percent by putting more of
19 something else, then you still have the assumption but
20 still minimal. It's going from five to six.

21 MEMBER KIRCHNER: So, Brandon, it's
22 probably unfair to ask you this question, but I'll
23 throw it anyway. I think it's good to ask unfair
24 questions.

25 A lot of these limits that we have in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 regulations are just arbitrary. Five percent, there's
2 no technical reason why we couldn't go to six percent,
3 other than it's outside the experiential basis that we
4 currently have.

5 DR. SCHULTZ: It wasn't what was set
6 before.

7 MEMBER KIRCHNER: Yes. But from the
8 physics, the methods standpoint, five or six percent,
9 it doesn't matter. The physics methods will work
10 equally well. They don't realize there's a regulation
11 that says only five somewhere. The methods are much
12 more generic than that.

13 At some point, it's something for the
14 staff to think about. We went through, you, not we,
15 went through a review, 50.52, and the scope of that
16 was limited just to reconcile and take into account
17 lessons learned. But at some point perhaps, the staff
18 can propose something with regard to the existing
19 regulations that is more a technically sound basis for
20 some of the limits that we see, such that the industry
21 isn't coming back asking for exemptions. I mean, you
22 wouldn't want, like you were saying, Charlie, for them
23 to do an LAR for a specific change to the core, but
24 the five-six percent of that is somewhat --

25 MR. PEABODY: So that's actually something

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 that the staff is considering very thoroughly right
2 now. One of my other tasks is I am on the increased
3 enrichment rulemaking working group, so we're looking
4 at and we're looking across all a bunch of different
5 regulations. We're currently taking the regulatory
6 basis based through concurrence, and I believe that we
7 are going to be trying to get on your calendar
8 shortly.

9 MEMBER BALLINGER: Joe Donoghue used to
10 have his hand up.

11 MR. DONOGHUE: Charlie just nailed it.
12 Thank you, Chair.

13 MR. MARKLEY: This is Mike Markley. I'm
14 the chief of licensing for Vogtle. And just a little
15 bit of history. As you know, 50.68 is a voluntary
16 regulation. We were having lots of exemptions back
17 when most plants, 70.24 was their licensing basis.
18 And so the ones who chose to go with 50.68 as their
19 licencing basis, we weren't doing exemptions for all
20 those small changes in enrichment under five percent.
21 And so that was, it went through a rulemaking, and it
22 was because, If you have this many exemptions for a
23 particular regulation, there's probably something
24 wrong and you might need to fix it. And that's what
25 50.68 was.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 And back on the other piece of this, had
2 they chosen to, for example, put them in non-limiting
3 locations that's one less amendment we would have had
4 because they would have met that tech spec without any
5 request.

6 MR. WISE: Okay. Now I'll go through each
7 of the characteristics in the LTA, starting with the
8 AXIOM cladding. The topical report was approved in
9 December 2022, which was a few months after the
10 submittal of this application, so it was not adopted
11 by the licensee in their tech specs for their license.
12 However, the staff did use the topical report and the
13 associated conclusions to better inform our safety
14 determination.

15 Use of AXIOM cladding does require an
16 exemption from the applicability requirements in 50.46
17 and Appendix A. This is consistent with Optimized
18 Zirloy, and there's lots of precedent for this.

19 Next slide, please.

20 DR. SCHULTZ: Brandon, before you leave
21 that, the question that's not pertaining to that slide
22 particularly but rather AXIOM cladding. I just
23 noticed that in all, because you probably did this
24 modeling, in all the four LTAs, there's only one rod
25 that is not coated with AXIOM. It's an uncoated rod.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 Do you know what the rationale is for having one rod
2 or assemblies that is uncoated? Is there something
3 we're going to learn from one six-percent rod that's
4 not coated?

5 MR. WISE: Maybe someone can correct me If
6 I'm wrong, but I believe they're all AXIOM and only
7 one of them is uncoated with chromium.

8 DR. SCHULTZ: Yes, that's what I meant.
9 Yes.

10 MR. WISE: I don't have the specific
11 rationale. That would be a question better suited for
12 SNC. But I imagine it would be to compare the
13 performance between coated and uncoated AXIOM.

14 DR. SCHULTZ: A few more rods in that same
15 category would have helped, but we'll see what happens
16 for that rod.

17 MR. WISE: AXIOM cladding is a zirconium
18 alloy which is demonstrated better in reactor
19 performance than Optimized Zirloy. For the purposes
20 of this review, we assumed that AXIOM performs at
21 least as well as Optimized Zirloy, so there's no
22 reduction in performance or loss of safety margin
23 compared to the co-resident fuel which does use
24 Optimized Zirloy. Therefore, the NRC staff determined
25 the use of AXIOM cladding in these LTAs is acceptable

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 because there are no expected loss of safety margin or
2 reduction in any acceptance criteria because the same
3 acceptance criteria from 50.46 are used.

4 Next slide, please. Most fuel rods or,
5 rather, all but one fuel rod will have a thin chromium
6 coating for increased corrosion resistance, and this
7 is not credited in the analyses. It's instead modeled
8 as a small increase to the outer diameter of the AXIOM
9 cladding.

10 Next slide, please. Overall, we concluded
11 that there's no expected loss of safety margin
12 associated with the chromium coating. However, there
13 is one phenomena that is detailed in the ATF Interim
14 Staff Guidance 2020-01 which states that reduced
15 cladding emissivity is a potential adverse effect on
16 the chromium coating. This is because the chromium
17 coating has enhanced corrosion resistance; and,
18 therefore, it has a shinier surface which results in
19 a lower emissivity, which corresponds to a higher peak
20 cladding temperature when radiative heat transfer is
21 the primary means of heat transfer, such as in a LOCA.

22 SNC's analyses indicate that during LOCA
23 conditions the difference in emissivity between the
24 coated and uncoated cladding has little effect on PCT.
25 This was resolved during a supplement when we inquired

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 further about the specific phenomena.

2 Four rods in each LTA will be enriched to
3 a maximum of six weight percent of U-235. There's
4 some codes and methods that were approved or have data
5 in this range of extended enrichment. It's fairly
6 common for some codes to be approved up to five
7 percent but have data and bench marking well beyond
8 that, and so that was the justification for why some
9 of the codes and methods were applicable to these
10 higher-enriched rods. And also the biggest part of
11 the justification is the fact that there's only 16 of
12 them in a core of 50-something thousand.

13 Overall, the neutronic impact of the LTA
14 is expected to be small and confined to the LTAs.
15 There's no adverse effects on the co-resident fuel.

16 And, lastly, ADOPT fuel pellets. The
17 topical report was approved on June 2022, which was
18 about two weeks before the application was submitted.
19 So some of the finer details of that were not
20 addressed in the application, specifically this one
21 limitation and condition in the SE that licensees must
22 demonstrate that control rod ejection models, methods,
23 and acceptance criteria must be demonstrated to be
24 applicable to fuel designs containing ADOPT fuel
25 pellets. While it's not explicitly addressed in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 application, SNC does state that the LTAs will not be
2 placed in positions that are limiting with respect to
3 control rod ejection, and this was enough for us to
4 say that this limitation condition would have been
5 satisfied should they have adopted the topical report.
6 Technically, it's not necessarily for them to address
7 this, but we did use the topical report and its
8 conclusions to inform our safety determination, and we
9 felt that this specific limitation and condition was
10 significant.

11 Next slide, please. ADOPT fuel pellets
12 contain a small amount of chromia and alumina, which
13 result in a higher density than standard UO2 pellets.
14 Therefore, these ADOPT fuel pellets have a greater
15 quantity of fissile material and may be more sensitive
16 to reactivity-initiated accidents, which is why that
17 limitation and condition regarding fuel rod ejection
18 models exists.

19 And as I stated earlier, SNC has stated
20 these LTAs will not be placed in positions that are
21 limiting with respect to rod ejection accidents, which
22 means that they won't be placed in rodded locations.

23 CHAIR MARCH-LEUBA: But, Brandon, thinking
24 the long game, eventually, we're going to have to go
25 a third of the core in there. How do you envision

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 this limitation to be resolved?

2 MR. WISE: The licensee will have to
3 provide some analysis that demonstrates that its
4 control rod ejection models, the models that they use
5 perform adequately for ADOPT fuel pellets. I believe
6 there's some more specific language included in the
7 topical report for ADOPT fuel that I cannot recall
8 right now.

9 CHAIR MARCH-LEUBA: I'm not sure, I'm
10 pretty sure there's an experiment out there that has
11 some increased enrichment, but the random ramp
12 experiments with chromium dope ramps, power ramps,
13 we'll have to make a plan of what will be sufficient
14 to satisfy.

15 MR. WISE: And that will be a significant
16 part of the review when batch loads of ADOPT fuel come
17 in.

18 CHAIR MARCH-LEUBA: From the point of view
19 of the licensee, I mean, whenever you have a guide, a
20 regulatory guide or an SRP, it's easier to satisfy it
21 If you know what questions the staff is going to ask
22 me. If you are playing the game, it creates a lot of
23 regulatory uncertainty. I mean, it would be nice to
24 think from the point of view of the regulator what --
25 I'm not asking you to write a regulatory guide but

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 think what would be sufficient.

2 MR. WISE: And the reg guide for control
3 rod ejection would play a big role in determining
4 whether or not the model is applicable to ADOPT fuel,
5 and that justification for why that reg guide would be
6 applicable would come with the application.

7 Next slide, please.

8 MR. SMITH: Before you move on, I
9 apologize, this is Jim, Westinghouse. I wanted to get
10 a clarification relative to the last sub-bullet on
11 this slide. Radu, can you provide that clarification?

12 MR. POMIRLEANU: Yes. It was stated
13 earlier that not being limiting with respect to rod
14 ejection accident, the LTA will not be placed in a
15 rodded location. While this is indeed achieving that,
16 it is not necessary that the LTA not be placed in a
17 rodded location. What we meant by not limiting in the
18 rod ejection accident means that the LTAs are less
19 limiting than the co-resident fuel in a rod ejection
20 accident. There are rodded locations and there are
21 rodded locations in the core. Some of them are more
22 susceptible to higher exertions or, you know, their
23 neighbors may be susceptible to higher exertions,
24 depending on whether a fresh fuel or burned fuel.

25 So what was meant in the LAR was just,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 like I said, the LTA are less limiting than the co-
2 resident fuel, not that the LTAs will not be placed in
3 a rodged location.

4 CHAIR MARCH-LEUBA: This is Jose. I
5 thought the question we were talking with Brandon
6 about is the applicability of your methods to analyze,
7 to reach the conclusion that you just mentioned. Is
8 the method applicable to this LTA, and the staff has
9 to agree with that, right? We're not questioning the
10 result. The result is obvious. As long as it's not
11 limiting, no matter what it is, it's good. The
12 question is is the method appropriate to calculate
13 that conclusion?

14 MR. WISE: I'll elaborate a bit more on
15 the justification used to reach that conclusion.
16 Because the LTAs are not in positions that are
17 limiting with respect to control rod ejection, they're
18 distant from the limiting position, and so they
19 essentially are viewed from the perspective of the
20 limiting position as co-resident fuel because the
21 differences are actually quite minor. And so the LTA
22 characteristics almost become invisible at that point.

23 And so the control rod ejection model
24 itself is not shown to be adequate for ADOPT fuel for
25 this application. It's shown that the LTA does not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 affect the control rod ejection model.

2 CHAIR MARCH-LEUBA: Let me clarify. I
3 mean, the method is not shown to be applicable. It
4 was not attempted to be verified. We didn't try to
5 verify the method. It's not that we tried to do it
6 and failed.

7 MR. WISE: Right. We determined that it
8 wasn't really necessary to go any farther than what
9 was shown on this slide. Because it's not being
10 placed in a limiting location, there's no further
11 justification needed and no further clarification
12 needed to satisfy the limitation condition.

13 Next slide, please. And now I'll hand the
14 presentation over to Kent Wood to discuss fuel
15 handling.

16 MR. WOOD: Thanks, Brandon. Now we get to
17 the fun part. So SNC changed their licensing basis
18 from an exemption to 70.24 to 50.68. 50.68, Paragraph
19 B7, says you have a maximum enrichment of five weight
20 percent of Uranium-235 and they want to go up above
21 that for a couple of rods, 16 rods total, for each of
22 the four LTA fuel assemblies.

23 Next slide. So these four rods,
24 criticality is a localized effect, not a core-wide
25 effect or a pool-wide effect. So we look on an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 assembly-wide basis, and they're still not adding a
2 lot. You know, it's 0.015 percent more fissile
3 material to a fuel assembly with those four rods in a
4 standard analysis basis of five weight percent.
5 That's like a third of the U-235 enrichment
6 manufacturing uncertainty of 0.05 percent.

7 Next slide, please. What's really
8 adding more fissile material is the higher theoretical
9 density of the ADOPT pellets. This slide says that,
10 you know, I'll get down to the bottom, its lifeline's
11 a little different. So the question we're adding
12 here, like, the theoretical density, this the
13 theoretical density. It adds, you know, 1.85, like
14 those numbers are all accurate out to the third
15 decimal place, right? You're adding more to the LTAs.
16 That's okay. I can work with that. You know, you
17 just consider everything being on one slide, you put
18 everything on five slides so people can read it.
19 Makes sense.

20 So the theoretical density, like we saw,
21 is adding much more actual fissile material to the
22 fuel assemblies in the enrichment, in the higher-
23 enrichment rods. I mean, it's a minimal effect from
24 the enrichment rods themselves.

25 Next slide, please. This is all leading

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 up to this. Here's the total amount of fissile
2 material that's being added with respect to the new
3 fuel storage vault, and the spent fuel pool analysis
4 of records is, you know, 1.2 percent and 0.4 percent
5 respectively. I bring these numbers up because, you
6 know, our risk informed people use this to how deep do
7 we need to dive into the criticality analysis compared
8 to what we've got. So this is relatively minor
9 increases in the amount of fissile material.

10 Next slide, please.

11 MEMBER BALLINGER: So let me make sure I
12 understand this. The ADOPT fuel is approved?

13 MR. WOOD: Yes.

14 MEMBER BALLINGER: So they're going to
15 stick that fuel in the spent fuel pool presumably --

16 MR. WOOD: Yes.

17 MEMBER BALLINGER: And it's got that
18 theoretical density.

19 MR. WOOD: Yes.

20 MEMBER BALLINGER: And the increase in
21 enrichment to less than six percent is less by a
22 substantial amount than the increase in enrichment
23 that occurred when they went from regular pellets to
24 ADOPT?

25 MR. WOOD: Now, see, when they go to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 ADOPT, they don't increase the enrichment. They just
2 increase the theoretical density.

3 MEMBER BALLINGER: Density. I'm sorry.
4 The increase in density, so the fissile density. Yes,
5 the U-235 loading was increased by one point something
6 percent.

7 MR. WOOD: Yes, much more than the
8 enrichment.

9 MEMBER BALLINGER: Yes, much more than the
10 enrichment, so why are we having this conversation?

11 MR. WOOD: Because they submitted the
12 license -- because they need the exemption to 50.68,
13 and we have to do our due diligence, right? And so
14 that's why we're here, you know. And we're trying to
15 do this as simply, as easily, and effectively as
16 possible, and that's why I'm bringing this up to say,
17 like, okay, so how much is this, how much margin do I
18 need, because when they did these, you know, like,
19 they did calculations, they did engineering judgment.
20 They didn't actually go into these and do what would
21 be termed a normal 95-95 type of calculation. They
22 did some calculations, got some margin. These margins
23 are huge; that's good enough, and that's what we're
24 going on. And so I'm using this to say the actual
25 increase in fissile material is small, and that hopes

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 substantiate the idea of accepting those larger
2 margins as being enough to cover these small
3 increases.

4 Can I get the next slide, please. Okay.
5 So the nuclear storage racks, the exemption they're
6 crediting the IFBA in the LTAs where the licensing
7 basis does not. The LTA, you know, like, the IFBAs,
8 which is the installed poison, you know, provides a
9 lot of hold-down margin, provides enough adequate.
10 Like I got down here, it's 12,000 pcm, 0.12 delta k.
11 I can never talk about these things in dollar amounts;
12 that never made any sense to me. But, you know, you
13 got huge margins here on, like, crediting the IFBAs
14 and the new fuel storage vaults for a relatively small
15 increase in change in fissile material.

16 Can I get the next slide, please. All
17 right. So we believe with that large margin, that,
18 you know, we're going to meet 50.68, Paragraphs B2 and
19 B3. B2 is fully flooded, B3 is the optimum
20 moderation.

21 Next slide. Spent fuel pool racks. So
22 they're limiting their exemptions to two storage
23 configurations, overall much more than two. The two
24 out of four storage configurations was mentioned
25 before. That's your standard checkerboard,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 alternating fresh unpoisoned, unburned fuel with empty
2 cell. So that's what you're checkerboarding,
3 alternating back and forth, like your standard
4 checkerboard. And that's what it looks like.

5 CHAIR MARCH-LEUBA: And there's spent fuel
6 pool --

7 MR. WOOD: Okay. Here we go. So this is
8 a repeating two-by-two array. That's what makes it
9 look like your standard checkerboard. All right.
10 Next slide, please. This is the all-cell. The all-
11 cell configuration is where it's a repeating two-by-
12 two array where every storage cell is assumed to have
13 a fuel assembly of equivalent reactivity, and so that
14 would mean there's two-by-two arrays, you know, all
15 four of those arrangements would have a fuel assembly
16 in them, and there's a burn-up enrichment loading
17 curve, you know, depending on how much your initial
18 enrichment, how much burn-up is required to give you
19 this equivalent reactivity. And these are repeated in
20 the model with periodic boundary conditions, so it's
21 an intimate repeating array.

22 They're not allowing any other storage in
23 any other Unit 2 spent fuel pool storage
24 configurations, which there are several. And there's
25 no storage in Unit 1 allowed at all.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 So two out of four exemption credits, the
2 IFBA, and the LTAs, whereas the spent fuel pool does
3 not, so this gets us similar to the new fuel storage
4 facts. Two out of four, so, it's the numbers here.
5 You know, so they're looking here at about 15,000 pcm
6 of margin is what they've calculated. The last bullet
7 there, they said that margin won't be challenged and
8 it will decrease, but it will never be like it's a
9 fresh fuel assembly. So that's the reason why I put
10 it there. You know, it's one of those things that we
11 look at it, we accept it, and we move on to the next
12 slide.

13 Four out of four configuration. This
14 exemption requires burn-up in the LTAs. The analysis
15 of record burn-up is about 4 GWd, you know, for a
16 fresh fuel assembly. It's actually about 39.5 GWd for
17 a fresh five-percent enriched fuel assembly, and they
18 put in a limit of 64 GWd, you know, which proves a lot
19 of margin.

20 So how do you come up with 64? Is that
21 enough margin? Probably.

22 Next slide, please. So I went in and I
23 looked at that their analysis of record, and their
24 analysis of record has a third order polynomial for
25 calculating the enrichment loading curve. So they can

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 calculate how much is required at zero, you know, like
2 a zero burn-up, two, three, four, five percent, and
3 then they fit it with a loading curve. And in this
4 case, there's a third order polynomial and there's
5 analysis of record. So I just extrapolated five
6 percent out to six percent, and it said it would need
7 about 53 GWd. You know, that's not exactly, that was
8 certainly not the 95-95 number. But that would
9 represent a fuel assembly where all of the fuel rods
10 were at six percent, not just four.

11 CHAIR MARCH-LEUBA: You're kind of --

12 MR. WOOD: Okay. Going too fast?

13 CHAIR MARCH-LEUBA: No. I mean, I asked
14 the question earlier, an hour ago, about this thing,
15 so are we requiring them to be able to unload fuel
16 from the core, it needs to be sufficiently burned so
17 it fits in the suppression pool? I mean, If you don't
18 have it at 53, you can't put it there?

19 MR. WOOD: Well, their requirement is 64.

20 CHAIR MARCH-LEUBA: I know.

21 MR. WOOD: So they're not going to be able
22 to put it in the pool because they'll never get to 64
23 at this point.

24 CHAIR MARCH-LEUBA: So is --

25 MR. WOOD: Back up a slide, please. Back

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 up a slide until we get to the two out of four. All
2 right. So this two out of four is fresh fuel, and
3 they can store it like fresh fuel If they want to
4 forever because there's no burn-up requirements for
5 them to store it in that checkerboard arrangement.

6 CHAIR MARCH-LEUBA: Do we have enough
7 suppression spent fuel pool capacity?

8 MR. WOOD: That's their question.

9 CHAIR MARCH-LEUBA: Well, I mean, you can
10 elect that they are.

11 MR. WOOD: Well, it's a business decision
12 on their part, not a technical decision.

13 CHAIR MARCH-LEUBA: No. I mean, If we
14 approve on LAR, we're saying they can do it.

15 MR. WOOD: We're saying that it will meet
16 the regulations If they do it. If they run out of
17 storage space, I mean --

18 CHAIR MARCH-LEUBA: If you allow them to
19 load the fuel into the core, you have to be able to
20 take it out. Something happens.

21 MR. WOOD: And they can store it like
22 fresh fuel.

23 CHAIR MARCH-LEUBA: Correct. But my
24 question is can they do it? Do they have enough
25 space?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 MR. WOOD: That's their business decision
2 to maintain full core offload capability If they need
3 to. There's no requirement to maintain full core
4 offload capability.

5 MEMBER KIRCHNER: If you're shut down, the
6 you're shut down.

7 MR. WOOD: I mean, you just leave it in
8 the pool, you just leave it in the core. I mean --

9 MEMBER KIRCHNER: They're not going to do
10 that, Jose, for business reasons.

11 MR. WOOD: I mean, I hear what you're
12 saying, but, you know, If they have a means to store
13 that fuel safely in the pool. Now, licensees manage
14 their spent -- this is off-topic really. Licensees
15 manage their spent fuel pool inventory or what's in
16 there with cask campaigns and whatnot, and they do it
17 to their whatever fits in with their business sense,
18 you know, their business plan. And sometimes they may
19 or may not have, they may not have full core offload
20 capability at any given, you know, like all the time,
21 24/7/365. There may be some time when they don't.
22 There's no regulation that requires them to have it.
23 Now, it makes good business sense to have it most of
24 the time, but, you know, they can run into financial
25 risk to not have it, but that's not a regulation. But

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 they could store it in the two out of four fresh fuel
2 checkerboard indefinitely.

3 CHAIR MARCH-LEUBA: This is a moot issue
4 for what we're talking about today, which is the four
5 LTAs. Obviously, four LTAs will fit anywhere. But in
6 the longer term, it would be nice to at least know the
7 answer.

8 MR. WOOD: Well, I mean, you'd have to ask
9 them. This is an issue for them whether they have
10 these LTAs or not. I mean, If they have to shut down,
11 you know, like mid-cycle after they reloaded the core,
12 do they have enough space to store those fuel
13 assemblies. That's the reason they have more than
14 these two storage configurations they're allowed to
15 use, and managing the spent fuel pool real estate, you
16 know, is an art. And I've got guys that probably do
17 that full-time at each site.

18 CHAIR MARCH-LEUBA: They're never going to
19 reach 64 GWd in the next few years.

20 MR. WOOD: No, not in the next few years.
21 They said they'll probably have to come for another
22 amendment. So why did they come up with 64? Because
23 they thought it has enough margin that we don't really
24 have to go into a precise detailed criticality
25 analysis that If they were going to go and say, okay,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 I need exactly this much burn-up and no more, you
2 know, If they were going to go into a -- that's why I
3 was saying before, they came up and they've done
4 analysis and they've applied engineering judgment to
5 say, all right, this is what I think I'm going to
6 need, I'm going to increase that margin so it gets
7 through the regulatory analysis without having to do,
8 you know, spending hundreds of hours on a safety
9 analysis when you've got a ton of margin. And so
10 that's a risk-informed way to do things. I mean, why
11 go and spend that when you don't need it?

12 CHAIR MARCH-LEUBA: I'm not saying no. In
13 fact, I was suggesting --

14 MR. WOOD: So there's always a question of
15 whether or not, it's the standard comes up, basically,
16 is whether licensees have full core offload
17 capability. They usually do, you know, like, in any
18 given moment, they may not as it goes through their
19 cask loading plan, but I don't know what there are at
20 any given time at any given licensee because it
21 changes all the time.

22 So can we get back up to -- I think I'm
23 almost done. Well, it might be 35 up there. So right
24 here. So what I'm saying here is I went and I looked
25 at their analysis of record, you know, in using their

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 third order polynomial on their analysis of record, a
2 six percent weight fuel assembly where all the control
3 rods were six percent would require somewhere in the
4 order of about 53 GWd. They put in a 64 GWd burn-up
5 limit, so, to me, that 64 provides tons of margin and
6 we can move on to the next question.

7 Next slide, please. So then it comes down
8 to the accident, and the accident that they've
9 analyzed, which is a multiple misloading event, they
10 co-located the unburned LTAs as the limiting accident.
11 You know, multiple misloadings of fresh unpoisoned
12 and, like, unburned fuel assemblies is typically the
13 limiting accident for the spent fuel pool.

14 The accident they estimated, they
15 calculate the LTAs would be less than 0.95 with the
16 tech spec cyber born of 2,000. In my initial read of
17 that, I do not think that that analysis provided
18 sufficient margin to go without, to preclude the
19 detailed analysis that we would normally see.

20 So can I get the next slide? But that did
21 not include the credit for ht IFBA, which are going to
22 be there. So taking into account that the IFBA are
23 going to be there in that two out of four loading
24 configuration, I believe that they provide sufficient
25 margin for that misloading accident to preclude the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 need for a more detailed analysis.

2 Next slide. All right. So here are my
3 conclusions. The exemption request contains
4 substantial margin for the two out of four and four
5 out of four storage configurations. When IFBA is
6 considered in a multiple misloading accident, there's
7 considerable margin. Therefore, we believe there is
8 reasonable assurance that 10 CFR 50.68(b)(4), which is
9 the pool paragraph, will be met.

10 Next slide, please. So I will conclude
11 myself again. This is Mike's? Okay. Sorry.

12 MR. MARKLEY: Well, it was actually Joe's,
13 but I'm filling in for Joe right now. Mike Markley.
14 The NRC has determined that reasonable assurance of
15 public health and safety will be assured by installing
16 these LTAs in Vogtle Unit 2 for up to two cycles, and
17 we welcome a letter report. We would like some
18 feedback on what you'd like to hear about a full ACRS
19 meeting on the 14th. We've summarized the licensing
20 actions. We feel like you probably want to hear more
21 about technical areas, and we'd like to satisfy
22 whatever questions that you have.

23 I'd just like to make one more comment.
24 I worked as a senior staff engineer here from 1995 to
25 2001 with Dr. Apostolakis, so I'm an advocate for risk

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 informed, as well. But, you know, we process the
2 licensing actions that we have, and that's what we
3 have as a regular deterministic action. Thank you.

4 MEMBER BALLINGER: Are we finished with
5 the presentations?

6 MR. MARKLEY: Yes, we're finished, unless
7 there is any other questions.

8 MEMBER BALLINGER: That's what I was going
9 to say, If there was any. So are there questions from
10 the members before we go out for public comment? I
11 don't think we're going to need a closed session,
12 unless some member has a question that requires that.
13 But are there other questions from the members? We'll
14 have another one of these question things after.

15 Okay. We haven't had any additional
16 questions. We'd like to go out for public comment.
17 If there are members of the public that would like to
18 make a comment, please state your name and make your
19 comment. I violated the 15-second rule, the 5-second
20 rule.

21 Okay. Hearing no further comments, I'd
22 like to thank you, as well as the applicant, for the
23 presentation. What we'd like to do now is to have a
24 discussion related to a letter or no letter, number
25 one; and, number two, If it's a letter of some kind,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 what would members like to see in that letter?

2 I mean, I have my own personal opinion.
3 My personal opinion is that we do a letter. My
4 reasoning is that this is the first such application
5 of an LTA with all of these designs in them and the
6 long game, which is being played here because,
7 eventually, there will be a batch load analysis that
8 will have to be done and what's been happening here
9 is, with the LTAs, it will be a very significant basis
10 for that.

11 So that's my rationale, but I'm just one
12 member. And also, no matter what, we have most of the
13 members here, but in the full committee they are the
14 ones that make the decision on whether we have a
15 letter. We can make a recommendation, but,
16 ultimately, it's the call for the full committee.

17 So with that being said, what are members'
18 opinions?

19 MEMBER BROWN: I agree. I agree with you.

20 MEMBER BALLINGER: Okay.

21 MEMBER BROWN: That's one.

22 MEMBER BALLINGER: I'm sure that the
23 emails will go back and forth, we always have that,
24 and I'll say, well, why didn't you say something at
25 the committee meeting? I don't know, I just, I'm

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 saying it now, this kind of thing. But I'd like to
2 have input from members related to the content of the
3 letter because that would give you some information
4 and the applicant for feedback because, If we do a
5 letter, we'll have to do a presentation at the full
6 committee and that will be a much shorter
7 presentation, and so we'll have to stick to what's
8 really important in that respect.

9 So questions or comments from members?
10 Still none.

11 CHAIR MARCH-LEUBA: Okay. I'll volunteer.

12 MEMBER BALLINGER: We need a straight man
13 for this thing.

14 CHAIR MARCH-LEUBA: I think a letter is
15 warranted simply because of the first-of-a-kind
16 application and, more specifically, increased
17 enrichment. Even though we all agree just four pins
18 won't make a difference, it's still a first-of-a-kind
19 six-percent enrichment, so we need to have an opinion.

20 With respect to content, most likely we'll
21 wait until you provide something and we'll --

22 MEMBER BALLINGER: That's what I meant.
23 Okay. That's the way it works.

24 MEMBER REMPE: And the staff is pretty
25 close to saying please write us a letter at the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 beginning of this discussion. Yes, they really --

2 MEMBER BALLINGER: Most of the slides, in
3 the end, there was this is a no, never mind.

4 MEMBER REMPE: But Joe's opening remarks
5 were very much saying please.

6 MEMBER BALLINGER: Oh, yes, yes, yes. But
7 it's not his call whether they get a letter or not.

8 MEMBER REMPE: Well, usually,
9 traditionally, If the staff says we would like a
10 letter, we accommodate.

11 MEMBER BALLINGER: Yes, yes.

12 MEMBER SUNSERI: I would think, from the
13 content of the letter, that I would think we would be
14 remiss If we try to duplicate all of this discussion
15 and everything. It should be a very short letter,
16 very to the point letter, maybe emphasizing the
17 opportunity to emphasize risk-informed techniques to
18 cut down on the scope of the review or something of
19 that nature. I don't know, but we already got two big
20 in-depth presentations, and it would seem just a waste
21 of effort to do it a third time for our review.

22 MEMBER BROWN: I agree with Matt. He's
23 got a good point. There's some specific points that
24 were made in the beginning relative to exemptions that
25 they had to process. You lay that out, you lay out

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 how they addressed it, and then the effort, the effect
2 was very negligible and don't go through all the rest
3 of the -- I don't think we said anything substantial
4 within our discussions that should be put in the
5 letter per se because they don't add anything to the
6 end result.

7 MEMBER BALLINGER: Again, in effect, this
8 is the culmination of a bunch of things that have
9 happened, the cladding reports, all the approved
10 documents that have built, they're being used here for
11 this. And so this is a short letter but a lot of
12 references.

13 MEMBER SUNSERI: I'll just say it maybe
14 differently. Our job is to comment on the safety
15 aspect of this application, which are virtually zero.

16 MEMBER BALLINGER: That's right.

17 CHAIR MARCH-LEUBA: The staff is dying to
18 provide some comments.

19 MR. MARKLEY: This is Mike Markley again.
20 So we recognize that your comments on this particular
21 licensing action, set of actions, is maybe limited,
22 but we really are hoping for anything that you might
23 be able to forward, the batch loading which is one of
24 the --

25 MEMBER BALLINGER: I'm not hearing you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 I'm sorry.

2 MR. MARKLEY: Oh, my apology. So we
3 understand that the comments you may have on this
4 particular set of licensing actions may be somewhat
5 limited because of the risk that's inherent, but we
6 are looking toward what insights you may be able to
7 share with us or foreshadow that we may need to focus
8 on more in the technical reviews for batch loading as
9 they're coming toward us in the future. That's really
10 the goal.

11 MEMBER BALLINGER: Yes, that's a good
12 comment.

13 CHAIR MARCH-LEUBA: On that light, my
14 initial comment of we leverage this for legal LTA's,
15 once we call for review.

16 MEMBER BALLINGER: And several of your
17 comments related to that.

18 MEMBER BROWN: And I think throwing in
19 Matt's thoughts relative to the risk, I call it
20 engineering judgment in my neanderthal troglodyte old
21 age. But the risk informed is the new word for
22 engineering judgment with frills and bells and
23 whistles on it, so I think you need to point out that
24 judgment is being used and we agree with the judgment
25 that's being made. I think that's a key element of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 going to the next step of whatever we have to do.
2 Batch obviously has to have -- I'm not even a fuels
3 guy, and even I could understand somewhat the
4 difference between what we have here and going to the
5 full batch operations. So I think we have to say
6 something relative to that, but it's a stepping stone
7 to being able to do that in a rational matter.

8 MEMBER BALLINGER: Last but not least, for
9 sure, Steve or Dennis, I haven't heard anything from
10 Dennis, but I'm assuming he's out there.

11 DR. BLEY: Yes, he's here, but this is a
12 committee decision. But I certainly agree with the
13 comments that we're approaching a new area here and
14 it's important for the committee to state its
15 position.

16 DR. SCHULTZ: I agree with the statements
17 the committee has made, and I think that some of the
18 thoughts expressed today, both by the staff and the
19 application and the committee, do reflect on what is
20 going to be needed as we move forward to a batch load
21 application of some type. That can progress
22 gradually. In terms of the licensing, it's got to
23 address some of the issues that did come up in the
24 discussions today.

25 MEMBER BALLINGER: Okay. Thanks. So,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 again, last but not least-least, time. How much time?

2 CHAIR MARCH-LEUBA: I was going to jump
3 into this. I was going to place a mission impossible
4 task on the staff and Westinghouse and try to limit
5 your presentation to the full committee to a half an
6 hour. Imagine that you're making that presentation
7 not to a bunch of college professors and engineers but
8 that you're presenting it to my mother because that is
9 a presentation for the benefit of the public. Explain
10 in a clear, concise way what the issue is and why
11 should I have confidence that you've resolved the
12 problem. And If you can keep it to half an hour,
13 don't do 45 minutes. It's difficult, but it will be
14 worthwhile.

15 MEMBER BALLINGER: What he's saying is
16 short enough but still to get your main points across.

17 MEMBER BROWN: I assume Westinghouse is
18 going to present, as well, or is it just the staff?

19 MEMBER BALLINGER: I don't know. Southern
20 is the applicant.

21 MEMBER BROWN: Well, yes, I'm sorry. I
22 meant Southern Nuclear, whoever they want. I guess
23 that's the best way to phrase it.

24 MEMBER BALLINGER: I mean, I think that's
25 appropriate, both Southern and the staff. That's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 typically the way we do it.

2 Okay. If there are no other comments,
3 thank you again for the detailed presentations, you
4 and the applicant, as well. And this meeting is
5 adjourned.

6 (Whereupon, the above-entitled matter went
7 off the record at 3:26 p.m.)

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

NRC Staff Presentation
Accident Tolerant Fuel (ATF)
Lead Test Assemblies (LTAs)
Vogtle, Units 1 and 2

June 21, 2023

OPENING REMARKS

Joseph Donoghue, Director
Division of Safety Systems
Office of Nuclear Reactor Regulation

OPENING REMARKS - Continued

- NRC appreciates the opportunity to share these proposed changes with the ACRS.
- Member feedback is valuable.
- NRC does not require an ACRS letter-report to proceed but would greatly benefit from one.
- An ACRS letter report would inform expected future batch loading requests for higher enrichment and/or higher burnup.

PRESENTERS

- Licensing Actions
- Chapter 15 Accident Analysis, LOCA, & Non-LOCA
- Code Analysis, Core Physics, and Cladding
- Fuel Handling & Storage
- Conclusion
- John Lamb – DORL/NRR
- Charley Peabody – SNSB/DSS/NRR
- Brandon Wise – SFNB/DSS/NRR
- Kent Wood – SFNB
- Joseph Donoghue, Director DSS/NRR

LICENSING ACTIONS

- SNC requested:
 - Amendments to License Condition 2.D and TSs: (1) TS 3.7.18, “Fuel Assembly Storage in the Fuel Storage Pool,” (2) TS 4.2.1, “Fuel Assemblies,” and (3) TS 4.3, “Fuel Storage.”
 - Three Exemptions
 - 10 CFR 50.46 and 10 CFR part 50, Appendix K to allow the use of coated AXIOM cladding, with ADOPT fuel pellets enriched up to 6 weight-percent U-235.
 - 10 CFR 50.68(b)(7) to allow greater than 5 weight-percent U-235

LICENSING ACTIONS - Continued

- Load four Westinghouse LTAs with advanced ATF features:
 - Advanced Doped Pellet Technology (ADOPT) uranium dioxide (UO_2) fuel,
 - AXIOM cladding, chromium coating,
 - four rods per LTA with up to 6 weight-percent enrichment U-235.
- SNC is not requesting higher burn-up greater than its current licensing basis of 60,000 MWd/MTU.

LTA DESIGN

- The LTAs are Westinghouse 17 x 17 PRIME Optimized Fuel Assembly design and each contain:
 - Up to 132 rods with Westinghouse ADOPT UO₂ pellets at maximum of 5 weight-percent enrichment and coated AXIOM cladding,
 - 3 rods with Westinghouse ADOPT UO₂ pellets at maximum of 6 weight-percent enrichment and coated AXIOM cladding,
 - 1 rod with Westinghouse ADOPT UO₂ pellets at maximum of 6 weight-percent enrichment and uncoated AXIOM cladding,
 - All other rods will have UO₂ pellets at maximum of 5 weight-percent enrichment, ZrB₂ IFBA coated pellets and coated AXIOM cladding.

UFSAR CHAPTER 15

ACCIDENT ANALYSIS

- General Accident Analysis, Core Source Term, and Radiological Dose Consequences
 - Most accidents, as well as source term, dose consequences, and design transients see negligible changes from placing 16 higher enriched LTA fuel rods into a core of 50,952 active rods.
 - Avg enrichment of the core is only increased 0.0003% by 4 LTAs.
 - Avg core enrichment remains ~ 4.4 – 4.6%.

UFSAR CHAPTER 15

ACCIDENT ANALYSIS - Continued

- This increase in enrichment is not a significant driver of increased source term, dose consequences, or cooling requirements, and is within the bounding assumptions and safety margins of the existing analyses which conservatively assume 5.00% enrichment for establishing source term and dose consequences.

LOCA ACCIDENT ANALYSES

- LOCA & Steam Line Break Mass and Energy Releases
 - The containment response for these accidents is primarily impacted by RCS initial pressure and temperature conditions, as well as the break location and area parameters.
 - Since these parameters are unchanged by the LAR, the analyses of record remain bounding for both short and long-term responses.
 - Downstream containment and compartment responses are also not impacted.

LOCA ACCIDENT ANALYSES - Continued

- Large and Small Break LOCA Analyses
 - Large and Small Break LOCA Evaluation Model (EM) computer codes were re-evaluated with LTA data.
 - Both EMs demonstrated that 10 CFR 50.46 acceptance criteria for LOCAs continue to be met without any code modifications.

NON-LOCA ACCIDENT ANALYSES

Vendor (Westinghouse) evaluated Steam Line Breaks, Locked Rotor, Loss of RCS Flow, and Control Rod Ejection

- No impact to computer codes, methodology, or acceptance criteria.
- LTA geometry, material properties, and reactivity feedback characteristics have no substantive impacts on the analyses and remain within existing margins.
- LTAs do not impact the departure from nucleate boiling ratio (DNBR) or peak clad temperatures (PCT).

NON-LOCA ACCIDENT ANALYSES - Continued

Additional consideration for Control Rod Ejection event analysis

- Application and supplements designate that while LTAs may be placed in certain limiting core locations, the LTAs may only be utilized in such locations which are non-limiting with respect to the control rod ejection analysis.

Neutronics

- SNC uses the PARAGON lattice physics code and NEXUS for neutronics calculations.
 - There is no significant deviation in the neutron flux spectrum. Therefore, there is reasonable assurance that these codes will adequately model the LTAs.
- PARAGON and NEXUS have been compared to the PARAGON2 code, which has been shown to be acceptable at enrichments greater than 5 wt% U-235.
 - “PARAGON2 has been shown to be acceptable to analyze the neutronic performance of new, unapproved fuel designs, ...”
- No proposed changes to the nuclear design process.

CORE PHYSICS

- Flux spectrum will continue to be dominated by co-resident fuel.
- Peaking factors remain less than what is assumed in the UFSAR.
- Differences between LTAs and co-resident fuel are modeled explicitly.
- Neutronic impact of the LTAs are confined to the LTAs

THERMAL HYDRAULICS

- The codes and methods used by SNC for thermal-hydraulic analyses are mostly unaffected by the LTAs.
- No changes to any thermal-hydraulic related acceptance criteria are proposed and there is no expected loss of margin.
- Coated cladding is modeled as an increase in the outer diameter of the AXIOM cladding. This results in a negligible reduction in flow area due to the thin coating thickness.

AXIOM CLADDING

- WCAP-18456-P/NP approved December 16, 2022
- AXIOM cladding requires an exemption from the applicability requirements of 10 CFR 50.46 and Appendix K.

AXIOM CLADDING - Continued

- AXIOM cladding is a zirconium alloy which has demonstrated better in-reactor performance compared to the Optimized ZIRLO alloy.
 - The NRC staff expects AXIOM cladding to perform at least as well as Optimized ZIRLO cladding, which is used in the co-resident fuel.
- The NRC staff determined that the use of AXIOM cladding in these LTAs is acceptable because there is no expected loss of safety margin or reduction in acceptance criteria.

CHROMIUM COATING

- Most fuel rods will have a thin chromium coating for increased corrosion resistance.
 - SNC does not credit the chromium coating in its analyses.

CHROMIUM COATING - Continued

- There is no expected loss of safety margin associated with the chromium coating.
 - ATF-ISG-2020-01 states the reduced cladding emissivity is a potential adverse effect of a chromium coated rod that could increase PCT.
 - SNC's analyses indicate that during LOCA conditions the difference in emissivity between coated and uncoated cladding has little effect on PCT.

HIGHER ENRICHMENT

- Four rods in each LTA will be enriched to a maximum of 6 weight-percent U-235.
- Most codes and methods where fuel enrichment is a significant parameter have either been approved for use or contain data and models for enrichments greater than 5 weight-percent U-235.
- The neutronic impact of the LTAs is expected to be small and confined to the LTA.

ADOPT FUEL PELLETS

- WCAP-18482-P/NP approved June 13, 2022
 - “Licensees must demonstrate that CRE models, methods, and acceptance criteria are applicable to fuel designs containing ADOPT fuel pellets...”

ADOPT FUEL PELLETS - Continued

- ADOPT fuel pellets contain small amounts of chromia and alumina and have higher density than standard UO_2 pellets.
 - ADOPT fuel pellets have a greater quantity of fissile material and may be more sensitive to reactivity-initiated accidents, such as a rod ejection accident (REA).
 - SNC has stated that the LTAs will not be placed in positions that limiting with respect to REAs.

FUEL HANDLING & STORAGE

- SNC needs an exemption to 10 CFR 50.68 Paragraph (b)(7) for the fuel rods enriched above a maximum of 5.0 weight-percent U-235
- Each LTA is limited to four rods at a maximum of 6.0 weight-percent U-235.

FUEL HANDLING & STORAGE- Continued

- Those four rods add $\approx 0.015\%$ more U-235 to the fuel assemblies relative to the Vogtle New Fuel Storage Rack (NFSR) analysis of record (AOR) and Vogtle Spent Fuel Pool (SFP) AOR maximum enrichment of 5.0 weight-percent U-235.
- That is less than a third of the U-235 enrichment manufacturing uncertainty of 0.05%

FUEL HANDLING & STORAGE - Continued

- Higher Theoretical Density (TD) in the ADOPT pellets adds more U-235 to the fuel assemblies than the four fuel rods enriched to a maximum of 6 wt/%.
 - Vogtle NFSR AOR used 96% TD.
 - Vogtle SFP AOR used 97.5% TD.
 - ADOPT TD of 98.3% is limited to 136 rods per LTA. (\approx half)
 - Increased TD adds $\approx 1.185\%$ more U-235 to LTAs relative to NFSR AOR and $\approx 0.412\%$ more U-235 to LTAs relative to SFP AOR.

FUEL HANDLING & STORAGE - Continued

- The total increase in U-235 for the Vogtle NFSR and SFP relative to the AORs is 1.2% and 0.427% respectively.
 - The relative increase in U-235 content is determined to aid in evaluating the potential impact on reactivity in the NFSR and SFP.

FUEL HANDLING & STORAGE - Continued

- New Fuel Storage Racks
 - Exemption credits the IFBA in the LTAs whereas the Vogtle NFSR AOR does not.
 - SNC estimated the LTAs 128 IFBA rods at 1.5x Boron 10 loading provide substantial reactivity hold down relative to its current AOR for the NFSR
 - $\approx 0.12 \Delta k_{eff}$ for fully flooded
 - $\approx 0.10 \Delta k_{eff}$ for optimum moderation

FUEL HANDLING & STORAGE - Continued

- New Fuel Storage Racks - Continued
 - NRC staff reviewed the estimates and believes the substantial reactivity margin provided by the IFBA provides reasonable assurance 10 CFR 50.68 Paragraphs (b)(2) [NFSR fully flooded] and (b)(3) [NFSR optimum moderation] will be met.

FUEL HANDLING & STORAGE - Continued

- Spent Fuel Pool Storage Racks
 - Exemption limits SFP storage to two Unit 2 storage configurations
 - The two-out-of-four (2oof4) configuration,
 - a repeating 2x2 array of alternating fresh unburned and unpoisoned fuel assemblies with empty storage cells, and

FUEL HANDLING & STORAGE - Continued

- Spent Fuel Pool Storage Racks - Continued
 - all-cell (4004) configuration,
 - a repeating 2x2 array with each storage cell filled with a fuel assembly meeting the specified burnup/enrichment requirements
 - No storage in any other Unit 2 storage configuration is allowed.
 - No storage in Unit 1 SFP is allowed.

FUEL HANDLING & STORAGE - Continued

- Two-out-of-four (2004) configuration
 - Exemption credits the IFBA in the LTAs whereas the Vogtle SFP AOR does not.
 - Similar to NFSR

FUEL HANDLING & STORAGE - Continued

- Two-out-of-four (2oo4) configuration - Continued
 - SNC estimated the LTAs 128 IFBA rods at 1.5x B10 loading provide substantial reactivity hold down relative to its current AOR for the SFP
 - $\approx 0.15 \Delta k_{eff}$
 - That margin will decrease but remain substantial relative to a fresh unpoisoned fuel assembly.
 - NUREG/CR-6760, *Study of the Effect of Integral Burnable Absorbers for PWR Burnup Credit*”

FUEL HANDLING & STORAGE - Continued

- Four-out-of-four (4oo4) configuration
 - Exemption credits burnup in the LTAs.
- The AOR burnup requirement is about 40 GWd/MTU and a 64 GWd/MTU LTA burnup limit provides a 24 GWd/MTU or greater than 8% in keff margin for the LTAs.
 - Slightly more than a 5 weight-percent fuel assembly would require.

FUEL HANDLING & STORAGE - Continued

- Four-out-of-four (4o04) configuration - Continued
 - SNC set a requirement for the LTAs to have 64 GWd/MTU of burnup.
 - NRC staff used Vogtle's SFP AOR to estimate a fuel assembly with all fuel rods at 6 weight-percent would require ≈ 53 GWd/MTU.
 - SNC's burnup requirement provides substantial margin.

FUEL HANDLING & STORAGE - Continued

- SFP Accident
 - SNC determined a multiple miss loading event that collocated the unburned LTAs was the limiting accident.
 - Multiple misloadings are typically the limiting accident.
 - SNC estimated the collocated LTAs would be < 0.95 keff with the TS Soluble Boron requirement of 2000 ppm.
 - This estimate did not have substantial margin to preclude a detailed analysis.

FUEL HANDLING & STORAGE - Continued

- SFP Accident - Continued
 - The SNC estimate did not include credit for the IFBA.
 - The two-out-of-four (2004) evaluation showed the IFBA provides significant margin.

FUEL HANDLING & STORAGE - Continued

- SFP Conclusion
 - SNC exemption request contains substantial margin for the two-out-of-four and four-out-of-four storage configurations.
 - When the IFBA is considered in the multiple misloading accident there is considerable margin.
 - Therefore, the NRC staff believes there is reasonable assurance that 10 CFR 50.68 Paragraph (b)(4) will be met.

CONCLUSION

- The NRC staff determined that there is reasonable assurance that the health and safety of the public will not be endangered by allowing SNC the use of four ATF LTAs for up to two cycles operation in Vogtle, Unit 2.
- The NRC staff welcomes an ACRS letter report.

ITEMS FOR DISCUSSION AT ACRS FULL COMMITTEE

- July 14 – ACRS Full Committee Meeting
- Licensing Action – Amendment and Exemptions to 10 CFR 50.68(b)(7), 10 CFR 50.46, and 10 CFR Part 50, Appendix K
- Technical areas of emphasis requested by ACRS Subcommittee members

ACRONYMS

- ATF – Accident Tolerant Fuel
- LTAs – Lead Test Assemblies
- NRC – U.S. Nuclear Regulatory Commission
- ACRS – Advisory Committee on Reactor Safeguards
- SNC – Southern Nuclear Operating Company
- NRR – Office of Nuclear Reactor Regulation
- DSS – Division of Safety Systems
- DORL – Division of Operating Reactor Licensing
- SNSB – Nuclear Systems Performance Branch
- SFNB – Nuclear Methods & Fuel Analysis Branch

ACRONYMS - Continued

- TS – Technical Specification
- CFR – Code of Federal Regulations
- U-235 – Uranium 235
- UO₂ – Uranium Dioxide
- MWd – Megawatt-Day
- MTU – Metric Ton Uranium
- ZrB₂ – Zirconium Diboride
- IFBA – Integral Fuel Burnable Absorber
- LOCA – Loss-of-Coolant Accident
- EM – Evaluation Model
- RCS – Reactor Coolant System
- DNBR – Departure from Nucleate Boiling Ratio

ACRONYMS - Continued

- PCT – Peak Cladding Temperature
- REA – Rod Ejection Accident
- TD – Theoretical Density
- NFSR – New Fuel Storage Rack
- SFP – Spent Fuel Pool
- AOR – Analysis of Record
- 2oo4 – Two out of Four Configuration
- 4oo4 – All-Cell Configuration
- B10 – Boron 10
- ppm – Parts Per Million



Lead Test Assembly (LTA) License Amendment Request (LAR) ACRS Subcommittee Meeting

Ryan Joyce – SNC
June 21st, 2023



Agenda



- **Vogtle LTA Program Objective**
- **Topics of Interest**
 - Vogtle LTA LAR
 - LTA Evaluation Method and Approach
 - Cladding Exemption – 10 CFR 50.46 and 10 CFR 50 Appendix K
 - Enrichment Exemption – 10 CFR 50.68(b)
 - Technical Areas
- **Questions**

Vogtle LTA Program Objective



- Initial goals of program (within scope of proposed LAR):
 - Irradiate higher enriched fuel in a commercial reactor to generate data in support of future licensing applications
 - Obtain additional data for accident tolerant fuel (ATF) materials
- Future goal of program (outside scope of proposed LAR):
 - Support licensing applications for higher burnup fuels
- Four Westinghouse ATF LTAs with higher enrichment capable of higher burnup
 - Four rods in each LTA with enrichment up to 6 wt.% ^{235}U
 - **AXIOM**[®] high performance fuel rod cladding (WCAP-18546-P/NP-A)
 - **EnCore**[®] chromium coated cladding
 - **ADOPT**[™] doped fuel material for non-IFBA (Integral Fuel Burnable Absorbers) rods (WCAP-18482-P/NP-A)
 - Standard (undoped) fuel material for IFBA rods

ADOPT, AXIOM, BEACON and EnCore are trademarks or registered trademarks of Westinghouse Electric Company LLC, its affiliates and/or its subsidiaries in the United States of America and may be registered in other countries throughout the world. All rights reserved. Unauthorized use is strictly prohibited.



Topics of Interest

Vogtle LTA LAR– As Supplemented on Sept. 13, 2022 and May 5, 2023



- The license amendment requested the following changes:
 - TS 4.2.1, “Fuel Assemblies,“ will be changed to reflect the LTAs:
 - Placement in limiting core regions (except for control rod ejection transients)
 - Inclusion of advanced coated cladding with doped or standard fuel material, and
 - Having a maximum nominal ^{235}U enrichment of 6.0 wt.%
 - TS 3.7.18 “Fuel Assembly Storage in the Fuel Storage Pool,“ and TS 4.3 “Fuel Storage” will be changed to reflect LTA:
 - Spent and new fuel storage restrictions
 - Allowance for maximum nominal ^{235}U enrichment of 6.0 wt.% in the New Fuel storage racks

Vogtle LTA LAR– As Supplemented on Sept. 13, 2022 and May 5, 2023 (cont'd)



- To support this amendment, SNC adopted 10 CFR 50.68 as opposed to the previous licensing basis based on §70.24 Exemption, resulting in:
 - A proposed change to the FOL for both units to remove discussion on §70.24 Exemption
 - An Exemption request to §50.68(b)(7) to allow an enrichment of >5 wt.% ²³⁵U (both units)
- An Exemption request to §50.46 and Appendix K was also needed for the use of **AXIOM** cladding (unit 2 only)

Exemption Requests



- An exemption to §50.46 and §50 Appendix K was requested for use of **AXIOM** cladding
- A more restrictive embrittlement criterion was used in conjunction with the 17% maximum local oxidation criterion
 - **AXIOM** cladding topical presents the data in support of this application

Exemption Requests (cont'd)



- Licensing basis to change from §70.24 to §50.68
- Exemption is needed to §50.68(b)(7) to allow these LTAs to have greater than 5 wt.% ^{235}U rods
- Technical Justification:
 - Intent of rule (to preclude inadvertent criticality) being maintained
 - Administrative controls will be in place for temporary storage of LTAs in Traveller-B containers prior to LTA placement in their designated storage locations
 - Remaining §50.68(b) criticality requirements are unaffected and continue to be implemented
 - New Fuel Storage Vault
 - Spent Fuel Pool

Key Analytical Impacts of the LTAs



- LTAs will lead the core during portions of steady-state operation and during some transient conditions
 - Leading the core = highest linear heat generation rate
- The LTAs and co-resident fuel will be shown to continue to meet all Technical Specifications (TS) 2.1 Safety Limits, 3.1 Reactivity Control, and TS 3.2 Power Distribution Limit requirements
- LTAs will remain within core operating limits
- The analytical methods used to determine the core operating limits will be those previously reviewed and approved by the NRC (per TS 5.6.5)
- A separate LAR will be required to go above the licensed fuel rod burnup limit

Small and Large Break LOCAs



- The current models and correlations in the BASH evaluation model (EM) for LBLOCA and NOTRUMP EM for SBLOCA are acceptable to evaluate LTA features and operation.
- LBLOCA LTA evaluation:
 - Peak cladding temperatures (PCT) bounded by the current analysis of record
 - Maximum local oxidation and the core-wide oxidation (maximum hydrogen generation) meet acceptance criteria
- The SBLOCA analysis of record is representative of the LTAs.
- The presence of the LTAs will have negligible impact on the co-resident fuel for SBLOCA and LBLOCA.

Non-LOCA Transients



- No impact on AOR for transients dependent on core-average effects
 - Negligible impact of 4 LTAs on core-average heat transfer characteristics, decay heat, initial core stored energy
- For events dependent on local effects (SLB, Locked Rotor, Loss of Flow, RWSC, Rod Ejection)
 - No impact due to LTA on approved non-LOCA codes, methods, or relevant acceptance criteria
 - No impact due to LTA geometry, material properties or reactivity feedback characteristics to non-LOCA safety analyses
 - Rod ejection transient: LTAs are placed in non-limiting locations
 - Event-specific statepoints used as input to departure from nucleate boiling ratio (DNBR) calculations are not impacted by the LTAs
 - Fuel-specific criteria continue to be met (e.g. as applicable, minimum DNBR, percent of rods in DNB, peak clad temperature, peak fuel enthalpy)

Source Term and Dose Consequences



- Core Source Term Evaluation
 - Utilized ORIGEN-ARP to generate core inventories for the LTAs
 - Considered 4 higher enriched rods/assembly (total of 4 assemblies)
 - Varied enrichment 3 wt.% to 6 wt.% ^{235}U
 - Varied assembly burnup 50 GWd/MTU to 83.5 GWd/MTU
 - Varied peak rod power 50% to 125%
 - Results indicated inconsequential impact on core inventory
- Comparison with Ch. 15 Dose Consequence AORs
 - Comparison based on core wide cycle specific loading patterns
- Comparisons concluded the core source term used in the AORs is bounding for significant isotopes that contribute to dose, as a result there is no impact to the dose consequence analyses
- Bounding AOR core source term inventories will be confirmed per Reload Analysis on a cycle specific basis

Fuel Rod Design



- The latest fuel performance models, PAD5 (WCAP-17642-P-A, Revision 1), are used to evaluate the LTA features:
 - ADOPT fuel
 - AXIOM cladding
 - High enrichment
- NRC-approved models are used for ADOPT fuel (WCAP-18482-P-A) and AXIOM cladding (WCAP-18546-P-A)
 - Fuel performance impacts on the LTAs are explicitly modeled with PAD5
- No corrosion resistance is credited for the Cr-coated cladding
- Although PAD5 was only approved for enrichment up to 5 wt.% ^{235}U , it was developed and submitted based on measured data up to 13 wt.% ^{235}U
 - Acceptable for modeling high enriched rods in the LTAs

Core Physics



- Explicit or conservative modeling of LTA features
 - Chromium cladding coating
 - Doped pellets
- No change to reload analysis methods, or the currently approved neutronic methods (PARAGON, NEXUS qualification)
- No impact to neutronic modeling for fuel rods above 5 wt.% ^{235}U
 - Few rods per fuel assembly → neutron flux spectrum similar to currently operating core
 - Benchmark to PARAGON2 for pin power reconstruction and peaking factor uncertainties.
- Core monitoring with **BEACON**[™] Core Monitoring System is unaffected
 - Ability to predict the core not affected by LTA features
 - Small number of rods above 5 wt.%, placed away from instrumentation

Thermal Hydraulic Design



- Use existing methodology for LTAs
- No negative impact to DNB performance due to either **ADOPT** pellets or **AXIOM** cladding
- No impact to analysis limits from higher enriched fuel rods
- DNB performance of the coated fuel rods is similar to that of uncoated fuel rods
- Potential mixed core penalty due to slight increase in coated rods' outer diameter offset by available DNBR margin

Criticality Analysis



- The LAR addresses the following regarding fuel storage criticality:
 - Increased enrichment
 - **ADOPT** pellets
 - Chromium coated **AXIOM** cladding
- Modern codes were applied to separately address
 - Storage not requiring burnup credit - direct reactivity analysis
 - New Fuel Storage Racks
 - SFP two-out-of-four storage pattern
- Storage requiring burnup credit – Comparative reactivity analysis for the “all-cell” storage pattern

Criticality Analysis



- Storage acceptability in the New Fuel Storage Racks and the two-out-of-four spent fuel pool storage pattern were determined via direct reactivity analysis.
- New Fuel Storage Rack and two-out-of-four results demonstrated significant margin to the storage limit including Dry, Fully Flooded and Optimum moderation conditions for the NFSRs.
- Both storage analyses credit IFBA, for which the details of the IFBA requirements will be confirmed during the reload process.
- Additionally, a multiple full pool misload event was evaluated with the TS soluble boron limit of 2000 ppm demonstrating acceptable results.

Criticality Analysis Continued: SFP all-cell storage



- The AOR Burnup limit is about 40 GWd/MTU
- A burnup limit of 64 GWd/MTU was selected for the LTAs.
- This is
 - greater than 24 GWd/MTU from the current burnup limit
 - or greater than 8% in k_{eff} margin.

Acronyms and Terms



- ACRS: Advisory Committee on Reactor Safeguards
- AOR: Analysis of Record
- ATF: Accident Tolerant Fuel
- CFR: Code of Federal Regulations
- DNB: Departure from Nucleate Boiling
- DNBR: Departure from Nucleate Boiling Ratio
- FOL: Facility Operating License
- GWd: Gigawatt Days
- IFBA: Integral Fuel Burnable Absorber
- LAR: License Amendment Request
- LBLOCA: Large LOCA
- LOCA: Loss of Coolant Accident
- LTA: Lead Test Assembly
- MTU: Metric Ton Uranium
- NRC: Nuclear Regulatory Commission
- PCT: Peak Clad Temperature
- SBLOCA: Small LOCA
- SLB: Steam Line Break
- RWSC: Rod Withdrawal from Subcritical
- SFP: Spent Fuel Pool
- SNC: Southern Nuclear Company
- TS: Technical Specification
- wt. %: weight percent

Questions/Discussion