

**Official Transcript of Proceedings**  
**NUCLEAR REGULATORY COMMISSION**

Title: Advisory Committee on Reactor Safeguards  
Fuels, Materials, and Structures

Docket Number: (n/a)

Location: teleconference

Date: Wednesday, August 23, 2023

Work Order No.: NRC-2511

Pages 1-41

**NEAL R. GROSS AND CO., INC.**  
**Court Reporters and Transcribers**  
1716 14th Street, N.W.  
Washington, D.C. 20009  
(202) 234-4433

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23

DISCLAIMER

UNITED STATES NUCLEAR REGULATORY COMMISSION'S  
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

The contents of this transcript of the proceeding of the United States Nuclear Regulatory Commission Advisory Committee on Reactor Safeguards, as reported herein, is a record of the discussions recorded at the meeting.

This transcript has not been reviewed, corrected, and edited, and it may contain inaccuracies.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

(ACRS)

+ + + + +

FUELS, MATERIALS, AND STRUCTURES SUBCOMMITTEE

+ + + + +

WEDNESDAY

AUGUST 23, 2023

+ + + + +

The Subcommittee met in a hybrid meeting,  
in-person and video-teleconference, at 1:00 p.m. EDT,  
Ronald Ballinger, Chairman, presiding.

COMMITTEE MEMBERS:

RONALD G. BALLINGER, Chairman

VICKI BIER, Member

CHARLES H. BROWN, JR., Member

VESNA DIMITRIJEVIC, Member

GREGORY HALNON, Member

WALT KIRCHNER, Member

JOSE MARCH-LEUBA, Member

DAVID PETTI, Member

JOY L. REMPE, Member

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

THOMAS ROBERTS, Member

MATTHEW SUNSERI, Member

ACRS CONSULTANTS:

DENNIS BLEY

STEPHEN SCHULTZ

DESIGNATED FEDERAL OFFICIAL:

CHRISTOPHER BROWN

ALSO PRESENT:

MEG AUDRAIN, NRR

ALEX CHERESKIN, NRR

MATTHEW GORDON, NRR

SCOTT MOORE, ACRS

REBECCA OBER, NSIR

GREG OBERSON, NRR

DAVID RUDLAND, NRR

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

## TABLE OF CONTENTS

|                                       |    |
|---------------------------------------|----|
| Opening Remarks and Objectives        | 4  |
| Staff Opening Remarks                 | 7  |
| Discussion of ISG and Public Comments | 8  |
| Public Comments                       | 38 |
| Committee Discussion                  | 38 |
| Adjourn                               | 41 |

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

P-R-O-C-E-E-D-I-N-G-S

(1:00 p.m.)

CHAIRMAN BALLINGER: The meeting will now come to order. This is a meeting of the Fuels, Materials, and Structures Subcommittee of the Advisory Committee on Reactor Safeguards.

I'm Ron Ballinger, chairman of today's subcommittee meeting. ACRS members in attendance are Charles Brown, Greg Halnon, Vicki Bier, Joy Rempe, Dave Petti, Matthew Sunseri, Jose March-Leuba, and Tom. And online I think --

MEMBER REMPE: Tom Roberts, just to help you.

(Laughter.)

CHAIRMAN BALLINGER: I know. Tom Roberts. I know.

And online, I think, are Vesna -- is Vesna there? Vesna --

MEMBER DIMITRIJEVIC: I am there. I am here.

CHAIRMAN BALLINGER: Thank you very much. And I think that's it. Oh, is Walt -- I don't see -- well --

PARTICIPANT: He will be joining us shortly.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1                   CHAIRMAN BALLINGER: Yeah. I don't see  
2 -- oh, wait a minute. Well, I don't know how to tell  
3 whether he's on or not. Anyway, Walt Kirchner will  
4 join us.

5                   We have our consultants, Steve Schultz and  
6 I assume Dennis Bley. Very good. If I have missed  
7 somebody, I apologize.

8                   Chris Brown, who is also online, of the  
9 ACRS staff is the Designated Federal Official for this  
10 meeting.

11                  During today's meeting, the subcommittee  
12 will receive a briefing on the staff's draft  
13 EANU-ISG2023-1 material compatibility for non  
14 light-water reactors. The subcommittee will hear  
15 presentations by, and hold discussions with, the NRC  
16 staff -- thank you very much -- and other interested  
17 persons regarding this matter as may happen.

18                  The rules for participation in all ACRS  
19 meetings were announced in the Federal Register on June  
20 13th, 2019. A U.S. NRC public website provides the  
21 ACRS charter, bylaws, agendas, letter reports, and full  
22 transcripts of all full and subcommittee meetings,  
23 including slides.

24                  The agenda for this meeting was posted  
25 there, along with the MS Teams link. We have received

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 no written statements or requests to make an oral  
2 statement from the public.

3 The subcommittee will gather information,  
4 analyze relevant issues and facts, and formulate  
5 proposed positions and actions, as appropriate, for  
6 deliberation by the subcommittee.

7 A transcript of this meeting is being kept  
8 and will be made available. Today's meeting is being  
9 held in person over Microsoft Teams -- and over  
10 Microsoft. Sorry. There is also a telephone bridge  
11 line and an MS Teams link allowing participation by  
12 the public.

13 When addressing the subcommittee, the  
14 participants should first identify themselves and speak  
15 with sufficient clarity and volume that they may be  
16 readily heard. When not speaking, we request that  
17 participants mute your computer microphone or phone  
18 by pressing star-six.

19 I might add that for those of you who have  
20 not been in meetings here, these microphones are very  
21 directional -- directional, and you have to almost swallow  
22 the thing. You have to get very close to it, and it's  
23 important for the -- for the court reporter.

24 We will now proceed with the meeting, and  
25 I'd like to start by calling Greg Oberson -- yes, he

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309



1 is -- Branch Chief in NRR for opening remarks.

2 Excuse me. Before we get started, the  
3 reason for this meeting is we are starting to receive  
4 applications and having presentations for a lot of  
5 non-light-water reactor designs. And this ISG is a  
6 complement to other documents which the staff put  
7 together to identify critical materials compatibility  
8 issues related -- that would relate to these  
9 non-light-water reactor designs.

10 All of the designers have to -- have to  
11 adhere to ASME Code and other standards. But related  
12 to materials compatibility with respect to corrosion  
13 and other kinds of things, a lot of these codes and  
14 standards basically say you're on your own. And so  
15 this ISG is helpful or will be helpful in that -- in  
16 that area.

17 So, Greg, sorry I interrupted you.

18 MR. OBERSON: Good afternoon, Dr.  
19 Ballinger and members. Thank you for the opportunity  
20 to present to the subcommittee this afternoon. I'm  
21 the branch chief for Technical Branch I in the Division  
22 of Advanced Reactors and Non Power Production and  
23 Utilization Facilities in the Office of Nuclear  
24 Regulatory Research.

25 As you already alluded to, our staff are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 currently reviewing two applications for  
2 non-light-water reactors, the Kairos Hermes Test  
3 Reactor and the Abilene Christian University Molten  
4 Salt Research Reactor, while also the acceptance review  
5 is ongoing for the Kairos Hermes 2.0 test reactor, and  
6 three or more applications for commercial  
7 non-light-water reactors are anticipated within the  
8 next year to two years.

9 I begin with this to highlight the  
10 increasing workload for NRC staff on the  
11 non-light-water reactor licensing. And with that  
12 context, to emphasize the importance of clear, sound  
13 guidance that can be referenced by staff to support  
14 efficient and effective licensing processes.

15 Today we will present to you on one such  
16 example; namely, the Interim Staff Guidance, or ISG,  
17 on materials compatibility for non-light-water  
18 reactors. The ISG reflects differences in the  
19 materials fabrication methods, operating environments  
20 that will fundamentally distinguish component  
21 integrity and evaluations for non-light-water reactors  
22 from those from large light water reactors for which  
23 staff have abundant experience.

24 You'll hear further from the staff on the  
25 purpose, scope, and content of the ISG. A draft of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 the ISG was issued for public comment in March of this  
2 year, and we will also discuss how the comments were  
3 addressed to prepare the final Interim Staff Guidance.

4 Finally, I'd like to acknowledge that the  
5 ISG was a collaborative effort. And in addition to  
6 my colleagues at the table presenting to you today,  
7 key contributions were made by additional staff in NRR  
8 as well as in the Office of Nuclear Regulatory Research.

9 We look forward to today's discussion.

10 And with that, I'll pass it back to you,  
11 Dr. Ballinger. Thank you.

12 CHAIRMAN BALLINGER: Thank you.

13 So I'm still not sure who is controlling  
14 the slides, but they're up there, so -- very good.  
15 Okay. So proceed, please. I'm not sure who the  
16 presenters are, but you might introduce yourself.

17 MS. AUDRAIN: Good afternoon. Am I close  
18 enough to the microphone?

19 CHAIRMAN BALLINGER: You're not that --  
20 you're not close enough.

21 MS. AUDRAIN: Okay. Is that better?

22 CHAIRMAN BALLINGER: You've really got to  
23

24 MS. AUDRAIN: Good afternoon. I am Meg  
25 Audrain, and I'm here today with Alex Chereskin and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 Matt Gordon, as well as other members of the working  
2 group, both in person and online. We are presenting  
3 today on the ISG that we developed for materials  
4 compatibility in advanced reactor environments.

5 Today we are going to be going over the  
6 purpose and applicability of the ISG, the regulatory  
7 framework, qualification and performance monitoring,  
8 the technical content of the ISG, and our public comment  
9 and resolution, or our public comment resolution.

10 Next slide. We developed this ISG to  
11 assist staff in reviewing applications for construction  
12 and operation of non-light-water reactor designs,  
13 including power and non-power reactors. The guidance  
14 in this document identifies areas of staff review that  
15 could be necessary for a submittal seeking to use  
16 materials allowed under ASME Section III, Div 5.

17 Staff expects that most applicants will  
18 demonstrate their materials meet Div 5, which specifies  
19 the mechanical properties and allowable stresses to  
20 use for design of components in high temperature  
21 reactors. However, as stated in Div 5, code rules do  
22 not provide methods to evaluate and service  
23 deterioration caused by the environment, such as  
24 corrosion or radiation effects, but do state that these  
25 effects should be taken into account for the design

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 or component life.

2 This ISG provides the staff guidance in  
3 reviewing material areas that are not covered by Div  
4 5. It identifies information the staff should consider  
5 in its review related to materials qualification. It  
6 also indicates where monitoring and surveillance may  
7 be appropriate to be relied upon to ensure component  
8 integrity.

9 Currently, there is no staff guidance on  
10 how to review materials qualification, performance  
11 monitoring methods, or surveillance for  
12 non-light-water reactors. This guidance is intended  
13 to ensure consistency across staff reviews and clarity  
14 on what to review in an application.

15 Next slide. Non-LWRs present  
16 environmental challenges to material performance that  
17 are not present in LWRs as the operating environments  
18 are different than those in our current fleet. The  
19 operating temperatures of non-LWRs may be significantly  
20 higher than those in current nuclear power plants, where  
21 temperature ranges corresponding to the creep regime  
22 in which deformation may occur with applied stress.

23 The coolants used in non-LWRs are  
24 significantly different from those used in LWRs as well.

25 These coolants may be liquid metals such as sodium

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 or lead, liquid salts with or without fuel, helium,  
2 or possibly other coolants not yet considered. These  
3 different coolant environments may increase  
4 susceptibility to material corrosion, degradation  
5 mechanism, and radiation effects.

6 Studies have identified the gaps in  
7 knowledge that exist for some of these coolant types  
8 and the impact on the materials being considered in  
9 the construction and operation of these non-LWR nuclear  
10 power plants. Because of the current state of  
11 knowledge of degradation in these environments, and  
12 long test time, the staff will place a strong emphasis  
13 on ISG, on using mitigation strategies, performance  
14 monitoring, and surveillance programs to ensure SSCs  
15 continue to satisfy the design criteria where  
16 appropriate.

17 Next slide. This ISG is applicable to NRC  
18 staff reviews of applications for non-LWR designs,  
19 including both power and non-power reactors, for  
20 permits, licenses, certifications, and approvals under  
21 10 CFR Parts 50 and 52.

22 As stated in the Commission's policy  
23 statement on the regulation of advanced reactors,  
24 advanced designs are expected to provide enhanced  
25 margins of safety; use simplified, inherent, passive,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 or other innovative means to accomplish their safety  
2 and security functions; or both. Examples of advanced  
3 reactors include molten salt reactors, liquid metal  
4 reactors, and high temperature gas-cooled reactors.

5 The current regulatory framework for  
6 qualification of structural materials in non-LWRs is  
7 as follows. The 10 CFR regulations listed on the slide  
8 state that applicants must include PDCs for their  
9 facilities. Reg Guide 1.232 provides proposed  
10 guidance for the development of PDCs for non-LWRs.

11 Several design criteria in this reg guide  
12 relate to materials qualification for structural  
13 materials and state the importance of environmental  
14 compatibility, inspection, material surveillance, and  
15 functional testing.

16 Next slide. Before I begin a description  
17 of the technical content of the ISG, I'm going to define  
18 a few terms to make sure everyone has a common  
19 understanding. First, materials qualification  
20 includes testing conducted in an environment simulating  
21 the anticipated operating environment for the reactor,  
22 including chemical environment, temperatures, and  
23 radiation.

24 Performance monitoring includes  
25 inspections or examinations to confirm adequate

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 performance and to identify unacceptable degradation.

2 It may also include aging management programs or post  
3 service evaluations.

4 And, finally, surveillance programs  
5 include examination of test coupons and components  
6 removed from the reactor over the licensed operating  
7 period.

8 CHAIRMAN BALLINGER: This is Ron  
9 Ballinger. I'm going to try to stick this in where  
10 I can. I see no -- in this ISG, I think there might  
11 have been or might be an opportunity to go after the  
12 issue of modeling and simulation as it relates to  
13 qualification of materials.

14 Over the years, modeling and simulation,  
15 especially in the materials area, has turned -- has  
16 really, really expanded. We oftentimes hear we want  
17 it to be a prototype, and things like that, and that's  
18 what this kind of performance and qualification  
19 monitoring kind of implies.

20 But I'm curious as to whether in developing  
21 the ISG folks considered somehow addressing the issue  
22 of the use of modeling and simulation as part of the  
23 overall materials qualification process.

24 Dave has pointed out to me that that was  
25 done in the fuels qualification area, but it's much

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309



1 broader. So I'm curious as to whether or not there  
2 was consideration to including in the ISG something  
3 related to how you used modeling and simulation to --  
4 I don't want to use the word "expand," but enlarge the  
5 data set, if you will, in quotes, because that's going  
6 to happen. It's inevitable. We're going to see  
7 applicants come in and make extensive use of modeling  
8 and simulation.

9 MS. AUDRAIN: I don't know that we  
10 specifically address that in the ISG. There's nothing  
11 in the ISG that prohibits the use of modeling and  
12 simulation.

13 CHAIRMAN BALLINGER: Yeah. There's  
14 nothing in the ISG, that's for sure. I'm just saying  
15 some -- have you thought -- did you think about including  
16 something like that in the ISG?

17 MS. AUDRAIN: So the scope of the ISG is  
18 really to focus on environmental impacts and  
19 considerations. So I am not entirely sure where we  
20 would address modeling and simulation. Do you --

21 CHAIRMAN BALLINGER: So it wasn't part of  
22 the plan, is what you're saying.

23 MS. AUDRAIN: Yeah.

24 CHAIRMAN BALLINGER: Okay.

25 MS. AUDRAIN: I think in doing the -- in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 doing the review, you know, an applicant would likely  
2 propose using modeling and simulation of their data  
3 that they gather. So --

4 MR. CHERESKIN: Yeah. I think I would  
5 echo what Meg said there. And, in addition, you know,  
6 our guidance here I don't think got to the very  
7 prescriptive level of this is exactly how you review,  
8 you know, specifics for an application like modeling  
9 and simulation.

10 But, at the time, you know, if someone  
11 proposed it, we would obviously review it, you know,  
12 as appropriate, when we get those applications.

13 PARTICIPANT: You needed to state who you  
14 were for the court reporter.

15 MR. CHERESKIN: Sorry. This is Alex  
16 Chereskin.

17 CHAIRMAN BALLINGER: And I've got one  
18 other question, which I missed because I was writing  
19 something down. Did you look at -- with regard to  
20 materials and corrosion-related issues, did you look  
21 at API-579, which was converted into an ASME Code  
22 document, FF -- now I'm forgetting -- FFS-1, Fitness  
23 for Service, Chapters 7, 8, and 9, and that definitely  
24 has guidance on how to include environmental effects.

25 MS. AUDRAIN: I'm not sure. I don't

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 believe that anybody on the staff did.

2 CHAIRMAN BALLINGER: I would encourage you  
3 to take a look at that, because now it's an ASME Code  
4 document. It was an API document before, but the ASME  
5 just basically incorporated it and just took the title  
6 page off and put ASME on the front. Because  
7 environmental effects are a big deal in the oil and  
8 gas industries, but that API is not specific necessarily  
9 to the oil and gas industry.

10 MS. AUDRAIN: Okay.

11 MEMBER REMPE: So, Ron, just out of  
12 curiosity, what would you like them to do to talk about  
13 -- interpolation is generally okay if you have data  
14 to support something for material qualification. Do  
15 you want them to talk about how far you can extrapolate  
16 with modeling and simulation and say --

17 CHAIRMAN BALLINGER: I don't want these  
18 folks to do it.

19 MEMBER REMPE: No. But you want the ISG  
20 to say something about --

21 (Simultaneous speaking.)

22 CHAIRMAN BALLINGER: I'm suggesting that  
23 there might be ISG-2, or some other number in the future,  
24 where this issue of using modeling and simulation as  
25 part of the design process in the materials area --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1           MEMBER REMPE: So you want them to come  
2 up with some way that -- what's allowable to  
3 extrapolate, because extrapolation shouldn't be a  
4 problem.

5           CHAIRMAN BALLINGER: Dave and I have been  
6 going through some of this. There are techniques that  
7 you can use, which will also have limitations and  
8 conditions and all that kind of stuff, where if you  
9 meet those conditions, you can use modeling and  
10 simulation. You expand the uncertainty when you do  
11 that, but there is --

12           MEMBER REMPE: Sometimes extrapolation  
13 isn't so good, though.

14           CHAIRMAN BALLINGER: Extrapolation -- as  
15 long as --

16           MEMBER REMPE: I'm just curious.

17           CHAIRMAN BALLINGER: I'm saying, as long  
18 as J. Willard Gibbs is still working for us,  
19 extrapolation is okay. There are ways to extrapolate,  
20 but there are a lot of cases where you should not.

21           MEMBER REMPE: Yeah. Go ahead. Sorry.  
22 I just was curious.

23           MS. AUDRAIN: Well, I think for a lot of  
24 these areas, as we start to use the ISG, will identify  
25 areas of improvement for another iteration.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 CHAIRMAN BALLINGER: You're trying to  
2 plant a seed.

3 MS. AUDRAIN: Yeah.

4 MR. OBERSON: This is Greg Oberson. And  
5 just along the lines of modeling and simulation,  
6 although it's not precise, speaking to that in the  
7 context of modeling and simulation for materials  
8 performance in the context of this ISG, of course you're  
9 aware that we do much in the way of modeling and  
10 simulation for neutronics, thermal hydraulics, and so  
11 forth.

12 So one of the things -- some of the things  
13 that would really be key to that evaluation would be  
14 looking at, for instance, the verification and  
15 validation of methodologies, and particularly if  
16 there's guidance, perhaps that would be needed in that  
17 respect as well as the confidence that the models  
18 accurately reflect the materials performance data.

19 So point well taken, and thank you for  
20 bringing it up.

21 MS. AUDRAIN: It looks like we have a few  
22 members of the working group that have their hands  
23 raised, too. Dave, do you want to go ahead?

24 MR. RUDLAND: This is Dave Rudland from  
25 the Division of New and Renewed Licenses in NRR.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1           To Ron's point, you know, the ASME Code  
2 has been spending a lot of effort beginning to  
3 investigate modeling and such to help in the  
4 qualification of time-dependent high-temperature  
5 materials. And the staff is actively following their  
6 development, as well as the development of the  
7 contractors in their work to do that, to be able to  
8 help quickly qualify these high-temperature materials.

9           So we're very tied in with that.

10           And, of course, I think as Alex may have  
11 said, if something becomes approved through code, the  
12 staff of course will give it its full consideration.

13           As for API-579, you know, the differences  
14 in degradation behaviors between the information that's  
15 in API-579 and that that's in ASME Section 11, of course  
16 is different in the fact that, you know, ASME Section  
17 11, Section 3, codes are focused on those degradation  
18 mechanisms that may be specific to nuclear-grade  
19 materials and their applications, where API-579 has  
20 a little different -- a little different focus.

21           And this ISG is mainly focusing on those  
22 behaviors that are expected at -- you know, for these  
23 advanced reactors. And while I think it's probably  
24 a good idea that we do a cross-check, I think that the  
25 stuff that's in the current guidance is covered for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 API-579.

2 Thank you.

3 CHAIRMAN BALLINGER: Got it. Thanks. I  
4 think the operative word though, Dave, is "expected."  
5 I'm thinking that --

6 MR. RUDLAND: Of course.

7 CHAIRMAN BALLINGER: -- sooner or later  
8 when these -- with these new plants we might get what  
9 I would call surprised.

10 MR. RUDLAND: Oh. No, we always are. So  
11 -- and when -- and we do -- you know, we are as proactive  
12 as we can be, looking at the research that's being done,  
13 as well as the past operational experience, as well  
14 as any testing that is being done or test reactors that  
15 will be done. So the staff are staying very aware and  
16 on top of the issues.

17 CHAIRMAN BALLINGER: Don't retire, Dave.

18 MS. AUDRAIN: I think we can all second  
19 that one.

20 CHAIRMAN BALLINGER: Yeah. No comment on  
21 that one. Not saying anything.

22 Thanks.

23 MS. AUDRAIN: All right. An SSC's  
24 performance will be demonstrated through a combination  
25 of material qualification programs, supplemental

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 testing, and performance monitoring surveillance  
2 programs, which collectively provide assurance that  
3 a component will meet the design requirements over its  
4 intended life in the applicable operating environment.

5 This ISG identifies that the scope of  
6 materials qualification and monitoring program should  
7 include safety-related component materials, safety  
8 significant component materials, and, as needed,  
9 non-safety-related components whose failure could  
10 impact critical design functions.

11 The selection of structural materials for  
12 the reactor design should consider effects on the  
13 material properties and allowable stresses due to  
14 interactions with the operating environment.  
15 Materials qualification and monitoring programs should  
16 include testing conducted or use of historical data  
17 collected in an environment simulating the anticipated  
18 operating environment for the reactor, including the  
19 chemical environment, temperatures, and radiation.

20 Use of any historical data should be  
21 directly applicable to the plant design and  
22 environment. As seen in their historical data, it  
23 should account for uncertainties in the environment,  
24 material composition, fabrication methods, and  
25 operating conditions. Testing should be conducted to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309



1 determine if material properties and allowable stresses  
2 meet applicable codes and standards or other design  
3 requirements.

4 Next slide. Performance monitoring and  
5 surveillance programs are used in tandem to ensure that  
6 a component will continue to meet its design  
7 requirements. For components for which there is little  
8 data on performance in similar operating environments  
9 conditions, performance monitoring and surveillance  
10 programs could be an acceptable way to show that the  
11 component will maintain its intended function  
12 throughout the design life.

13 An example of this could be chemistry,  
14 temperature, flow monitoring, or wall thickness  
15 measurements. Surveillance programs could include  
16 test coupons or SSCs removed and tested during  
17 operation, data from which could be used to help predict  
18 degradation of components and service.

19 A component with significant design  
20 margin, or one that has demonstrated acceptable  
21 performance under similar operating environments and  
22 conditions, may require less rigorous performance  
23 monitoring and surveillance programs.

24 The staff review should include  
25 performance monitoring and surveillance programs for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 SSCs that are not planning -- planned to undergo  
2 periodic inspections or functional testing.

3 MEMBER BROWN: Can I ask a question?

4 MS. AUDRAIN: Mm-hmm.

5 MEMBER BROWN: I'm not a materials person  
6 like these guys are, but when I was looking at this  
7 and what you just said, it gives the impression that  
8 you can embark on a new program of materials that are  
9 installed in the plant without prior experimental  
10 verification that they will actually withstand some  
11 of the conditions under which they are going to operate  
12 as long as you incorporate coupons and other performance  
13 monitoring.

14 Back in the old, old, old, old days, in  
15 1950 and so when we started these programs, while we  
16 embarked on some of that similar-type stuff, there was  
17 some experimental data that was relied on to at least  
18 get the program started, but then there were test  
19 reactors that did what you would call accelerated  
20 experiments to try to characterize, you know, the  
21 radiation response and everything else.

22 And this seems to say we're not going to  
23 be as -- to me it says that we're not going to be as  
24 complete or as thorough as we did in the past. Is that  
25 -- it's kind of the way I read some of this.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 MS. AUDRAIN: That was not the intention.  
2 The intention of this section was to say that we  
3 understand that, especially in some areas where there's  
4 a long lead time or challenges, especially with the  
5 radiation testing, that while that testing is being  
6 done, or in addition or supplementing that testing,  
7 you could do some other performance monitoring  
8 strategies to ensure that the component would say --  
9 would satisfy its design criteria.

10 I think the bar for doing that versus having  
11 a testing program at all would be very, very high.  
12 The intention isn't to say that no testing would ever  
13 be required for these components. More that we would  
14 be more looking at materials qualification and  
15 performance monitoring holistically.

16 MEMBER PETTI: Charlie, my view on this  
17 is that there are some things you cannot do until you  
18 get to the reactor. And some of these inspections,  
19 they're integral effects tests, if you will. And some  
20 of the monitoring will get at things that no matter  
21 how good all your testing was outside of the reactor

22

23 MEMBER BROWN: I don't know what --

24 MEMBER PETTI: -- provide assure that --

25 MEMBER BROWN: I'm not arguing about the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1           you know, the in-plant performance stuff. It's just  
2           some information that says I can get through six months  
3           or maybe a year, but I may not have a complete story,  
4           but I can at least have some confidence that when I  
5           build something it's not -- it's going to be okay for  
6           more than a very limited period.

7                   MEMBER PETTI: Yeah. No, that's --

8                   MEMBER BROWN: That's not the way I read  
9           it.

10                  MEMBER PETTI: That's not how I read it.

11                  MS. AUDRAIN: That wasn't the intent.

12                  MEMBER BROWN: But that's my brain.

13                  MS. AUDRAIN: Yeah. That was not the  
14           intention of the ISG. It was more to show that for  
15           some of the more complicated testing that we wouldn't  
16           be preventing reactors from being designed and built,  
17           that there are other ways to ensure that the components  
18           would meet their design.

19                  CHAIRMAN BALLINGER: This is Ron Ballinger  
20           again. Not to beat a dead horse, which I will keep  
21           beating the dead horse, and that is, to what extent  
22           do you think you would consider the substitution  
23           temporary, if that, of modeling and simulation for  
24           getting at this and satisfying it?

25                  MS. AUDRAIN: I think that would be very

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 design- and materials-specific. It would be hard to  
2 give a generic answer to that.

3 CHAIRMAN BALLINGER: Well, but you're not  
4 slamming the door.

5 MS. AUDRAIN: No.

6 CHAIRMAN BALLINGER: Okay.

7 MEMBER BROWN: The reason I asked that  
8 question is based on that old, old, old experience back  
9 in the naval program, there was data taken and you could  
10 see nice progress over time of data points going along  
11 with an envelope, and all of a sudden it took off going  
12 in the wrong direction. And that's one of those  
13 surprises.

14 Now, you don't find five- or 10-year stuff,  
15 you know, with many programs, but you like to make sure  
16 that takeoff is not after three months or six months.

17 You'd like to know there is a period that you've got  
18 enough experimental information that says, "Yeah.  
19 Temperature and radiation combined, whatever, at least  
20 gets you through some period wherein, you know, you  
21 can recover."

22 It seems that that's not incumbent in the  
23 ISG. That's all. And that was the way I read some  
24 of the paragraphs. So that's just -- that's me reading  
25 it, and I just wanted to make sure -- I don't think

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 you guys intend on going out to lunch. That's not the  
2 point. But it's the message sent via an ISG that  
3 licensees and other people who want to come forward,  
4 you know, see this. Oh, we can do a little bit less  
5 than we would have done, because it says they will  
6 consider it. That's all.

7 I will stop right there. It just was my  
8 thought process. That's the way I read it. I didn't  
9 have any problem with most of the rest of it.

10 MR. CHERESKIN: Yeah. So this is Alex  
11 Chereskin. The only other thing that I would add to,  
12 you know, what Meg and others have said is that the  
13 ISG is guidance to the staff on what to look for during  
14 the review. And so when we're having these discussions  
15 of where there might be potential tradeoffs or, you  
16 know, whatever the mitigation measures you need are,  
17 this is guidance to the staff to be able to then look  
18 at that when we actually get an application and evaluate  
19 it at that time, too.

20 So I don't think we're making the  
21 conclusive statements that, you know, there is one  
22 definitive way to do or not do something.

23 MEMBER BROWN: I understand that's the  
24 guidance, same as -- I mean, how you all review it.  
25 But notwithstanding that, the people that are going

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 to be doing things do know what you're going to be  
2 reviewing and look for ways so that they can proceed.

3 It may be just nervous when we have lack of  
4 understanding. We've learned a lot, that materials  
5 do something strange after a while, as we have found  
6 out many, many times.

7 All right. I'm done.

8 MS. AUDRAIN: All right. The ISG has two  
9 sections on generically applicable materials issues,  
10 one for general degradation mechanisms and one for  
11 general materials issues. The general degradation  
12 mechanisms and material issues are likely to apply  
13 across different reactor designs, operating  
14 environments, and materials.

15 The ISG also has three technology-specific  
16 appendices. The technology-specific appendices  
17 developed were for molten salt reactors, liquid metal  
18 reactors, and high-temperature gas-cooled reactors.  
19 The topic areas in the ISG were identified by staff  
20 through a review of historical documents, NRC technical  
21 letter reports, industry gap analysis reports, and  
22 literature searches to identify materials topics and  
23 degradation mechanisms likely to occur generically and  
24 in the specific reactor designs.

25 The mechanisms identified in the ISG

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 reflect current state of knowledge. However, as  
2 additional operating experience and lab testing becomes  
3 available, the need to address each identified  
4 degradation mechanism or materials issue may change  
5 and new ones may be identified.

6 In the ISG, we identify degradation  
7 mechanisms that the staff should evaluate if they have  
8 been adequately addressed for various reactor  
9 environments. The ISG provides information to guide  
10 the staff's review for the degradation mechanisms  
11 listed on the slide. For each degradation mechanism,  
12 the ISG identifies the information to be considered  
13 in review, how the degradation mechanism could impact  
14 an SSC, and, where applicable, guides the staff to  
15 confirm that appropriate mitigation strategies,  
16 performance monitoring, and surveillance programs were  
17 considered.

18 This information is provided to guide staff  
19 review. However, the information required in the  
20 application for degradation mechanisms and specific  
21 mitigation, performance monitoring, surveillance  
22 programs would be design dependent.

23 We also identified the following general  
24 materials issues that staff should evaluate if they  
25 have been adequately addressed for various reactor

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309



1 environments. The ISG provides information to guide  
2 the staff's review for advanced manufacturing  
3 technologies, metallic materials qualification,  
4 ceramic insulation, dissimilar metal welds, composite  
5 materials, and gasket and seal compatibility.

6 For each materials issue, guidance is  
7 provided on the areas to evaluate, the reason for the  
8 evaluation, and, where applicable, guides the staff  
9 to confirm that appropriate mitigation strategies,  
10 performance monitoring, and surveillance programs were  
11 considered. These material issues are, again, design  
12 dependent and would not be applicable for all designs.

13 The first appendix of the ISG offers  
14 details on the design or environment-specific aspects  
15 for molten salt reactors. MSR designs fall into two  
16 categories: liquid fuel and solid fuel. In a liquid  
17 fuel MSR, the fissile material is directly dissolved  
18 in the coolant. In a solid fuel MSR, the molten salt  
19 coolant has relatively small amounts of fissile  
20 material and fission products.

21 They are typically contained within a TRISO  
22 fuel particle, which could be in a prismatic graphic  
23 compact or a pyrolytic graphic sphere. The design of  
24 the MSR will have a large impact on how to review each  
25 materials issue identified on the slide.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1           For example, liquid fuel MSR's will have  
2 more material interactions with the fissile material  
3 and fission products. The ISG provides information  
4 to guide the staff's review for graphite compatibility,  
5 various materials considerations, such as degradation,  
6 cracking and corrosion, salt composition, and tritium  
7 production.

8           There is guidance on specific topics in  
9 each header for staff to evaluate. For example, under  
10 graphite compatibility, the staff has provided guidance  
11 to review graphite salt compatibility, salt  
12 infiltration, and abrasion erosion, in addition to  
13 other areas. Where applicable, the section guides the  
14 staff to confirm that appropriate mitigation  
15 strategies, performance monitoring, and surveillance  
16 programs were considered.

17           The second appendix to ISG offers details  
18 on the design and/or environment-specific aspects for  
19 liquid metal reactors, both sodium and lead-cooled.  
20 Liquid metal reactors are characterized by the  
21 operation at or near ambient pressure using a fast  
22 neutron spectrum in which the fuel with metallic  
23 cladding is cooled by liquid sodium, lead, or the lead  
24 bismuth eutectic.

25           The design and coolants at the liquid metal

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 reactor will have a large impact on how to review each  
2 materials issue. The specific topic areas listed in  
3 the ISG for each coolant type are on this slide.  
4 However, common areas to review include corrosion,  
5 coolant purity and flow rate, and temperature. The  
6 staff should evaluate whether applicants have  
7 adequately addressed these materials issues as --  
8 including, as appropriate, plans to monitor, evaluate,  
9 and mitigate degradation.

10 MEMBER REMPE: I had a question. The ISG  
11 talks about safety-related and non-safety-related  
12 components, systems, and structures. And they talk  
13 about instrumentation you need to get this data to do  
14 all of this monitoring. But it doesn't distinguish  
15 whether more QA is needed for safety-related versus  
16 non-safety-related. Have you guys -- what are your  
17 thoughts about this, and how would the staff interpret  
18 this?

19 MS. AUDRAIN: It wasn't the purpose of this  
20 ISG to determine whether a component is or is not safety  
21 or non-safety-related.

22 MEMBER REMPE: But if the applicant has  
23 a safety-related or a non-safety-related component,  
24 do they need to have a better quality of data? And  
25 is it clear from the ISG what kind of quality of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 instrumentation needs, performance monitoring data,  
2 are needed?

3 MS. AUDRAIN: We do have a section on  
4 quality assurance in our discussion section of the ISG.

5 I forget the exact language, but the expectation would  
6 be that they use an approved UA program for  
7 safety-related.

8 MEMBER REMPE: So something that is  
9 safety-related needs higher fidelity data. It wasn't  
10 obvious to me when I read it, but I'll look at it more  
11 carefully.

12 MS. AUDRAIN: The third appendix to the  
13 ISG offers details on the design or  
14 environmental-specific aspects for high-temperature  
15 gas-cooled reactors. HTGRs can use helium or CO2  
16 coolant. However, reactors that use CO2 as the coolant  
17 are not currently expected to be deployed in the United  
18 States, so ISG only addresses degradation  
19 considerations that are likely to apply to the helium  
20 cooled reactors.

21 The ISG provides information to guide the  
22 staff's review for creep rupture strength, emissivity,  
23 graphite, graphite dust, helium impurities and  
24 carburization, silicon carbide and composites, and  
25 lubricant considerations specific to the helium

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 environment.

2 The ISG identifies the information to be  
3 considered in a review for each topic, how the topic  
4 could impact the SSC, and, where applicable, this guides  
5 the staff to confirm that appropriate mitigation  
6 strategies, performance monitoring, and surveillance  
7 programs were considered.

8 As Greg mentioned, this ISG went out for  
9 a 60-day public comment period this spring. We  
10 received comments from eight different entities with  
11 a total of 57 comments. As part of the response to  
12 this, we made a few notable changes to the ISG.

13 First, we included additional evaluation  
14 of carburization and decarburization throughout the  
15 ISG for the different reactor designs. We included  
16 cladding in the metallic materials qualification  
17 section. And we included generic guidance for  
18 non-code-qualified materials in the background section  
19 rather than having references throughout the ISG.

20 MR. SCHULTZ: Meg, I'd like to make a  
21 comment. This is Steve Schultz.

22 I would have characterized the public  
23 comment period -- not the period, but the public comment  
24 process and its results somewhat differently. That  
25 is, it was a 60-day comment period, and you did receive

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 a substantial number of well-intended comments aimed  
2 at improving the document or its application.

3 And having reviewed them in some detail,  
4 there were a number of comments that the staff -- of  
5 those 57, a number of those that the staff did accept  
6 and integrate into the report to make fairly valuable  
7 changes to the document itself.

8 And then those that you didn't accept you  
9 had the opportunity to provide your additional  
10 rationale as to why you didn't do that, and in some  
11 cases how the comments didn't particularly apply to  
12 this document but could be utilized in other ways in  
13 the licensing process, and so forth.

14 So I would have -- I would have just  
15 characterized it differently in terms of the value of  
16 the process. I thought, as I said, the comments were  
17 very well intended and quite highly technically  
18 oriented to provide information that improve the  
19 document.

20 MS. AUDRAIN: Oh, yeah. It was not my  
21 intention to dismiss any of the public comments. There  
22 were a number of very, very good ones. It was more  
23 just to highlight the areas where we had major changes.

24 MR. SCHULTZ: Yeah. I just want to  
25 continue to encourage the public process and the comment

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 process. Thank you.

2 MS. AUDRAIN: In summary, we developed an  
3 ISG to develop -- to guide staff on reviewing non-LWR  
4 applications using materials allowed under Div 5.  
5 Changes were made to address the public comments  
6 received for the draft ISG. Our next steps are OGC  
7 approval and issuance of this as a final ISG.

8 Thank you.

9 MEMBER REMPE: I had another QA question.  
10 There were some documents related to AMT QA  
11 requirements that -- and I was wondering, I don't know  
12 if we've been involved in the review and what's the  
13 status of those documents. It basically said the NRC  
14 is in the process of developing both generic and AMT  
15 specific guidance for considering the QA of AMT  
16 components. Is that something that we'll see?

17 MS. AUDRAIN: I'm going to let either Dave  
18 or Rob Tregoning answer that question. They're still  
19 active participants on the AMT team.

20 MR. RUDLAND: I'm happy to make a quick  
21 comment on that. So, yeah, the staff of both NRR and  
22 Research have been working to develop guidance that  
23 is both technology-specific as well as generic over  
24 the last couple of years. And through that process,  
25 we have developed draft guidelines that pertain to those

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 -- to those topics that have been sent out for public  
2 comment, and such like that.

3 At this particular time, we're continuing  
4 those efforts. I think the overall goal is to wrap  
5 that into some overall guidance. The timeframe of that  
6 I think is relatively -- is relatively short term, but  
7 I know the staff is still currently working on that.

8 And if ACRS is interested, of course when that time  
9 comes we'd be happy to bring that to you guys.

10 CHAIRMAN BALLINGER: I think you can  
11 assume that's the case.

12 MR. RUDLAND: I'll pass that on to the  
13 team.

14 CHAIRMAN BALLINGER: Questions?

15 MEMBER DIMITRIJEVIC: This is Vesna. I  
16 have something that I want to support in one of Joy's  
17 comments just before where she asked about the safety  
18 classifications and are the requirements different for  
19 the -- you know, the different safety class.

20 And I notice in your guide that you actually  
21 -- that was also part of -- I think of some questions  
22 which I saw. But, anyway, I notice in your guide that  
23 you say that this applies to safety-related,  
24 safety-significant, and non-safety components whose  
25 failure could impact critical design function.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309



1           So certainly you have here three  
2 categories, because usually there is just, you know,  
3 two -- three different categories. Essentially, you  
4 have four categories, because then we're going to have  
5 non-safety components which don't impact, you know,  
6 the critical design function.

7           So this is slightly different than the  
8 usual safety classification which we see. So is --  
9 do you have an intent for this to be risk-informed?  
10 You know, when do you need to start the old degradation  
11 mechanisms, and things like that? And why do you have  
12 these classifications which are slightly different  
13 than, let's say, NEI-0804?

14           MS. AUDRAIN: Well, our intention was to  
15           because the likelihood of designs being so different  
16 for advanced reactors versus the light water reactors  
17 was to make sure that any component that would be relied  
18 upon for safety, whether it was classified as non-safety  
19 or safety, would still be reviewed by staff to ensure  
20 that the component would meet its design criteria.

21           Does that answer your question?

22           MEMBER DIMITRIJEVIC: But you understand  
23 my question. You have a little -- you have added this  
24 category, non-safety, whose failure could impact  
25 control design function. And that will mean

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 non-safety, non-risk-significant, but impacts critical  
2 design function.

3 So, you know, I mean, I don't know, but  
4 I will bet non-safety-significant. But, anyway, this  
5 is some additional category you are adding, and  
6 basically do you want to cover everything? I mean,  
7 or -- I mean, as you said, you just want to make sure  
8 that they address everything which is done.

9 But I just want to say that your  
10 classification is not really consistent with  
11 classifications we see for the non-light-water reactors  
12 in the, you know, classification process.

13 So this is just my comment. Just, you  
14 know, take it with a grain. On one of the comments,  
15 which you get from the public, you said that you --  
16 you know, you had to three categories, and you don't  
17 intend to change this.

18 CHAIRMAN BALLINGER: Other comments from  
19 the members or consultants? Okay. We're rapidly  
20 approaching a world's record, a presentation to the  
21 ACRS which is less than an hour long.

22 Yeah, that's right. By materials people.

23 (Laughter.)

24 CHAIRMAN BALLINGER: We're encroaching on  
25 thermal hydraulics territory.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1           So we need to go out for public comments.

2           If there are members of the public that would like  
3           to make a comment, please state your name and your  
4           organization, and please unmute yourself and make your  
5           comment.

6           Hearing none, this is a very short meeting,  
7           but the purpose of the meeting was to make sure that  
8           the members are all familiar with this issue, because  
9           we're going to be constantly dealing with new materials  
10          as submittals come through, and to have this available  
11          and this knowledge will serve us well I think.

12          So I'll --

13          MEMBER HALNON: Ron, what are they using  
14          now, like, for instance, the reactor we heard this  
15          morning and the reactor we'll hear this fall?

16          CHAIRMAN BALLINGER: I'm guessing that  
17          they're using this. I can tell you that the Kairos  
18          people are.

19          MEMBER HALNON: Okay.

20          CHAIRMAN BALLINGER: For sure. I mean,  
21          if you read their --

22          MS. AUDRAIN: Just a point of  
23          clarification. The Kairos review was done for the  
24          topical reports prior to this being issued publicly.

25          CHAIRMAN BALLINGER: Okay. I get your

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 point. But if you read it, there's a certain  
2 familiarity with the topics and things in there, and  
3 the order.

4 MR. CHERESKIN: Yeah. I understand that.

5 There are a lot of common staff working on both the  
6 Kairos project and this project as well. And so I --  
7 you know, I think we can --

8 CHAIRMAN BALLINGER: I mean, that's a  
9 testimony to the efficacy of what you're doing. I mean,  
10 people are starting to use them.

11 MEMBER HANLON: All that informed what  
12 we see here, anyway. I mean, because there is a lot  
13 of material here. You just didn't make this up over  
14 the last three months. I mean, this is a lot of stuff.

15 MS. AUDRAIN: No. We've been working on  
16 this ISG for a couple of years. We just want to make  
17 very clear that Kairos did not get a preview of this  
18 document before anybody else, but it was --

19 MR. CHERESKIN: Very smart.

20 MS. AUDRAIN: -- similarities are because  
21 the same staff worked on both projects.

22 MEMBER HALNON: So would it be considered  
23 a backfit to impose this guidance on, like, Kairos and  
24 some of the reactors that have already been somewhat  
25 designed but maybe not submitted?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 MS. AUDRAIN: This is staff guidance.  
2 It's not guidance for applicants.

3 MEMBER HALNON: Yeah. But we all know  
4 what staff guidance means.

5 MS. AUDRAIN: I think it's fair to say that  
6 because the same people who developed this guidance  
7 have been working on the advanced reactor applications  
8 --

9 MEMBER HALNON: That's a very iterative  
10 process. I mean -- thanks.

11 MR. CHERESKIN: One other thing I would  
12 note, that I was just talking about, you know, the timing  
13 of this and what the staff -- you know, kind of our  
14 knowledge base, you're right, this wasn't developed,  
15 obviously, in a matter of days or months.

16 But, I mean, even if you look at some of  
17 the references going back, we cite technical letter  
18 reports from the NRC Office of Research that were, you  
19 know, from 2020, 2021, and so this is a couple of years  
20 I think kind of in the making, with us crediting that.

21 And a lot of the staff that worked on these things  
22 are familiar with the work our colleagues in Research  
23 have been doing as well.

24 So, yeah, and it kind of also has, like,  
25 a common source for, you know, the reviews and us putting

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 together this ISG.

2 CHAIRMAN BALLINGER: I mean, it's very  
3 timely. I'm surprised it took this long.

4 Okay. If there aren't any other comments,  
5 and I could ramble along for another 10 minutes and  
6 make it an hour, but I won't do that. So -- we're good  
7 at that.

8 Anyway, thank you very much for spending  
9 the -- I did. What, do you mean to do it again?

10 Okay. Thank you very much again, and we  
11 are adjourned.

12 (Whereupon, the above-entitled matter went  
13 off the record at 1:50 p.m.)

14

15

16

17

18

19

20

21

22

23

24

25

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

---

# Interim Staff Guidance on Materials Compatibility in Advanced Reactor Environments

Meg Audrain, Alex Chereskin and Matt Gordon  
Office of Nuclear Reactor Regulations  
August 23, 2023  
ACRS Subcommittee Meeting

---

# Agenda

- Purpose and Applicability of Interim Staff Guidance (ISG)
- Regulatory Framework
- Qualification and Performance Monitoring
- Technical Content
- Public Comment Resolution
- Conclusions and Questions



---

# Purpose for Development of ISG

- Anticipate non-light water reactor (LWR) applicant use of ASME Section III, Division 5 (Div 5), “High Temperature Reactors”
- Account for environmental effects in assessment of service life for structures, systems and components (SSCs)
- Address lack of existing staff guidance on the review of materials qualification, performance monitoring methods, and surveillance for non-LWRs
- Ensure consistency and clarity for application reviews, including identification of:
  - Information related to materials qualification, and
  - Appropriate monitoring and surveillance programs.

---

# Non-LWR Environment

- Corrosion and other materials degradation phenomena may significantly differ from LWR environments
- Lack of test data and operational experience gives rise to knowledge gaps for the materials-environmental interactions in non-LWRs
- Use of appropriate mitigation strategies, performance monitoring, and surveillance programs will be emphasized by staff to ensure SSCs continue to satisfy the design criteria

---

# ISG Applicability

Staff reviews of non-LWR power, research or test reactors that propose the use of materials allowed under Div 5

- Part 50 - construction permit and operating license
- Part 52 - design certification, combined license, standard design approval, or manufacturing license

---

# Current Regulatory Framework

- Staff evaluate performance of SSCs with reference to the facility principal design criteria (PDCs) required by 10 CFR 50.34(a)(3)(i), 10 CFR 52.47(a)(3)(i) and 10 CFR 52.79a(4)(i)\*
- ISG addresses staff review of materials qualification, performance monitoring, and related issues to ensure conformance with PDCs.

\*See also Regulatory Guide (RG) 1.232, “Guidance for Developing Principal Design Criteria for Non-Light Water Reactors”

---

# Qualification and Performance Monitoring - Terminology

- Materials qualification
  - Testing conducted in an environment simulating the anticipated operating environment for the reactor, including chemical environment, temperatures, and irradiation
- Performance monitoring
  - Inspections or examinations to confirm adequate performance and to identify unacceptable degradation such as chemistry temperature or flow monitoring, or wall thickness measurements
  - May also include aging management programs or post-service evaluations
- Surveillance programs
  - Examination of test coupons and components removed from the reactor over the licensed operating period

---

# Qualification and Performance Monitoring

- Purpose: Demonstrate that a component will meet the design requirements over its intended design life in the applicable environment
- Scope: Safety-related and safety-significant component materials, and as needed, non-safety related component materials whose failure could impact critical design functions
- Testing: Determine if materials properties and allowable stresses meet applicable codes and standards or other design requirements

---

# Performance Monitoring and Surveillance

- Expected scope of programs will depend, in part, on availability of testing data
- Robust monitoring and surveillance programs may provide appropriate confidence when:
  - There is a limited set of testing data
  - Periodic inspections and/or functional testing of SSCs is not planned

---

# Technical Content of ISG

- Degradation issues
  - Generically applicable
  - Technology specific
- Technology-specific appendices
  - Molten salt reactors
  - Liquid metal reactors
  - High temperature gas reactors

Represents current state of knowledge – subject to change based on evaluation of further test data and operating experience



---

# Generally Applicable Degradation Mechanisms

- Carburization
- Corrosion
- Environmental effects on creep and creep fatigue
- Environmentally assisted cracking
- Flow induced degradation (abrasion, erosion, cavitation)
- Flow induced vibration
- Irradiation effects
- Stress relaxation cracking
- Thermal aging, thermal emissivity, thermal fatigue and transients
- Coolant Flow, wear, and fretting

---

# Other Generally Applicable Materials Issues

- Advanced manufacturing technologies
- Metallic materials qualification considerations
- Ceramic insulation
- Dissimilar metal welds
- SiC, C/C, and SiC/SiC composites
- Gaskets and seal chemical compatibility

---

# Molten Salt Reactor Appendix

- Graphite compatibility
- Materials considerations (degradation, cracking, corrosion)
- Salt composition
- Tritium production

---

# Liquid Metal Reactor Appendix

## Sodium-cooled fast reactors

- Caustic stress-corrosion cracking
- Exothermic reactivity with water
- Sodium impurity effects on corrosion
- Liquid metal embrittlement
- Carburization and decarburization

## Lead-cooled fast reactors

- High temperature corrosion
- Effect of flow velocity
- Liquid metal embrittlement
- Nonmetallic materials
- Oxygen control

---

# High Temperature Gas Cooled Reactor Appendix

- Creep-rupture strength
- Emissivity
- Graphite
- Graphite dust
- Helium impurities and carburization
- SiC and composites
- Lubricants

---

# Public Comment Period

- 60-day public comment period: spring 2023
- Received comments from 8 entities, total of 57 comments
- Only a few notable changes:
  - Additional evaluation of carburization/decarburization
  - Addition of cladding in “Metallic Materials Qualification”
  - Addition of generic guidance for non-code qualified materials in background section rather than references throughout ISG

---

# Summary

- NRC staff developed an ISG to guide staff on reviewing non-LWR applications using materials allowed under Div 5
- Limited changes were made to address public comments received for the draft ISG
- Next steps – OGC approval and issuance as final ISG

---

Questions?



Full Name User Action Timestamp

Christophe Joined 8/23/2023, 12:33:20 PM  
Larry Burk Joined bef 8/23/2023, 12:33:20 PM  
Thomas D Joined bef 8/23/2023, 12:33:20 PM  
Kent Howz Joined 8/23/2023, 12:35:55 PM  
Walt Kirch Joined 8/23/2023, 12:45:15 PM  
Walt Kirch Left 8/23/2023, 12:52:17 PM  
Walt Kirch Joined 8/23/2023, 1:01:55 PM  
Court Rep Joined 8/23/2023, 12:45:53 PM  
Shandeth Joined 8/23/2023, 12:46:08 PM  
Greg Ober Joined 8/23/2023, 12:46:56 PM  
+1 707-31 Joined 8/23/2023, 12:47:24 PM  
Rebecca C Joined 8/23/2023, 12:47:46 PM  
Zena Abdi Joined 8/23/2023, 12:52:01 PM  
Robert Da Joined 8/23/2023, 12:53:46 PM  
Dennis Ble Joined 8/23/2023, 12:54:09 PM  
Tammy Sk Joined 8/23/2023, 12:54:55 PM  
Alexander Joined 8/23/2023, 12:55:08 PM  
Derek Wid Joined 8/23/2023, 12:55:21 PM  
David Rud Joined 8/23/2023, 12:56:11 PM  
Vesna B C Joined 8/23/2023, 12:57:30 PM  
Gregory H Joined 8/23/2023, 1:00:00 PM  
Robert Tre Joined 8/23/2023, 1:01:01 PM  
Eric Reich Joined 8/23/2023, 1:03:21 PM  
Trace Orf Joined 8/23/2023, 1:04:54 PM  
Jamila Per Joined 8/23/2023, 1:05:24 PM