

Official Transcript of Proceedings
NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards
Regulatory Policies and Practices

Docket Number: (n/a)

Location: teleconference

Date: Thursday, August 24, 2023

Work Order No.: NRC-2513

Pages 1-68

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1716 14th Street, N.W.
Washington, D.C. 20009
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23

DISCLAIMER

UNITED STATES NUCLEAR REGULATORY COMMISSION'S
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

The contents of this transcript of the proceeding of the United States Nuclear Regulatory Commission Advisory Committee on Reactor Safeguards, as reported herein, is a record of the discussions recorded at the meeting.

This transcript has not been reviewed, corrected, and edited, and it may contain inaccuracies.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

(ACRS)

+ + + + +

REGULATORY POLICIES AND PRACTICES SUBCOMMITTEE

+ + + + +

THURSDAY

AUGUST 24, 2023

+ + + + +

The Subcommittee met via hybrid in-person and Video Teleconference, at 1:00 p.m. EDT, Vicki Bier, Chair, presiding.

COMMITTEE MEMBERS:

- VICKI BIER, Chair
- RONALD G. BALLINGER, Member
- CHARLES H. BROWN, JR., Member
- VESNA DIMITRIJEVIC, Member
- GREGORY HALNON, Member
- WALT KIRCHNER, Member
- JOSE MARCH-LEUBA, Member
- ROBERT MARTIN, Member
- DAVID PETTI, Member

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

JOY L. REMPE, Member

THOMAS ROBERTS, Member

MATTHEW SUNSERI, Member

ACRS CONSULTANT:

DENNIS BLEY

STEVE SCHULTZ

DESIGNATED FEDERAL OFFICIAL:

HOSSEIN NOURBAKHS

ALSO PRESENT:

GEORGE APOSTOLAKIS, Invited Expert

WILLIAM RECKLEY, NRR

ADAM STEIN, Public Participant

P-R-O-C-E-E-D-I-N-G-S

1:00 p.m.

CHAIR BIER: Well, it is now 1:00, so this meeting will now come to order. This is a meeting of the Regulatory Policies and Practices Subcommittee of the ACRS in support of ongoing ACRS efforts exploring the NRC's safety goal policy.

My name is Vicki Bier. I'm the Chair of today's subcommittee meeting. Members in attendance today are Charles Brown, Greg Halnon, Tom Roberts, Robert Martin, Joy Rempe, Dave Petti, Matt Sunseri, Jose March-Leuba, Ron Ballinger. We have consultant Steve Schultz in the room. I do not know for sure if Walt Kirchner or Vesna Dimitrijevic are online --

MEMBER KIRCHNER: Vicki, I'm here. Hi, George.

MEMBER DIMITRIJEVIC: I'm here, too.

CHAIR BIER: Perfect. And I know our consultant Dennis Bley was planning to join. I do not know whether he is on yet. Okay. There we go. So that is the attendance for today, plus a number of other interested parties online.

We are holding this open meeting to gather information to support an ACRS working group exploring the quantitative health objectives in this safety goal

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 policy. I want to emphasize right now that we are in
2 the very preliminary stages of that work and the
3 effort right now is focused exclusively on just
4 gathering information, of which today's presentation
5 is part of that.

6 So we have invited former NRC Commissioner
7 George Apostolakis to provide his thoughts on the
8 safety goal policy. I want to note that Dr.
9 Apostolakis was also a member and former chair of the
10 ACRS and is well known for a lot of his research
11 contributions on the development and application of
12 PRA methods, as well, so I'm very glad that we have
13 him here to talk to us today.

14 For background, the ACRS section of the
15 U.S. Nuclear Regulatory Commission public website
16 provides our charter, bylaws, agendas, letter reports,
17 and full transcripts of all full and subcommittee
18 meetings, including the slides. The meeting notice
19 and agenda for today's meeting were also posted on
20 that website.

21 The subcommittee is going to gather
22 information, analyze relevant issues and facts, and
23 may choose to formulate proposed positions or actions,
24 as appropriate, for deliberation by the full
25 Committee. A transcript of this meeting is being kept

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 and will be made available.

2 Today's meeting is being held hybrid with
3 both in person and remote Microsoft Teams capability.
4 There is also a bridge line number allowing
5 participation over the phone. There will be an
6 opportunity for public comments at the end of today's
7 meeting, maybe in a couple of hours from now or
8 thereabouts. When addressing the subcommittee,
9 participants should first identify themselves and
10 speak with sufficient clarity and volume so that they
11 may be readily heard. And when not speaking, please
12 do mute your computer microphone or phone to reduce
13 any interference.

14 We can now go ahead with the meeting, and
15 I will call upon Dr. George Apostolakis, our invited
16 expert, to begin today's presentation. George, you
17 can go ahead.

18 MR. APOSTOLAKIS: Thank you, Vicki. I
19 guess you can hear me now okay?

20 CHAIR BIER: Yes, we hear you fine. Thank
21 you.

22 MR. APOSTOLAKIS: Good, good. Thanks.
23 Well, when you asked me to prepare this presentation,
24 I thought, I said, gladly, yes because I thought it
25 was going to be very easy for me to put together a few

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 slides. But it turns out it was not very easy. I've
2 been away for a number of years now from the NRC and,
3 especially when I started looking at Part 53, I really
4 had to spend a lot of time trying to understand the
5 staff's position and the NEI's position. But, anyway,
6 I think I did at the end, so I'll tell you today what
7 I learned.

8 Next slide, please. Good. Okay. Some
9 comments on the safety goals, who have been now in
10 effect for many years. There have been changes, okay,
11 so -- no, the previous slide. Originally, the safety
12 goals were intended to be applied generically -- no,
13 next slide. Slide number two. Jose.

14 PARTICIPANT: Commissioner Apostolakis,
15 we're working it out here now.

16 MR. APOSTOLAKIS: Okay.

17 CHAIR BIER: Minor technical difficulties.

18 MR. APOSTOLAKIS: Yes, yes. You think it
19 will be easier if I handle them?

20 CHAIR BIER: Probably not. I would
21 suggest people who are following along on Teams can
22 see the slides. I don't know why they are not showing
23 up on the overhead, so maybe you can just go ahead and
24 talk to slide two, and we will get back to it.

25 MEMBER REMPE: George, can you see Jose's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 slides? They're coming now. Okay.

2 CHAIR BIER: Now we have to go back to the
3 correct slide.

4 MR. APOSTOLAKIS: Yes, this is it.

5 MR. MOORE: Okay. So now Mike has
6 control, Member Bier, but I would suggest not doing
7 anything up there, and Mike can --

8 CHAIR BIER: Okay. Any minute now, we
9 will be back to being ready.

10 MR. APOSTOLAKIS: So you still cannot see
11 the slides?

12 CHAIR BIER: Well, I see them on my
13 computer, but we don't see them on the overhead for
14 some reason.

15 MR. APOSTOLAKIS: I see, I see.

16 CHAIR BIER: So it will be just a moment.

17 MEMBER KIRCHNER: Vicki, we see them --
18 this is Walt, Vicki. We see them on Teams.

19 CHAIR BIER: Good to know.

20 MEMBER REMPE: I think if Mike re-shares,
21 we'll be fine. We're trying to get it so we can see
22 George and the screen.

23 PARTICIPANT: Let Mike just control the
24 slides and not do anything at all up there.

25 CHAIR BIER: That sounds better. Mike, if

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 you can re-share. Sorry for the complications.

2 MR. APOSTOLAKIS: No problem.

3 CHAIR BIER: Okay. Yes, full screen,
4 Mike, and then we can go ahead. Perfect. Thank you.
5 Sorry for the interruption.

6 MR. APOSTOLAKIS: So everybody sees them
7 now?

8 MEMBER REMPE: Yes.

9 MR. APOSTOLAKIS: Good. So the original
10 intent was that the safety goals would be applied in
11 a generic sense and not in specific applications, but,
12 over the years, these things have changed, they have
13 evolved, so, routinely, I remember we have been
14 comparing individual plant CDF and LERF to the goals
15 and, in fact, Part 52 demands this. And also you had
16 a presentation by David Johnson some time ago, and he
17 talked about the proposal by the ACRS before the
18 Commission issued its safety goal policy, and that
19 proposal included goals plus upper limits, and the
20 existing goals do not include the upper limits, but,
21 informally, I think there are upper limits. And I
22 remember years ago some engineer in one plant made a
23 mistake, and he issued core damage frequency higher
24 than 10 to the minus 3 due to fires, internal fires,
25 and I was a member of the ACRS then and I remember

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 that, immediately, the staff put together a team of
2 experts and dispatched them to the utilities' offices
3 to go over the calculations and confirm perhaps the
4 number was valid. It turned out it was not; there was
5 a mistake in the calculations. But the important
6 point here is that the number of more than 10 to the
7 minus 3 prompted immediate action from the NRC staff.
8 So there are informal upper limits, too.

9 Next slide, please. By the way, if you
10 want to interrupt me, that will be fine. It makes it
11 for a more interesting presentation.

12 MEMBER KIRCHNER: Okay. George, this is
13 Walt. Yes, I want to interrupt you. So in your
14 previous slide, you said that the CDF and LERF were
15 compared to the goals routinely. Could you just give
16 your perspective on that because that wasn't a full
17 Level 3 PRA, that was just those Level 1 numbers.
18 What was the interpretation between those numbers and
19 the safety goals?

20 MR. APOSTOLAKIS: Yes. There was a study,
21 I think it was right after the goals were published,
22 a study done by the staff and also by the ACRS staff
23 independently where they showed that, if you met the
24 subsidiary goals for CDF and LERF, then you have met
25 also the health effects goals. It was a very

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 interesting calculation going back. In fact, the CDF
2 goal assures that the latent cancer goal was met, and
3 the LERF goal made sure that the acute fatalities goal
4 was met. The calculation made some assumptions that
5 were pretty conservative, as I recall. And the
6 reason, of course, was that the uncertainties in the
7 calculation of health effects were so large that
8 making any regulatory decisions using Level 3 results
9 would have been very, very difficult. The
10 uncertainties in LERF and CDF are still there, but
11 they're more manageable. So the whole system evolved
12 around CDF and LERF goals.

13 MR. BLEY: George, it's Dennis Bley. Do
14 you remember, did the staff write a paper on that? We
15 haven't run across that in the things we've been
16 digging up lately.

17 MR. APOSTOLAKIS: Yes. I remember reading
18 it, and I will have to look for it again, but there
19 is, yes.

20 MR. BLEY: Okay. If you can find it, I
21 think it would be interesting.

22 MR. APOSTOLAKIS: Yes, I'll try to find it
23 and send it. I think it's called Appendix C to
24 something, but I don't remember. I'll track it down,
25 yes. Anything else on this?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 MEMBER KIRCHNER: Yes, George. Walt
2 again. You made a very important point that I think
3 you're going to address later in your presentation,
4 but the uncertainties in the human effects are, like
5 you said, you can bound the CDF and LERF probably
6 better than you can bound the uncertainty in latent
7 cancers and so on and so forth, and so it kind of
8 suggests that regulating, quote-unquote, to an actual
9 quantitative goal might be a questionable direction to
10 take.

11 MR. APOSTOLAKIS: So what is the question?
12 I'm sorry.

13 MEMBER KIRCHNER: So was your position
14 with the ACRS and then later with the Commission that
15 you regulate to the quantitative safety goals?

16 MR. APOSTOLAKIS: I don't know what you
17 mean by regulate, but definitely, if the calculation
18 for CDF, for example, show that you were above the
19 goal, something happened, and I gave you an example of
20 when the deviation was an order of magnitude where the
21 NRC staff reacted immediately. I don't know if you
22 call that regulation; I don't know. But the point is
23 that these were goals. They were not criteria. I
24 mean, the NRC staff and the Commission issued
25 statements that there is a huge difference between a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 goal and a criterion, a regulatory criterion, because
2 the regulatory criterion has to be met. And if it is
3 not met, then you're in violation. For a goal, you
4 may be, say, a few above 10 to the minus 4 for CDF,
5 like two 10 to the minus 4, but then that is not a
6 violation, but then that is not a violation. You
7 exceeded the goal. It would be nice to do something
8 to go below the goal, but, if there is compelling
9 evidence that you cannot, we can live with it. On the
10 other hand, as the example showed, if you are above a
11 goal by an order of magnitude, I think the message was
12 we cannot live with it.

13 So it was a very subjective decision what
14 to do if you were above or below. If you're below
15 it's fine. So in that sense, they were truly goals,
16 not criteria.

17 MEMBER KIRCHNER: Thank you. That answers
18 my question. Thank you.

19 MR. APOSTOLAKIS: Yes. Thanks. Okay. So
20 the next slide then. We had again, over the years,
21 especially after Fukushima, the issue of doing PRAs
22 for multi-unit sites came up. And in the United
23 States, we had, at most, three units in some sites,
24 plant Vogtle will make them four at that site. But
25 another interesting thing is that there are some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 geographically adjacent sites that we are not doing
2 any PRAs for. We have enough difficulty doing the
3 multi-unit sites, so to move on to adjacent sites is
4 probably asking for too much. But I just wanted to
5 point that out.

6 But, of course, in other countries, like
7 in Canada, Bruce Power has eight units and, in Japan,
8 Kashiwazaki-Kariwa has seven units. So for them,
9 doing PRAs for multi-unit sites is much more important
10 than in the United States at that time.

11 But on the next slide, it's interesting
12 that the NRC staff proposed to the Commission that the
13 safety goals be applied on a per-site basis. As you
14 know, right now we say such and such per reactor year,
15 and the proposal was to say such and such per site
16 year. The Commission opposed this recommendation, and
17 they said somewhere in there that they did not want to
18 impose a bias against multi-unit sites. I don't know
19 what the bias would be, but that's what the Commission
20 said. And in the United States, the QHOs are still
21 now, are being interpreted on a per reactor basis.

22 Next slide, please. Now, should we modify
23 the goals as new evidence is accumulated? I view the
24 QHOs as a commitment of the nuclear community,
25 including the NRC and the industry, as a commitment to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 society, as sort of a contract that we will never, we
2 will do our best not to exceed the goals. So they
3 should be revised only when there is compelling
4 evidence that they should be, and, again, in my view,
5 if they are to be revised, they should be revised in
6 a conservative way.

7 Now, I have heard the argument many times
8 that the Fukushima accident did not violate the NRC
9 QHOs because there were no significant early deaths
10 and all calculations show that the latent deaths will
11 be minimal. And I was perplexed by this argument, and
12 so the question in my mind was whether this was a
13 valid comparison. In other words, can you take an
14 inherently probabilistic result, like the expected
15 number of acute fatalities and then have a specific
16 accident that does not violate that result, that goal,
17 and argue that the goal is incomplete. They are two
18 different things.

19 So if you look back at the history of the
20 accident, in fact, there were messages to the
21 regulator of that time in Japan, NISA, that the
22 seawall at Fukushima was much lower than the expected
23 height of a tsunami. The seawall was of the order of
24 about 5 meters, and the expected worst tsunami was
25 more than 15 meters, a significant difference. The

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 Society of Japanese Civil Engineers formally issued a
2 statement, as I recall, in 2009, two years before the
3 accident, that this was the case, that the seawall was
4 very inadequate, and Tepco, the owner of the plant, at
5 the beginning, fought this argument but then, at the
6 end, they had their own experts looking at the
7 calculations, and they were also persuaded that the
8 seawall was indeed very low, of a very low height.
9 And they agreed to raise the seawall or to do
10 something about it at the opportune moment. And, of
11 course, much to their disappointment, to say the
12 least, the tsunami occurred before they took action
13 and overwhelmed the site.

14 So the question in my mind is if, now in
15 2009 - 2010, somebody had done a Level 3 PRA in Japan,
16 I am convinced that all the goals would have been
17 found to have been violated because of the height of
18 the seawall. So the fact that they didn't, the
19 accident didn't have any significant acute fatalities,
20 for example, that does not mean that the goals were
21 not violated because it's not a valid comparison. The
22 comparison should have been do a Level 3 PRA using the
23 existing height of the goal of the seawall, and then,
24 as I say, I'm convinced that they would have found
25 that the CDF goal was violated and the acute and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 latent fatalities goal were violated, too.
2 Unfortunately, that was a time when PRAs were not
3 taken very seriously in Japan. Nobody had done
4 anything, so this is purely a thought experiment.

5 CHAIR BIER: George?

6 MR. APOSTOLAKIS: Yes.

7 CHAIR BIER: If I can interrupt very
8 briefly, do you envision that that comparison would
9 have assumed evacuation similar to what took place or
10 would have assumed the population in place with no
11 evacuation?

12 MR. APOSTOLAKIS: No, I think the Level 3
13 PRA considers possibility for evacuation, yes. It
14 turned out that they evacuated a lot of people. In
15 fact, most people passed away during the evacuation.
16 But the Level 3 PRA does allow for that. There's a
17 probability that certain people will be evacuated and
18 so on. That's the beauty of PRA, that it considers
19 all the possibilities.

20 CHAIR BIER: Okay. Thank you.

21 MR. APOSTOLAKIS: Okay. So as I said,
22 PRAs were not taken seriously at that time in Japan.
23 Next slide, please. So the literature has some
24 proposals for complementing the existing QHOs as a
25 result of the Fukushima accident and our chairman,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 Vicki Bier, is, of course, in one of the papers, that
2 at least I found, and there is a key sentence there
3 that says our results suggest that the number of
4 people relocated is a good proxy for societal
5 disruption and relatively straightforward to
6 calculate. So they're proposing to use the number of
7 people who relocated.

8 There's another paper by -- I don't know
9 how to pronounce this -- Mubayi and Youngblood of
10 Idaho National Laboratory that they propose a
11 qualitative goal that should be of no significant
12 likelihood that a large-scale long-term evacuation
13 will be needed as a result of a nuclear power plant
14 accident and then they go ahead to propose a
15 quantitative health objective would satisfy this
16 qualitative goal.

17 So there have been proposals. People have
18 thought about it and so on. But the Commission has
19 not taken any action.

20 Next slide shows proposals from the
21 Canadian Nuclear Safety Commission. I don't think
22 they have been adopted yet. My information is a
23 little old, but a couple of years ago I checked with
24 some friends up in Canada and they told me the
25 commission had not adopted the goals. I don't know

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 whether they have at this point. Frankly, I doubt it.

2 So they have qualitative goals for new
3 plants in Canada. The likelihood of accidents with
4 serious radiological consequences should be extremely
5 low, and potential radiological consequences from
6 severe accidents should be limited to as far as
7 practicable. And then they go ahead to propose
8 quantitative goals in the next slide. So they still
9 talk about core damage, so they don't anticipate, of
10 these goals, they didn't anticipate that in Canada
11 there would be any designs where the notion of core
12 damage did make sense, so they still talk about core
13 damage.

14 So the frequency of severe core
15 degradation should be less than 10 to the minus 5 per
16 reactor year. That's very interesting. Per reactor
17 year. And then you go to the notes and you see some
18 very interesting statements. The first note says that
19 the effects of adjacent units. In other words, they
20 acknowledge that you have many units at the particular
21 site. The effects of adjacent units at multi-unit
22 stations are considered and accounted for when
23 calculating the safety goals for internal event
24 sequences at the representative unit.

25 So, basically, they're saying you're still

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 doing the calculation for one of the units at the
2 site, but, when you calculate the CDF for that unit,
3 you have to take into account the fact that there are
4 other units at the same site that may be undergoing
5 some accident at the same time.

6 MR. BLEY: Hey, George, this is Dennis
7 again. This is very particular to internal events
8 where there's not nearly as much interaction in the
9 risk from unit to unit and not for external events
10 where that's more significant. Can you say anything
11 about that?

12 MR. APOSTOLAKIS: To tell the truth, I
13 don't recall anything on external events. But you're
14 right, you're right. I mean, it's the external events
15 that really emphasize the multi-unit nature. So they
16 say explicitly internal events. I don't recall
17 anything on external events.

18 Then they have two goals for acute
19 fatalities, I guess, and latent fatalities in terms of
20 the kind of radionuclide that has been released. So
21 the frequency of release of 10 to the 15 becquerel of
22 iodine-131, that's for early deaths, triggering
23 evacuation should be less than 10 to the minus 5 per
24 reactor year, and the frequency of release of 10 to
25 the 14th becquerel of cesium, which, of course, would

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 be responsible for latent deaths, triggering long-term
2 evacuation should be less than 10 to the minus 6 per
3 reactor year again. Very interesting proposal in
4 terms of releases again, but the most interesting
5 thing is this per reactor year basis.

6 In 2004 -- next slide -- the ACRS, for
7 some reason, considered the issue of goals and what to
8 do with the multi-unit sites and came up with the
9 first recommendation that the QHOs apply to the site
10 as a whole. The sum of the contributions from each
11 reactor on the site to acute and latent fatalities
12 should be bounded by the QHOs, which comes back to my
13 sort of earlier statement that the safety goals, the
14 quantitative health objectives, are sort of a
15 contract, a commitment between the nuclear
16 establishment and society as a whole. So you can't
17 really say, look, I have seven units at the site, but
18 I will do it on a per reactor year basis. Society
19 doesn't care about that. They care about the risk,
20 and that's why the ACRS says that the QHOs apply to
21 the site.

22 But then there was one rare instance where
23 the committee was split almost in half regarding the
24 core damage frequency goals. So we reported to the
25 Commission that the committee had not reached

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 consensus on the approach that should be taken to
2 determine the core damage frequency goal. There were
3 two views. By the way, it was not exactly half, but
4 I think the minority that supported one of the views
5 was something like five or six members and the
6 majority obviously was one or two more than that. But
7 the committee felt that they should not be reporting
8 the use of the majority only because the minority was
9 significant, five or so members.

10 So the next slide shows disagreement. One
11 view was that, if you have, say, four reactors at the
12 site, you take the CDF goal of 10 to the minus 4 per
13 reactor year and you divide it by four or five number
14 of units and then you have a new goal for each unit.
15 The opposing view, the majority view, was that the CDF
16 is an accident prevention goal and we should not
17 divide it by anything, requiring each module to have
18 CDF value given by the overall CDF goal divided by the
19 number of mergers would introduce a new safety goal
20 concept, a site CDF, and then the committee
21 speculated, actually, that that was never the intent
22 of the Commission. Nobody knows what the intent was
23 when they issued it, but, anyway, you know, when you
24 propose something, you are trying to support it as
25 much as you can. As I remember with option two that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 we should have a universal goal for CDF applying to
2 all reactors independently of how many of those you
3 would have on a site. Anyway, that was an interesting
4 disagreement.

5 So these slides so far have dealt with the
6 existing safety goals and the various proposals people
7 have made and so on. And now we come to Part 53. So
8 the original LMP, Licensing Modernization Project, on
9 which the NEI proposal 18-04 is based, lists three
10 metrics. The total frequency of exceeding a site
11 boundary dose of 100 millirem from all licensing basis
12 events shall not exceed one per plant year, so you see
13 we're already in a per plant year basis. This metric
14 basically covers the relatively frequent events that
15 have very low consequences. And for the infrequent
16 events that have severe consequences, there are two
17 goals that, again, having to do with individual risk
18 of early fatalities within one mile and so on should
19 be less than 10 to the minus 7 per plant year. And
20 then the corresponding goal for latent cancer
21 fatalities should be less than 10 to the minus 6 per
22 plant year.

23 So, again, we have two goals that are
24 health related, health effects related, because so
25 many different designs that people are considering.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 And for some of them, as I said earlier, the concept
2 of core damage does not apply. So you have to go to
3 a higher level of risk in order to find the common
4 metric.

5 Now, there was an interesting letter from
6 NEI -- next slide, please -- at the end of 2021 where
7 they really objected to the use of the QHOs in the
8 rule. So they say somewhere -- I didn't put quotation
9 marks here, but all of these are direct copies from
10 sentences in the letter. It is unclear why the NRC
11 believes the QHOs must be in the rule at all rather
12 than relying on the longstanding implementation of
13 QHOs through the NRC's safety goal policy. This means
14 that you are required to meet the QHOs in the guidance
15 document, the regulatory guide. In fact, 1.233,
16 Regulatory Guide 1.233, approved the NEI proposal 18-
17 04. Well, they also list the QHOs.

18 And Part 52, by the way, if you go back to
19 Part 52, requires that the applicant submit a summary
20 of the PRA and its insights, not the full PRA. And
21 the second bullet here shows what really the objection
22 is all about. If the QHOs are in the rule, they must
23 be met for legal compliance. And since the PRA is the
24 basis for meeting the QHOs, more, if not all, of the
25 PRA will need to be submitted on the docket and would

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 be subject to contention. This is an argument that
2 came up even when I was a commissioner. I think it
3 was in the context of Part 52. The industry always
4 opposed having the PRA part of the docket because
5 people or interveners can object to parts of the PRA,
6 and you'd have endless debates and arguments about
7 specific points of the PRA.

8 And then the NEI letter goes on to say,
9 look, whether the QHOs are in Part 53 itself or in
10 guidance document, in the regulatory guide for
11 example, the design analysis and licensing approach
12 that will be taken by an applicant and the NRC scope
13 of review would be the same, but we would avoid having
14 the QHOs in the rule with all the legal implications
15 and the possibility of having the whole PRA submitted
16 and subject to contention perhaps.

17 Now, the letter goes on to say -- the next
18 slide -- that, in spite of this strong opposition,
19 there is at least one member of industry that believes
20 the QHOs must be in the rule to provide regulatory
21 predictability by avoiding the need to develop
22 surrogate metrics for the QHOs. And the letter
23 concludes that more discussion on the benefits and
24 disadvantages of the options of how to address QHOs in
25 a way that includes both predictability and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 flexibility would be beneficial, which I thought it
2 was a great statement that, basically, they said,
3 look, we really object to what you're proposing right
4 now, but let's talk about it more, let's think about
5 it a little more.

6 Now, regarding the PRA -- next slide --
7 the NRC staff has made it clear that the PRA should
8 include event sequences involving two or more reactor
9 modules, as well as two or more sources of radioactive
10 material which would include waste processing and
11 storage systems. That's really a tall order for a
12 PRA, given the state of the art now.

13 The Joint Committee on Nuclear Risk
14 Management of the ASME and ANS issued in 2021 the
15 final version of the standard probabilistic risk
16 assessment standard for advanced known light water
17 reactor nuclear power plants. And this was a result
18 of about ten years of trial use of this standard
19 proposed. This was a major step forward. I read the
20 standard, or most if it anyway, and, indeed, it would
21 be very, very helpful to an applicant that would have
22 to satisfy the NRC staff's requirement in the first
23 bullet. But it is not the solution to the problem.
24 There are still many, many issues that a multi-unit
25 PRA and multi-source PRA has. The IAEA, International

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 Atomic Energy Agency, had a major project a few years
2 back that developed an approach to multi-unit site
3 PRAs. And if you look at the demonstration, there
4 were many assumptions that the analysts had to make.
5 I don't think they had the benefit of the ASME/ANS
6 standard, but, even so, they really had to make a lot
7 of assumptions in order to be able to reach a
8 conclusion or some kind of result. So in my mind,
9 this is really a major requirement, and I will come
10 back to it in my conclusions.

11 Now, the NRC staff -- next slide --
12 responded to the NEI document of 2021, and, of course,
13 they argued that the QHOs should be in the rule itself
14 and not in guidance documents. And the first bullet
15 here, I think, is very good that risk-informed
16 performance standards, including the QHOs, provide a
17 fixed cumulative risk standard for licensing events
18 ranging from anticipated transients to very unlikely
19 event sequences. In other words, you have the new
20 proposed regulatory system that is very risk informed,
21 performance based, and so on. You have to have at the
22 end a standard against which you can compare your
23 calculations, and that standard, according to the
24 staff, is the QHOs. Otherwise, it's open field and
25 you don't know why something should be approved or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 not.

2 And then they go on to say that, without
3 these cumulative risk standards in Framework A, which
4 is the risk-informed framework, including the QHOs,
5 there would be no equivalent to the collective effects
6 of the prescriptive requirements in Part 50 and 52
7 that provide reasonable assurance of adequate
8 protection. This is a statement that I really had to
9 think very hard about to understand it, and I think
10 what the staff means here -- you see, I'm not a
11 commissioner, so I cannot pass it down to my office to
12 explain it. I think what they mean is that, in LWRs,
13 we meet the safety goals, although some people have
14 doubts about that, but, anyway, we meet the safety
15 goals, so plants that have been licensed under Part 50
16 and 52 meet the safety goals, so we have achieved
17 adequate protection because we meet the safety goals.
18 So in the new plants now, if we meet the safety goals,
19 we will also have adequate protection. I don't know.
20 It's a little bit stretch in the argument, but that's
21 the best interpretation I could figure out, that
22 meeting the safety goals assures that you have
23 adequate protection of public health and safety.

24 MEMBER PETTI: George?

25 MR. APOSTOLAKIS: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 MEMBER PETTI: This is Dave. Just a
2 question on that. I tend to think of it the opposite,
3 which is how would Framework A show without the QHOs
4 that, in fact, you have equivalent levels of safety as
5 50 and 52? That's the struggle that, I think, the
6 staff had, and they felt that the QHOs being a
7 collective risk method would be a way to do that.
8 Otherwise, how do you know? Because -- yes, yes.

9 MR. APOSTOLAKIS: Yes, this is the right
10 interpretation.

11 MEMBER PETTI: Okay.

12 MR. APOSTOLAKIS: Okay. The next slide.
13 I think, essentially, the staff is repeating here
14 their earlier argument. Compliance with the existing
15 totality of NRC prescriptive regulations provides
16 reasonable assurance -- this is now for the existing
17 LWRs -- reasonable assurance that adequate protection
18 is maintained. And Framework A proposed to support
19 the adequate protection finding with a collective set
20 of functional and performance-based requirements,
21 which are intended to ensure that the proposed new
22 regulations provide a level of safety comparable to
23 that required by the existing regulations. It's
24 different words for the same argument.

25 But then, in February of 2022, NEI issued

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 another letter and an attached document, 21-07, Rev.
2 1, that was also based on some work that the team that
3 developed the Licensing Modernization Project had
4 done. So they go back to the same approach that
5 applies to the existing Part 52 regarding the PRA
6 because that was the main argument of the NEI original
7 letter, that if you have the PRA in the application
8 then also some legal consequences will result.

9 So the PRA information included in Chapter
10 2 of the Safety Analysis Report should be at a summary
11 level only as described below. It should address the
12 requirement in 10 CFR Part 52 that the SAR include a
13 description of the PRA and its results. As I just
14 said, Part 52 requires a summary of the PRA and risk
15 insights derived from it, but not the PRA itself.
16 However, the PRA details should be maintained at the
17 utilities' headquarters or offices, and the staff, of
18 course, will be free to visit and review the detailed
19 PRA whenever they like. So the supporting methods and
20 detailed information used in the PRA will not be
21 included in the SAR but will be available to the NRC
22 staff, which is exactly what Part 52 also requires.

23 So my conclusions from all this. Next
24 slide. As people have recognized already, the result
25 or the main consequence of the Fukushima accident was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 a major societal disruption. Several thousands of
2 people had to be relocated, and they will stay away
3 from their homes for decades. So the issue of major
4 societal disruption, it seems to me, should be
5 investigated further for possible inclusion in the
6 safety goals. However, the comparisons with the
7 Fukushima accident should be re-evaluated. As I said
8 at the beginning, I don't think it's correct to say
9 that Fukushima did not kill anybody; therefore, there
10 is something wrong with the goals. That's not a valid
11 comparison.

12 But still, you know, I mentioned the two
13 papers, one by Vicki and her collaborators and the
14 other by Youngblood and his collaborator. So some
15 more work, I think, will be needed on that front.

16 In my view, the QHOs should be included in
17 Part 53, and doing a credible PRA for all sources
18 should be included in Part 53. But let's acknowledge
19 also that NEI had some good points. Doing a credible
20 PRA for all sources of radioactivity at the site will
21 be very challenging in my view, even with the
22 existence of the ANSA as a new standard that I
23 mentioned earlier.

24 Now, the NRC staff will probably have to
25 provide additional help, additional to the standard,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 perhaps using insights from the PRA Level 3 project
2 that they have been working on now for I think more
3 than ten years. So maybe they can provide some
4 practical advice to the industry as to how to achieve
5 a credible PRA for a multi-unit, multi-source site.
6 And I -- yes?

7 CHAIR BIER: Quick question, George. When
8 you say the QHOs should be included in Part 53, do you
9 mean by that that a PRA result in excess of the safety
10 goals would violate licensing conditions or only that
11 they should be included kind of as a reference point?

12 MR. APOSTOLAKIS: Well, they should be
13 included in the sense that I described earlier, that
14 they are goals. And, again, they are not criteria.
15 If you are a little bit above the goal and you provide
16 convincing argument why you cannot reduce your result
17 any further, I guess the staff would be willing to go
18 along with it. But if you are, say, an order of
19 magnitude higher than the goal, then you would have a
20 problem.

21 So that's how the concept of a goal has
22 always been treated by the NRC staff. And I mentioned
23 the example of the fire PRA calculation that was more
24 than an order of magnitude higher than 10 to the minus
25 4, and immediately the staff dispatched the group of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 experts to the utilities' headquarters.

2 So it's a little fuzzy, but it's not a
3 criterion. They should be included in Part 53 as a
4 goal, not as criteria.

5 CHAIR BIER: Thank you.

6 MR. APOSTOLAKIS: Okay, yes. And,
7 finally, the last bullet, the license application
8 should include a PRA summary and insights only and the
9 details should be available to the NRC staff or the
10 utilities' offices.

11 And that concludes my presentation, and I
12 took exactly one hour. Thank you.

13 CHAIR BIER: Thank you. Please.

14 MEMBER MARCH-LEUBA: Do you see any
15 difference between multi-unit and multi-module? Like,
16 for example --

17 MR. APOSTOLAKIS: No.

18 MEMBER MARCH-LEUBA: -- when you have
19 Milestone and Fitzpatrick geographically located a
20 mile from each other, that's a completely different
21 situation than when you have a NuScale 12 module in
22 the same pool.

23 MR. APOSTOLAKIS: I think people use the
24 terms multi-unit and multi-module almost
25 interchangeably. Even if the modules are separated by

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 one mile, as Dennis mentioned earlier, you still have
2 the issue of external events, an earthquake, for
3 example, or an external flood or anything.

4 So, no, I don't think people make the
5 distinction. Maybe they do in some places but --

6 MEMBER MARCH-LEUBA: My point, in multi-
7 module when you're sharing a lot of internal, it makes
8 the need for conceding together more desirable or
9 necessary than when you have two miles apart and you
10 only have external --

11 MR. APOSTOLAKIS: You're right, and the
12 PRA will reflect this, will definitely reflect the
13 short distance. You are referring to the NuScale
14 pool, right?

15 MEMBER MARCH-LEUBA: Something like that.
16 They share a lot of pumps and valves and --

17 MR. APOSTOLAKIS: Sure, sure.

18 MEMBER MARCH-LEUBA: -- ultimate heat sink
19 and the same spent fuel pool.

20 MR. APOSTOLAKIS: Yes, yes, yes.

21 MEMBER MARCH-LEUBA: And the same
22 operators, the same control room, same I&C.

23 MR. APOSTOLAKIS: No, you're right, you're
24 right.

25 MR. BLEY: George, from Dennis. You said

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 you think that the QHOs ought to be in Part 53. Have
2 you thought much about some alternative cumulative
3 risk approach? 1860, the technology neutral
4 framework, had a nice appendix. It might have been
5 two appendices, one that showed why QHOs are a
6 representative way to look at integrated risk, but
7 they also talked about the possibility of developing
8 some standard risk curve that your CDF should not
9 exceed anywhere along that curve. It might be a fair
10 amount of work, but, at least for me, that's more
11 intellectually satisfying than the QHOs are.

12 MR. APOSTOLAKIS: Well, yes. I had read
13 NUREG-1860 years ago, and I remember there was some
14 discussion but I don't remember the details. But that
15 may very well be an option. The QHOs, in terms of an
16 integrated contribution, is appealing, it seems to me.

17 Now, there is a possibility that, for some
18 designs, you can develop subsidiary goals, and the
19 rule, I think, does not exclude that. Just as we did
20 with light water reactors, we developed CDF and LERF,
21 it's possible that, for some new designs, you could
22 have a subsidiary goal with reduced uncertainties that
23 could be used in decision making. I don't know;
24 nobody knows. But this can be done.

25 MR. BLEY: Yes, and that's actually more

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 satisfying. Part 53 doesn't actually acknowledge
2 quite that the QHOs are subsidiary goals and for
3 specific technologies, and it might be wise to develop
4 others. But I saw it from a legal point of view, if
5 they could get by with that. But I don't remember it
6 in there. It might be. I've read it a lot, but
7 there's a lot of stuff there.

8 MR. APOSTOLAKIS: There is a lot of stuff,
9 and I cannot point you to where they're actually
10 saying that. But, you know, they have also issued,
11 the staff issued documents countering the arguments
12 that the NEI letter raised, so maybe I saw it there.
13 But I am convinced, I don't know why but I am, that
14 the staff allows for the development of subsidiary
15 goals whenever it is possible. Maybe I'm wrong, I
16 don't know. But I thought it was something that it
17 did allow.

18 MR. BLEY: I hope so. I don't remember
19 it. Maybe --

20 MR. APOSTOLAKIS: Yes, I don't either, I
21 don't either. Anything else?

22 MEMBER DIMITRIJEVIC: Hi, George. This is
23 Vesna.

24 MR. APOSTOLAKIS: Hey, Vesna, how are you?

25 MEMBER DIMITRIJEVIC: Good. How you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 doing? Well, I have a lot of thoughts about that, and
2 I already brought one of my separate opinion about
3 this, you know, to our letter on the 53.

4 Well, my main concern is that, first, in
5 the history of, you know, that PRA and safety goals,
6 first was a CDF and LERF. QHOs come later. The
7 staff, you know, qualitative goal, which was very sort
8 of like great statement of they should not be
9 significant in addition to other societal risks, so
10 those are sort of qualitative goals. And nobody can
11 argue with them; they're perfectly fine and they're
12 really respectable.

13 And then it comes the quantitative health
14 objective, which actually introduced two assumptions
15 from this qualitative goals. One assumption is that
16 what is significant is less important than is not
17 significant. That's totally fine, reasonable
18 assumption. And then the next assumption is the
19 societal risk, so now they interpret societal risk to
20 be cancer and prompt fatalities. That assumption is
21 already not great because, as we saw in the history of
22 the nuclear accidents, you know, starting at Three
23 Mile Island through the Chernobyl and then, you know,
24 Fukushima, that actually risk from the nuclear
25 industry was not in really prompt fatalities and it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 was not really in the -- I mean, I don't know too much
2 about statistics from cancer, but, you know, that I
3 would not think that is a representative risk from the
4 nuclear power.

5 So we are making steps from qualitative
6 goals to quantitative health objectives, and then, in
7 this NUREG, okay, so we have already learned from CDF,
8 we started with 1400 much earlier, and now we have
9 these two qualitative goals and quantitative health
10 objective, and so they're meant to check what CDF and
11 LERF satisfy those two, you know, cancer and prompt.
12 Now, they make a billion totally unjustified
13 assumptions and introduce so much uncertainties. But
14 they sort of connected in the CDF and LERF and,
15 actually, as we say, CDF of 10 to minus 4 and LERF for
16 10 to minus 5 through the industry.

17 But assumptions they make, they're
18 starting from one mile around the plant from the, you
19 know, that prompt to that 10 miles for the cancer, for
20 50-year period for cancer, to that, which I saw one of
21 the greatest factor is, if you have learned what is
22 probability, then you will die with prompt fatality,
23 which that was like 2,000. So now this is where sort
24 of this connection lost credibility to me and
25 introduce so much uncertainties that actually, you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 know, we show that we are meeting, we are guarantee
2 meeting the QHOs with CDF and LERF, but, in this
3 connection, there was just too much uncertainties.

4 So when you said about Fukushima, what you
5 said about Fukushima is we calculate the LERF, it
6 probably didn't meet the goal, but that's based on the
7 latest results which we will be discussing in a month
8 or something, that's entering QHOs by huge margins
9 because, in the Level 3, we saw it didn't meet the
10 subsidiary goals. And we also see actually the
11 industry, if we look in the number of the melts
12 (phonetic), the industry doesn't meet the subsidiary
13 goals because that CDF is larger than 10 to the minus
14 4 if we count Fukushima as multiple melts and things
15 like that. But definitely industry meet the health
16 goal. They didn't introduce the huge number of the
17 prompt fatalities and the huge -- I don't know about
18 cancer, so I'm staying out of that.

19 So my main point in this debate is let's
20 go back to qualitative goals and say let's make sure
21 we don't introduce high risk to society, but then let
22 industry come in with all these new designs, find a
23 way to measure this from that and proving that they
24 don't introduce high additional risk. So, therefore,
25 let's don't introduce cancer and prompt, as it is in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 QHOs, but just talk about societal risk, and then we
2 can -- I totally agree with your conclusions. I think
3 they're wonderful. You know, we can sort of, like,
4 consider add a societal risk, we can look at the Level
5 3 results, and we will see that this connection
6 between our subsidiary goals and now, you know, the
7 QHOs was not really, we should actually break it and,
8 you know, just go and talk about the general
9 qualitative safety goals.

10 MR. APOSTOLAKIS: Well, good luck with
11 that. You are asking the Commission to go back and
12 revise the policy that has been in effect for what?
13 Thirty or forty years.

14 MEMBER DIMITRIJEVIC: This is all applied
15 to the 52 --

16 MR. APOSTOLAKIS: Oh.

17 MEMBER DIMITRIJEVIC: -- and CDF and LERF
18 represent, as well. I don't really know do they
19 really correspond well to the cancer and prompt
20 fatality, but they represent industry well and I
21 totally agree with them as a goal. And, actually,
22 CDF, less than 2 minus 40; it doesn't say cancer risk
23 less than that, you know. So I just want to say the
24 subsidiary goals, you know, they represent us well,
25 but let's go and find something new for the new

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 industry. It could be, as the Canadians proposed,
2 some level of releases of the, you know --

3 MR. APOSTOLAKIS: Yes, yes.

4 MEMBER DIMITRIJEVIC: -- something like
5 that. Let's leave the door wide open instead --

6 MR. APOSTOLAKIS: No, I think that's fine,
7 yes, yes.

8 MEMBER DIMITRIJEVIC: -- and 5 minus 7,
9 you know, based on some statistics of the, you know --

10 MR. APOSTOLAKIS: Well, one argument that
11 staff used many years ago against adding high level
12 goals in addition to acute and latent fatalities was
13 that the goal in CDF is good enough because, if you
14 have a goal for CDF, then everything else that you can
15 think of, large-scale relocation of people and so on,
16 that's covered because you are preventing a core
17 damage. And I think that's going to come up again for
18 light water reactors.

19 So it's not clear to me what your
20 objection is, Vesna. You're objecting to the
21 subsidiary goals?

22 MEMBER DIMITRIJEVIC: No, no, subsidiary
23 goals I don't object. I'm objecting to this, you
24 know, 3 minus 6 on the prompt and --

25 MR. APOSTOLAKIS: I see, I see.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 MEMBER DIMITRIJEVIC: I'm objecting to
2 these numbers on the prompt and cancer risk
3 fatalities.

4 MR. APOSTOLAKIS: Yes. And don't forget
5 that these are policy statements. What does that
6 mean? You're not going to find a scientific
7 explanation why you have to do it this way. That's
8 why it's policy. It's the judgment of the Commission.
9 So you may disagree with the judgment, but that's
10 their judgment at the time. So it's not something
11 that is calculable quantity, you know. They just
12 said, look, we think we should be at 10 percent of 0.1
13 or 10 percent of whatever of cancer risks. Why?
14 There is no way; that's what we think. I'm sorry.
15 Okay.

16 So you have to be very careful how you
17 express your disagreement. Again, this is not a
18 technical issue. It's just the judgment of five wise
19 people, although, if you go back through the record,
20 there were some objections by Commissioner Asselstine
21 and Commissioner Bernthal.

22 So, anyway, I can't add anything to that.

23 CHAIR BIER: If I can interject briefly,
24 it was mentioned that, if Bill Reckley is available,
25 he might be able to comment on the staff views about

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 subsidiary safety goals.

2 MR. RECKLEY: Bill Reckley, NRC staff. We
3 mentioned in the preamble that an applicant choosing
4 to use another goal, either a surrogate, that's what
5 we called it, a surrogate goal, to do that, and it's
6 mentioned in the preamble as a way to not compare
7 directly to the latent cancer and prompt fatality
8 numbers.

9 MR. APOSTOLAKIS: So the staff does allow
10 the possibility of subsidiary goals, correct?

11 MR. RECKLEY: Correct.

12 MR. APOSTOLAKIS: Okay. I thought I saw
13 it someplace, but I didn't remember where. Very good.
14 Thank you, Bill. I understand you are leading that
15 effort on Part 53 Framework A; is that correct?

16 MR. RECKLEY: I was part of the team.

17 MR. APOSTOLAKIS: That's nonsense. You
18 were more than part of the team. And I think I should
19 congratulate you. You did a hell of a job.

20 MR. BLEY: Bill, it's Dennis. That's up
21 in the preamble, and I had forgotten that. Preamble
22 is a little better, in a way, than the old statements
23 of consideration, but those things used to get
24 disconnected. Is the preamble going to stay connected
25 to the rule all the way through? Do we know about

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 that yet?

2 MR. RECKLEY: It is the same as the
3 statements of consideration.

4 MR. BLEY: So ten years from now, we might
5 have trouble reconstructing this conversation, just
6 like we've had with statements of consideration in the
7 past. Finding the old ones can be very difficult at
8 times.

9 MR. BLEY: Thank you for the observation,
10 Dennis. So while we have George with us, are there
11 further questions or comments or discussion that
12 people want to share?

13 MEMBER ROBERTS: Yes, this is Tom Roberts.
14 A relatively straightforward question. The Fukushima
15 scenario, I'm trying to understand why you think a
16 Level 3 PRA would have predicted consequences that
17 exceeded the QHOs when the actual consequences appear
18 to have not. I think what you're saying is that what
19 actually transpired at Fukushima from the tsunami was
20 not the worst that could have happened or even some of
21 the probable cases that would have come out from the
22 event trees, given that the tsunami had happened. Is
23 that what you're saying, or is it something else that
24 leads you to believe that the results would have
25 failed the QHOs?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 MR. APOSTOLAKIS: The PRA is a
2 probabilistic methodology. It considers all
3 conceivable possibilities, assigns probabilities to
4 them, and comes up with distribution or a mean value
5 and so on. So to take an actual incident and say, oh,
6 look, they didn't kill anybody here; therefore, there
7 is something wrong with the goals, that's not valid in
8 my opinion because you have to compare probabilistic
9 results with the goals. And what I'm saying is they
10 had done a Level 3 PRA including the major design
11 deficiency of the height of the seawall, they would
12 have found a high core damage frequency, violating the
13 goal for CDF and then, of course, higher expected
14 numbers of death, acute and latent. And that's the
15 proper comparison, not the outcome of one experiment,
16 if you will, because, I don't know, the evacuation
17 worked very well, they killed more than a thousand
18 people, I think, during the evacuation, but that was
19 not due to radiation. And in my view, the comparison
20 is not valid.

21 CHAIR BIER: So, Tom, that raises a really
22 interesting point. One thing I remember from looking
23 at the plumes for Fukushima is that it so happened
24 that the wind direction was blowing out over the water
25 during virtually the entire time, and it's hard to get

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 our mind away from that reality today and say, well,
2 you know, it turned out not that bad. But you're
3 right, I think, that if you did a probabilistic
4 analysis and looked at what's the chance of a worse
5 wind direction that was blowing inland, it might have
6 been very different consequences predicted. We would
7 have to go back and think about that.

8 MR. APOSTOLAKIS: Exactly.

9 MEMBER REMPE: This is Joy, and I agree
10 with what you're saying about the wind direction. We
11 were lucky. But on the other hand, I am familiar with
12 information that Tepco has published publicly about
13 the likelihood of the tsunami peak waves exceeding the
14 seawall, and it is not consistent. I haven't read the
15 document you're talking about from the civil
16 engineers, but I think there was some uncertainty
17 with, you know, the way the land formation was up
18 north and the fact that the tsunamis were so high was
19 not a clear-cut case in their opinion and what I have
20 read. But I am not an expert on it, and I don't think
21 that's the main focus of this meeting. But, anyway,
22 I feel obligated to speak up and mention that.

23 MR. APOSTOLAKIS: As I said, at the
24 beginning, Tepco objected to the arguments that the
25 tsunami would be so high. But, again, based on what

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 I read, eventually, they agreed. They formed their
2 own group of experts. They reviewed the arguments
3 that the other side was making, and, eventually, they
4 agreed and said that we will take care of the height
5 at the opportune moment.

6 MR. BLEY: Hey, George. I remember you
7 talking about this a long time ago and I read about it
8 elsewhere. But following the tsunami, when they
9 looked around, I recall that pretty far inland they
10 found a stone tablet with a message from the emperor
11 don't get any closer to the ocean because the tidal
12 wave came in this far like 800 years ago.

13 MEMBER REMPE: So, Dennis, that's what I'm
14 aware of, and that was after the tsunami. But Tepco
15 published something, and I could provide it if folks
16 are interested, that indicates that that land
17 formation up north was different. And so they weren't
18 apologizing for what happened, but they just pointed
19 out that there were differences in there. But I don't
20 think that's the main point of this discussion, but I
21 --

22 MR. APOSTOLAKIS: No, it is not. It is
23 not.

24 MEMBER DIMITRIJEVIC: Okay. But that gets
25 us back to some point. You know, George just said

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 that this is true that there is a frequency first of
2 the seismic event and there is a conditional
3 probability of tsunami given seismic event, and maybe
4 this frequency, because it's very difficult to get
5 this data on that, and I tried to look at the tsunami
6 frequencies data.

7 But what is actually here is one part of
8 my objection. So let's say that we even have a CDF
9 higher than 10 to minus 4, because that wall
10 definitely wasn't adequate, and that tsunami
11 automatically leads to core damage. Now, even if you
12 have a CDF, now comes this conditional probability,
13 and let's discuss the cancer instead or prompt
14 fatalities because that equation was performed.

15 So this conditional probability, which
16 they used to form this QHO, the subsidiary connection,
17 was based on some old data from the Surry (phonetic)
18 station from 1990. But in the new LERF, Level 3, it's
19 even smaller, so it's 40,000. Given that you have a
20 CDF, it is 40,000 chances that you will get the
21 cancer. So, therefore, let's say that you have a CDF
22 of 10 to minus 3, the 40 minus 3, now we are talking
23 the 40 minus 6 probability of getting the cancer as a
24 result of that.

25 Now, the new Level 3 results show that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 that number is actually much smaller, even in order of
2 10 to the minus 6. Given that you have a CDF and that
3 you didn't have a large release, so you succeeded the
4 relocation, that probability of getting cancer is
5 still very small. So that's why I said they've
6 definitely satisfied the QHOs as they are now, even if
7 they didn't satisfy subsidiary goals.

8 Given that you have a core damage
9 frequency now, what is conditional probability that
10 will result in the cancer within 10 miles and within
11 50 years. We don't know that for Fukushima, but
12 that's what the actually the health objective is.

13 MR. APOSTOLAKIS: Well, Vesna, I must say
14 I don't quite follow your argument. But if you have
15 written it someplace, I'll be glad to read it. You
16 are giving too much information and just an oral
17 briefing is not good enough in my opinion, so I'm not
18 really following your argument.

19 MEMBER DIMITRIJEVIC: I was thinking about
20 writing that, but I'm retired and lazy. I don't
21 really know where to find a platform for this. If the
22 United States doesn't want to listen, then that is a
23 problem.

24 CHAIR BIER: Well, I do think, Vesna,
25 that's something that we can follow up on either

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 internally in the working group or with George
2 directly to discuss further.

3 Additional questions or comments?

4 MEMBER KIRCHNER: Yes, Vicki. This is
5 Walt. Thank you.

6 CHAIR BIER: Great.

7 MEMBER KIRCHNER: George raised some
8 interesting points that we, as a committee, debated
9 during the intervals of updates and briefings on 53.
10 Going back to one, starting with a more legal set of
11 concerns, so the PRA being on the docket, subject to
12 contention, one of the things I was asking myself is
13 why is the PRA not subject to something equivalent to
14 NQA-1 or Appendix B, which is what's required in 50
15 and 52 of the deterministic analyses. I mean, there,
16 the PRA supplements the application, almost validates
17 it so to speak. And then if there are problems, like
18 George pointed out, well, then you should go back and
19 identify design changes and/or mitigating factors.

20 But for something that's based on the PRA,
21 George, then doesn't it -- do you think the new PRA
22 standard is strong enough that you, you know, with
23 things like peer review, you know, you're building the
24 whole case on the PRA essentially and then elaborating
25 from there. Is that standard rigorous enough in your

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 opinion?

2 MR. APOSTOLAKIS: No. It gives high-level
3 advice. It has what they call supporting
4 requirements. But how you meet those requirements,
5 the standard is not helping you with that. And that's
6 what I meant that the applicant who wants to do the
7 PRA will face tremendous difficulties, in my view, and
8 the standard helps a lot, but it doesn't really solve
9 the issue. And that's why I said maybe the staff can
10 provide additional guidance as to what's important,
11 what you have to worry about, as a result of their
12 experience with a Level 3 PRA for multi-unit sites.

13 But the standard is a very good step
14 forward but not the end result in my view. I mean,
15 other people may disagree. Because I remember the
16 application of the IAEA approach to an actual site,
17 and they had to make a lot of assumptions. They were
18 reasonable assumptions, but somebody else might make
19 a different assumption. And they did come up with
20 earthquakes dominating the risk. So I can see now
21 that that result opening up a whole host of debates
22 and arguments, did you do it right, did you include
23 this and that.

24 So that's a big challenge in my opinion
25 exactly. Because the PRA plays such a crucial role,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 we need more help.

2 MEMBER KIRCHNER: Thank you.

3 CHAIR BIER: Yes. I completely agree, by
4 the way, with the concern about litigating every line
5 item in the PRA in the docket. I'm old enough to
6 remember a time when the Atomic Industrial Forum was
7 proposing that, oh, relying on PRA will reduce
8 litigiousness or whatever, and I remember thinking,
9 boy, you now have, you know, nine million numerical
10 estimates that you can argue with.

11 MR. APOSTOLAKIS: Yes, yes.

12 MEMBER MARTIN: Vicki, Bob Martin. So for
13 George's sake, I'm one of the new members, Bob Martin,
14 and most of my career was commercial and worked with
15 Vesna for a period of time. But I also have worked a
16 lot with licensing managers, you know --

17 MR. APOSTOLAKIS: I can't hear you.

18 MEMBER MARTIN: Sorry. I've also worked
19 a lot with licensing managers, and there is, you know,
20 when maybe in an informal setting, it can be rather
21 cynical and, you know, even with Part 52 they'll say
22 it took us -- well, ten years ago, they said, well, no
23 one has used Part 52 and been successful. Now, of
24 course, they can't quite say that. But now with Part
25 53, their visceral response to an incorporation of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 QHOs, they're saying, well, we're just not going to
2 use Part 53. And I think so much of that comes to,
3 you know, the ultimate goal that they need certainty,
4 and deterministic prescribed methods, for better or
5 for worse, provide a degree of certainty. I think the
6 PRA has a lot of promise, but I don't think they can
7 be completely separated from, you know, more
8 deterministic approaches.

9 So I think the pathway that would actually
10 get someone to use Part 53 is almost offers, you know,
11 multi-options there and allows really PRA to be used
12 to arbitrate technical questions. But, you know, one
13 of the big questions, of course, you mentioned with
14 the NQA story and that's just a huge challenge, you
15 know, because interpretation of NQA can go many
16 directions. But, you know, if you fall to the most
17 conservative opinion, you'll quickly find that the
18 uncertainties of PRA would lead you basically to a
19 deterministic result and you'd be back where you
20 started again.

21 But, anyway, I just wanted to throw that
22 out there.

23 MR. APOSTOLAKIS: I think Framework B of
24 Part 53 is more along the lines of what you just said.
25 Framework A takes an entirely different approach.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 It's true risk informed and performance based. And
2 the issue of, you said certainty, I would say
3 predictability, that's an argument why the QHO has to
4 be in the rule because it defines the standard against
5 which everything else is compared to. In other words,
6 you're making all these assumptions, you're deriving
7 the licensing basis events, and then you do the DBA
8 analysis and all that. At the end, you do the QHO and
9 you bring everything together, and that is the
10 predictability part that you have a standard against
11 which you can measure how well you develop your
12 licensing application.

13 If you don't have that standard at the
14 end, you don't know. You don't know. Okay. I did my
15 DBA analysis and I managed to stay below the line and
16 all that, but now what? Okay.

17 In the Part 50 and 52 approaches, there is
18 a presumption that if you meet the regulations, the
19 deterministic requirements, you have met the adequate
20 protection standard, but that's a presumption. Now
21 it's quantitative, but, because it's quantitative, you
22 pay a price: you have huge uncertainties. It's always
23 a balance, you know.

24 But you said a lot of these licensing
25 managers are a little bit cynical. Well, a lot of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 NRC staff are cynical, too. So, you know, I've been
2 there, and, you know, they can make snide remarks
3 about the staff and vice versa.

4 MR. BLEY: This is Dennis. If you
5 remember, yesterday, not that far back, an applicant
6 was in who was using the LMP, very much in the spirit
7 of the first part of Part 53. And although they said
8 they had to do a lot of work, they found it very
9 helpful, and the committee will be seeing details of
10 that when they get beyond the current phase and we
11 start looking at some of the detail.

12 MEMBER REMPE: And I'd even add further,
13 Dennis, that they said they like Part 53 because it
14 would provide certainty in some aspects, like
15 classification of SSCs, et cetera, right?

16 MR. APOSTOLAKIS: So why are you keeping
17 their name secret?

18 MR. BLEY: We usually don't talk about
19 other meetings in one meeting, but it was TerraPower.

20 MR. APOSTOLAKIS: Yes, okay.

21 PARTICIPANT: The difference is that they
22 haven't been all the way through, right? Everyone is
23 happy in the beginning. We all hug, and it's
24 wonderful. And later, later, it all changes.

25 MR. BLEY: They've been further through

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 than we've seen, and I think Dave can tell you some of
2 the other new designs that have gone pretty far
3 through that process, as well, for DOE.

4 MEMBER PETTI: I think those that have the
5 most mature designs and are furthest in recognize the
6 value of 53 in establishing the licensing bases for
7 technologies that we don't have a licensing basis.
8 That's really the strength, in my opinion, is that
9 there's a rationale, a technical basis, for how you
10 pick your events and how you classify your components.
11 That's the strength.

12 MR. APOSTOLAKIS: But let's not forget
13 Part 53 is one part. If they hate probabilities, if
14 they don't like all that stuff, you can go with Part
15 50 and 52 or Part 53 Framework B. It's not something
16 that you must do. That's very important, in my
17 opinion. It's an option.

18 MEMBER KIRCHNER: Yes, that's a good
19 point, George. This is Walt again. I wanted to draw
20 you out a little more. Okay. Let's just take it as
21 it is. We've got Part 53 Framework A. You believe,
22 you made the statement in conclusion that the QHOs
23 should be in the rule, but you also underscored how
24 this is policy and that they are goals, not criteria.

25 So from your own experience, and you've

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 been through reviewing a lot of these applications,
2 how would you see the staff implementing this? In
3 other words, you know, we've got the frequency
4 consequence there and its anchor points. I always
5 looked at it, as long as you're within the bounds of
6 that with a reasonable treatment of uncertainty, then
7 that would give it some equivalency in terms of
8 adequate protection vis-à-vis the current regulations
9 in 50 and 52.

10 But could you elaborate what you're
11 thinking when you say it's a goal, not a criteria, but
12 put it in the rule? How do you see the staff using
13 it?

14 MR. APOSTOLAKIS: The way you just
15 described it is one way. The staff is very
16 experienced with the goals, in my view. They
17 understand very well the difference between a goal and
18 a criterion, and I think it will be fine. I mean, it
19 will be a learning period for them, too, just as there
20 will be one for the designer in the industry. But I
21 have confidence that everything will be okay. I mean,
22 that's not a problem. The problem is doing a good PRA
23 in my view.

24 CHAIR BIER: One comment that I've heard
25 or seen in some previous discussions is that the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 safety goals actually influence decision making much
2 more than what we see officially in the dockets
3 because some plants may do a PRA and get a high number
4 and they go back and revise some things before they
5 even submit and say, oh, we should fix these things so
6 that we can justify a lower number, and I think staff,
7 I've heard, has used it in kind of the same way, not
8 as a result but as, like, how seriously should we take
9 this or that issue, is it a nitpick or is it something
10 that really rises to the level of a major public
11 safety concern. So, hopefully, that will continue to
12 be the case under Part 53 also.

13 MR. APOSTOLAKIS: Yes, I agree.

14 MEMBER BROWN: Hi, George. This is
15 Charlie Brown, if you vaguely remember me from 14
16 years ago or 15 years ago.

17 MR. APOSTOLAKIS: I remember you very
18 well, Charlie.

19 MEMBER BROWN: Uh-oh.

20 CHAIR BIER: And he looks the same.

21 MEMBER BROWN: I still have no hair;
22 that's the good news. I guess since I'm the resident
23 skeptic on non-deterministic design efforts, I think
24 I'm the resident skeptic anyway, after 35 years
25 designing stuff or looking at designs for the Navy, my

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 basic concern with what we've done over the years is
2 the argument of where the NRC or the staff steps in.
3 There are some systems, for parts of them, you look at
4 them, there should be, and you know what the hazards
5 are just from a thought process, deterministic
6 pronouncements or requirements in your rule are very
7 valuable. If everything is up in the air as a total
8 I'm going to do a statistical evaluation of whether I
9 would do it one way or another, there's some things
10 that ought to be designed deterministically and then
11 there's a place for the PRA to come in and certify
12 whether you really missed anything or not. So a
13 starting point is very important in my mind, and I
14 don't see that in the Commission. The staff is very
15 reluctant these days, when we review a design, to say,
16 hey, look, licensee, this has got to be done this way,
17 even though we don't say it explicitly in the rule,
18 but we discuss it in reg guides or standards.

19 So I think there needs to be more of a
20 balance as opposed to a total, total picture look at
21 PRAs. They're valuable, but they shouldn't be looked
22 at as the best of the best. So that's just a
23 skeptic's view.

24 MR. APOSTOLAKIS: I think you're right.
25 And PRA never claimed to replace everything. But

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 let's take this Part 53 Framework A. You do the PRA
2 with a design basis accident. You assume or you
3 determine what the performance of the safety systems,
4 the safety-related systems will be and all that. But
5 then the time will come when you have to use
6 deterministic criteria to make sure that that
7 performance will, in fact, be achieved. So it's not
8 that everything is just probabilities without any
9 mechanistic criteria.

10 But I do agree with you that -- I don't
11 think we have gone too far with the PRA; I disagree
12 there. I mean, the first serious PRA was done in
13 1974, and we're still arguing, you know, whether to
14 use it or not. But, again, Part 53 is an option.
15 Framework A is an option. You don't have to do that.
16 You can go back to Part 50 or Part 52. So that
17 removes a lot of the burden that you have to respect
18 everything that PRA does. But a combination of
19 deterministic requirements and PRA, in principle, is
20 what we should do and what we're doing. There's no
21 question about it. At some point, you have to do a
22 thermal hydraulic analysis.

23 MR. BLEY: I guess you just hit the point,
24 George. I'm a little surprised hearing PRA as a
25 statistical analysis. It's an engineering analysis

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 that includes a lot of calculations very similar to
2 the deterministic calculations. Often, they're not
3 done with the same bounding rules. They're done to
4 try to represent the full uncertainty that's involved,
5 but there's a great deal, a great deal of engineering
6 analysis in one, and the idea that it's just a
7 statistical analysis is just not true.

8 MR. APOSTOLAKIS: That's correct. Charlie
9 is very skeptical because he comes from the world of
10 instrumentation and control, I think.

11 MEMBER BROWN: That is correct.

12 MR. APOSTOLAKIS: So probabilistic
13 analysis doesn't really play a major role there.

14 MEMBER BROWN: But in our discussions on
15 the design of some of these systems, in the I&C world,
16 there are some parts of those designs where a
17 prescriptive approach solves a known problem. A
18 typical example is software corrupting and locking up.
19 And if you vote with software processes and a line of
20 data comes through from one division and goes to all
21 four and it locks them up, there's only a few ways to
22 do that in order to be able to tell each processor
23 when do I lock up, and there's a way to do it that
24 works. Some people want to use hardware, somebody
25 actually proposed using a software watchdog timer.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 That was nuts.

2 So it's a balance, like everything else.
3 But you're right, I come from that world, and there
4 are certain ways of designing hardware that's got to
5 work in the environment that you just need to use your
6 head. And when we try to suggest that to folks, oh,
7 no, no, no, no, no, we can't tell anybody that. But,
8 yet, this organization is responsible for the safety
9 of the population in the building of these plants.

10 You're right. I do come from a different
11 venue.

12 MR. APOSTOLAKIS: You know, I remember
13 when we were colleagues on the ACRS, it was very clear
14 where you were coming from. But maybe that world,
15 deterministic analysis, should play a more significant
16 role. I don't know. But, yes, I remember that. You
17 always had something bad to say about PRA. I remember
18 that, too.

19 (Laughter.)

20 MEMBER KIRCHNER: Hasn't changed, hasn't
21 changed.

22 MR. APOSTOLAKIS: Some things stick to
23 your mind, you know.

24 MEMBER PETTI: All I have to say is let's
25 wait and see the first application that takes LMP all

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 the way through to an OL.

2 MR. APOSTOLAKIS: Okay.

3 MEMBER PETTI: Even a CP is not good
4 enough, as we all know, as there's not enough detail,
5 and then come back and talk because I think it's being
6 over-characterized. I think that, in the end, you're
7 going to see as mix of deterministic and probabilistic
8 because they each have their pluses and they each have
9 their minuses. And design teams are not stupid.
10 They're going to optimize in a way that makes sense
11 for their technology.

12 MR. APOSTOLAKIS: Yes. As I said, I mean,
13 you know, the PRA will give you the performance
14 requirements for the safety related systems. Then you
15 have to make sure that these performance requirements
16 are met. How do you do that? You have to go back to
17 actual engineering calculations.

18 But if you want to talk about the first
19 time that it's applied and the difficulties, well, go
20 back to the 60s. The first time they approved the
21 license, the reactors, what kind of regulations did
22 they have and how many regulations did they have to
23 issue in the following ten years because the original
24 regulations were not good enough? You always learn
25 the first time you do something. Always. Even the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 LOCA regulations were not in the books, as I remember
2 it.

3 MR. SCHULTZ: They were not there. This
4 is Steve Schultz. They were not there.

5 MR. APOSTOLAKIS: Thank you.

6 MR. SCHULTZ: And both the development of
7 the regulation and then the implementation of the
8 regulation by the licensee was very, very difficult.

9 MR. APOSTOLAKIS: Exactly.

10 MR. SCHULTZ: The process took a long
11 time; it was very difficult.

12 MR. APOSTOLAKIS: I hope that, with Part
13 53, we're not going to repeat that history in the
14 sense that ten years from now we will still be
15 revising the regulations, but, you know, every time
16 you have a first application, there is always issues,
17 there are issues.

18 CHAIR BIER: Okay. Further questions or
19 comments from committee and consultants? This has
20 been a very good discussion, I think. If not, we can
21 now go out for public comment. I know there's a
22 number of people in the audience who may want to have
23 comments. I suppose, if people are on Teams, you can
24 raise your hand and I will try to call on you. But if
25 people are on the phone line, you can also just unmute

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 and --

2 MR. APOSTOLAKIS: Okay. So let me recall
3 something from the experience. ACRS subcommittee
4 meetings always take a break at some point, Madam
5 Chairman.

6 (Laughter.)

7 CHAIR BIER: Oh, we can certainly take a
8 break.

9 MR. APOSTOLAKIS: I'm sure we can. Are we
10 going to do it?

11 CHAIR BIER: Well, I was thinking we could
12 be finished, but you never know. So I am happy to
13 take a ten-minute break and come back at 3:05 or
14 thereabouts.

15 MR. APOSTOLAKIS: Yes. Thank you very
16 much.

17 CHAIR BIER: Thank you for the reminder.

18 MR. APOSTOLAKIS: Thank you.

19 (Whereupon, the above-entitled matter went
20 off the record at 2:54 p.m. and resumed at 3:05 p.m.)

21 CHAIR BIER: Okay. It looks like we are
22 now at 3:05, and I guess, with that, we can open it up
23 to public comments. First, just for clarity, we do
24 not take question and answer from the public, so you
25 may have a question, you can let us know, but don't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 expect an answer during this session. And with that,
2 again, if there are people online on Teams, you can
3 raise your hand. If there is anybody on the phone,
4 feel free to unmute yourself and make your comment.
5 So far, it is looking remarkably quiet, but I want to
6 give it another minute or --

7 MR. APOSTOLAKIS: It's like a license
8 application. Nobody wants to be first.

9 (Laughter.)

10 CHAIR BIER: Everybody wants to hear what
11 somebody else has to say first. Okay. We have a hand
12 raised from Adam, so go ahead, please. Thank you.

13 MR. STEIN: Hi, this is Adam Stein from
14 the Breakthrough Institute. I appreciate the
15 opportunity to make a comment. I really enjoyed the
16 discussion today and appreciate the time that
17 everybody has taken to put this meeting together. I
18 think it's definitely an important area that has had
19 a lot of discussion in various formats on the
20 rulemaking side for Part 53 recently.

21 I find it interesting that the
22 recommendation was to include the QHOs in the rule but
23 as goals, not criteria. It's not clear to me what the
24 value of including it directly in the rule as a goal
25 when it is already a policy goal, what the benefit of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 being directly in the regulation is, other than
2 potentially making it more cumbersome later on if the
3 Commission decides to ever revise the goals. I'm not
4 saying whether the Commission should or should not.

5 As it's currently designed, it is a strict
6 criteria in the rule, and I have concerns about it
7 being a criteria in the rule, in part, because of the
8 legal concerns that NEI pointed out but also for the
9 reasons that you couldn't observe whether they were in
10 compliance or not. You could not show whether that
11 level of consequence to the public from an event was
12 statistically present or not, which can be attributed
13 to the corollary as was discussed with Fukushima. You
14 can't say whether it actually violated the QHOs on a
15 data point. You'd be almost imposing that sort of one
16 plant's data point on comparison to the QHOs for each
17 plant, which I think is inappropriate and not
18 statistically viable.

19 CHAIR BIER: Okay. Thank you. Go ahead.
20 Do you have further points, Adam? Sorry.

21 MR. APOSTOLAKIS: Can I respond to that?

22 CHAIR BIER: Well, we don't ordinarily
23 respond to individual comments. I suppose we --

24 MR. APOSTOLAKIS: I'm not part of the we.

25 CHAIR BIER: That's a good point. You can

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 speak for yourself, not for the ACRS.

2 MR. APOSTOLAKIS: Well, hell, no. Well,
3 I think I don't read Part 53 as treating the QHOs as
4 criterion. I mean, if that's your interpretation,
5 then I think you're right to object. But even the
6 name, quantitative health objectives, objectives are
7 the same as goals, so I think that would take care of
8 your concern, in my view anyway.

9 Any other comments, questions?

10 CHAIR BIER: Further hands from people on
11 Teams or, again, anybody on the phone line is welcome
12 to just unmute and make a comment. Give it one more
13 minute maybe to see if we have any further comments
14 raised.

15 If not, first of all, I want to thank you,
16 George, for just the time and effort you put into
17 this. It's obvious you put some time in and did a lot
18 of preparation and made a very thoughtful
19 presentation. You see you stimulated a lot of
20 discussion among the committee members, which is all
21 good. And if you want to make one or two sentences of
22 closing remarks, I think we can allow that also.

23 MR. APOSTOLAKIS: Well, thank you again
24 for inviting me. Some of it brought back memories
25 from an earlier life as a member of the committee. As

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 I said at the beginning, I really had to spend a lot
2 of time on Part 53 in trying to understand it and the
3 arguments from the earlier NEI letter, but then the
4 latest letter was really a major thing in the sense
5 that it repeats the Part 52 requirements for the PRA
6 in terms of submitting a summary and insights and
7 having the details at the offices of the licensee for
8 the staff to review. So that really, at the end,
9 convinced me that, among other things, that QHOs
10 should be part of the rule.

11 So other than that, thank you again and
12 good luck with your deliberations.

13 CHAIR BIER: Thank you. And we're very
14 glad you took the opportunity to do this. So I think,
15 with that, we are adjourned for the afternoon, and
16 many of us will see each other tomorrow morning.

17 (Whereupon, the above-entitled matter went
18 off the record at 3:12 p.m.)

19
20
21
22
23
24
25

Some Thoughts on Safety Goals

George Apostolakis

Former Commissioner, NRC

Former Member, ACRS

Director, Nuclear Risk Research Center

apostola@mit.edu

<http://criepi.denken.or.jp/en/nrrc/index.html>

Presented at the

ACRS Subcommittee Meeting on

Perspectives on Safety Goal Policy

August 24, 2023

Changes over the years

“safety goals are intended to be applied generically and are not for plant specific applications.”

(Commission’s Policy Statement, 1995)

- Individual plant CDF and LERF are compared to the goals routinely.
- Informal upper limits are implemented.
 - CDFs greater than 10^{-3} per ry prompt immediate action.

Multi-Unit and Adjacent Sites

- **U.S.A.**
 - **Currently at most 3 units**
 - **Plant Vogtle will have 4**
 - **Geographically adjacent sites: Salem 1&2 (PWRs) and Hope Creek (BWRs 3 total, PSEG); Nine Mile Point 1&2 (BWRs Constellation Energy) and FitzPatrick (BWRs Entergy 3 total)**
- **Canada**
 - **Bruce Power: 8 units**
- **Japan**
 - **Kashiwazaki-Kariwa: 7 units**

Whole-Site Risk: Early Consideration

- **In the early 1980s, the NRC staff proposed that Safety Goals be applied on a per-site basis**
- **Commission decided not to impose a “bias” against multi-unit sites**
- **Quantitative Health Objectives (NRC) are now interpreted on a per-reactor basis**

How stable should the QHOs be?

- **The QHOs are a commitment to society.**
- **As such, they should be revised only when there is compelling evidence that they should be.**
- **One could argue that the Fukushima accident did not violate the NRC's QHOs.**
- **Is this a valid comparison?**
- **A Level 3 PRA prior to the accident would probably have shown that the goals were not met.**
- **There had been serious warnings that the tsunami height had been underestimated.**

Some Proposals

- **“Our results suggest that the number of people relocated is a good proxy for societal disruption, and relatively straightforward to calculate.”** (Bier et al, PSAM 12, 2014)
- **“There should be no significant likelihood that a largescale, long-term evacuation will be needed as a result of a nuclear power plant accident.”** (Mubayi Youngblood, Nuclear Technology, 2021)

CNSC Technical Safety Objectives for New Plants

- **Likelihood of accidents with serious radiological consequences should be extremely low.**
- **Potential radiological consequences from severe accidents limited to as far as practicable.**

Greg Rzentkowski, Presentation at 34th Annual Conference of Canadian Nuclear Society, Toronto, June 9-12, 2013

CNSC Proposed Quantitative Safety Metrics for New Plants

- Frequency of severe core degradation (SCDF) $< 10^{-5}$ per reactor year
- Frequency of release of 10^{15} Bq of I-131 triggering evacuation $< 10^{-5}$ per reactor year
- Frequency of release of 10^{14} Bq of Cs-137 triggering long-term relocation $< 10^{-6}$ per reactor year

SCDF “... the effects of adjacent units at multi-unit stations are considered and accounted for when calculating the Safety Goals for internal events sequences at the representative unit (generally, the lead unit).”

LRF “The assessment is done per reactor year with due account of the effects of adjacent units at multi-unit stations”

G. Rzentkowski, Y. Akl, and S. Yalaoui, Application of Probabilistic Safety Goals to Regulation of Nuclear Power Plants in Canada.

ACRS Letter, April 2004 (1)

- **The Quantitative Health Objectives (QHOs) apply to the site as a whole. The sum of the contributions from each reactor on the site to acute and latent fatalities should be bounded by the QHOs.**
- **The Committee has not reached consensus on the approach that should be taken to determine the core damage frequency (CDF) goal. Two views are presented in the discussion below.**

ACRS Letter, April 2004 (2)

- **Option 1**

- The site goal (e.g., 10^{-4} per ry) is divided by the number of units at the site.
- The risk from and the likelihood of a core damage accident at all sites cannot be precisely equal. However, there is the expectation that they be comparable.

- **Option 2**

- CDF is an accident prevention goal and its value should be the same for each reactor at every site.
- Requiring each module to have a CDF value given by the overall CDF goal divided by the number of modules introduces a new Safety Goal concept, a site CDF. Such a concept was never intended to be part of the Safety Goals.

Part 53 Metrics

- **The total frequency of exceeding a site boundary dose of 100 millirem (mrem) from all LBEs shall not exceed 1/plant-year.**
- **The average individual risk of early fatality within 1 mile of the exclusion area boundary from all LBEs shall not exceed 5×10^{-7} /plant-year.**
- **The average individual risk of latent cancer fatalities within 10 miles of the exclusion area boundary from all LBEs shall not exceed 2×10^{-6} /plant-year.**

NEI (Nov. 5, 2021)

- **it is unclear why the NRC believes the QHOs must be in the rule at all, rather than relying on the long-standing implementation of QHOs through the NRC's Safety Goal Policy.**
- **If the QHOs are in the rule, they must be met for legal compliance, and since the PRA is the basis for meeting the QHOs, more, if not all, of the PRA will need to be submitted on the docket and would be subject to contention.**
- **It is recognized that regardless of whether the QHOs are in the Safety Goal Policy or Rule Language, the design, analysis, and licensing approach that would be taken by an applicant, and the NRC scope of review would be the same.**

NEI (Nov. 5, 2021)

- **There is at least one member of industry that believes QHOs must be in the rule to provide regulatory predictability by avoiding the need to develop surrogate metrics for the QHOs.**
- **Therefore, more discussion on the benefits and disadvantages of the options of how to address QHOs in a way that achieves both predictability and flexibility would be beneficial.**

PRA

- **If applicable, the PRA should include event sequences involving two or more reactor modules as well as two or more sources of radioactive material, which could include waste processing and storage systems. (NRC staff)**
- **A standard exists: ASME/ANS RA-S-1.4-2021, Probabilistic Risk Assessment Standard for Advanced Non-Light Water Reactor Nuclear Power Plants**

NRC Staff (1)

- **Risk-informed performance standards, including the QHOs, provide a fixed cumulative risk standard for licensing events ranging from anticipated event sequences to very unlikely event sequences.**
- **Without these cumulative risk standards in Framework A, including the QHOs, there would be no equivalent to the collective effects of the prescriptive requirements in Parts 50 and 52 that provide reasonable assurance of adequate protection of public health and safety.**

NRC Staff (2)

- **compliance with the existing totality of NRC (prescriptive) regulations provides reasonable assurance that adequate protection is maintained.**
- **Framework A proposes to support the adequate protection finding with a collective set of function-oriented and performance-based requirements. These requirements are intended to ensure that the proposed new regulations provide a level of safety comparable to that required by the existing regulations in Parts 50 and 52.**

NEI 21-07, Rev. 1, February 2022

- **The PRA information included in Chapter 2 of the SAR should be at a summary level only as described below. It should address the requirement in 10 CFR Part 52 that the SAR includes a description of the PRA and its results.**
- **The applicant maintains complete PRA documentation in its plant records.**
- **The supporting methods, data, and detailed information used in the PRA will not be included in the SAR but will be available for NRC audit.**

Conclusions

- **The issue of major societal disruption should be investigated further for possible inclusion in the safety goals. Comparisons with Fukushima should be reevaluated.**
- **The QHOs should be included in Part 53.**
- **Doing a credible PRA for all sources of radioactivity at the site will be challenging, even with the existence of the JCNRM Standard.**
- **The NRC staff should provide additional help perhaps using insights from the PRA Level 3 project.**
- **The license application should include a PRA summary and insights only. PRA details should be available to the NRC staff,**

