

Official Transcript of Proceedings
NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards
NuScale Design-Centered Subcommittee

Docket Number: (n/a)

Location: teleconference

Date: Tuesday, March 19, 2024

Work Order No.: NRC-2760

Pages 1-128

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1716 14th Street, N.W.
Washington, D.C. 20009
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23

DISCLAIMER

UNITED STATES NUCLEAR REGULATORY COMMISSION'S
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

The contents of this transcript of the proceeding of the United States Nuclear Regulatory Commission Advisory Committee on Reactor Safeguards, as reported herein, is a record of the discussions recorded at the meeting.

This transcript has not been reviewed, corrected, and edited, and it may contain inaccuracies.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

(ACRS)

+ + + + +

NUSCALE DESIGN-CENTERED SUBCOMMITTEE

+ + + + +

TUESDAY

MARCH 19, 2024

+ + + + +

The Subcommittee met via Teleconference,
at 10:00 a.m. EDT, Walter L. Kirchner, Chair,
presiding.

COMMITTEE MEMBERS:

WALTER L. KIRCHNER, Chair

RONALD G. BALLINGER, Member

VICKI M. BIER, Member

CHARLES H. BROWN, JR., Member

VESNA B. DIMITRIJEVIC, Member

GREGORY H. HALNON, Member

JOSE A. MARCH-LEUBA, Member

ROBERT MARTIN, Member

DAVID A. PETTI, Member

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

THOMAS ROBERTS, Member

MATTHEW W. SUNSERI, Member

ACRS CONSULTANTS:

DENNIS BLEY

STEPHEN SCHULTZ

DESIGNATED FEDERAL OFFICIAL:

MICHAEL SNODDERLY

CONTENTS

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Opening Remarks

Discussion of SDAA Chapters 2, 10,
11, 13, 17, and 18 13

Staff's Evaluation of SDAA Chapters
Chapters 2, 10, 11, 13, 17, and 18 35

Discussion of SDAA Chapters 2, 10, 11, 13,
17 (except for 17.4) and 18 77

Staff's Evaluation of NuScale SDAA
Chapters 2, 10, 11, 13, 17 (except for 17.4),
and 18 93

Public Comment 117

Adjourn

P-R-O-C-E-E-D-I-N-G-S

10:01 a.m.

CHAIR KIRCHNER: Okay. Thank you. This meeting will now come to order. This is a meeting of the Advisory Committee on Reactor Safeguards, and it's NuScale Design-Centered Subcommittee. I am Walt Kirchner, lead member for this meeting.

Members in attendance, Mike, can you help me? Can you see which of our members are present?

MR. SNODDERLY: Yes, sir, I can. This morning, we are joined by Member Charlie Brown; Member Dave Petti; our consultant, Dennis Bley; Member Greg Halnon; Member Jose March-Leuba; Member Matt Sunseri; and Member Bob Martin; Member Ron Ballinger; and our consultant, Steven Schultz; and Vesna Dimitrijevic.

CHAIR KIRCHNER: Okay. Thank you very much.

MEMBER BIER: Mike, I'm also on board. Vicki Bier.

CHAIR KIRCHNER: Yes, Vicki Bier. Excellent. Thank you.

MEMBER ROBERTS: Yes. This is Tom Roberts. I'm on, too.

CHAIR KIRCHNER: Okay. Thank you, Tom. Mike Snodderly is the Designated Federal Officer for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 ths meeting. The subcommittee will review the staff's
2 evaluation of NuScale Standard Design Approval
3 Application, Chapters 2, 10, 11, 13, 17, except 17.4,
4 and 18. It is our understanding that the staff is
5 conducting a delta review between revision 5 of the
6 certified US600 design and revision 1 of the Standard
7 Design Approval US460 design.

8 The ACRS was established by statute and is
9 governed by the Federal Advisory Committee Act, FACA.
10 The NRC implements FACA in accordance with its
11 regulations found in Title 10 of the Code of Federal
12 Regulations, Part 7. The committee can only speak
13 through its published letter reports. We hold
14 meetings to gather information and perform preparatory
15 work that will support our deliberations at a full
16 committee meeting.

17 The rules for participation in all ACRS
18 meetings were announced in the Federal Register on
19 June 13th, 2019. The ACRS section of the U.S. NRC
20 public website provides our charter, bylaws, agendas,
21 letter reports, and full transcripts of all full and
22 subcommittee meetings, including slides presented
23 there. The agenda for this meeting was posted there,
24 as well.

25 A portion of this meeting will be closed

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 to protect NuScale proprietary and export control
2 information pursuant to 5 USC 552(b)(c)(4). As stated
3 in the Federal Register Notice and in the public
4 meeting notice posted to the website, members of the
5 public who desire to provide written or oral input to
6 this subcommittee may do so and should contact the
7 Designated Federal Officer five days prior to the
8 meeting.

9 The communications channel has been opened
10 to allow members of the public to monitor the open
11 portions of this meeting. The ACRS is now inviting
12 members of the public to use the MS Teams link to view
13 slides and other discussion materials during these
14 open sessions. The MS Teams link information was
15 placed in the agenda on the ACRS public website.

16 We have received one set of written
17 comments from Harold Scott. Those comments have been
18 distributed to the members, and they have been
19 provided to the staff and NuScale for awareness. The
20 comments will be read into the record during the
21 public comment portion of this meeting and attached to
22 the transcript.

23 We have not received any requests to make
24 oral statements from members of the public regarding
25 today's sessions. Written comments may be forwarded

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 to Mike Snodderly, today's Designated Federal
2 Official. There will be an opportunity for public
3 comment, and we have set aside ten minutes in the
4 agenda for comments from the members of the public
5 listening to the meeting.

6 A transcript of the open portions of the
7 meeting is being kept, and it is requested that
8 speakers identify themselves and speak with sufficient
9 clarity and volume so that they can be readily heard.
10 Additionally, participants should mute themselves when
11 not speaking.

12 And now we'll proceed with the meeting,
13 and I will call on Mahmoud Jardaneh, a branch chief
14 from NRR, to make some opening statement. Go ahead,
15 Mahmoud. Mike, I think you're muted.

16 MR. JARDANEH: Thank you. Can you hear us
17 now?

18 CHAIR KIRCHNER: Yes. Please proceed.

19 MR. JARDANEH: Very good. Good morning,
20 Chair Kirchner, and good morning, ACRS Subcommittee
21 members, NuScale participants, NRC staff, and members
22 of the public. I am Mahmoud Jardaneh. You can call
23 me MJ; it's much easier. And I serve as the branch
24 chief of the New Reactor Licensing Branch responsible
25 for the licensing of the NuScale US460 design in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 Division of New and Renewed Licenses in NRR. Thank
2 you for the opportunity today for the staff to present
3 on their review of select NuScale US460 Standard
4 Design Approval Application, SDAA, chapters. The
5 staff is reviewing all chapters of the SDAA
6 concurrently with staggered completion dates based on
7 the complexity of the chapter and the extent of change
8 from the certified NuScale US600 design.

9 Today, the staff will be presenting on
10 their review of the first group of SDAA chapters,
11 including Chapters 2, 10, 11, 13, and 17. Chapter 18,
12 which was planned to be discussed during this meeting,
13 will be presented at a later date. The remaining SDAA
14 chapters are still being reviewed by the staff, and we
15 will inform the ACRS when the safety evaluations of
16 the remaining chapters are available for their review.

17 In today's meeting, the staff will focus
18 their presentations on the differences from the last
19 time we presented on the same chapters to support the
20 now-certified NuScale US600 design. Getachew Tesfaye,
21 the lead NRC project manager for the NuScale SDAA
22 review, will give us a background about the
23 application and walk us through the logistics of the
24 review.

25 Before I pass the mike to Getachew, I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 would like to invite the NRR Deputy Office Director,
2 Rob Taylor, to make a few remarks regarding the change
3 in the agenda for today's meeting.

4 MR. TAYLOR: Thanks, MJ. Thanks to the
5 committee for the opportunity to come here and just
6 provide brief opening remarks.

7 As MJ indicated, we're making great
8 progress on the NuScale review and conducting a risk-
9 informed review as we look at the chapters and look at
10 the deltas from the design certification that the NRC
11 approved and that the committee reviewed in the past.
12 As MJ indicated, we've completed a number of the low-
13 complexity chapters, which we're presenting on today.
14 But one of the chapters we had planned to present on
15 but won't be able to today is Chapter 18.
16 Unfortunately, we ran into a late challenge that
17 prevented us from finishing all the concurrences on
18 that chapter. We have finished the safety review but
19 are in the process of finalizing the safety evaluation
20 write-up. In preparing that documentation, we want to
21 ensure the clarity in documenting the basis for our
22 safety decision. We've determined we need a little
23 bit more time to ensure we achieve the desired level
24 of clarity.

25 We are confident we'll complete the

1 documentation in the near future and be able to
2 provide a clean safety evaluation in support of the
3 next ACRS meeting on NuScale, so we look forward to
4 presenting Chapter 18 to the committee at the next
5 meeting that we have, once we finalize the
6 documentation. We did not want to give the committee
7 a safety evaluation that might have additional changes
8 in it, just documenting the rationale and the basis
9 and preventing you from doing a comprehensive review
10 of the staff's work. So we're going to take a little
11 more time to ensure the clarity and ensure we get a
12 quality document to the committee and for the public.

13 So thank you for understanding this late
14 change, and thank you for adopting and working with us
15 as we take a different approach to how we're doing
16 this review than we have on some of the others in the
17 past. So we're learning lessons, and we're going to
18 apply those as we go forward. So thanks to the
19 committee, and I look forward to the good discussion
20 today.

21 CHAIR KIRCHNER: Thank you, Rob. And now
22 are we going to turn to Getachew, Mike?

23 MR. SNODDERLY: Yes, please.

24 CHAIR KIRCHNER: Go ahead, Getachew.

25 MR. TESFAYE: Good morning.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 CHAIR KIRCHNER: Good morning.

2 MR. TESFAYE: Good morning, Chair
3 Kirchner, ACRS, NuScale, subcommittee members, and
4 everyone that's participating in today's meeting. My
5 name is Getachew Tesfaye. As my bran chief, MJ,
6 indicated, I am the lead project manager for NuScale
7 Standard Design Approval Application review.

8 In the way of background for today's
9 meeting, NuScale completed a submittal of the Standard
10 Design Approval Application for US460, a small modular
11 reactor, that began in November 2022 and completed in
12 December 2022. NuScale submitted the SDAA application
13 pursuant to the requirements of Title 10 of the Code
14 of Federal Regulations, Part 52, Subpart E. The
15 application was formally accepted for the NRC review
16 on July 31st, 2023 following NuScale's submittal of
17 supplemental information needed for docketing of the
18 application.

19 As MJ indicated, the NRC staff has now
20 completed its safety evaluation with no open items for
21 5 of the 19 chapters. About a month ago, we shared
22 with the committee the final drafts of the safety
23 evaluation that was still under management review.
24 The safety evaluations for the five chapters we are
25 presenting today are all final and are publicly

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 available.

2 With two exceptions, the technical
3 contents of the final versions have not changed. The
4 two exceptions are, in Chapter 10, the plant heat
5 balance which provides the basis for the design that
6 was missing from the application and has now been
7 addressed with NuScale submittal of a revision to that
8 portion of the application. The Chapter 10 SE was
9 revised accordingly in the final version.

10 In Chapter 2, Section 2.13, Population
11 Distribution, was inadvertently left out of the draft
12 we shared with you. We have corrected that in the
13 final version. This section of Chapter 2 is entirely
14 site specific and has not changed from SDAA version.
15 The staff will be addressing this in this
16 presentation.

17 So with agreement with NuScale, the order
18 of presentation is we will start off with Chapter 10,
19 11, and 13. These are what we consider to be a little
20 bit more complex than the other three chapters. So
21 the order of presentation will be Chapter 10, 11, 13,
22 2, and 17.

23 With that, I'll turn over the mike to
24 NuScale and --

25 CHAIR KIRCHNER: Okay. Before we proceed,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 Getachew, let me just make an announcement that we
2 welcome visitors from the Polish Regulatory Authority
3 who are observing our proceedings today. And
4 greetings from Santa Fe, New Mexico.

5 And let's now turn then to NuScale. This
6 would be Tom Griffith, right?

7 MR. GRIFFITH: That's correct. Thank you
8 so much. I'm Thomas Griffith, the licencing manager
9 at NuScale, and I'm looking forward to today's
10 presentations from both the staff at NuScale and the
11 NRC. Many individuals at NuScale and the NRC have put
12 in countless hours to reach today's milestone. It has
13 been a little over a year since NuScale's US460
14 standards plant design was submitted, and today we are
15 at the point of presenting the first chapters to the
16 ACRS. This is an accomplishment for both the NuScale
17 staff and the NRC, and I am humbled to be part of such
18 a historic review.

19 With that, I'd like to turn it over to
20 Tyler Beck to present the first chapter, Chapter 10.

21 MR. BECK: Hello. Wendy, if you could go
22 ahead and skip to the Chapter 10 title slide.

23 Hello. My name is Tyler Beck, and I'm a
24 licensing engineer within NuScale's Regulatory Affairs
25 Department. I'm the lead licensing engineer for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 several chapters, including Chapters 2 and 10 which
2 will be presented on today. Prior to joining NuScale,
3 I worked for the NRC and, most recently before joining
4 NuScale, I was a reactor systems engineer in the
5 Generic Communications and Operating Experience
6 Branch. I hold a Bachelor's of Science in Nuclear
7 Engineering from the University of Tennessee. And
8 with that, we will be discussing first Chapter 10,
9 which is the steam and power conversion system.

10 Next slide. So Chapter 10 includes
11 Section 10.1 to 10.4, which we'll discuss here in a
12 moment. 10.1 is summary description. 10.2 is the
13 turbine generator. 10.3 is the main steam system.
14 And 10.4, which is other features of the steam and
15 power conversion system.

16 Next slide. So, again, we will start by
17 giving a high level of each section and really
18 highlight the changes from the DCA. Then we'll
19 discuss the RAI 10.1-1 in audit items. Then I'll hand
20 it over to one of our subject matter experts, Mara
21 Swanson, for a discussion of our air cooled condenser
22 system, as well as radiation protection and design
23 basis event mitigation features.

24 Next slide. So note that, for these
25 slides, I've bolded the things that are changes from

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 the DCA. And, again, I'm just giving a high level of
2 the systems in these sections and noting these changes
3 along the way. For the turbine generator system, TGS,
4 this includes the turbine, turbine gland seal steam,
5 reboil, the generators, and the generator air coolers.

6 For the functions in these sub-bullets,
7 there is really only one change with respect to the
8 DCA, and this is the extraction steam. So in the DCA,
9 the extraction steam was a part of the main steam
10 system. But here in the SDA, that is now, that
11 function is now a part of the turbine generator
12 system. However, the functionality is still
13 principally the same from the DCA. It's just a change
14 from being part of the main steam system to the
15 turbine generator system.

16 In terms of safety significance, the
17 system is Seismic Category III, and it is generally
18 quality group delta with the limited exceptions
19 described in SR Table 10.2-2. There are no safety-
20 related or risk-significant SSC, and there really is
21 no major design change from the DCA.

22 Next slide. Section 10.3 is the main
23 steam system, and this includes the piping downstream
24 of the main steam isolation valves and up to the
25 turbine generator. This includes the non-safety-

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 related secondary main steam isolation valves, as well
2 as their associated bypass valves. And this also
3 includes the main steam safety valves.

4 Similar to the turbine generator system,
5 the system is generally quality group delta and
6 Seismic Category III with limited exceptions described
7 in Table 10.3-4. The most notable exceptions include
8 the secondary MSIVs and their bypass valves, and those
9 are Seismic Category I. These secondary MSIVs are
10 also included in technical specifications. The main
11 steam system does not include any safety-related or
12 risk-significant SSC.

13 And in terms of design changes, there are
14 really two design changes from the DCA. First, main
15 steam of an operating module is now the preferred
16 source of start-up steam for a module that is starting
17 up. And the DCA, the aux boiler system provided that
18 steam, so, again, in the SDA, the aux boiler system
19 only provides that steam when there is no operating
20 module available to provide steam.

21 And then the second change is the one we
22 discussed on the last slide. Extraction steam is now
23 part of the turbine generator system, not the main
24 steam system.

25 Next slide. Section 10.4, other features

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 of the steam and power conversion system. So the
2 first bullet is bolded to show the design change to
3 the air cooled condenser system. The SDA includes an
4 air cooled condenser rather than the traditional water
5 cooled condenser, and this eliminates the need for a
6 circulating water system. But the functionality is
7 the same or practically the same. The air cooled
8 condenser system condenses steam. It provides
9 capacity for the condensate and feedwater system. It
10 includes a capability for low rejection, and it is not
11 credited in Chapter 15.

12 For the condensate and feedwater system,
13 there is no significant change from the DCA; or, the
14 turbine gland seal system, there is no significant
15 change from the DCA.

16 For the aux boiler system, there is a
17 design change from the DCA. So in the DCA, there was
18 both a high-pressure subsystem and a low-pressure
19 subsystem. And so the low-pressure subsystem provided
20 start-up steam for the secondary side, including grand
21 seal steam for the deaerator. The high-pressure
22 subsystem was used to supply a heat to the module
23 heat-up system. But in the SDA, there is no high-
24 pressure subsystem and that's because the module heat-
25 up system now has an electric heater. And so the SDA

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 version of the aux boiler system is similar to the
2 low-pressure version of the DCA aux boiler system,
3 except it's only providing steam when there is no
4 operating module available to apply the steam.

5 In terms of safety significance, the SSC
6 within 10.4 are generally quality group delta and
7 Seismic Category III. The limited exceptions are
8 described in Table 10.4-4. And the most notable
9 exceptions are the feedwater reg valves and the
10 feedwater check valves, which are Seismic Category I
11 components. And, finally, there are no safety-related
12 or risk-significant components in the scope of Section
13 10.4.

14 Next slide. For RAI 10.1-1, that was the
15 heat balance request. Ultimately, NuScale, we have
16 revised the RAI response and have provided the nominal
17 heat balance case in SR Section 10.1. And then I also
18 wanted to highlight that, during the audit, there was
19 21 audit items that were successfully resolved. The
20 only unresolved audit item was the heat balance
21 request that made its way to the RAI space.

22 And with that, I will go to the next slide
23 and hand it over to Mara Swanson for discussion of our
24 air cooled condenser system, as well as any questions
25 you have for her. Mara, it looks like you're muted.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 CHAIR KIRCHNER: Mike, it appears that
2 NuScale is muted.

3 MR. BECK: I think we're trying to get
4 that figured out.

5 MR. SNODDERLY: NuScale we cannot hear
6 you, the conference room or the speaker. And they're
7 showing that they're muted. Is the NuScale conference
8 room muted, or is the selected speaker muted? But
9 you're showing as muted. Now that person logged off,
10 which is what I think they should do to maybe sign out
11 of Teams and sign back in.

12 MR. SWANSON: Hello. Can you hear me?

13 MR. SNODDERLY: Yes, now we can hear you.

14 MR. SWANSON: Okay. Apologies for the
15 delay.

16 MR. SNODDERLY: No worries. Could you
17 please introduce yourself for the record? Thanks.

18 MR. SWANSON: Yes. As Tyler mentioned, my
19 name is Mara Swanson. I'm an engineer here at NuScale
20 Power. I've been with NuScale for the past six and a
21 half years and have a degree in chemical and nuclear
22 engineering from UC Berkeley, and I am the subject
23 matter expert for some of the Chapter 10 systems and
24 one of the people that is available to speak on this
25 system.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 So to start off with, we wanted to give a
2 quick summary of the air cooled condenser system since
3 it is one of the changes from the DCA design. So our
4 air cooled condensers were selected to allow for the
5 licensee to place the US460 standard plant design in
6 locations where water access is limited. And as
7 mentioned by Tyler, because the condensers are air
8 cooled, it eliminates the need for a circulating water
9 system. The SDA design does not contain one.

10 The principal functions of the air cooled
11 condenser system are exactly the same as with a
12 traditional condenser: condense steam from turbine
13 exhaust, reduce the dissolve oxygen content, maintain
14 vacuum, and remove air and non-condensables through
15 the condenser air removal subsystem, and provide
16 adequate capacity for condensate and feedwater system
17 during normal operations.

18 DR. BLEY: Excuse me. This is Dennis
19 Bley. Going to the air cooled condensers, does this
20 lead to a tech spec on ambient air temperature, or
21 what are the limits on that side?

22 MS. SWANSON: We have limits similar to
23 those in the DCA for ambient air conditions.

24 DR. BLEY: Okay. There wasn't for cooling
25 the plant. It was -- well, I guess it was in a way,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 yes. No, it was for the pool. So, anyway, I was
2 curious about that. I'll look a little more later.

3 MEMBER BALLINGER: This is Ron Ballinger.
4 I think what Dennis is saying, for a normal water cool
5 condenser, there are tech specs on the water
6 temperature. Of course, it's connected to air
7 eventually. But now there's just air, and so is there
8 a different tech spec on the air temperature than
9 would have been for a water-cooled system?

10 MR. BECK: There is not a tech spec
11 related to the air cooled condenser.

12 MEMBER SUNSERI: This is Matt. This is
13 Matt. Ron and Dennis, I think those tech specs are
14 associated with the water cooled ultimate heat sinks,
15 not the condensing cooling system for the main
16 turbine. This is non-safety-related stuff.

17 MEMBER ROBERTS: This is Tom Roberts. To
18 follow up on Dennis's question, the heat balance that
19 you all submitted, I didn't see any assumptions on air
20 temperatures in that heat balance, and it did show a
21 condenser storage tank temperature of 100 degrees,
22 which would imply that you're assuming an air
23 temperature less than 100 degrees at the outlet of
24 those fans. So, again, I was wondering what your
25 assumptions were on air temperature and how you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 accounted for hot days and the heat balance condition.

2 MS. SWANSON: The heat balance provided in
3 Chapter 10 uses 59-degree ambient air conditions.

4 MEMBER ROBERTS: Right. So have you
5 looked at summer, a 95 - 100-degree day and what that
6 does to the assumed conditions?

7 MS. SWANSON: Yes, we have other heat
8 balance conditions at a range of temperatures.

9 MEMBER ROBERTS: I guess my question would
10 be is there a concern with the differing conditions?
11 Maybe this is a question for staff, but staff was
12 interested in ensuring that the heat balance outputs
13 were consistent with the inputs to the Chapter 15
14 accident analyses, and I guess that would be a
15 question of whether the diversions from those
16 conditions would be significant enough to be important
17 to those initial conditions.

18 MR. GRIFFITH: This is Thomas Griffith,
19 the licensing manager at NuScale. To step in here, I
20 think the overlap here is that the air cooled
21 condensers for the NuScale plants, the non-safety-
22 related function. And then for accident conditions,
23 the UHS is actually what the module is submerged in,
24 so it's a separate heat sink, if you will. And that
25 the air cooled condensers, effectively, with the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 outside ambient air temperature, the outside ambient
2 air temperature is going to affect the efficiency of
3 the module but not the ability of the module to
4 perform its safety function.

5 MEMBER ROBERTS: Got it.

6 MS. SWANSON: Okay. Moving on to the next
7 slide. So similar to the functionality in the DCA
8 system, this system is covered under Chapter 10,
9 provide effluent and process radiation monitoring that
10 is functionally similar. Radiation monitors allow
11 automatic system isolations and detection of primary
12 and secondary leakage, just as before. Non-safety-
13 related equipment is credited for event mitigation by
14 functioning as backup protection. Once again, this is
15 unchanged from the DCA. And for module protection
16 system interfaces, module protection actuation
17 signals, and post-accident monitoring variables for
18 steam and power conversion systems are unchanged from
19 the DCA.

20 Okay. We can move to the next slide.
21 Thank you.

22 MR. BECK: All right. And that is the end
23 of the Chapter 10 content. So unless there are any
24 questions, I am going to hand it over for our Chapter
25 11 folks.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 MS. LOCKWOOD: Hi. Testing. I'm just
2 making sure that everybody can hear me. Okay.

3 Good morning. My name is Chelsea
4 Lockwood, and I'm currently a licensing engineer for
5 SDA Chapter 11. I've been with NuScale for about four
6 total years. I began working here in 2015 through DCA
7 submittal, and then I returned to the company in late
8 2021.

9 Next slide, please. This is an overview
10 of the sections in Chapter 11. To begin, I'll hand
11 the presentation over to Seth Robison to give an
12 overview of Section 11.1, Source Terms. Thank you.

13 MR. ROBISON: All right. Can you guys
14 hear me?

15 MR. SNODDERLY: Yes, we can.

16 MR. ROBISON: Awesome. I'm Seth Robison
17 from NuScale. I work in the radiological engineering
18 department. I'm the subject matter expert for a
19 majority of the radiological content in Chapter 11.

20 I'm presenting on Chapter 11.1, the source
21 terms. There were essentially no methodology changes
22 from the DCA. The values in the majority of the
23 tables changed due to changes in cycle length, thermal
24 power, and burn-up. Our cycle length decreased from
25 two years to 18 months, our thermal power increased

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 from 160 to 250 megawatts, and our evaluated maximum
2 burn-up increased from 60 gigawatt days to 62 gigawatt
3 days.

4 We received three audit questions on 11.1.
5 They're all resolved. First, the NRC staff reviewed
6 the calculation files associated with the offsite
7 doses and found our doses and methodology to be
8 acceptable. The staff also audited the differences in
9 the main steam flow rate between Chapter 10 and 11.
10 In the DCA, the value used in the Chapter 11
11 supporting analysis was the same as the design
12 parameter in Chapter 10. For SDA, we used a bounding
13 low-steam flow rate for Chapter 11, rather than
14 directly referencing the design parameter.

15 And the staff also asked why the source
16 terms were not scalable to thermal power. We
17 explained that there were changes in cycle length and
18 burn-up, as well, at least evaluated burn-up.

19 So that's all we have for Chapter 11.1.
20 I'll pause for any questions. If there's no
21 questions, I'll hand it back over to Chelsea Lockwood
22 for 11.2 through 11.4.

23 MS. LOCKWOOD: Thank you, Seth. Section
24 11.2 is the liquid waste management system. Much of
25 this system concept remains unchanged, but there are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 a few deltas between SDA and DCA. SDA does not
2 include the COL item from DCA that specifies an
3 applicant must ensure mobile equipment used and
4 connected to the liquid rad waste system meets the
5 ANSI standards and applicable regulatory requirements.
6 The design of our liquid rad waste system itself
7 allows for 30 days holdup capability. The DCA states
8 that the alternate methods of processing liquid waste
9 be described if the holdup capacity is less than two
10 days. So the COL item was inconsistent with the
11 regulatory guidance.

12 There were also some component changes to
13 the liquid rad waste system, though the concept
14 remains unchanged in that filters, ion exchangers, and
15 reverse osmosis are still used to process the liquid
16 rad waste.

17 There was one audit question from the NRC
18 regarding the removal of the COL item, and the result
19 of the question was that the COL item was removed from
20 the SDA.

21 Next slide. Section 11.3 is the gaseous
22 waste management system. As Seth mentioned in 11.1,
23 there are some input changes due to power uprate and
24 the difference in the number of modules from DCA to
25 SDA. However, there are no system changes from the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 DCA in this section, and there were also no audit
2 questions on this section.

3 Next section, 11.4, is the solid waste
4 management system. There were some minor system
5 design changes. The hard piped connections between
6 the rad waste building HVAC system and the liquid rad
7 waste and solid rad waste changed to hooded
8 connections. There are five total audit questions
9 from the NRC, all of which were resolved. These audit
10 questions resulted in adding some clarification into
11 various sections, but there were no resulting
12 technical changes from these questions.

13 I'll now pause for questions. And if
14 there are no questions, I will pass the presentation
15 to Freeda Ahmed to talk radiation monitoring. Thank
16 you. Freeda, on to you.

17 MS. AHMED: Okay. Good morning, everyone.
18 My name is Freeda Ahmed. I'm the licensing engineer
19 for Section 11.5. I've been with NuScale for about
20 almost two years. Tomorrow is my anniversary. And I
21 have a decade in experience in radiation monitoring
22 within the nuclear industry. I have my degree in
23 nuclear engineering and radiologic science.

24 To begin with, the changes from the DCA as
25 far as radiation monitors are concerned, the first is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 that we have a smaller plant design, so smaller plant,
2 less monitors. Some other changes are, as Mara and
3 Tyler mentioned, in the aux boiler system, the heat
4 exchangers -- we have radiation monitors on the heat
5 exchangers to detect leakage, but we changed the heat
6 exchangers to electrical heaters, so the radiation
7 monitors on those systems were removed. And after
8 that, the other change was that the circulating water
9 system was eliminated, and so the monitors that were
10 associated with the circulating water system are of
11 the air cooled condenser system, so they had
12 essentially been reclassified but also a change.

13 The NRC did have some questions, but they
14 were all resolved without any issue.

15 Next slide. As far as 11.6, all the
16 design features in 11.6 were covered in 11.5.

17 And I will now pause for any questions
18 regarding radiation monitors. Okay. Thank you. I'll
19 hand it back over to Chelsea.

20 MS. LOCKWOOD: Thank you, Freeda. I'll
21 hand it back to Tyler for Chapter 2.

22 MR. BECK: I thought we were going to 13.

23 MS. BREWER: Hi. My name is Beth Brewer,
24 and I am the licensing lead for SDA Chapter 13. And
25 prior to this, I was the lead for Chapter 13 on the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 CFPP COLA project. I have been with NuScale for two
2 and a half years. Prior to that, I worked at North
3 Anna Power Station in both mechanical design and
4 engineering programs. I have 12 years of experience
5 in nuclear. Today, I am presenting SDA Chapter 13,
6 Conduct of Operations.

7 Next slide, please. Okay. This
8 presentation covers 13.1, organizational structure;
9 13.2, training; 13.3, emergency planning; 13.4,
10 operational programs; 13.5, plant procedures; and
11 13.7, fitness for duty. I want to note that 13.6 is
12 not included because it is security.

13 Next slide, please. Section 13.1,
14 organizational structure, has minor editorial changes
15 from the DCA. There are no technical changes, and
16 there were no requests for additional information or
17 audit questions associated with this section.

18 Next slide, please. Section 13.2,
19 training, has only minor editorial changes from the
20 DCA. There are no technical changes and no requests
21 for additional information or audit questions
22 associated with this section.

23 Next slide, please. Section 13.2,
24 emergency planning, has minor editorial changes from
25 the DCA. Additionally, the Technical Support Center

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 changed elevation in the control building and went
2 from Seismic Category I to Seismic Category II. And
3 it is still fully compliant.

4 The SDA was revised to clearly state that
5 the Technical Support Center displays use the same
6 instrumentation and control networks used in the main
7 control room but are configured to provide display
8 only, no controls.

9 We had three COL items in the DCA, and we
10 dropped to two in the SDAA. The DCA had separate COL
11 items for descriptions of the Operational Support
12 Center and Emergency Operations Facility, and these
13 were combined into one broader COL item that requires
14 the applicant to describe the emergency response
15 facilities, and this provides greater flexibility for
16 a COL applicant.

17 DCA COL item 13.3-1 required the applicant
18 to describe direct communication system or systems
19 between the Operational Support Center and the control
20 room, and this was eliminated from the SDAA COL item
21 and included directly in the SDAA text.

22 MEMBER BROWN: This is Charlie Brown. Can
23 I ask a question, please? I'm trying to recall back
24 to the original DCA. You said you removed the
25 Technical Support Center. You stated the new displays

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 are the same as in the original MCR, main control
2 room, but only display only, no controls. My memory
3 is a little foggy since we did the original design.
4 Is this consistent with the original design in terms
5 of no backup controls for the Technical Support
6 Center?

7 MS. BREWER: Yes. The SDA was just
8 revised to clearly state that.

9 MEMBER BROWN: Okay. But it's still
10 consistent with the original designs we looked at
11 years ago?

12 MS. BREWER: Yes.

13 MEMBER BROWN: Okay. That was my
14 question. Thank you very much.

15 MS. BREWER: Okay. Regulations were
16 updated in the SDA. 10 CFR 50.47 and 10 CFR 50,
17 Appendix E, were removed from the DCA COL items, and
18 the SDAA COL items refer to 10 CFR generally, and this
19 is due to rulemaking that was in process during SDA
20 development. That new rule is 10 CFR 50.160.
21 Reference to 10 CFR 52.48 was removed because it is a
22 standard design certification requirement.

23 There was one request for additional
24 information associated with this section, and that's
25 RAI 10097, Questions 13.3-1, -2, and -3. All of these

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 questions involved needing additional design
2 descriptions to explain how the Technical Support
3 Center meets NUREG-0696 and Supplement 1 to NUREG-
4 0737. Section 13.3 was revised to add additional
5 information to address this RAI.

6 Next slide, please. Section 13.4,
7 operational programs, has minor editorial changes from
8 the DCA. Additionally, the Reactor Vessel Material
9 Surveillance Program and Motor Operated Valve Testing
10 Program was removed from the COL item because these
11 programs are not applicable to the US460 design.

12 Next slide, please. Section 13.5, plant
13 procedures, has minor editorial changes from the DCA.
14 Additionally, Section 13.5.2.1 removed discussion
15 about Generic Technical Guidelines. The information
16 concerning how the Generic Technical Guidelines will
17 be used to develop site-specific emergency operating
18 procedures was clarified and consolidated into SDA COL
19 item 13.5-5 and a process to maintain them was
20 provided in COL item 13.5-3.

21 I also want to note that the plant-
22 specific technical guidelines developed by a COL
23 holder will be nearly identical to the Generic
24 Technical Guidelines provided to the applicant prior
25 to COLA submittal.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 MEMBER HALNON: Hey, Beth, this is Greg
2 Halnon. How are you going to assure that? I didn't
3 see anything about Generic Technical Guidelines in the
4 SDA or the COL descriptions in the SDA. How are you
5 going to ensure that, in order to get an nth of a kind
6 type, you know, forecast going out in the future, that
7 the EOPs are going to be similar to each other? Did
8 my question not come through? I'm sorry.

9 MS. BREWER: It did. Please give me a
10 moment.

11 MEMBER HALNON: Okay. I'll just keep
12 babbling then. You know, after TMI, the light water
13 fleet did a lot of work in making sure symptom-based
14 procedures were consistent from a vendor piece. There
15 was some site-specific, obviously, because we didn't
16 have like reactors and like sites throughout the
17 country. But I assume that we hope that these NuScale
18 and other advanced reactors will get to an nth of a
19 kind at some point, which means that there's going to
20 be a lot of similarities, if not almost identical
21 reactors and reactor responses. So I just didn't see
22 how the GTGs were going to get translated from site to
23 site in the future to make sure that that the
24 principles are carried forward.

25 MS. BREWER: Greg, can I provide this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 answer to you after this presentation?

2 MEMBER HALNON: Okay. It can be looked up
3 and we can talk about it more in the future, but I'd
4 be interested to hear how the principle of an nth of
5 a kind and how the, since we lay it on the COL
6 applicants, we could have a variety of COL applicants
7 with all different approaches to their EOPs, how we're
8 going to make sure that there's some level of
9 consistency, understanding they're not be going to be
10 identical. So we can talk about it in the future.

11 MS. BREWER: Okay. Thanks. The COL items
12 were also renumbered in the SDAA, as compared to the
13 DCA. There were no requests for additional
14 information or audit questions associated with this
15 section.

16 Next slide, please. Section 13.7, fitness
17 for duty, removed two COL items related to the
18 operational and construction fitness for duty programs
19 between the DCA and the SDAA. These were removed
20 because an applicant referencing the standard design
21 is responsible for providing an FFD program
22 description and implementation, as described in 10 CFR
23 Part 26. There were no requests for additional
24 information or audit questions associated with this
25 section.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 And that wraps up the 13 presentation, if
2 there are any questions.

3 MR. SNODDERLY: So now the NRR staff is
4 going to go, so, please, Getachew, agree to share the
5 screen.

6 MEMBER HALNON: This is Greg. Were we
7 going to hear about Chapter 2, or is that off the
8 table?

9 MR. TESFAYE: No. This is Getachew again.
10 Getachew Tesfaye, lead projects manager, NRC. We're
11 going to do the first three chapters of NuScale and
12 then the staff will present their finding on those
13 three chapters, and then we'll pick up with Chapter 2
14 and 17.

15 MR. SNODDERLY: So we're thinking, Greg,
16 after lunch. So, hopefully, this morning, we'll see
17 if we can get through 10, 11, and 13 and have lunch,
18 and then do 2 and 17.

19 MEMBER HALNON: Okay. Thanks, Mike. Yes,
20 I just missed that on the opening. I appreciate it.

21 MR. SNODDERLY: So while we have this
22 pause, though, in making the switch, I want to be
23 clear. So Member Halnon has put on the record a
24 question of why NuScale no longer refers to the
25 Generic Technical Guidelines as they did in the DC and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 what are they going to use now or why that was done,
2 and we don't have an answer for that. So if that
3 can't be addressed by the end of today, then I think
4 we need to have some further discussion at the April
5 full committee because I don't, you know, I don't see
6 how Member Halnon can make a recommendation without
7 that understanding for what is going to replace the
8 Generic Technical Guidelines. So I just want to make
9 sure we're all on the same page here.

10 MEMBER HALNON: Right. And that's what I
11 was saying. It's an open item, from at least my
12 perspective, that can be covered during the discussion
13 at the committee and then, depending on that
14 discussion, will be whether or not I keep an open item
15 in our report or not.

16 MR. SNODDERLY: So is that clear to
17 NuScale and the staff? Let's see what the staff says,
18 but, you know, right now, that's an open item, and I
19 don't know if -- you know, the vision here was that
20 these would be SERs without open items or, you know,
21 not a clean review, and at some point we have to go
22 back and revisit this issue. Okay.

23 MR. TESFAYE: Okay. Thank you, Mike.
24 This is Getachew again. Hopefully, what you consider
25 to be open item can be addressed by the staff.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 The chapter projects managers: Tommy
2 Hayden for Chapter 10, Alina Schiller for Chapter 11,
3 and Ricky Vivanco for Chapter 13 will be taking the
4 lead around the staff's presentation. Tommy, take it
5 from here.

6 MR. HAYDEN: Thanks, GT. This is Tommy
7 Hayden. I'm a project manager for the New Reactor
8 Licensing Branch in the Division of New and Renewed
9 Licenses in NRR. And I'm the chapter PM for Chapter
10 10, Steam and Power Conversion Systems.

11 NuScale submitted Chapter 10, Revision 0,
12 of the SDAA FSAR on December 15th, 2022 and Revision
13 1 on October 21st, 2023. NRC regulatory audit of
14 Chapter 10 was performed over five months from March
15 2023 to August 2023 and generated 23 audit issues.
16 NuScale submitted ten pieces of supplemental
17 information to address questions raised during the
18 audit; and, as mentioned by NuScale, there was one
19 request for additional information in Chapter 10 that
20 was issued and resolved. Staff completed the Chapter
21 10 review and issued an advanced safety evaluation to
22 support today's ACRS Subcommittee meeting.

23 The contributors for the Chapter 10
24 review, technical reviewers: the lead, Angelo Stubb;
25 Greg Makar; and John Honcharik. And as mentioned,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 myself, I was the chapter PM and Getachew Tesfaye the
2 lead PM.

3 At this time, I'll turn it over to Angelo
4 to go over the significant changes from the DCA, the
5 review considerations, and findings and conclusion.
6 Angelo.

7 MR. STUBBS: Thank you, Tom. My name is
8 Angelo Stubbs. I'm a safety and plant systems
9 engineer. And as Tom said, I was one of the lead
10 reviewers on Chapter 10.

11 I want to pick up with what significant
12 changes was as we perceived them as we went through
13 the application. So this slide, the highlights of
14 what significant differences between the SDA and the
15 DCA. I'm starting out with the first thing was there
16 was an increase in power, and I think it's
17 significant, when you have a chapter on power
18 conversion, that you recognize that there's an
19 increase in power, and that increase in a power means
20 that you have different SSCs than you had in the DCA
21 in terms of the design capabilities and the sizes and
22 things like that.

23 So the first thing you would look at would
24 be you're looking at a change from 50 megawatts
25 electric to 77 megawatts electric, which means you're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 going to have to use a turbine that's larger. And
2 that's important only in the sense that, you know, one
3 of the things you look at when we do our reviews is we
4 look at turbine missiles. And a larger turbine
5 changes the missiles from what was evaluated in the
6 DCA. So that was the first thing.

7 Also, as mentioned earlier, your
8 conditions in the secondary side change because you
9 have to support higher power, and that starts with the
10 heat balance. And the heat balance gives you the
11 secondary side conditions in terms of pressure flow,
12 enthalpy, and your design and your sizing of equipment
13 and everything is based on what you expect to have on
14 the secondary side. Usually, there's 100-percent
15 guaranteed heat values that really form the basis of
16 secondary side design.

17 So in the uprate, we ended up with higher
18 flows in the secondary side, and that means we needed
19 to reexamine what was there in terms of being able to
20 relieve the pressure with main steam safeties, and
21 they're larger than they were in the DCA. Also, as
22 mentioned before, these conditions are used in
23 developing safety analysis and also plant transient
24 analysis, AOOs. Even if they are not used directly,
25 they let you establish what's conservative when you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 actually do those analyses. And in some cases where
2 you need to model the secondary side, it provides you
3 with the parameters you use when modeling the
4 secondary side if you're using a code that has
5 secondary side inputs. And we know that there's a
6 commonality between the interface at the steam
7 generator, so, even though the secondary side is not
8 safety related, a change in secondary side through the
9 steam generator can be felt on the primary side.

10 The second change, really it was a major
11 change, was that the main condenser was changed from
12 the water condition at DCA through an air cooled
13 condenser in the SDA. And this is really the first
14 time we're looking at using an air cooled condenser at
15 a nuclear power plant for the main condenser and for
16 removing the normal heat associated with, with normal
17 AC associated with a nuclear power plant.

18 By using an air cooled condenser, as they
19 mentioned earlier, this allows you to eliminate the
20 need for a circulating water system because now, in
21 effect, the atmosphere becomes your heat sink and,
22 basically, the condenser directly ejects its heat into
23 the atmosphere and that becomes the heat sink. So
24 there's no circulating water system needed. So that's
25 a major thing.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 One of the things, I guess the question
2 was being asked about the air cooled condenser. From
3 a review standpoint, this is non-safety related.
4 There's a lot of interesting questions from a
5 performance standpoint that you could ask, and I
6 think, to some extent, it's going to be site specific
7 because, I think, where you locate it in terms of the
8 conditions at that site and really there's other
9 questions associated with the particular interference
10 between the various ones, but none of those are really
11 safety concerns, but they would be concerns, I think,
12 for operations and for performance.

13 The auxiliary boiler was another change.
14 An auxiliary boiler, the major modification there was
15 it no longer relies on the auxiliary boiler for module
16 heat-up. And by not having a module heat-up for the
17 auxiliary boiler, the high-pressure boiler was
18 removed; and now they only have low pressure, and that
19 supports everything.

20 I see there's a hand up. Was there a
21 question?

22 MEMBER ROBERTS: Yes. Angelo, this is Tom
23 Roberts. I want to follow up with you on the question
24 I had on the air temperature sensitivity. In your
25 RAI, you made the point that it was important to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 understand the conditions in the secondary systems as
2 the inputs to the Chapter 15 analyses. And as NuScale
3 pointed out, they assumed 59 degrees for the air
4 temperature, and the conditions on the secondary side
5 could be considerably different on a hot day. I was
6 wondering if you had any comment on that, whether
7 that's something you needed to fully validate the
8 assumptions into the safety analyses or whether that
9 was basically in the noise. Basically, how did you
10 resolve, you know, the question of air temperature
11 variability on secondary plant conditions?

12 MR. STUBBS: Well, I think, you know, from
13 day to day and from day to night, you're going to have
14 variations. But, generally, we look at what the
15 conditions are when the plant is running at 100-
16 percent power and, really, it gets to, the conditions,
17 basically, the feedwater inlet conditions and things
18 like that. You know, I haven't really looked into it,
19 but this isn't something that -- it's more pronounced
20 here because of the air cooled condenser, but this
21 isn't something that I don't think would be present at
22 other, you know, maybe to a smaller variation to other
23 systems.

24 MEMBER BROWN: This is Charlie Brown. I'm
25 struggling the same thing that Tom is struggling with.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 Where I live, the temperatures in the summer,
2 throughout the summer consistently get up to 85 - 95
3 degrees, which means you can't run the steam plant at
4 full power. You can't generate electric power. What
5 good is the plant if it can't generate electric power
6 when it's hot outside?

7 MEMBER HALNON: This is Greg. It's a
8 commercial issue. It's not necessarily a safety
9 issue.

10 MEMBER BROWN: I'm not arguing with that.
11 It's just that it seems kind of counterintuitive to
12 actually putting a plant in that's actually going to
13 serve the population's purpose.

14 MR. STUBBS: You're right. I mean, that's
15 one of the things -- the air cooled condenser,
16 performance-wise or efficiency-wise, is probably not
17 going to be as good as the water cooled condenser.
18 And especially, like you say, in summer, when you
19 really have the peak demand, you also may have the
20 conditions that aren't as favorable for getting out of
21 the condenser what you need.

22 Again, it's not a safety, it's a
23 performance. And without knowing exactly, you know,
24 what they're building into it in terms of excess
25 capability, I can't really speak to that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 MEMBER BALLINGER: This is Ron. This is
2 really no different than a water cooled plant where,
3 at some point, if the water temperature gets too high,
4 they have to de-rate the plant. I mean, it's just
5 substituting air for water, and it's not safety
6 related. These plants get de-rated when the water
7 temperature gets too high as a normal course of
8 events, no?

9 MEMBER BROWN: So you're willing to --

10 MEMBER ROBERTS: Ron, I think that's
11 right. My question is a little different. I just
12 maybe want to restate the question. The staff issued
13 an RAI saying they needed to get this heat balance
14 because they needed to get the parameters to ensure
15 that the initial conditions and the assumptions used
16 in the safety analyses in Chapter 15 AOs and the
17 design basis accidents were all valid from the
18 standpoint of were they in the right range. And
19 recognize there's variability in any plant and
20 recognize that some of those parameters are going to
21 have to change, it seems like, and I think Angelo
22 confirmed, that there will be more variability here
23 than in a water cooled condenser system. I just want
24 to make sure that the staff had thought through, since
25 they needed this information, whether the variability

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 caused by ambient temperature change was considered
2 and whether or not they needed more information to
3 fully bound the assumptions for the Chapter 15
4 analysis.

5 Yes, I recognize performance is a separate
6 issue. That's right now what I'm asking.

7 MR. STUBBS: Okay. I'll just say one
8 thing. The Chapter 15 analyses don't necessarily use
9 the numbers that heat balance provides. They may use
10 the number plus or minus 20 degrees or something like
11 that because they're developed to provide conservative
12 results, so that's something that's also taken into
13 consideration. It's not the exact number, but if they
14 could use the number and show that that number is
15 conservative compared to the actual expected number on
16 the heat balance, which I think they normally do,
17 you're not really looking at pinpointing a specific
18 number and using it in Chapter 15 but having a number
19 to base it on when you do a Chapter 15 analysis and
20 you put in a conservative number.

21 MEMBER ROBERTS: Okay. Thank you. So
22 maybe this is a question to ask when we review Chapter
23 15?

24 MEMBER HALNON: Yes.

25 DR. BLEY: Yes. I think, from Tom's point

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 -- this is Dennis Bley again -- for Tom's point,
2 that's true and makes sense. I know, on the other
3 side, you're saying it's a performance issue, and
4 NRC's concern is safety, which is true; but if the
5 agency licenses a plant that can't produce power, it's
6 fairly embarrassing, I think. So questions in that
7 area seem worth at least a little exploration.

8 I have a second question in this area.
9 You're in a water cooled system. The first problem
10 you hit is you start to lose vacuum if the external
11 water temperature gets too high. But you do have
12 vacuum during operation, and that's not only
13 condensing the steam but it's also removing non-
14 condensable gasses. I'm not familiar with the air
15 cooled systems. How are non-condensables removed from
16 the system when you don't have a vacuum condition in
17 the condenser?

18 MR. STUBBS: What do you mean when you say
19 you don't have a vacuum condition? Because this is --

20 DR. BLEY: In a condenser, you run water
21 through and you're condensing the steam. Well, go
22 ahead. You were going to answer me.

23 MR. STUBBS: I was just saying that they
24 have systems to ensure that they do pull vacuums into
25 that system, and when you have a loss --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 DR. BLEY: Okay. They have a --

2 (Simultaneous speaking.)

3 DR. BLEY: -- that pumps out the non-
4 condensables.

5 MEMBER BALLINGER: I mean, the air
6 ejectors are on the steam side.

7 MEMBER HALNON: Not in an air cooled
8 condenser. The steam side air ejectors are only steam
9 side because you have -- oh, I see what you're saying,
10 Ron. Yes. Okay.

11 MEMBER BALLINGER: We just changed the
12 fluid on one side.

13 MEMBER HALNON: Yes. I get it, I get it.

14 MEMBER BALLINGER: Fort St. Vrain ran, I
15 think, with air cooled. Did Fort St. Vrain run with
16 air cooled condensers?

17 DR. BLEY: Was it not for long.

18 MEMBER PETTI: I don't remember. I don't
19 recall.

20 MEMBER BALLINGER: Yes.

21 MEMBER HALNON: So this is Greg. I have
22 one other question on this. Obviously, when you don't
23 have the cooling water on one side, you have, you
24 know, less corrosion, less probability of tube leakage
25 and that sort of stuff, but you also don't get

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 necessarily, you have a direct line, if you do get a
2 tube leak, you get a direct line to the atmosphere
3 relative to any kind of radioisotopes that -- I'm
4 assuming that, because of the reduction in the
5 probability of any kind of tube leak, that translates
6 into just a safer situation relative to if you have
7 any kind of radioisotopes in the steam system; is that
8 correct?

9 MR. STUBBS: I can't speak to
10 probabilities.

11 MEMBER HALNON: Well, I'm not a math head.
12 I mean, I'm looking at, just subjectively, it seems a
13 better system from a potential tube leak perspective
14 because you don't have that water on one side.
15 However, if you do get one, it's actually a direct --
16 there's no scrubbing of water or anything from a
17 radioisotopic perspective. So I guess another
18 question would be how did you reconcile the difference
19 between water and air relative to having a potential
20 tube leak?

21 MR. STUBBS: I guess that's not something
22 that I looked into. But, generally, there's a tech
23 spec for the leakage across the steam generator for a
24 tube leak there. I thought that was something that
25 was looked at and there was actually a limit imposed

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 on that.

2 MEMBER HALNON: Okay. I'll study it. I
3 didn't look through this in a lot of detail. So if
4 there's not a straightforward answer, I'll go study
5 it. If I have any further questions, I'll make sure
6 you guys get them.

7 MR. STUBBS: Okay. And that might be
8 something that would appear in Chapter 11 and not
9 necessarily discussed here.

10 MEMBER HALNON: Yes. Okay. Thank you.

11 MR. MAKAR: This is Greg Makar from the
12 Corrosion and Steam Generator Branch. I wanted to
13 confirm, yes, that they have an operational leakage
14 limit in the steam generator tech specs. I don't know
15 the answer to your question directly the difference
16 between the air cooled condenser and water cooled
17 condenser during a tube rupture event. That is an
18 accident analysis that I'm not familiar with and up to
19 answer the question, but I think it has been looked
20 at.

21 MEMBER HALNON: Okay. Thanks. I'll
22 explore it. And, like I said, if I cannot get answers
23 to my own questions by my own reading and study, I'll
24 make sure that I get a question back to you.

25 MR. STUBBS: Okay. So I'll continue with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 the last two items on this slide. The turbine
2 generator. I thought I'd indicate that, in the DCA,
3 there's actually two turbine buildings, one at each
4 side of the reactor building. In this case, there's
5 a single turbine building. The only thing there is
6 the turbine building isn't safety related, it doesn't
7 have safety related things. But if there was to be a
8 turbine missile, it would be a source of the turbine
9 missile. And having one building means you only have
10 one launch point for a turbine missile if that was to
11 happen.

12 And the last item was elimination of the
13 circulating water system because you have the air
14 cooled condenser. You know, basically, generally, the
15 circulating water system is probably the largest
16 potential source of flooding in the turbine building
17 due to maybe the failure of an expansion joint. And
18 in the case of NuScale, there's no aux building next
19 to it. There's no SSCs important to safety that would
20 be impacted by such flooding, but I just thought, you
21 know, in general, when we do a review, we look to
22 that. And if you look at the guidance, it talks about
23 flooding. Generally, the largest source of that
24 flooding would be the circ water system. And if it's
25 a large flood, you even want to see where the water

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 runs, if it runs out of the turbine building, make
2 sure it runs away from the plant and it doesn't go
3 towards the reactors.

4 We can go to the next slide. Okay. This
5 slide just highlights some of the things that we
6 considered when we were looking at the review.
7 NuScale points out that the Chapter 10 subsystems and
8 power conversation systems are non-safety related.
9 But one thing I'd like to at least make you aware of,
10 when they do that, they develop the systems and put
11 boundaries so that systems are non-safety related. In
12 our reviews, we look at the system in terms of
13 performing the function that system is supposed to
14 perform, and things like the main steam isolation
15 valves, which at the containment system, the system
16 will provide guidance when we look at that, when we
17 look at our main steam system or we look at the
18 feedwater regulating valve when we look at the
19 feedwater system because, even though they could
20 perform a containment function, they also perform
21 other functions that, when they're reviewed by
22 containment, aren't looked at. The main steam
23 isolation and the feedwater regulating valves, in
24 terms of station blackout, would need to be closed so
25 that you could establish natural circulation through

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 decay heat removal system, and that's a requirement
2 for that. It's not a containment isolation
3 requirement there. So we did look at those, and we
4 did consider those and looked at, you know, their
5 safety class, their seismic class, and things like
6 that, in the review.

7 Also, like I said earlier, the turbine
8 building doesn't contain any SSCs important to safety,
9 but it contains the turbine, which could cause
10 ejection turbine missiles that potentially impact
11 things outside the turbine building. In this case,
12 everything that needs to be protected is in the
13 reactor building, and they use the barrier approach to
14 show they had adequate protection.

15 Normally, we would be looking at turbine
16 overspeed to look at, you know, the probability of
17 missiles and the capability to prevent overspeed. In
18 this case, because of the approach where they used a
19 probability, I mean a barrier, we didn't really look
20 into the turbine overspeed, and the turbine missiles
21 are evaluated in Chapter 3, and you can see where they
22 looked at the protection of those SSCs against turbine
23 missiles.

24 And, finally, the air cooled condenser,
25 the one thing there I wanted to bring up was the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 condensate collection tank. We review it as not
2 looking to protect the tank but, if the tank fails or
3 leaks, it's sort of like having a condensate storage
4 tank, and that could contribute to the spread of
5 contamination. And in terms of looking at 10 CFR
6 20.1406, we looked at that. There, we wanted to make
7 sure that, if there was a failure, you can be able to
8 see and detect that and locate the failure because
9 that's the tank that sort of accesses the condenser
10 hotwell. But that's outside the turbine building and
11 it's outside in the yard, and the water then returns
12 back to through to the feedwater system. So, again,
13 that was just something we wanted to consider.

14 And next slide. So for the increase in
15 power, as they mentioned, they did provide heat
16 balance, so we did look at that and we did do some
17 comparisons in terms of what was being used in other
18 places, and there was no problems with that. Turbine
19 generator, again, important to safety because of the
20 missiles, but the barriers are used to ensure that
21 SSCs for safety aren't affected.

22 In the air cooled condenser, the major
23 thing there was that, before the condenser was in the
24 turbine building, the hotwell was in the turbine
25 building. So everything that could be released

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 through that part, the condenser and the steam going
2 to it, was in the turbine building, but now it's
3 outside. So we're no longer looking at things being
4 collected in the turbine building drains or through
5 the HVAC system, and we looked to see that that was
6 there and that there's adequate monitoring on that.

7 So in conclusion, we found that the
8 Chapter 10 subsystems were in compliance with
9 applicable regulations. And just like other reactors,
10 most of the systems in Chapter 10 is not safety
11 related. But most of the regulations that we're
12 reviewing them against are dealing with radiation
13 releases or the failure of the system being able to
14 affect other systems, and we found, because of the
15 plant layout and because of the monitoring and the
16 design, that the regulations were met for this design.

17 So that's all I have.

18 MS. SCHILLER: Good morning. My name is
19 Alina Schiller. I'm a project manager in the NRC
20 Office of Nuclear Reactor Regulations, Division of New
21 and Renewed Licenses, New Reactor Licensing Branch.
22 I would like to thank the ACRS subcommittee; NuScale
23 Power, LLC; and the general public for entertaining
24 the NRC for the presentation of the staff's safety
25 evaluation of Chapter 11, Radioactive Waste

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 Management, Revision 1, of the SDAA Final Safety
2 Analysis Report.

3 Next slide, please. NuScale submitted
4 Chapter 11, Revision 0, in December of 2022 and
5 Revision 1 in October last year. From March through
6 August 2023, the NRC performed a regulatory audit as
7 part of its review of Chapter 11. NuScale submitted
8 supplemental information to address questions raised
9 during the audit. There were no formal RAIs, requests
10 for additional information, issued for this chapter.
11 We are here today to discuss the staff's advanced
12 safety evaluation of Chapter 11.

13 Next slide, please. I'd like to introduce
14 the technical staff: Edward Stutzcage, the lead
15 technical reviewer with the Division of Risk
16 Assessment, Radiation Protection and Consequence
17 Branch; Derek Scully with the Division of Safety
18 Systems; Joseph Ashcraft and Dinesh Taneja with the
19 Division of Engineering and External Hazards. I am
20 the project manager for Chapter 11, supported by the
21 lead project manager, Getachew Tesfaye.

22 Next slide, please. Now I'm turning over
23 to the NRC subject matter expert, Ed Stutzcage.

24 MR. STUTZCAGE: All right. Thanks, Alina.
25 Hi, this is Ed Stutzcage with the Radiation Protection

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 and Consequence Branch. This slide is just a listing
2 of the Chapter 11 sections.

3 Next slide, please. This is kind of the
4 overview slide of Chapter 11. The methodology used
5 for calculating the Chapter 11 source terms in the SDA
6 is similar in the DCA. It's essentially the same, but
7 the source terms in doses change due to the design
8 changes. There aren't really significant changes to
9 the rad waste system. And then the process in
10 effluent monitors where there's some few small
11 changes, they generally fulfill the same objectives:
12 monitoring potential release points, detecting primary
13 leakage, and detect radiation in systems and areas
14 where you hope it's not or you don't want high
15 radiation. It's kind of the same function as the
16 radiation monitors in DCA.

17 Next slide, please. Now we'll go through
18 the changes, the more significant changes that I
19 listed here. This first one, 11.1, is probably the
20 largest one where all the source terms and effluent
21 releases, those calculations, everything changed due
22 to the increase in power, the cycle length, the number
23 of units there are, all those types of things, all
24 affected the source term calculations, the releases,
25 those calculations. All that stuff was audited by the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 staff. We did our own independent confirmatory
2 calculations for some of the source terms and for the
3 effluent doses. We found them to be acceptable.

4 Next slide, please. Going on to 11.2,
5 there's a few items here. The first one is, while the
6 design of the rad waste building is really addressed
7 in Chapter 3, in Chapters 11 and 12 we looked at the
8 classification of the rad waste building due to the
9 guidance in Reg Guide 1.143 and the types and
10 quantities of material in the rad waste building. So
11 this is a change from the DCA. In the DCA, the entire
12 rad waste building was RW-IIa in accordance with Reg
13 Guide 1.143. In the SDA, the portions of the building
14 that essentially have the rad waste and the rad waste
15 systems are RW-IIa, and the portions that are not are
16 Seismic Category III. And there's also some changes
17 to where some of the way out of some of these
18 buildings that result and that cause these changes,
19 but, essentially, everywhere where there's radioactive
20 material that's RW-IIa. And where there's not and on
21 the upper level where there's not, it's Seismic
22 Category III.

23 Next slide, please. Just before you go
24 there, that's in accordance with our guidance, our Reg
25 Guide 1.143, Rev. 2, and we found that to be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 acceptable.

2 Okay. So this slide is it says here
3 NuScale discussed this. There used to be some
4 discussion, a COL item, for potential mobile waste
5 processing equipment. The NuScale design, the SDA has
6 plenty of processing and capacity. The mobile rad
7 waste equipment isn't necessary for design, so they
8 removed the COL item associated with the mobile waste
9 processing equipment. So that's that item.

10 Next slide, please. Also in 11.2,
11 something that NuScale, during their design review,
12 they originally considered, in the DCA and the early
13 version of the SDA, they essentially kind of double-
14 calculated carbon-14 in both the liquid and gaseous
15 effluence. They changed that to remove the carbon-14
16 and the liquid effluence, which is consistent with our
17 guidance in Reg Guide 1.21 and NUREG-0017 because we
18 expect most of the carbon-14 to be released through
19 airborne. So that resulted in some recalculations of
20 some discharge flow rates and elution flow rates and
21 that type of thing. So that revised the liquid
22 effluent calculations, and we reviewed that in an
23 audit and found that to be acceptable and did our own
24 confirmatory calculations.

25 Next slide, please. 11.3, there really

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 isn't anything of significance that changed for the
2 gaseous rad waste management system.

3 Next slide, please. 11.4, solid waste
4 management system. Similar to the liquid waste
5 management system, there was discussions of mobile
6 waste processing equipment in the DCA. That's been
7 removed, and it's going to be removed in Rev. 2 of the
8 SDA. NuScale has adequate space for processing and
9 storing solid waste, and so it was unnecessary to
10 include information on mobile processing equipment in
11 the SDA. So the staff found that to be acceptable.

12 Next slide, please. For 11.5, the process
13 and effluent radiation monitoring, as NuScale said,
14 there's maybe a few less monitors and a few minor
15 changes. But, in general, the monitoring, there's not
16 really anything very significant that I felt needed to
17 be discussed in particular. And that's the same for
18 11.5 and 11.6, which is essentially just the
19 instrument and controls part of the radiation
20 monitoring design is what's covered in 11.6. So the
21 staff found the radiation process and effluent
22 monitoring to be acceptable.

23 Next slide, please.

24 MEMBER HALNON: Before you go on, this is
25 Greg Halnon. Can you describe how you found

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 acceptable, and I'm not saying it's not, but how you
2 found it acceptable that the condenser or that whole
3 air cooled system now, rather than water cooled, is
4 outside the building? How do you monitor that with --
5 let me back up.

6 If you have a high main steam system
7 radiation alarm, I understand that the control room
8 needs to take some action and one of those actions is
9 isolate steam and other things. But, nevertheless,
10 now that it's outside the building, how do you monitor
11 radiation release from the condenser area, what used
12 to be a turbine building or hotwell system?

13 MR. STUTZCAGE: Yes. I think there's
14 radiation, I mean there's obviously radiation
15 monitoring in the main steam system, and I think
16 there's also radiation monitors on the release path.
17 I don't know that it can --

18 MEMBER HALNON: It's outside now, right?
19 Which could be, various environmental conditions could
20 affect it, where, in the past, it was within, you
21 know, contained in the turbine building. How did you
22 evaluate that? Did you take a look at the
23 configuration and do any calculations, or do you, you
24 know, it's something new. Someone mentioned --

25 MR. STUTZCAGE: Right. I don't have an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 answer to that. I can look into that for you. I know
2 that the piece on, you know, the consequence of a
3 steam generator tube rupture, that would normally be
4 covered in Chapter 15, not so much in Chapter 11, or
5 primary to secondary leakage, that type of thing, an
6 accident scenario.

7 As for the monitoring itself, I'll look
8 into that for you and I can see if I can provide
9 additional information.

10 MEMBER HALNON: Okay. And I'm just
11 looking at the delta, you know, the difference between
12 it being contained in a building in a hotwell versus
13 now it's outside. And I'm not professing to know a
14 lot about the design of the air flow through it, if
15 there's a specific path that it all goes through or if
16 it's just a free flow. So I'm interested in it's
17 maybe more of a design issue than it is a monitoring
18 issue, but I can't, in my mind, reconcile the delta
19 from what I saw in Chapter 11 write-up.

20 So that's just where I'm looking at, just
21 the deltas. I don't need to understand the specifics
22 of the COL. I get that. That's pretty standard way
23 of monitoring radiation inside of a building. So if
24 you could just look into the differences between being
25 in a building and not. And if you can convince me

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 that there's no difference because X, Y, and Z is the
2 way it is, then that's fine, too. But I'm trying to
3 get straight in my mind how this configuration would
4 work.

5 MR. STUTZCAGE: Okay. Thanks. No
6 problem. Okay. I think that pretty much concluded my
7 presentation.

8 MR. VIVANCO: All right. Good morning,
9 everybody. My name is Ricky Vivanco. I'm a project
10 manager for New Reactor Licensing Branch, and I'll be
11 presenting Chapter 13 of the NuScale SDAA, the conduct
12 of our operations.

13 As with the other chapters being presented
14 today, Chapter 13, Conduct of Operations, Revision 1,
15 was submitted on October 31st, 2023, and the audit, as
16 part of the review, was conducted between March 2023
17 and August 2023. One RAI was submitted regarding
18 13.3. There were five other supplemental pieces of
19 information addressed during the audit. However,
20 these pieces of information are part of the 13.6
21 review of physical security and are not being
22 discussed today.

23 Chapter 13 had several areas of review, so
24 several branches were involved. Kamishan Martin was
25 responsible for 13.1, 13.2, and 13.5. Kenneth Mott

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 was responsible for 13.3. I'm responsible for 13.4.
2 Paul Harris, who has since retired, was responsible
3 for 13.7, and we have Brian Zaleski who has taken over
4 since then. Again, I'm the project manager for this
5 chapter with Getachew Tesfaye being the lead PM.

6 The sections today, 13.1 is organizational
7 structure; 13.2 is training; 13.3, emergency planning;
8 13.4, operational programs; 13.5, procedures; 13.6,
9 physical security and not being discussed today; 13.7,
10 fitness for duty.

11 For 13.1 and 13.2, the staff found no
12 significant changes between the DCA and the SDA, and
13 the staff's finding was consistent for both sections.
14 13.3 -- go ahead.

15 MEMBER MARTIN: This is Member Martin. At
16 the risk of exposing some ignorance here, when it
17 comes to, say, the training chapter here or really
18 anything in Chapter 13, to what extent did you
19 consider in your review the impacts to the simulator?
20 Is that really part of the scope, or was there really
21 no change, no impact? I would think, with some design
22 changes of power uprights, they might enter into this
23 scenario, you know. Maybe just in the normal detailed
24 design of the simulator, there might be some changes.

25 Can you speak to what you considered in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 vetting the impacts of the design change on the
2 simulator?

3 MR. VIVANCO: I'll have to defer to
4 Kamishan or Loren who's online.

5 MS. MARTIN: Good morning. This is
6 Kamishan. We looked at more things of training, as
7 far as what was required. I don't know if Loren
8 wanted to add anything, but we didn't really look at
9 the simulator in this part of the review.

10 MEMBER MARTIN: Okay. So that is just not
11 normally part of the review, I mean, that there's, of
12 course, requirements in 10 CFR Part 55 and there's at
13 least one reg guide out there that I believe was at
14 least referenced in Chapter 13.

15 MEMBER HALNON: Hey, Bob, this is Greg.
16 Typically, you don't see the simulator identified in
17 the FSAR. It's covered in requirements for the
18 systematic approach to training, other issues. So I
19 would expect similar configurations to be outside of
20 the scope of the FSAR. It is a design control issue
21 relative to the training program.

22 MEMBER MARTIN: Okay. Well, I guess, at
23 the risk of exposing some ignorance, I asked my
24 question. So thank you.

25 MR. VIVANCO: Thanks for your question.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 13.3, the COL item for the OSC and the EOF are removed
2 as part of the SDA FSAR compared to the DCA. The COL
3 item in the SDA is broad to include all emergency
4 response facilities. The NRC staff found that the COL
5 item including the applicant to address the
6 requirements for any and all emergency response
7 facilities provide for a more streamlined application
8 and provides flexibility for future applicants that
9 may not be required to provide specified emergency
10 response facilities.

11 Now, the DCA FSAR listed a TSC room and
12 additional size specifications that were removed in
13 the SDA, but the NUREG-0696 found that these
14 specifications were not required for SDA and that the
15 guidance only specifies that a minimum of 25 TSC
16 personnel are required. DCA FSAR also listed the TSC
17 as a Seismic Category I structure, while the SDA
18 listed the TSC as a Seismic II Category structure.
19 Again, NUREG-0696 found that the TSC does not require
20 a seismic category criteria to be qualified as an
21 engineering safety feature. And, overall, the SDA
22 found that the conclusions are consistent with that of
23 the DCA.

24 13.4, operational programs. The staff
25 found that the Motor Operated Valve Testing Program

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 and the Reactor Vessel Materials Surveillance Program
2 were both removed. The US460 does not contain any
3 safety-related MOVs, and the FSAR Section 5.316 is
4 under review for exemption from the Reactor Vessel
5 Materials Surveillance Program. Still, the staff
6 finds that the COL item 13.4-1 lists all the
7 applicable programs.

8 13.5. The removal of the GTGs were found
9 to be significant. However, the staff did not make
10 any findings of the GTGs in the DCA, nor did it impact
11 the conclusion of the DCA. Therefore, in the SDA, the
12 SDA conclusions are consistent with those of the DCA.

13 Now I'll defer to Kamisham or Loren for
14 any additional questions on this topic, as I know
15 there has been some discussion.

16 MEMBER HALNON: Yes. This is Greg Halnon.
17 The question stands on how are you going to ensure
18 that the GTGs, you know, are translated to future
19 applicants for COLs so that there's a consistency in
20 the approach that was pretty well established after
21 TMI with NUREG-737 and modified by a couple of generic
22 letters after that. I don't know how we can get to an
23 nth of a kind if you have a variety of approaches to
24 accident and transient response.

25 DR. BLEY: This is Dennis Bley. On this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 one, I'm just not quite sure. The removal of the
2 discussion of the GTGs, do the GTGs in the original
3 certification still apply? They were the only thing
4 that really told us how the procedures were going to
5 be organized and written. Or are they just gone for
6 this application?

7 MR. BOWMAN: So this is Doug Bowman from
8 NuScale. I'm going to try to answer this question.
9 I'm the plant operations services manager and just a
10 little bit of background about myself. I spent 24
11 years in commercial power before starting at NuScale.
12 Most interestingly, I was involved with the full
13 rewrite of the emergency operating procedures at DC
14 Cook during their restart effort, and I'm part of the
15 team that originally developed the GTG concept for
16 NuScale. I've been at NuScale here for about ten
17 years now.

18 So the Generic Technical Guidelines, as
19 Greg stated earlier, are required by the TMI Action
20 Plan, so we still maintain a set of Generic Technical
21 Guidelines and those are absolutely auditable by the
22 NRC at any time. So TMI Action Plan IC1 would require
23 the preparation of emergency procedure technical
24 guidelines for development of emergency operating
25 procedures, i.e., there's your hook, your regulatory

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 requirement for Generic Technical Guideline. And
2 NUREG-0800 SRP 1352 requires design-specific Generic
3 Technical Guidelines be used by the COLA to develop
4 their plant-specific technical guidelines from which
5 the EOPs will be developed.

6 So I think, if I'm understanding Greg's
7 question correctly, we are required to maintain a set
8 of Generic Technical Guidelines by these regulations.
9 Is that really what your question is, Greg, or is
10 there something I'm missing there?

11 MEMBER HALNON: Well, I mean, again, we're
12 just looking at the delta. You had them in the COL,
13 and it was imposed as part of the COLA. Now we're
14 taking them out, which I haven't found a good
15 explanation why were they included in the first go-
16 around and/or why is it okay to take them out now. So
17 it's --

18 MR. BOWMAN: So the only thing we really
19 removed was, during the original design certification
20 application, we received an RAI for the Generic
21 Technical Guidelines, which were not originally
22 included as part of the design certification
23 application. We submitted those on the docket. The
24 NRC reviewed them, and, at the end of that, we had a
25 discussion with the NRC and we removed the Generic

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 Technical Guidelines from the docket because the
2 existing industry does not docket their Generic
3 Technical Guidelines.

4 So the only thing we have removed is that
5 technical report that was docketed. There are still
6 COL items that require COLA to develop their emergency
7 operating procedures from a set of Generic Technical
8 Guidelines.

9 MEMBER HALNON: Okay. So you're confident
10 -- and I'm going to put words in your mouth, and you
11 can say yes or no. You're confident that the use of
12 your Generic Technical Guidelines is required
13 downstream for every applicant that may come through
14 and build one of these plants, so that, when we go to
15 nth of a kind, there may be some minor various site-
16 specific issues or response issues, but, in general,
17 the responses will be nearly identical?

18 MR. BOWMAN: Yes, that's correct. And
19 there's some other design considerations, too, that I
20 could get into. For example, our emergency operating
21 procedures are fully embedded in our system interface,
22 which was, as part of the DCA, accepted in the control
23 design. So it's going to be difficult, technically,
24 for a future applicant to implement anything other
25 than what we're going to give them.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 MEMBER HALNON: Okay. Yes, and I realize
2 --

3 MR. BOWMAN: But that's obviously not
4 regulation.

5 MEMBER HALNON: Yes. I realize we're in
6 a new world of procedure usage through the software
7 application. So I'm fine with it, but I think that
8 somewhere that explanation needs to be, you know, the
9 historical piece of it is good, but, as we go forward,
10 we need to understand how that path works because just
11 the optics of having it in one and then removing it in
12 the next just doesn't look good.

13 MR. VIVANCO: Are there any more comments
14 in regards to 13.5? Hearing none, we're going to move
15 on.

16 MEMBER PETTI: There is a hand raised.

17 MR. BOWMAN: That's probably mine. I'll
18 take it down.

19 MR. VIVANCO: All right. Thank you.

20 DR. BLEY: This is Dennis Bley again. I'm
21 just sitting here kind of trying to remember and
22 stewing on that last discussion. My memory, and you
23 guys help me out, was when we reviewed this back in
24 the original design cert, the GTGs were in a separate
25 technical or topical report or some other engineering

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 report. And if I'm right in that memory, that
2 document, I assume, still exists and either will be
3 revised or improved; but, in any case, it's going to
4 continue to be a document, and I don't know if that's
5 referred to or not in the application.

6 MR. BOWMAN: So, Dennis, we do indeed, we
7 actually periodically update the Generic Technical
8 Guidelines, and we have one revision we've done
9 already to essentially align it with the SDA. So,
10 yes, we are maintaining the Generic Technical
11 Guidelines. And as stated previously, those would be
12 currently open to be audited by the NRC.

13 DR. BLEY: Okay. I guess, thinking back,
14 I think that original set, some of us looked at those,
15 but some kind of got into loops or problem areas. But
16 you, no doubt, revised them since what we looked at.
17 And we assume we'd look at it in more detail during a
18 COLA.

19 MR. BOWMAN: Correct.

20 DR. BLEY: Okay. Thanks.

21 MR. VIVANCO: Any additional comments for
22 13.5? Hearing none, 13.7, fitness for duty. The
23 staff found that the DCA included a COL item for the
24 fitness for duty program, and the SDA removed this COL
25 item. Staff found that this is acceptable because 10

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 CFR Part 26 requires any entity who intends to
2 implement an FFD program to provide a description of
3 the program and its implementation as part of the
4 license permit or limited work authorization
5 application. The staff found that the COL item for
6 this SDA is not required.

7 Are there any last questions for Chapter
8 13, Conduct of Operations? All right. Now I'll turn
9 it over to Getachew.

10 MR. TESFAYE: Thank you, Ricky. That
11 completes the staff's presentation of the first three
12 chapters.

13 MR. STUTZCAGE: This is Ed Stutzcage.
14 Could I just ask one follow up on that question on the
15 air cooled condenser? Can I add something quickly?
16 I just wanted to say that I was looking here and just
17 verified that the main steam lines have argon-41
18 monitors and the turbine gland steam outlet has
19 particular iodine and noble gas monitors, as well as
20 argon-41 monitors. And then the air cooled condenser
21 system has argon-41 monitors and the containment air
22 removal system common event evacuation line as
23 particular iodine and noble gas monitors.

24 So does that answer the concern on
25 monitoring? I understand that the air cooled

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 condenser system is outside. I don't think we looked
2 at any concern with monitoring outdoors, but I'm
3 wondering if that answers the concern from a
4 monitoring standpoint or if there is any other
5 concerns.

6 MEMBER HALNON: This is Greg. I guess
7 this was my question. I was looking at Table 11.5-4
8 which is titled Effluent and Process Monitoring Off
9 Normal Radiation Conditions. And at first glance, I
10 didn't see where the air cooled condenser was included
11 in that. So if you want to take a look at that table
12 for me and point me to where those --

13 MR. STUTZCAGE: Yes. So I think, and I
14 could be wrong here, but I think this may be one of
15 the things that is going to be in Rev. 2 of the
16 application. I'd have to double-check that to see if
17 that's the case, but there may have been a few things
18 that didn't make it into Rev. 1 that were addressed
19 through audit items. I could check that. I know
20 Table 11.5-1 does mention -- 11.5-1 kind of gives all
21 the process and effluent monitors, and 11.5-4 kind of
22 goes into some details on the system responses. And
23 that table may not be fully updated, but I'd have to
24 verify that.

25 MEMBER HALNON: Okay. It's just an open

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 question in my mind as to how that off-normal
2 conditions would get monitored, so we can connect up
3 and try to figure out how that's reflected; or if it's
4 going got be in a future revision, I can hold and wait
5 for it.

6 MR. STUTZCAGE: Thanks.

7 MR. SNODDERLY: This is Mike Snodderly
8 from the ACRS staff. So, NuScale, can you weigh in on
9 that at this time? Are there plans to do that in Rev.
10 2, or is that something that's still under discussion?

11 MR. OSBORN: This is Jim Osborn. Can you
12 guys hear me?

13 MR. SNODDERLY: Yes, Jim. Go ahead.

14 MR. OSBORN: Yes. So I think that Ed was
15 right. The radiation monitors for air cooled
16 condenser is described in Table 11.5-1. I'm not aware
17 that Rev. 2 of the FSAR is going to change that in
18 regards to 11.5-4 and the air cooled condenser. But,
19 yes, there's steam air ejectors associated with the
20 air cooled condenser. There's the vacuum pump that
21 has a gaseous effluent and then the condenser air
22 removal common vent line.

23 So all these associated with the ACC, the
24 air cooled condenser, is provided in the design for
25 radiation monitoring. And I should also note that the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 condenser, just like a traditional condenser, is held
2 at a vacuum, so any leakage is going to be in-leakage,
3 as opposed to leakage out to the environment.

4 MEMBER HALNON: So this is Greg. That's
5 true, as long as you've got a vacuum. I mean --

6 MR. OSBORN: That's true, yes, as long as
7 you have vacuum, which is when the plant is operating,
8 yes.

9 MEMBER HALNON: Okay. I'll go back and
10 look at the tables again and see if I can piece
11 together. I understand what you said, and I
12 understand traditional condensers. I'm just trying to
13 get it straight in my mind how the difference from
14 going from a water situation to an air situation from
15 inside a building versus outside in the atmosphere and
16 how all that translates into the off-normal response.
17 But I'll take a look at it again and see if I can
18 piece together what you said.

19 MR. OSBORN: Okay.

20 MR. GRIFFITH: May I pitch in, as well,
21 for Jim's answer here? Just to add, there's also tech
22 specs for primary to secondary side leakage that also
23 control the amount of primary to secondary side
24 transfer of water or steam, if you will.

25 And the other note I'd like to make is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 that there was a comment on the efficiency of the air
2 cooled condenser, and NuScale has sized the air cooled
3 condenser to handle what I would consider some pretty
4 extreme ambient air temperature without a significant
5 loss in performance.

6 MR. TESFAYE: Joe Ashcraft, your hand is
7 up.

8 MR. ASHCRAFT. Yes. This is Joe Ashcraft.
9 I was a technical reviewer for Chapter 7. I just
10 wanted to note that, in Chapter 7, Table 7.1-7, which
11 is the summary of post-accident monitoring variables,
12 and it lists the condenser pump exhaust for a Type E
13 variable, and it points back to Table 11.5-1. So a
14 lot of these radiation detectors that you're
15 discussing here will show up on that table, so you
16 might want to take a look at that, as well.

17 MEMBER HALNON: Thank you. I'll add that
18 to my list of stuff. I guess, just in general, the
19 description, well, I guess we could have avoided this
20 whole thing if there was a few lines added; but,
21 nevertheless, I'll take a look at it. Thanks.

22 CHAIR KIRCHNER: Okay. Members, this is
23 Walt Kirchner. Mike, I think we're at a stopping
24 point, unless there are more questions from the
25 members at this juncture. Hearing none --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 MR. SNODDERLY: I agree, Chairman
2 Kirchner, that we've completed Chapters 10, 11, and 13
3 now. It would be a good time to break for lunch and
4 then return when you see fit, and we would complete
5 Chapters 2 and 17, not including Section 17.4.

6 CHAIR KIRCHNER: Right. And since the
7 agenda showed an hour break, I would propose then that
8 we reconvene at 1:00 Eastern Time. That will allow us
9 out on the west side to have coffee while you're
10 having lunch. And if there are no other comments at
11 this point, then we are recessed until 1:00 Eastern
12 Time.

13 Thank you to the presenters. We are
14 recessed.

15 (Whereupon, the above-entitled matter went
16 off the record at 11:58 a.m. and then went back on the
17 record at 1:02 p.m.)

18 CHAIR KIRCHNER: Good afternoon, everyone.
19 This is the NuScale Subcommittee. And we are going to
20 return to presentations from NuScale starting with
21 Chapter 2. Tyler, I see you on the screen. Are you
22 up?

23 MR. BECK: Yes, I'm up.

24 CHAIR KIRCHNER: Go for it.

25 MR. BECK: This is Tyler Beck again. As

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 discussed earlier, I am a licensed engineer within the
2 NuScale's Regulatory Affairs Department. And I will
3 be presenting Chapter 2, which is Site Characteristics
4 and Site Parameters.

5 Next slide. The sections of Chapter 2
6 we're showing here on the screen. And noteworthy is
7 Section 2.0 includes the key parameters table, which
8 is much of the content of Chapter 2.

9 Section 2.1 is geography and demography.
10 Section 2.2 is nearby industrial transportation and
11 military facilities. Section 2.3 is meteorology.
12 Section 2.4 is hydrologic engineering, and Section 2.5
13 is geology, seismology and geotechnical engineering.

14 And I wanted to add this is a largely site
15 specific chapter as a whole. And each subsection or
16 each section includes the goal item to ensure that the
17 applicants will provide the site specific values
18 downstream.

19 Next slide. For Section 2.0, this
20 presents the key site parameters table, Table 2.0-1,
21 and similar to the DCA, these parameters are
22 representative of a reasonable number of potential
23 plant site locations in the U.S., and applicants will
24 verify the site specific parameters.

25 Next slide. So now that we're in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 individual sections, I am specifically going to
2 highlight changes from the DCA. And for geography and
3 demography in Section 2.1, there is really one change
4 and that has to do with the distance for the
5 exclusionary boundary and the low populations zoned
6 outer boundary. And this is 369 feet from the nearest
7 release point in the SDAA. In the DCA this was 400
8 feet.

9 This change is really just due to the
10 change in site configuration as a whole. And that is
11 the only change from the DCA for Section 2.1.

12 Next slide. For Section 2.12, it is
13 pretty much the exact same as the DCA. All that is in
14 this section, is one COL item that tells the
15 applicants to describe the nearby industrial
16 transportation and military facilities. So the SCA
17 does not postulate these hazards.

18 Next slide. For Section 2.3, meteorology,
19 the meteorological parameters are largely unchanged
20 from the DCA. There are really two changes. And so
21 the first of those is with respect to the design basis
22 tornado. And the SDAA includes a more limiting design
23 basis tornado so that just encompasses more potential
24 sites.

25 And then the other change is with regard

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 to atmospheric dispersion values. And these values
2 have changed just due to different source receptor
3 distances. For the values at the exclusionary
4 boundary, they are similar to the DCA, but as we
5 explained, it is just a different 369 feet versus 450
6 feet of the DCA. So their values are a little bit
7 different.

8 For the values at the main control room,
9 they are actually lower than the DCA values. And for
10 the routine release values at the restricted area
11 boundary, these are also lower than the DCA values.

12 So that encompasses all the changes in
13 Section 2.3 from meteorology.

14 MEMBER HALNON: Tyler, this is Greg
15 Halnon. I've got a quick question. And I didn't go
16 through the design cert process so forgive me if I'm
17 re-raking old ground.

18 The precipitation studies that were used
19 are very old, HMR 52 includes storms from pre-1980s.
20 How are you going to ensure that your flood levels are
21 -- your flood level protection is adequate for the
22 more modern storms that we are experiencing?

23 MR. BECK: Do we have Nolan or Paul on the
24 call, if you're available to answer that? So for your
25 question, I mean, there is the sea level item that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 applicants will have to confirm and justify the site
2 specific meteorological parameters if that helps to
3 answer --

4 MEMBER HALNON: I get that, however, your
5 flood protection in this section and the next section
6 are based on the precipitation studies done back in
7 that HMR 52 and that was issued in 1982-1983 time
8 frame, which, you know, over 40 years ago.

9 So, I guess, how can we say that the floor
10 protection that was designed based on the
11 precipitation studies and other old studies, how are
12 we going to ensure that is going to be adequate going
13 forward for someone in an SDAA?

14 Is there some -- and maybe this is a
15 better question for the staff, it would be a good
16 chance for you to pawn it off on them. But, I don't
17 know -- I don't understand how we can approve a design
18 that we can't assure that the flood protection is
19 adequate?

20 MR. BECK: I'm not sure on the studies at
21 this moment. I do know that the ultimate conclusion
22 is that the max flood is one foot below the baseline
23 elevation of the plant. And so by ensuring that the
24 maximum flood is below base elevation, that is key to
25 our flood protection.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 MEMBER HALNON: Okay. So that's -- your
2 plant parameter is whatever the flood level is at the
3 site that is chosen, it's got to be -- you have to
4 have a one foot margin to the max flood.

5 MR. BECK: Yes.

6 MEMBER HALNON: So I will ask the same
7 question of the staff about how they're going to
8 assure that the newer studies are being used. So go
9 ahead, you can move on. I think it's more of a
10 question for the staff. Thanks.

11 MEMBER BIER. Excuse me. This is Vicki
12 Bier. I just wanted to expand on Greg's remarks, not
13 that I need an answer right now. But in addition to
14 possibly changing precipitation levels, there is also
15 a lot of evidence that economic development increases
16 flooding because you pave over a much larger section
17 of area and so, you know, there is less rainfall that
18 goes into the groundwater, et cetera. So it's a
19 generic issue. It's not you know, directly related to
20 NuScale in any way. But --

21 MEMBER HALNON: You can go on. I think
22 both Vicki and my comments relative to site specific
23 -- which I know that you're staying away from in this
24 chapter, however, there is a basis for some of the
25 flood levels and building locations. So we'll explore

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 a little bit later with the staff and see how they're
2 going to assure that the flood levels are -- or the
3 right studies are being used.

4 DR. BLEY: This is Dennis --

5 CHAIR KIRCHNER: We have -- Dennis and
6 Steve have their hands up. Go ahead, Dennis.

7 DR. BLEY: Yeah. Same issue. It seems to
8 me that when a COL applicant comes in, they will have
9 to justify the studies they use for flooding
10 calculations. And this kind of goes back to the
11 staff, too.

12 The fact that you used some older studies
13 doesn't in any way approve using older studies when a
14 COL comes up. So I guess I would refer that to the
15 staff when they come up unless you guys have thoughts
16 on it.

17 MR. BECK: No, I don't think we have any
18 additional input on it right now.

19 MR. GRIFFITH: Tyler, just I will add one
20 thing here. Thomas Griffith, the licensing manager.
21 You know, one of the approaches with Chapter -- with
22 specifically Chapter 2 is that, as Tyler said in one
23 of the introduction slides, is that generally Chapter
24 2 is representative in bounding a number of site
25 locations that we feel would be bounding and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 representative of a number of site locations that
2 would be acceptable to that end.

3 There is a number of COL items,
4 particularly like ones that relate to meteorology,
5 that would need to be satisfied when we get to the
6 steel well stage. And that would ensure that the site
7 specific characteristics are met and the assumptions
8 in the standard plant design are met.

9 MEMBER HALNON: Yeah, and Thomas, I
10 appreciate that. I didn't see any COL item that drove
11 into the studies. The recently signed Infrastructure
12 Bill would include almost a half a billion dollars for
13 NOAA to go off and re-study a bunch of stuff and one
14 of those is the PMP studies. So they are looking to
15 revise HMR 52.

16 And I'm just not sure how that gets back
17 into the SDAA, which the SDAA site parameter envelope
18 was established using that 40-year-old study. So I'm
19 kind of looking for linkage in how we ensure that COL
20 applicants in the future will be not relying on an
21 envelope that's basically on a dated study. So that's
22 the basis of the question there.

23 CHAIR KIRCHNER: Steve, did you have your
24 hand up?

25 DR. SCHULTZ: Yes. This is Steve Schultz.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 A question on the last set of bullets that you have on
2 the slide here.

3 The atmospheric dispersion values, as
4 you've indicated, they are similar to the DCA values.
5 And the staff has noted that. You do have a change in
6 the exclusion area boundary. And 400 seems like a
7 nice round number, and 369 seems pretty precise. Is
8 there an intention to use that difference in any
9 particular way?

10 MR. BECK: The reason for that difference
11 is because the site layout -- so it's 369 feet from
12 the nearest release point. And for the SDAA site
13 layout, 369 feet is a distance from the south turbine
14 wall to the south site boundary. So it's just that
15 limiting distance from the release point to the site
16 boundary.

17 DR. SCHULTZ: Understood. And the same is
18 true with respect to distances and elevations with
19 regard to the dispersion values for the main control
20 room, just slight differences in the configuration
21 that you see between --

22 MR. BECK: Yes.

23 DR. SCHULTZ: -- the DCA and the MCR -- I
24 mean, in the -- yeah, the -- and then you add on here
25 that routine release values are lower than the DCA

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 values. How much lower? How does that impact what
2 you've described here?

3 MR. BECK: They are in Table 2.0-1. I
4 don't have the table up right now.

5 DR. SCHULTZ: Just generally.

6 MR. BECK: I don't have a percent
7 difference in how much they are lower.

8 DR. SCHULTZ: I can look at the table.
9 Thank you.

10 MR. BECK: All right. Are there any other
11 questions for this slide? All right. We'll go to the
12 next slide.

13 So this is Section 2.4, which is
14 hydrologic engineering. And this section is nearly
15 unchanged from the DCA. The only change -- so there's
16 a lot of words on the slide. But really the change is
17 in the COL Item 2.4-1.

18 So in the DCA -- well, so this COL item
19 excludes a few sections from it. So you can see it
20 excludes Sections 2.4.8, 2.4.10, 2.4.11. The change
21 from the DCA is that addition of the exclusion of
22 Section 2.4.11. And that, I believe, is mainly just
23 due to the fact that there is no circulating water
24 system in the SDAA. And so low water considerations
25 are of much less concern. Other than that, there are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 no changes from the DCA.

2 All right. We'll go to the next slide.
3 And this is Section 2.5, geology, seismology and
4 geotechnical engineering.

5 This section, like all the other sections
6 is site dependent. And for Subsections 2.5.1, 2.5.2,
7 2.5.3 and 2.5.5, they are unchanged from the DCA. We
8 have also added that 2.5.2 includes the certified
9 seismic design response spectra. And these are
10 unchanged from the DCA. And this is addressed in MSR
11 Section 3.7.

12 The changes from the DCA are with respect
13 to -- is there a question? The changes from the DCA
14 are with respect to Section 2.5.4. So the bearing
15 capacity and settlement values have changed in the
16 SDAA. But for the comparing capacity values, this is
17 mainly attributable to the fact that the SDAA was
18 allowable soil bearing capacity whereas the DCA listed
19 ultimate soil bearing capacity. And then the
20 settlement values, my understanding is the changes are
21 really just due to the fact that they are different
22 buildings with different sizes and geometries. And
23 that is the changes from the DCA for Section 2.5.

24 Next slide. During the audit, there were
25 10 audit items that were successfully resolved. And,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 next slide. And that is it for Chapter 2 if there are
2 any other questions. All right.

3 CHAIR KIRCHNER: Okay, Tyler.

4 MR. BECK: With that, I will hand it over
5 to Amanda Bode for discussion for Chapter 17.

6 MS. BODE: Good afternoon. My name is
7 Amanda Bode. And I have been a licensing engineer
8 with NuScale's Regulatory Affairs Department for the
9 last year and a half. And one of my focus areas is
10 Chapter 17.

11 Prior to NuScale, I worked 10 years in the
12 nuclear industry in a variety of roles, including
13 Appendix B compliance, engineering support of new
14 construction for nuclear aircraft carriers and
15 submarines and working as a nuclear machinist,
16 maintenance engineering laboratory technician in the
17 United States Navy.

18 I have a Bachelor of Science in nuclear
19 engineering technologies and a Master of Business
20 Administration with a concentration in project
21 management.

22 Next slide, please. Please note that 17.4
23 is not included in today's presentation. It will be
24 presented to the ACRS at a later date. And the
25 majority of the content for Chapter 17-17.4 pertains

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 to quality assurance as identified on this slide.

2 Next slide, please. The sections
3 applicable to the SDAA reference, the licensing
4 topical report for the quality assurance program
5 description, which is associated with Section 17.5.
6 The applicant does have responsibilities to implement
7 quality assurance during construction and operation.

8 Next slide, please. The licensing topical
9 report for NuScale's quality assurance program
10 description establishes compliance with 10 CFR 50,
11 Appendix B, 10 CFR 52 and 10 CFR 21 and is based on
12 the requirements and recommendations of ASME NQA-1
13 2008 with 2009 addenda Parts 1 and 2, as endorsed by
14 Regulatory Guide 1.28, Revision 4.

15 The safety evaluation has been published
16 and the approved version has been docketed.

17 Next slide, please. There were no RAIs
18 and no audit questions associated with Chapter 17
19 minus Section 17.4. And I will hold here if anybody
20 has any questions.

21 Okay. As I'm not seeing any questions,
22 this concludes NuScale's presentation.

23 CHAIR KIRCHNER: Amanda? This is Walt
24 Kirchner. Earlier today, we heard from your
25 colleagues about Chapter 10. And I noticed one, I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 think, important change, actually a good change from
2 a safety perspective is the treatment and seismic
3 category classification for the first valves on the
4 feedwater and steam lines outside containment, the
5 isolation valves.

6 Does that change the treatment of those?
7 I know we are not talking about your reliability
8 assurance program. But could you just address what
9 that means in terms of the quality treatment of those
10 valves in your program? Are they afforded any extra
11 inspection or -- what are the implications of changing
12 from Seismic Category 2 to 1 and what does that entail
13 in terms of quality assurance?

14 MS. BODE: I am not familiar with the
15 valves that you just mentioned. You did identify that
16 they were for Chapter 17 -- sorry.

17 CHAIR KIRCHNER: No, Chapter 10.

18 MS. BODE: Chapter 10.

19 CHAIR KIRCHNER: Yeah.

20 MS. BODE: Okay. So in terms of seismic
21 categories, seismic category is addressed in Section
22 3.2, which will be presented at a later date because
23 it is not identified as a low effort chapter.

24 CHAIR KIRCHNER: Okay. Let me just put a
25 note then just to flag that. I would be interested in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 why NuScale made that decision -- I think it's a good
2 one -- and what the ramifications are in terms of
3 quality treatment, et cetera, for that, if you will,
4 second line of defense and isolating the feedwater and
5 the steam system from the reactor module.

6 MR. BECK: Is the question --

7 CHAIR KIRCHNER: You don't have to address
8 it further here. Yeah.

9 MR. BECK: Hey, Walt. I believe that you
10 are describing the secondary main steam isolation
11 valves being Seismic Category 1?

12 CHAIR KIRCHNER: Yes.

13 MR. BECK: Someone, and correct me if I'm
14 wrong, I don't believe that's a design change from the
15 DCA.

16 CHAIR KIRCHNER: Oh, okay. If it's not
17 then, the way I read the slides and the presentation
18 and the material, it seemed like you had upgraded the
19 classification of those valves in the SDAA. And that
20 sounded like a good design change. So it's not a
21 change? Okay.

22 MR. BECK: No. And I'm sorry if that was
23 confusing. I believe I bolded the things that were
24 changes, but I probably should have highlighted that
25 better.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 CHAIR KIRCHNER: Okay. Thank you.

2 MS. BODE: As I stated, if there are no
3 further questions, this does conclude NuScale's
4 presentation.

5 CHAIR KIRCHNER: Okay. Thank you very
6 much. Members, any questions of NuScale? Well, then,
7 Mike, I think we are ready to turn to the staff's
8 presentations on these two chapters, please.

9 MR. TESFAYE: Good afternoon. This is
10 Getachew Tesfaye. The NRC project manager for
11 Chapters 2 and 17 is Prosanta Chowdhury. Prosanta,
12 take it from here.

13 MR. CHOWDHURY: Yes. Good afternoon,
14 Chair Kirchner, members of the ACRS subcommittee,
15 NuScale staff and management, NRC staff and
16 management. My name is Prosanta Chowdhury. I am a
17 senior project manager at New Reactor Licensing Branch
18 under the Division of New Licenses in NRR.

19 I have been a project manager for 14 years
20 in new reactor licensing. I have a master's degree in
21 nuclear engineering and one in electrical engineering.
22 And I have been employed at the NRC since 2005.

23 I have been heavily involved in NuScale
24 DCA application review also from 2016 through 2020 and
25 including the rulemaking.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 So Chapter 2, site characteristics and
2 site parameters, as NuScale mentioned -- can you go to
3 the next slide, please -- this is essentially a site-
4 related chapter, site specific chapter mostly.

5 So NuScale submitted Chapter 2, Site
6 Characteristics and Site Parameters, Revision 1, back
7 in October of 2023.

8 And then the NRC staff performed -- they
9 usually audit as part of this review of this chapter
10 from March 2023 through August 2023.

11 There were some questions raised through
12 the audit and were resolved in the audit. No RAIs
13 were issued.

14 The staff completed the review of Chapter
15 2 and issued an advanced safety evaluation report to
16 the ACRS Subcommittee meeting. The report was issued
17 I believe on 10th of March as publicly available.

18 This slide shows the technical experts who
19 were involved in this review. And let me extend my
20 apologies to Sarah Tabatabai, whose name has been
21 unintentionally not included in this slide. So she is
22 one of the reviewers, too.

23 So Ken See was the overall lead for the
24 review of Chapter 2. And he also has the hydrology
25 review section under his wings.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 Kevin Quinlan is mostly in meteorology,
2 Jenise Thompson in seismology, geology-seismology,
3 Scott Stovall, geology-seismology. LUISSETTE
4 Candelario-Quintana and Zuhani Xi were involved in
5 geotechnical engineering review.

6 And Ken Mott and Ed Robinson were also
7 included in ensuring that the interface between some
8 section of Chapter 13 and Chapter 2 have been
9 adequately addressed. And they ensured that those
10 have been.

11 So again I, Prosanta Chowdhury, am the PM,
12 and Getachew Tesfaye is the lead PM as you have heard
13 many times today.

14 So this slide shows the several sections,
15 all five sections of Chapter 2, that NuScale also
16 showed.

17 Next slide, please. So what the staff did
18 is it looked at the DCA FSAR Chapter 2, Revision 5,
19 and SDAA FSAR Chapter 2, Revision 1, to see what
20 changes or significant differences between these two
21 may have been made.

22 So the staff's conclusion for Section 2.0
23 is that there are really no significant differences
24 between NuScale DCA FSAR and SDAA FSAR. NuScale
25 provided site parameters that are representative of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 potential locations in the United States and Table
2 2.0-1 provides a summary of these parameters that the
3 staff used throughout their review of Chapter 2.

4 NuScale provided COL item appropriate and
5 related to these areas of review. And the SDAA
6 conclusion and DCA conclusion remain the same.

7 Next slide. This is specifically for 2.1,
8 geography and demography. And, again, there are no
9 significant differences. NuScale did provide an
10 exclusion area boundary and low population zone outer
11 boundaries that you have already heard from NuScale
12 and then COL items for this area. And the conclusions
13 remain basically the same.

14 And for Section 2.2, there are no
15 significant differences again. And then NuScale did
16 not postulate any hazards from the industrial,
17 transportation or military facilities. This is site
18 specific information that an applicant that references
19 the NuScale power plant US460 standard design will
20 address. And there is COL item in the rest of that.

21 So next slide, please. 2.3 Meteorology,
22 SDAA revised the design basis to wind speed and
23 associated characteristics to be more conservative
24 than DCA. And then they devised, as you heard from
25 NuScale, onsite and offsite chi over q dispersion

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 values supporting made therein, methodology the same,
2 distances revised.

3 NuScale provided COL items related to this
4 area of review, and the conclusion remained the same.

5 I know at least one subcommittee member
6 has a question related to the data used on
7 precipitation and maybe our reviewers who are standing
8 by may be able to respond to that if asked and maybe
9 the hydrology expert reviewer who is standing by also
10 may be able to respond to that one.

11 MEMBER HALNON: This is Greg. I might
12 just not understand how an SDAA is applied to a plant.
13 Let me just postulate here for a second.

14 Someone comes in and wants to reference
15 this SDAA, the standard design, they are going to pick
16 a site, and they have to show that site is within the
17 site, within the plant boundaries set up in the FSAR,
18 which is from lack of a better -- let's just use the
19 precipitation rate as an example, 19.4 inches.

20 So I guess when that application comes in
21 for placing this plant on the site, that applicant is
22 going to have to evaluate the site to the more modern
23 standards, I assume. And if there is a new study
24 out, they will have to use the study that is on the
25 street. So just say it takes HMR 50, whatever prime

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 revised 52, they would have to use that, ensure the
2 site would stay within the parameters of the plant
3 design, which is 19.4 inches.

4 I can see how all of that could work.
5 What requires that new site applicant to use the more
6 updated studies rather than to use the HMR 52 that is
7 cited in the FSAR for the standard plant design?

8 I guess that's the question is what's
9 going to drive us to use more modern values for the
10 specific site?

11 MR. CHOWDHURY: Yes. And thank you for
12 the question. And we understand. Kevin Quinlan
13 should be on the line to elaborate on that. Kevin,
14 would you please?

15 MR. QUINLAN: Sure. So interestingly
16 enough, this question also comes with meteorology but
17 it doesn't generally fall within --

18 MR. CHOWDHURY: Please introduce yourself
19 first.

20 MR. QUINLAN: Oh, I'm sorry. My name is
21 Kevin Quinlan. I am the senior meteorologist here at
22 the NRC and the reviewer for Section 2.3, meteorology.

23 So this question often comes up in
24 meteorology but is mostly applied to the hydrology
25 section. Right now our guidance points to the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 hydrometeorological reports from NOAA. And certainly,
2 as you pointed out, they are a little bit dated at
3 this point. However, they are still considered to be
4 extremely conservative.

5 And then when you build on the extra
6 conservatisms that go into the actual modeling of a
7 site, generally, it's a very conservative analysis.

8 Applicants for a specific site do have an
9 option to do a site specific maximum precipitation
10 analysis where they can use updated storms. We saw
11 that updated in response to the Fukushima flooding
12 questions, that there was an option there. But the
13 hydrometeorological reports from the National Weather
14 Service are still considered to be very conservative.

15 MEMBER HALNON: Yeah, I get the
16 conservatism is basically because when they went off
17 and studied these storms, they had to find some farmer
18 with a can that collected all the precipitation, and
19 they kind of estimated from there.

20 Forty years later, we are going to be
21 getting an updated study, however long it takes NOAA
22 to do that, probably, I don't know, it could be a
23 decade for all we know. But certainly they are not
24 going to be using cans in farm fields to estimate
25 these things. So the conservatism is going to go

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 down. We don't know what the study is going to show
2 other than if the gut feel is that the storm seemed to
3 be getting more intense. And, you know, that's pretty
4 subjective at this point until they do the study.

5 But I guess as we go forward, I am just
6 curious -- I guess it's more than curious. I guess
7 the site specific study needs to show or at least a
8 site needs to show that it's within the plant
9 parameter, which is 19.4 inches. What if it's not?
10 I mean, what if this new study comes out and shows
11 that it's not -- or maybe it adds more conservatism to
12 where it's 20.2 inches or something to that effect?
13 What drives the licensee or the prospective licensee
14 to put more margin in their flood levels?

15 MR. QUINLAN: So I think it has a little
16 bit less to do with the exact number on the rain rate,
17 the 19.4 inches, and more to do with the ability of a
18 specific site to cope with that amount of rain in
19 their flood protections.

20 MEMBER HALNON: Okay. More drains, more
21 creeks, more slope to their parking lots, that type of
22 thing?

23 MR. QUINLAN: From my understanding. And,
24 again, this generally is one of those situations
25 where, you know, its meteorology until the water is on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 the ground and then it's hydrology. So the
2 hydrologists are generally the ones who do that
3 analysis. However, that's my understanding is that
4 it's -- you know, the site needs to prove that it can
5 deal with or protect itself against a certain amount
6 of precipitation.

7 MEMBER HALNON: Okay. So it's meteorology
8 until it hits the ground. I get that.

9 MR. QUINLAN: Right.

10 MEMBER HALNON: But if they are not using
11 the right meteorological studies then I'm wondering
12 how they let people what volume of water they are
13 going to be dealing with. And it just seems to me
14 that there should be a COL item that says you need to
15 use site specific issue rather than design it based on
16 a 40-year-old plus. I mean, some of those storms go
17 back into the 20s and 30s so I mean some of the storms
18 are over 100 years old, but they are using to base
19 their design on it. It just doesn't seem modern to
20 put it that.

21 MR. QUINLAN: Certainly, yeah, they
22 certainly did. I can see Ken See has raised his hand.
23 And he is the lead hydrologist on this. Ken, do you
24 want to jump in?

25 MR. SEE: Sure. Thank you very much. You

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 are right, NOAA is updating their flood standards.

2 MR. CHOWDHURY: Introduce yourself,
3 please, Ken.

4 MR. SEE: Let me turn on my camera. Sorry
5 about that. Yeah, my name is Ken See. I am the
6 senior hydrologist in the Office of Nuclear Reactor
7 Regulations, Division of Engineering and External
8 Hazards.

9 You know, this reminds me of conversations
10 with Dana Powers years ago on the committee. My
11 experience has been that the HMR 51, 52 values remain
12 conservative.

13 We've had a lot of experience, like Kevin
14 said, with site specific studies and updates. But
15 those updates tend to drive the rainfall rates down,
16 not up. So at this point, you know, we're all waiting
17 on NOAA, like you said, to provide updates.

18 That update is supposed to factor in
19 climate change. I haven't attended any of those
20 meetings. But the main thing is we're looking for
21 adequate assurance of -- you know, reasonable
22 assurance of adequate protection. So at this point,
23 we don't have any reason to doubt those precipitation
24 values. Those values have been used by every DC or in
25 this case SDAA applicant for years.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 A COL applicant who comes in will,
2 according to this power plant envelope, doesn't appear
3 to be relying upon flood protection. Some of our
4 plants, older operating plants, rely upon flood
5 protection. Given the maximum groundwater and maximum
6 flood levels, they are supposed to be above that.

7 So when they apply the HMR 51, 52 flood
8 scenario, they are going to be protected by the
9 elevation of the plant.

10 But you're right. I mean, you're not the
11 only person who has expressed concerns. There is also
12 a lot of effort to go probabilistic. But once again,
13 you know, my experience is everybody is looking to
14 reduce the flood levels. They are not concerned about
15 HMR 51, 52 being, you know, not conservative enough.

16 And regarding Vicki's question earlier,
17 I'm going to head that off. She is exactly right. So
18 typically in hydrology, we assume minimal groundwater
19 infiltration. So when the rain hits the ground, the
20 vast majority of it is treated as runoff and
21 contributes to the flood. It doesn't infiltrate into
22 the groundwater. So that's a good point. And we take
23 that into consideration.

24 MEMBER HALNON: Okay. I just want --

25 MEMBER BIER: Yeah, go ahead, Greg.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 MEMBER HALNON: Yeah, just one follow-up.
2 The reason that our impression that the site specific
3 studies always seem to go down is because no one does
4 a site specific study unless the generic one is too
5 much, and they know they can get less. So you
6 wouldn't do a site specific study to show that my
7 level is up above the other one. So anyway, that was,
8 you know, from the last decade of experience that
9 we've had. Go ahead, Vicki, I'm done.

10 MEMBER BIER: Thanks. Actually your
11 comment is more or less exactly the point I wanted to
12 raise.

13 First, I am in no way a hydrologist or a
14 meteorologist or anything. So I am not taking issue
15 with any of your comments, Ken. But if for example
16 the new NOAA results -- you know, I kind of accept
17 that the old NOAA results were conservative for what
18 the meteorology was at the time.

19 But if the new NOAA results show higher
20 rainfall or whatever and the old NOAA results are then
21 not conservative for the current climate, the
22 statement that the licensee has the option of using
23 newer results is kind of not very encouraging. So
24 that's just -- again, it's not specific to NuScale
25 necessarily, just a generic issue but.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 MR. SEE: Yeah, I mean, as the agency gets
2 new information, we'll have to adapt, make necessary
3 changes. You know, we're all about safety. So we're
4 not going to just stick to an old position if we have
5 evidence that says, hey, that's going to lead to an
6 unsafe condition.

7 So we're monitoring this very frequently.
8 The Office of Research is involved as well. So we try
9 to keep our finger on the pulse of the community of
10 practice and stay aware.

11 MEMBER BIER: Okay.

12 MEMBER HALNON: Then you're talking
13 backfit so rather than building it in upfront by
14 saying you have to use the most recent study. You're
15 building in the requirement to have to backfit
16 somebody.

17 MR. SEE: Well, unfortunately, we don't
18 have that study up from NOAA yet, I mean --

19 MEMBER HALNON: Yeah, I know, like I said,
20 it could be a decade. You don't know how long it's
21 going to take.

22 MR. SEE: Maybe Kevin can speak to this.
23 He may have attended a few meetings. I think they put
24 on a tentative timeline. I remember it being a little
25 quicker than that. But I will turn it over to Kevin

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 to address that.

2 MEMBER HALNON: I have no knowledge of the
3 timeline. I'm just saying that certainly these plants
4 will be built if the end of the timeline does come out
5 they are going to be built for more than a decade out.

6 So certainly my guess is the very first
7 plant that gets built in the U.S. may just have a new
8 study already established. And we're basing the plant
9 design parameters on an old study. So if that's the
10 position that you're going to backfit, if it needs to
11 be, that's fine. That's a pretty high bar though.

12 MR. SEE: If there's an immediate safety
13 concern, then we can bypass certain things. But,
14 Kevin, do you got any information on the timeline?

15 MR. QUINLAN: I don't recall the exact
16 date, but I did attend a couple of the National
17 Academy of Science meetings early on in the process
18 when they were trying to find the scope of the
19 studies.

20 And for some -- I think somewhere in the
21 2028 time frame is what they are looking at to update
22 the precipitation values. You know, if there is need,
23 I can try to find the exact dates. I just don't
24 remember off the top of my head.

25 MEMBER HALNON: It's not needed. It's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 more principle.

2 MR. QUINLAN: Sure. I understand.

3 MEMBER HALNON: It's not so much -- I
4 think we understand the comment. It just seems
5 obvious that we would maybe even acknowledge that this
6 is an old study and that -- but I get that you feel
7 it's conservative. And I trust your judgment on that
8 one so.

9 MR. QUINLAN: So to Ken's point, I guess
10 just to put a cap on it, during the Fukushima reviews,
11 we did a comparison between all the sites that came in
12 with a site specific PMP study and compared it against
13 the HMR values. And they were on the order of, across
14 the board, of around 20 percent less for the site
15 specific studies, which supports your point that
16 nobody is going to come in and do a site specific
17 study that raises their flood level. But it also
18 points to the fact that the HMRS are quite
19 conservative.

20 And then we did a rigorous inspection and
21 review of all the site specific studies at the site
22 that came in for review just to make sure that they
23 weren't providing an inadequate application.

24 MEMBER HALNON: Okay. Well, I think that
25 the overriding comment is given all the attention on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 climate over the last several years, and it doesn't
2 look like it's going to go away anytime soon, why
3 would we not acknowledge that and require a site
4 specific PMP study for new sites?

5 So I get it that you think it's
6 conservative and that you're probably okay and that
7 new information comes in you will probably have to
8 address it some way. It leaves a little bit of
9 uncertainty in the future. But I'm satisfied that
10 you guys at least you're watching it fairly closely.

11 MR. QUINLAN: Yes. Thank you.

12 MR. SEE: Thank you.

13 MR. CHOWDHURY: Thank you. Thanks,
14 everyone. So we can move to the next slide please.

15 DR. SCHULTZ: Could you hold on one
16 moment?

17 MR. CHOWDHURY: Okay. Sure.

18 DR. SCHULTZ: This is Steve Schultz. With
19 regard to the revised onsite and offsite chi over q
20 values, I recall that the staff did a very thorough
21 review and confirmatory evaluations associated with
22 chi over q for the COL. Just could you describe the
23 level of review that was done here?

24 MR. CHOWDHURY: Do you mean from the DCA?

25 DR. SCHULTZ: Yes. No, no. I'm familiar

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 with that, but for the SDAA.

2 MR. CHOWDHURY: For the SDAA.

3 DR. SCHULTZ: In doing the review and
4 making the comparison, what particularly did you
5 examine?

6 MR. QUINLAN: This is Kevin Quinlan
7 again, the meteorologist. So we looked at what the
8 provided and compared it against previous designs. So
9 really given that atmospheric dispersion is very, very
10 site specific and in this case when reviewing a
11 design, there is no site, really all we can go by is
12 comparing against previous designs and what had been
13 done for previous design certifications as well as
14 previous COL sites.

15 So just to show that it can be cited
16 somewhere at a reasonable number of sites, that's
17 really the threshold that we aim for for this kind of
18 review.

19 DR. SCHULTZ: Good. Thank you.

20 MR. QUINLAN: Sure thing.

21 MR. CHOWDHURY: Okay. Anything else on
22 meteorology? I can move to the next section. Okay.
23 So we are in hydrology section. And once again there
24 are no significant differences between the DCA FSAR
25 and SDAA FSAR.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 There are COL items that have been
2 provided for the hydrologic characteristics of the
3 site referencing the standard design. And the
4 conclusion in the SDAA is pretty much the same as the
5 conclusion in DCA safety evaluation.

6 So if there are specific questions, we
7 have Ken See here to answer, please.

8 If none, we can move to the next slide,
9 please. Okay. So this is Section 2.5 So we have a
10 breakdown here, 2.5.1, 2.5.2 and 2.5.3. For these
11 sections, again, staff didn't see any significant
12 differences between the NuScale DCA FSAR Revision 5
13 and DCA FSAR Revision 1.

14 NuScale did provide COL items that were
15 needed for the geology, seismology and geotechnical
16 characteristics of the site referencing the standard
17 design. And it is the conclusions that the staff made
18 is pretty much the same as the design certification SE
19 conclusion.

20 Next slide, please. 2.5.4 and 2.5.5,
21 geotechnical engineering, once again, no significant
22 differences. And NuScale provided the necessary site
23 parameters and COL items needed for functions to
24 build, to design, analysis and stability evaluations.

25 So the parameters are provided in Table

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 2.0-1, as we mentioned before, and then the
2 conclusions in these two designs basically remain the
3 same.

4 That concludes Chapter 2 presentation by
5 the staff.

6 CHAIR KIRCHNER: If there are no
7 questions, then Getachew, we could go on to -- I
8 believe we are going on here to 17, yes?

9 MR. CHOWDHURY: Yes. So Chapter 17,
10 again, this is Prosanta Chowdhury. I am the project
11 manager for this chapter. As I mentioned before, for
12 the record, I am a senior project manager in New
13 Reactor Licensing Branch under Division of New and
14 Renewed licenses in NRR at the NRC. I have been with
15 the NRC since 2005 and 14 plus years as project
16 manager for new reactor licensing.

17 So this slide shows that when Chapter 17
18 was submitted, Revision 1 was submitted on October 31,
19 2023. NRC staff performed an inquiry audit as part of
20 its review. And the audit was conducted between March
21 2023 to August 2023. There are no audit questions for
22 this section -- for this chapter. When I say
23 sections, I mean minus Section 17.4. And no RAIs were
24 issued.

25 The staff completed the review of Chapter

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 17 and issued an advance safety evaluation report to
2 support the ACRS Subcommittee meeting. I believe the
3 advance safety evaluation report was made publicly
4 available the third week of June or February or the
5 second week of February this year.

6 The one and only reviewer, contributor, is
7 Frankie Vega, who is with us and available for any
8 questions. And he and the lead project manager,
9 Getachew Tesfaye, is the lead PM was we mentioned
10 before.

11 Next slide, please. These are the
12 sections in Chapter 17. Notice that Section 17.4 is
13 a grayed out. I want to say this is reviewed as a
14 high effort section. And it will be presented
15 separately later. So other than that, 17.1, 17.2,
16 17.3, 17.5 and 17.6 are the sections here.

17 Next slide, please. So Chapter 17, there
18 are really no significant differences between NuScale
19 DCA FSAR Chapter 17 and SDAA Chapter 17. Both
20 reference approved versions of NuScale's QAPD quality
21 assurance program descriptions. DCA FSAR Chapter 17
22 references Topical Report QAPD for NuScale Part MPTR
23 1010-859-M and SDAA references Topical Report MN-12-
24 122626-A, Revision 1.

25 And the SDAA conclusion remains the same

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 as the DCA conclusion. So that concludes Chapter 17
2 formal presentation. Are there any questions?

3 DR. BLEY: Yes. Dennis Bley. This is an
4 old question. You guys have answered it for us in the
5 past, but I don't remember. We used to just talk
6 about SERs and SEs and now you have advanced safety
7 evaluation reports. What's the difference?

8 MR. CHOWDHURY: Okay. Advanced safety
9 evaluation report is issued for ACRS to review. And
10 then if there are any questions, comments, anything
11 that staff needs to address in the final version after
12 the ACRS meetings and any other changes that might
13 come, including the latest revision of the design
14 application that we will expecting when the design
15 will be chosen, that will be incorporated and the
16 final safety evaluation will be issued at that point,
17 which is in Phase D. So that's the difference.

18 DR. BLEY: Thank you. It's not final yet.
19 And obviously that's something like improved or
20 better. Okay. Thank you.

21 MR. CHOWDHURY: Yes, that's what I just
22 explained. Yes, please, so someone else has hands up?

23 MR. SNODDERLY: Getachew, this is Mike
24 Snodderly from the ACRS staff. Could you do us a
25 favor and read on to the record what the major change

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 was for Revision 1 of the QAPD? I believe it endorsed
2 the 2008 version of the NQA-1, which was an updated --
3 which was a later version that was then endorsed in
4 Rev. 5 of the previous QAPD. Is that correct, Frankie
5 or -- Prosanta or Frankie?

6 MR. CHOWDHURY: Yeah, Frankie is here.
7 Frankie, would you please respond to that?

8 MR. VEGA: Thank you. So this is Frankie
9 Vega. I'm a technical reviewer in NRR DRO, Division
10 of Reactor Oversight in the Quality Assurance and
11 Vendor Inspection Branch. And as Prosanta mentioned,
12 I was responsible for reviewing Chapter 17 of the
13 SDAA, specifically Section 17.1, 2, 3 and 5.

14 So, yeah, so the DCA QAPD and the SDAA
15 QAPD were both based on NQA-1 2008 and 2009 addendum.
16 So both use NQA-1 Version 2008 as the basis for the
17 QAPD.

18 DR. BLEY: Okay. And were there any other
19 significant changes or maybe the NuScale can -- what
20 was the difference or the change?

21 MR. VEGA: There was no significant
22 differences. The only thing worth pointing out, it's
23 the SDAA QAPD made reference to the most updated
24 versions of the Reg Guides, Federal Reg Guides. That
25 includes Reg Guides 1.29, 1.26, and several others.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 Other than that, there was no major differences
2 between the QAPDs.

3 DR. BLEY: Okay. Thank you very much.

4 DR. SCHULTZ: Prosanta, this is Steve
5 Schultz. Just one question that probably has to do
6 with the schedule coming up. But the NuScale
7 presentation showed that an NRC inspection was
8 performed for the QA program February 26 to March 1.

9 MR. CHOWDHURY: Yes.

10 DR. SCHULTZ: I don't know if there's any
11 findings or audit exit information you can provide
12 related to that audit or you can let us know when the
13 audit report will be out?

14 MR. CHOWDHURY: Yeah, I will just
15 highlight one thing here. Thank you for the question.
16 And thank you very much for chiming in. So the staff
17 did the first QA inspection for the SDAA February 26
18 through March 1. And then staff will be issued an
19 inspection report within 45 days after completion of
20 the inspection.

21 And at this point, anything that they have
22 discovered found is pre-decisional. So Frankie, do
23 you want to speak to that without, you know, any --
24 talking about anything else that is decisional really?

25 MR. VEGA: Yes, I don't have anything else

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 to add. As you mentioned, the inspection report
2 should be issued 45 days after our exit meeting, which
3 was March 1. So by April 15, we will have the
4 inspection report issued and made publicly available.

5 DR. SCHULTZ: Thank you.

6 CHAIR KIRCHNER: Okay. At this point, are
7 there other questions of NuScale or the staff from
8 members? If not, then Mike at this point I think we
9 can turn to the public and see if there is anyone
10 either present with you or online who wishes to make
11 a statement.

12 Are we going to read the one submittal
13 that you had into the record?

14 MR. SNODDERLY: Well, I have to apologize.
15 That was a cut and paste error. That was the open
16 item from our previous NuScale meeting so
17 (simultaneous speaking).

18 CHAIR KIRCHNER: That's what I thought
19 Okay. No, that's fine, Mike.

20 MR. SNODDERLY: So Harold Scott's comment
21 is well-published. And that was for the subchannel
22 meeting. I did not proofread well enough and missed
23 it. There were no written comments. But I do know
24 that Ms. Sarah Fields and Tim Polich are two members
25 from the public that are on the line. I don't know if

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 they have any -- or any other member of the public.
2 There are no members of the public --

3 CHAIR KIRCHNER: In the conference room.

4 MR. SNODDERLY: Right, in the conference
5 room. But we should ask if there's anyone --

6 CHAIR KIRCHNER: So members of the public,
7 if you wish to make a comment, you need to unmute your
8 mic, state your name, affiliation if appropriate and
9 place make your comment.

10 MR. POLICH: This is Tim Polich with
11 RoPower Nuclear. And my question has to do with the
12 staff Slide 39. It was for NuScale Chapter 13.4
13 review. And what I was trying to understand was the
14 second bullet there was removal of the reactor vessel
15 material surveillance program. Is that because that
16 was removed because the exemption request is in?

17 CHAIR KIRCHNER: Okay. Normally, it's our
18 practice to take comments from the public and not in
19 real-time answer. Can you take that for the record,
20 Mike, at this point? And if the staff does want to
21 answer that, Getachew, that's at your discretion.

22 MR. TESFAYE: I don't believe that -- this
23 is Getachew Tesfaye. But I can give that to Mike for
24 the actual response.

25 CHAIR KIRCHNER: Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 MR. TESFAYE: But I don't believe there is
2 time for any questions.

3 CHAIR KIRCHNER: That's fine.

4 MR. SNODDERLY: Yeah. So, Tim, I know
5 that you plan to attend these meetings in the future
6 as part of your work and interest for the RoPower.
7 But, yeah, the public, it's exactly what Chairman
8 Kirchner said. This is an opportunity for public
9 comment. They can provide comments, and the committee
10 considers those comments. We don't take and answer
11 questions.

12 But, you know, if the staff for NuScale
13 want to weigh in and answer that question, they may.
14 But they do not have to. But your question is on the
15 record. But there is no one --

16 MR. POLICH: Okay. I just didn't
17 understand. I thought this was like the other
18 meetings where I could ask a question of the staff.
19 Okay. I'm sorry. I'll just make comments in the
20 future.

21 MR. SNODDERLY: Yes.

22 MR. POLICH. Thank you.

23 CHAIR KIRCHNER: Other members of the
24 public?

25 MS. WALKER: I have a question. I know

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 I'm not supposed to be asking questions now, but just
2 a simple clarification if you could. Does this design
3 plan to use higher enriched uranium and to what burnup
4 is the design being evaluated for?

5 MR. BURKHART: Hi, Kalene. This is Larry
6 Burkhart from the ACRS staff. So, yes, we will take
7 your question. This is an ACRS meeting. And we do
8 take comments as we said previously.

9 It's not really a question where, like
10 other public meetings, where the staff holds where you
11 may ask specific questions and get a direct answer
12 unfortunately.

13 But I would imagine, having been in
14 licensing, that the current regulations are in place
15 and that this reactor is not being -- at this time, to
16 be licensed under higher burn. Am I right in saying
17 that?

18 MR. SNODDERLY: This is Mike Snodderly,
19 and I agree with Larry Burkhart unless NuScale and the
20 staff want to weigh in. But, yeah, my understanding
21 is they are going to use existing fuel designs and
22 existing burnups that are currently licensed for
23 operating reactors.

24 MS. WALKER: That would be very relevant
25 to a design analysis I would imagine. Thank you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 CHAIR KIRCHNER: Other comments? Okay.
2 Then at this point, Mike, as part of our summary, we
3 will note that we were previously planning to hear
4 also Chapter 18. That will be deferred, I believe, to
5 our August time frame. Is that correct?

6 MR. SNODDERLY: That is our next scheduled
7 meeting.

8 CHAIR KIRCHNER: Yes.

9 MR. SNODDERLY: Does that sound reasonable
10 to the staff the staff? Yes, that will be the plan.

11 And then I think also, we will work with
12 the staff, but it does seem to make the most sense to
13 include 17.4, reliability assurance program, as part
14 of the Chapter 19 -- and the PRA and severe accident,
15 Chapter 19. I think that would be the best fit. And
16 we will try to schedule that in the future.

17 CHAIR KIRCHNER: Right. So right now we
18 are looking at Chapter 7, 8, 9, 12 and now
19 additionally 18 in the August time frame.

20 MR. SNODDERLY: August 22, sir. Yes, that
21 is the plan, the current plan.

22 CHAIR KIRCHNER: Okay.

23 MR. SNODDERLY: But you're right, we still
24 -- we're five months out. So, you know, that date may
25 shift a day or two here. But that's the plan for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 trying to do this integrated stage step review.

2 CHAIR KIRCHNER: Okay. So our next task
3 before us is at our full committee meeting in April to
4 take under consideration the reports that the lead
5 members are preparing on the chapters that we heard
6 today.

7 MR. SNODDERLY: Yes. That is -- that's
8 the goal in the April meeting. And then we would
9 forward those to staff so that will assist them in
10 their planning to know whether they have a clean
11 review or there is any other -- if there's any --

12 CHAIR KIRCHNER: Any other, yeah.

13 MR. SNODDERLY: -- items that need to be
14 --

15 CHAIR KIRCHNER: Yeah.

16 MR. SNODDERLY: -- received further.
17 Right now, I was keeping track all meeting. And I
18 think everything has been addressed adequately by the
19 staff and NuScale. And this would be a good time if
20 a member disagrees with me, and there is something
21 that they want to pursue further at the April meeting.

22 CHAIR KIRCHNER: Yes. That is what I
23 wanted to do next. So members online and also there,
24 if you have any particular issues that you wish to
25 have addressed in the April full committee meeting or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 deliberate on, this would be a good time to flag those
2 so that Mike can work accordingly to be prepared.

3 MEMBER HALNON: Well, this is Greg. I
4 would just like the staff to bring the process of how
5 in a standard design without the reference to generic
6 technical guidelines, how the EOPs will remain
7 consistent going forward.

8 And I know there is probably some other
9 either regulations, Reg Guides and/or NUREGs that
10 drive that. I would just like to see that path
11 defined for us. Does that make sense, Mike?

12 MR. SNODDERLY: It does to me. But I
13 would like to heard Getachew or the lead Chapter 13
14 reviewer to say, we understand what you're asking for,
15 and they will have something for us in April. So
16 staff?

17 MR. VIVANCO: Hi, this is Ricky. Can
18 everyone hear me?

19 MR. SNODDERLY: Yes.

20 MR. VIVANCO: Yes, Greg. I do understand
21 the question. We are looking for how consistency
22 among the EOPs will be carried through and future
23 applicants referencing the SDAA. I will relay that
24 question.

25 MEMBER HALNON: Okay. And it may just be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 a list of the Reg Guides or whatever -- however the
2 training programs are -- not training, but I'm sorry,
3 the operating procedures of them.

4 But just the fact that you took GTG out of
5 the SDAA tells me that there's got to be something
6 else in the background that I'm just not seeing. So
7 just, yeah, that pathway and how we're going to assure
8 it would be good.

9 MR. VIVANCO: And maybe I can provide some
10 clarification. In the DCA, and when we're trying to
11 re-mute the system, right, the DCA clearly states that
12 it's not an issue of finding on the GTGs themselves so
13 the conclusion remains the same for the SDAA. But if
14 --

15 MEMBER HALNON: Yeah, just the carry
16 through of the reference. It just seems like we are
17 loosening the assurance of consistency going down the
18 road. And if there is something in the background
19 that is assuring that same level of consistency in the
20 EOPs then just kind of lay that out for me. Just a
21 good road map would be good.

22 MR. VIVANCO: Sure.

23 CHAIR KIRCHNER: Okay. Other members?

24 MEMBER ROBERTS: Yeah, this is Tom
25 Roberts. I never did get a crisp banter of how the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 range or parameters coming out of the heat balance is
2 used in the initial conditions for the Chapter 15
3 analyses. And maybe in April we can get a clearer
4 story of how things like the wide variation of
5 feedwater temperatures that would come from the
6 ambient air temperature variation is accounted for.

7 If it's round-off air, that doesn't make
8 any difference in the analysis. Whether it matters is
9 the question I'm asking.

10 CHAIR KIRCHNER: Okay. Is this Tom -- I'm
11 thinking here now. Is this something that we should
12 -- since we discussed it with the staff, they could be
13 prepared to address when we embark on Chapter 15,
14 which is admittedly down the road. I'm not trying to
15 punt on your request, but it seems to me that when
16 they lay out the assumptions for Chapter 15,
17 typically, and in my experience, it is that for the
18 design basis events, they would take the most
19 conservative assumptions as initial conditions going
20 into the subsequent transient and accident analyses.

21 Is this something that we should start
22 with when we embark on the Chapter 15 review?

23 MEMBER ROBERTS: I think that could work,
24 Walter. The question is whether the heat balance
25 would need revision or expansion based on the need to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 have those conservative assumptions in Chapter 15.
2 And if we were to conclude that or if they were to say
3 that, then there is still the ability to go back and
4 then change the heat balance or get that additional
5 information.

6 If that's within the realm of what can be
7 done once we've gotten done with Chapter 10, that
8 sounds fine to me.

9 CHAIR KIRCHNER: Yeah, I was just thinking
10 here in real-time. I was looking at, you know, the
11 classic suite of analyses that are done in Chapter 15,
12 undercooling, overcooling, et cetera.

13 We would probably start from conditions,
14 balance of plant conditions that would be the most
15 limiting challenges either based on tech specs or
16 other input parameters to derive the Chapter 15
17 analyses, almost in a sense decoupled from the heat
18 balance itself.

19 Do you see where I'm going with it? I
20 mean, you could have a heat balance for different
21 ambient conditions and such. But when they actually
22 embark on the Chapter 15 analyses, then often the
23 approach is to take -- have their very limiting
24 boundary conditions as input to launch into the actual
25 analyses.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 MEMBER ROBERTS: Yeah, that may be. The
2 RAI said that the heat balance is used to establish
3 those initial conditions. And so there is some way to
4 get from either the heat balance or some other set of
5 bounding, you know, methodology to set the initial
6 conditions for that? And that's really the nature of
7 my question.

8 CHAIR KIRCHNER: Yes, mm-hmm.

9 MEMBER ROBERTS: So if there's no simple
10 answer, we could certainly discuss that during the
11 Chapter 15 review?

12 CHAIR KIRCHNER: Why don't we do that?
13 You know, correct me if I'm wrong, but isn't one of
14 the most important purposes in application of the heat
15 balance is to essentially calibrate your system, your
16 instrumentation, correct? I mean, but -- okay, I'll
17 stop there.

18 MEMBER HALNON: You're right, Walt.
19 You're right. The heat balance in itself is a tool
20 used by many of the thermodynamic engineers, thermo
21 engineers to --

22 CHAIR KIRCHNER: Right.

23 MEMBER HALNON: -- make sure that they get
24 all the megawatts that they can get out of it without
25 crossing any limits.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 CHAIR KIRCHNER: Exactly. So I'm just
2 thinking, Greg, that typically in your experience,
3 your heat balance kind of -- is somewhat decoupled
4 from the accident analysis other than one tries,
5 again, to look at very conservative input assumptions.

6 MEMBER HALNON: You think of it as an
7 instrumentation. I mean, it's a piece of the puzzle.

8 CHAIR KIRCHNER: Yeah.

9 MEMBER HALNON: I mean, you look at your
10 primary heat balance and your secondary heat balance,
11 you want to have a certain agreement --

12 CHAIR KIRCHNER: Right.

13 MEMBER HALNON: -- to some extent. But
14 you don't calibrate your safety-related instruments to
15 that. That's why, you know, we get the appendix cap
16 rates and all that stuff. And the feedwater
17 measurements and whatnot as we get better heat
18 balances or better flow and whatnot. You know,
19 everything starts to converge where you think you're
20 right.

21 In itself, I don't think the heat balance
22 sets any accident parameters. I think you have to do
23 with codes and other things that you're doing.

24 CHAIR KIRCHNER: Right.

25 MR. SNODDERLY: Chairman Kirchner, I think

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 Tom Griffith had his hand up, but I don't know if he
2 still -- Tom, did you have something you wanted to
3 say?

4 MR. GRIFFITH: Yeah, I was just -- I
5 appreciate the opportunity to speak on that. And just
6 from the Chapter 15 standpoint, I was just going to
7 point out that Table 15.0, App. 6, provides the module
8 initial condition ranges that were considered for
9 design basis evaluation.

10 CHAIR KIRCHNER: Right. Thank you. Mm-
11 hmm. Okay. Members, any further comments? So we
12 will look then ahead to April full committee to review
13 your summary reports on each of the chapters. And
14 with that, I think, Mike, unless I'm omitting
15 something, I think we've concluded our business for
16 today.

17 MR. SNODDERLY: I believe so, Chairman
18 Kirchner. So to remind the members, if you have
19 comments or questions that you want the lead member to
20 consider, Member Halnon will be writing the memos for
21 Chapters 2 and 13, Member Sunseri will be writing the
22 memos for Chapters 10 and 17, and Member Petti for
23 Chapter 12. So if you have any comments or concerns
24 or things you want them to consider, let them know.
25 And otherwise, we will take up these memos in April,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 the (simultaneous speaking) recommendation.

2 CHAIR KIRCHNER: Thank you, Mike.

3 MR. SNODDERLY: You're welcome.

4 CHAIR KIRCHNER: And I think with that we
5 are finished with our business today. I want to thank
6 both NuScale and the staff for your presentations
7 today and responding to our questions. And with that,
8 we are adjourned.

9 (Whereupon, the above-entitled matter went
10 off the record at 2:18 p.m. and resumed at 2:18 p.m.)

11 CHAIR KIRCHNER: I think that is correct,
12 yes.

13 MR. SNODDERLY: Yes, this is the end of
14 the meeting. There was no need -- and let's put that
15 on the record. There was no need for a closed
16 section. And so with that, Chairman Kirchner, if you
17 could adjourn us, that would be great.

18 CHAIR KIRCHNER: So with that inclusion,
19 we are now adjourned.

20 (Whereupon, the above-entitled meeting
21 went off the record at 2:18 p.m.)
22
23
24
25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

March 15, 2024

Docket No. 052-050

U.S. Nuclear Regulatory Commission
ATTN: Document Control Desk
One White Flint North
11555 Rockville Pike
Rockville, MD 20852-2738

SUBJECT: NuScale Power, LLC Submittal of Presentation Material Entitled “ACRS Subcommittee Meeting (Open Session) Chapters 2, 10, 11, 13, and 17,” PM-157982, Revision 1

The purpose of this submittal is to provide revised presentation materials for use during the upcoming Advisory Committee on Reactor Safeguards (ACRS) NuScale Subcommittee Meeting on March 19, 2024. The materials support NuScale’s presentation of the subject chapters of the US460 Standard Design Approval Application. This letter, LO-162565 and enclosure, supersedes letter LO-158049, dated March 14, 2024.

The enclosure to this letter is the nonproprietary presentation entitled “ACRS Subcommittee Meeting (Open Session) Chapters 2, 10, 11, 13, and 17,” PM-157982, Revision 1.

This letter makes no regulatory commitments and no revisions to any existing regulatory commitments.

If you have any questions, please contact Jim Osborn at 541-360-0693 or at josborn@nuscalepower.com.

Sincerely,



Thomas Griffith
Manager, Licensing
NuScale Power, LLC

Distribution: Mahmoud Jardaneh, NRC
Getachew Tesfaye, NRC
Michael Snodderly, NRC

Enclosure 1: “ACRS Subcommittee Meeting (Open Session) Chapters 2, 10, 11, 13, and 17,” PM-157982, Revision 1

Enclosure 1:

“ACRS Subcommittee Meeting (Open Session) Chapters 2, 10, 11, 13, and 17,” PM-157982,
Revision 1

NuScale Nonproprietary



ACRS Subcommittee Meeting

(Open Session)

3/19/2024

Chapters 2, 10, 11, 13, and 17

Acknowledgement and Disclaimer

This material is based upon work supported by the Department of Energy under Award Number DE-NE0008928.

This presentation was prepared as an account of work sponsored by an agency of the United States (U.S.) Government. Neither the U.S. Government nor any agency thereof, nor any of their employees, makes any warranty, express or implied, or assumes any legal liability or responsibility for the accuracy, completeness, or usefulness of any information, apparatus, product, or process disclosed, or represents that its use would not infringe privately owned rights. Reference herein to any specific commercial product, process, or service by trade name, trademark, manufacturer, or otherwise does not necessarily constitute or imply its endorsement, recommendation, or favoring by the U.S. Government or any agency thereof. The views and opinions of authors expressed herein do not necessarily state or reflect those of the U.S. Government or any agency thereof.



Chapter 10

Steam and Power Conversion System

3/19/2024

Presenters:

Tyler Beck and Mara Swanson

Chapter 10 - Steam and Power Conversion System

- Section 10.1 - Summary Description
- Section 10.2 - Turbine Generator
- Section 10.3 - Main Steam System
- Section 10.4 - Other Features of Steam and Power Conversion System

Introduction

- Chapter 10 Overview
 - Section 10.1 – Summary Description (No slide included)
- RAI 10.1-1 and Audit Items
- ACCS Summary
- Radiation Protection and DBE Mitigation Features

Section 10.2 - Turbine Generator

- TGS – includes turbine, turbine gland seal, turbine lube oil, turbine control oil, generator, and generator air coolers
 - Main steam feeds turbine through the turbine control valve and stop valve
 - **TGS provides extraction steam to FW heaters**
 - TGS provides gland sealing steam – described in Section 10.4
 - TGS includes the turbine bypass system comprised of desuperheater and turbine bypass valve
- System is SC-III
- Generally Quality Group D, with limited exceptions in Table 10.2-2
- No safety-related or risk-significant SSC
- No major design changes from DCA

Section 10.3 - Main Steam System

- MSS includes piping immediately downstream of the MSIVs up to the TG skid
 - Includes nonsafety-related secondary MSIVs (and associated bypass valves)
 - Includes nonsafety-related MSSVs
- MSS is generally Quality Group D and SC-III
 - Limited exceptions identified in Table 10.3-4
 - Secondary MSIVs (and associated bypass valves) are SC-I
- No safety-related or risk-significant SSC
- Secondary MSIVs – included in TSs
- Design changes from DCA:
 - **Main steam of operating module is preferred auxiliary steam source for startup module**
 - **Extraction steam lines are now part of the TGS**

Section 10.4 - Other Features of Steam and Power Conversion System

- **ACCS serves as the main condenser**
 - ACCS condenses steam and provides adequate capacity for the FWS
 - ACCS includes capability for 100% load rejection
 - Not credited for DBE
 - Eliminated need for circulating water system
- FWS supplies feedwater with necessary flow, temperature, and pressure to the SGs
 - No substantial change from DCA
- TGSS provides gland seal steam to prevent leakage into/out of TGS
- **ABS supplies steam to auxiliary steam users when main steam is not available**
 - **DCA: low pressure and high pressure subsystems**
 - High pressure for module heatup system heat exchangers
 - Low pressure for gland seal steam, deaerator, condensate polishing regeneration system
 - **SDAA: auxiliary boiler and chemical skid subsystems**
 - Serves as the low pressure system of the previous ABS when no module is available
- SSC in above systems are generally Quality Group D, SC-III
 - Limited exceptions identified in Table 10.4-4
 - FWRVs and FCVs are SC-I
- No safety-related or risk-significant SSC

RAI 10.1-1 and Audit Items

- RAI 10.1-1:
 - NuScale revised RAI 10.1-1 and provided the nominal heat balance case in FSAR Section 10.1.
- 21 audit items successfully resolved
 - Only unresolved audit item was the heat balance request

ACCS Summary

- Air-cooled condensers were selected to allow for the licensee to place the US460 standard plant design in locations where water access is limited.
 - Eliminated the circulating water system
- Principal functions remain consistent with water-cooled condensers
 - Condense exhaust steam from turbine exhaust
 - Reduce dissolved oxygen level in feedwater
 - Maintain ACC vacuum condition by removing air and noncondensibles from the main condenser
 - Provide adequate capacity for condensate and feedwater system during normal operation

Radiation Protection and DBE Mitigation Features

- Effluent and process radiation monitoring is functionally similar to the DCA
 - Radiation monitors allow automatic system isolations and detection of primary-to-secondary leakage.
- Nonsafety-related equipment is credited for event mitigation by functioning as backup protection
 - This is unchanged from the DCA (e.g., secondary MSIVs).
- MPS Interfaces:
 - MPS actuation signals and PAM variables for steam and power conversion systems are unchanged from the DCA.

Acronyms

| | | | |
|-------|-----------------------------------|------|-------------------------------------|
| ABS | Auxiliary Boiler System | MSIV | Main Steam Isolation Valve |
| ACCS | Air Cooled Condenser System | MSSV | Main Steam Safety Valve |
| CARS | Condenser Air Removal System | PAM | Post Accident Monitoring |
| DBE | Design Basis Event | SC | Seismic Classification |
| DCA | Design Certification Application | SG | Steam Generator |
| FCV | Feedwater Check Valve | SSC | Systems, Structures, and Components |
| FW | Feedwater | TBS | Turbine Bypass System |
| FWIV | Feedwater Isolation Valve | TGS | Turbine Generator System |
| FWRV | Feedwater Regulation Valve | TS | Technical Specification |
| FWS | Condense and Feedwater System | | |
| MPS | Module Protection System | | |
| MSIBV | Main Steam Isolation Bypass Valve | | |



Chapter 11

Radioactive Waste Management

3/19/2024

Presenters:

Seth Robison, Chelsea Lockwood, and Freeda Ahmed

Chapter 11 - Radioactive Waste Management

- Section 11.1 - Source Terms
- Section 11.2 - Liquid Waste Management System
- Section 11.3 - Gaseous Waste Management System
- Section 11.4 - Solid Waste Management System
- Section 11.5 - Process and Effluent Radiological Monitoring and Sampling Systems
- Section 11.6 - I&C Design Features for Radiation Monitoring

Section 11.1 - Source Terms

- Same methodology as DCA
- Updated source term information in Table 11.1-1 through Table 11.1-8
 - Resulting from the change in cycle length, increase in burnup, and change in thermal power
- Audit results
 - NRC review of the dose input and output files associated with the LADTAP and GASPAR code runs (A-11.1-1)
 - Explanation between the differences in the DCA and SDAA source term information (A-11.1-2)
 - Difference between the full power steam flow rate in Chapter 10 and the secondary coolant flow rate in Table 11.1-2. The more conservative secondary coolant flow rate was used in the dose calculation (A-11.1-3)

Section 11.2 - Liquid Waste Management System

- Changes from DCA
 - Removed COL Item on mobile equipment
 - The design allows for at least 30 days of holdup capacity. Description of mobile equipment is needed if there is less than 2 days holdup capacity.
 - Some component changes to the LRWS – concept remains unchanged
 - Similar to DCA - Use of filters, ion exchangers, and reverse osmosis
- Audit results
 - Removal of the COL Item (A-11.2-1)

Section 11.3 - Gaseous Waste Management System

- No changes from DCA
- No audit questions

Section 11.4 - Solid Waste Management System

- Minor system design changes
 - Hard piped connections between the RWBV and LRW and SRW tanks changed to hooded connections
- Audit results
 - Wording clarified regarding the two phase separator tanks and two spent resin tanks (A-11.4-1 and follow-up)
 - Use of mobile equipment wording change. Not needed for SRWS to meet processing requirements (A-11.4-2 and follow-up)
 - Review of the amount of storage space available for Class A waste (A-11.4-3)
 - Clarifying description of reverse osmoses filter membranes (A-11.4-4)
 - Clarification added to Figure 11.4-1 to differentiate between the drum dryer skid and dewatering skid (A-11.4-5)

Section 11.5 - Process and Effluent Radiological Monitoring and Sampling Systems

- Changes from DCA
 - Reduction in the number of modules and associated design changes between the DCA and SDA resulted in a net reduction in the number of radiation monitors
 - Auxiliary Boiler System
 - Circulating Water System eliminated
 - Dry Cooling (Air-cooled condensers)

- Audit results
 - Ar-41 for leak detection (A-11.5-1)
 - Monitor Alarms in the main control room (A-11.5-2)
 - Calibration requirement for radiation monitors (A-11.5-3)
 - Sampling Points (A-11.5-4)

Section 11.6 - I&C Design Features for Radiation Monitoring

- Design changes from DCA captured in Section 11.5

Acronyms

| | |
|------|--------------------------------------|
| COL | Combined License |
| DCA | Design Certification Application |
| I&C | Instrument and Controls |
| LRW | Liquid Radioactive Waste |
| RWBV | Radioactive Waste Building HVAC |
| SDAA | Standard Design Approval Application |
| SDA | Standard Design Approval |
| SRW | Solid Radioactive Waste |
| SRWS | Solid Radioactive Waste System |

NuScale Nonproprietary



ACRS Subcommittee Meeting (Open Session)

3/19/2024

Chapters 2, 13, and 17

Acknowledgement and Disclaimer

This material is based upon work supported by the Department of Energy under Award Number DE-NE0008928.

This presentation was prepared as an account of work sponsored by an agency of the United States (U.S.) Government. Neither the U.S. Government nor any agency thereof, nor any of their employees, makes any warranty, express or implied, or assumes any legal liability or responsibility for the accuracy, completeness, or usefulness of any information, apparatus, product, or process disclosed, or represents that its use would not infringe privately owned rights. Reference herein to any specific commercial product, process, or service by trade name, trademark, manufacturer, or otherwise does not necessarily constitute or imply its endorsement, recommendation, or favoring by the U.S. Government or any agency thereof. The views and opinions of authors expressed herein do not necessarily state or reflect those of the U.S. Government or any agency thereof.



Chapter 2

Site Characteristics and Site Parameters

3/19/2024

Presenter: Tyler Beck

Chapter 2 - Site Characteristics and Site Parameters

- Section 2.0 - Site Characteristics and Site Parameters
- Section 2.1 - Geography and Demography
- Section 2.2 - Nearby Industrial, Transportation, and Military Facilities
- Section 2.3 - Meteorology
- Section 2.4 - Hydrologic Engineering
- Section 2.5 - Geology, Seismology, and Geotechnical Engineering

Note: Chapter 2 scope is largely site-specific. Each Section includes a COL item to ensure the site-specific values are provided.

Section 2.0 - Site Characteristics and Site Parameters

- The NuScale Power Plant US460 standard design uses site parameters that are representative of a reasonable number of potential plant site locations in the United States. Table 2.0-1 summarizes these parameters
- Applicants will verify the site-specific parameters

Section 2.1 - Geography and Demography

- The NuScale Power Plant US460 standard design considers the exclusion area boundary and low population zone outer boundary are as close as 369 feet from the nearest release point (i.e., site boundary)
 - This is a change from 400 feet in the DCA
- The only change from the DCA is the exclusion area boundary and low population zone outer boundary

Section 2.2 - Nearby Industrial, Transportation, and Military Facilities

- The SDAA does not postulate hazards from nearby industrial, transportation, or military facilities
 - Nearby facilities and potential resulting hazards are entirely in the scope of COL Item 2.2-1
- No change from the DCA

Section 2.3 - Meteorology

- The NuScale Power Plant US460 standard design uses meteorological parameters that are representative of a reasonable number of potential plant sites in the US
 - Includes precipitation, design basis tornado/hurricane, snow loads, and other similar parameters
- Applicants will describe the site-specific meteorology
- Changes from the DCA:
 - SDAA considers more limiting design basis tornado than the DCA
 - Difference in atmospheric dispersion values pertains to a different source-to-receptor distance for the US460
 - Atmospheric dispersion values at the exclusion area boundary are similar to the DCA values (see Section 2.1 for change in exclusion area boundary)
 - Atmospheric dispersion values at MCR are lower than the DCA values
 - Routine release values are lower than the DCA values

Section 2.4 - Hydrologic Engineering

- The NuScale Power Plant US460 standard design does not rely on external water supply for the ultimate heat sink or safety-related makeup water. The design reduces the need for local hydrologic features for plant safety
- COL Item 2.4-1 requires an applicant to describe the site-specific hydrologic characteristics for sections 2.4.1 through Section 2.4.14, except Section 2.4.8, Section 2.4.10, and Section 2.4.11
 - 2.4.8 – Cooling Water Canals and Reservoirs
 - 2.4.10 – Flood Protection Requirements
 - 2.4.11 – Low Water Considerations
- No major changes to Section 2.4
 - Exclusion of Section 2.4.11 from COL Item 2.4-1

Section 2.5 - Geology, Seismology, and Geotechnical Engineering

- The NuScale Power Plant US460 standard design uses geologic, seismologic, and geotechnical engineering parameters that are representative of a reasonable number of potential plant site locations in the US.
- Section 2.5 is site-dependent
- 2.5.1 (Basic Geologic and Seismic Information), 2.5.3 (Surface Deformation), and Section 2.5.5 (Stability of Slopes)
 - No change from DCA
- 2.5.2 (Vibratory Ground Motion)
 - Certified seismic design response spectra (CSDRS and CSDRS-HF) are unchanged from the DCA
 - Addressed in Section 3.7
- 2.5.4 (Stability of Subsurface Materials and Foundations)
 - The bearing capacity and settlement values have changed in the SDAA

Audit Summary

- Resolution of 10 audit items during the staff's audit

Acronyms

| | |
|-------|---|
| COL | Combined License |
| CSDRS | Certified Seismic Design Response Spectra |
| DCA | Design Certification Application |
| HF | High Frequency |
| LPZ | Low Population Zone |
| SDAA | Standard Design Approval Application |
| SDA | Standard Design Approval |



Chapter 13

Conduct of Operations

3/19/2024

Presenter: Beth Brewer

Chapter 13 - Conduct of Operations

- Section 13.1 - Organizational Structure
- Section 13.2 - Training
- Section 13.3 - Emergency Planning
- Section 13.4 - Operational Programs
- Section 13.5 - Plant Procedures
- Section 13.7 - Fitness for Duty

- NOT INCLUDED: Section 13.6 - Security

Section 13.1 - Organizational Structure

- Changes from the DCA
 - Minor editorial changes
 - No technical changes
- RAIs/Audit
 - No RAIs or Audit Questions

Section 13.2 - Training

- Changes from the DCA
 - Minor editorial changes
 - No technical changes
- RAIs/Audit
 - No RAIs or Audit Questions

Section 13.3 - Emergency Planning

- Changes from the DCA
 - Minor editorial changes
 - TSC changed elevation in the control building and went from seismic category I to seismic category II (fully compliant)
 - Revised the SDA to clearly state that the TSC displays use the same I&C networks used in the MCR but are configured to provide display only, no controls.
 - Went from three COL Items in the DCA to two in the SDAA
 - The DCA had separate COL Items for descriptions of the OSC and EOF and these were combined into one broader COL Item that requires the applicant to describe the emergency response facilities.
 - DCA COL Item 13.3-1 required the applicant to describe direct communication system or systems between the OSC and the control room and this was eliminated from the SDAA COL Items and included directly in the SDAA text.
 - Regulations were updated in the SDAA: 10 CFR 50.47 and 10 CFR 50 Appendix E were removed from the DCA COL Items, and the SDAA COL Items refer to 10 CFR 50 generally due to rulemaking in process during SDA development (new rule 10 CFR 50.160).
 - Removed reference to 10 CFR 52.48 because it is a standard design certification requirement
- RAIs/Audit
 - RAI 10097, Questions 13.3-1, 13.3-2, 13.3-3: Needed additional design descriptions to explain how the TSC meets NUREG-0696 and Supplement 1 to NUREG-0737
 - Section 13.3 was revised to add additional information to address RAIs

Section 13.4 - Operational Programs

- Changes from the DCA
 - Minor editorial changes
 - Removed Reactor Vessel Material Surveillance Program and Motor-Operated Valve Testing Program from the COL Item
 - Not applicable to US460 design
- RAIs/Audit
 - No RAIs or Audit Questions

Section 13.5 - Plant Procedures

- Changes from the DCA
 - Section 13.5.2.1 – removed discussion about Generic Technical Guidelines
 - Clarified and consolidated the information concerning how the Generic Technical Guidelines will be used to develop site specific emergency operating procedures into SDA COL Item 13.5-5, and then provide a process to maintain them in COL Item 13.5-3
 - The plant specific technical guidelines developed by a COL holder will be nearly identical to the Generic Technical Guidelines provided to the applicant prior to COLA submittal.
 - Renumbered COL Items
- RAIs/Audit
 - No RAIs or Audit Questions

Section 13.7 - Fitness-For-Duty

- Changes from the DCA
 - Removed two COL Items related to the operational and construction Fitness-For-Duty programs
 - An applicant referencing the standard design is responsible for providing an FFD program description and implementation as described in 10 CFR Part 26
- RAIs/Audit
 - No RAIs or Audit Questions

Acronyms

| | |
|------|--------------------------------------|
| COL | Combined License |
| COLA | Combined License Application |
| DCA | Design Certification Application |
| EOF | Emergency Operations Facility |
| FFD | Fitness for Duty |
| I&C | Instrumentation & Control |
| MCR | Main Control Room |
| OSC | Operational Support Center |
| RAI | Request for Additional Information |
| SDAA | Standard Design Approval Application |
| SDA | Standard Design Approval |
| TSC | Technical Support Center |



Chapter 17

Quality Assurance and Reliability Assurance

3/19/2024

Presenter: Amanda Bode

Chapter 17 - Quality Assurance and Reliability Assurance

- Section 17.1 – Quality Assurance During the Design Phase
- Section 17.2 – Quality Assurance During the Construction and Operation Phases
- Section 17.3 – Quality Assurance Program Description
- Section 17.5 – Quality Assurance Program Description
- Section 17.6 – Maintenance Rule

- NOT INCLUDED: Section 17.4 – Reliability Assurance Program

Chapter 17

| Section | Description | Remarks |
|---------|--|--|
| 17.1 | Quality Assurance during Design Phase | Described in Section 17.5 |
| 17.2 | Quality Assurance during Construction and Operation Phase | Not applicable to SDAA. COL applicant describes the quality assurance program applicable to site-specific design activities and to the construction and operations phases. |
| 17.3 | Quality Assurance Program Description | Described in Section 17.5 |
| 17.5 | Quality Assurance Program Description – Design Certification, Early Site permits, and New License Applicants | Does not address construction and design QA activities that begin at construction |
| 17.6 | Maintenance Rule | Not applicable to SDAA. The maintenance rule operational program is the responsibility of an applicant. |

Section 17.5 - Quality Assurance Program Description

- Quality Assurance Program Description (QAPD) for the NuScale Power Plant US460 is provided in the NRC approved topical report
 - “NuScale Power, LLC Quality Assurance Program Description” (MN-122626-A, Revision 1)
- The NuScale Quality Assurance Plan is established in accordance with 10 CFR 50, Appendix B, 10 CFR 52, and 10 CFR 21 based on the requirements and recommendations of ASME NQA-1-2008 and NQA-1a-2009 addenda, Parts I and II, as endorsed by Regulatory Guide 1.28, Revision 4
 - Safety Evaluation published December 2023
 - NRC inspection of NuScale’s QA program performed February 26- March 1

RAIs and Audit questions

- No RAIs on Chapter 17 (minus 17.4)
- No Audit questions on Chapter 17 (minus 17.4)

Acronyms

| | |
|------|---------------------------------------|
| COL | Combined License |
| QA | Quality Assurance |
| QAPD | Quality Assurance Program Description |
| RAI | Request for Additional Information |
| SDAA | Standard Design Approval Application |
| SDA | Standard Design Approval |

**Presentation to the ACRS Subcommittee
Staff Review of NuScale's US460 Standard
Design Approval Application
Final Safety Analysis Report, Revision 1**

Chapters 2, 10, 11, 13, 17 (not including Section 17.4)

**March 19, 2024
(Open Session)**

**Presentation to the ACRS Subcommittee
Staff Review of NuScale Standard Design Approval Application
Final Safety Analysis Report, Revision 1**

CHAPTER 10

**March 19, 2024
(Open Session)**

NuScale SDAA FSAR Chapter 10

Overview

- NuScale submitted Chapter 10, “Steam and Power Conversion Systems,” Revision 0 of the NuScale SDAA FSAR on December 15, 2022, and Revision 1 on October 31, 2023
- NRC regulatory audit of Chapter 10 performed March 2023 to August 2023, generating 23 audit issues
- NuScale submitted 10 pieces of supplemental information to address questions raised during the audit
- One RAI for Chapter 10 was issued and resolved
- Staff completed Chapter 10 review and issued an advanced safety evaluation to support today's ACRS Subcommittee meeting

NuScale SDAA FSAR Chapter 10 Review

Contributors

- **Technical Reviewers**
 - Angelo Stubbs, Lead, NRR/DSS/SCPB
 - Greg Makar, NRR/NRLB/NCSG
 - John Honcharik, NRR/NRLB/NPHP
- **Project Managers**
 - Thomas Hayden, PM, NRR/DNRL/NRLB
 - Getachew Tesfaye, Lead PM, NRR/DNRL/NRLB

NuScale SDAA FSAR Chapter 10 Review

Significant Changes and Impact

Design Turbine Power increase from 50 to 77 MW

- Larger Turbine Generator
- A new secondary side heat balance at the new power level.
- SSCs resized for higher flow associated with uprate
- Revised processed steam conditions on which plant safety analysis is based.

Air Cooled Condenser

- Atmosphere is now the Normal Heat Sink
- Effluents/releases from condenser have a more direct path to environment
- Remains capable of supporting 100 percent turbine bypass at increased power
- No turbine building flooding due to condenser failure.

Auxiliary Boiler Modifications

- Auxiliary Boiler No Longer used for Module Heatup
- High pressure boiler has been eliminated
- Fewer interfaces with potentially contaminated systems

Single Turbine Generator Building

- Single location from which turbine missile can be generated

Elimination of Circulating water system

- Air cooled condenser eliminated the need for Circ water system as normal heat sink
- Removed largest potential flooding source, expansion joint failure, from turbine generator building

NuScale SDAA FSAR Chapter 10 Review

Review Considerations based on Design Features

- NuScale classified FSAR chapter 10 subsystems that makeup the Power Conversion Systems as non-safety-related
- NuScale assigned the SSCs credited for main steam and feedwater isolation to the containment system, however, since the SSCs are credited for system functions other than containment isolation the staff review of Chapter 10 for the MSS and FWS were performed consistent with the boundaries defined in NuScale DSRs 10.3, and 10.4.7, which included these SSCs
- The TG Building does not contain SSCs important to safety, however TGS failure may result in the ejection of turbine missiles that can potentially impact SSCs outside of the turbine building
- SSCs important to safety housed in reactor building, which is credited for providing barrier protection against turbine missiles, evaluated under Chapter 3
- Air Cooled Condenser and Condensate Collection Tank reviewed for design protecting against release to environment

NuScale SDAA FSAR Chapter 10 Review

Findings and Conclusion

Staff Findings

- **Increased Power** - Heat balance provides the relevant secondary side process conditions for SSC sizing and applicable analyses (transients , AOO)
- **Turbine Generator** - US460 SSCs important to safety have protection from turbine missiles based on reactor building barrier, evaluated in Chapter 3
- **Air Cooled condenser** - System design includes means to adequately monitor and control the releases of radioactive effluents to the atmosphere and contain the spread of contamination consistent with 10 CFR 20.1406

Conclusion

- Power Conversion Systems described in Chapter 10 of the FSAR found in compliance with applicable regulations

**Presentation to the ACRS Subcommittee
Staff Review of NuScale Standard Design Approval Application
Final Safety Analysis Report, Revision 1**

CHAPTER 11, “RADIOACTIVE WASTE MANAGEMENT”

**March 19, 2024
(Open Session)**

NuScale SDAA FSAR Chapter 11

- NuScale submitted Chapter 11, “Radioactive Waste Management,” Revision 0 of the NuScale SDAA FSAR on December 30, 2022, and Revision 1 on October 31, 2023.
- NRC performed a regulatory audit as part of its review of Chapter 11, from March 2023 to August 2023.
- NuScale submitted 12 pieces of supplemental information to address questions raised during the audit.
- No formal RAIs were issued for Chapter 11 review.
- The staff completed the review of Chapter 11 and issued an advanced safety evaluation to support today's ACRS Subcommittee meeting.

NuScale SDAA FSAR Chapter 11 Review

Contributors

- **Technical Reviewers**
 - Edward Stutzcage, Lead, NRR/DRA/ARCB
 - Derek Scully, NRR/DSS/SCPB
 - Joseph Ashcraft, NRR/DEX/EICB
 - Dinesh Taneja, NRR/DEX/ELTB

- **Project Managers**
 - Alina Schiller, PM, NRR/DNRL/NRLB
 - Getachew Tesfaye, Lead PM, NRR/DNRL/NRLB

NuScale SDAA FSAR Chapter 11 Review

- **Section 11.1 - Source Terms**
- **Section 11.2 - Liquid Waste Management System**
- **Section 11.3 - Gaseous Waste Management System**
- **Section 11.4 - Solid Waste Management System**
- **Section 11.5 - Process and Effluent Radiation Monitoring Instrumentation and Sampling System**
- **Section 11.6 - Instrumentation and Control Design Features for Process and Effluent Radiological Monitoring, and Area Radiation and Airborne Radioactivity Monitoring**

NuScale SDAA FSAR Chapter 11 Review

Highlights:

- The methodology for calculating Chapter 11 source terms in the SDAA is similar to that in the DCA, however, source terms and dose calculations changed due to the design changes.
- The radwaste management systems are mostly similar in the DCA and SDAA.
- Process and Effluent radiation monitors and sampling points are located 1) at potential release points; 2) to detect primary leakage; and 3) to detect high radiation or unexpected radiation in plant systems, ventilation systems, and areas in both the DCA and SDAA (locations are mostly similar and adequate between both designs).

NuScale SDAA FSAR Chapter 11 Review

Significant Differences between NuScale DCA FSAR Chapter 11 (Rev. 5) and NuScale SDAA FSAR Chapter 11 (Rev. 1):

- Section 11.1 - Source Terms
 - While the methodology for calculating the Chapter 11 source terms is essentially unchanged, the source terms and doses throughout Chapter 11 are all different than in the DCA due to changes in reactor power, number of units, and other factors. The staff audited the applicant's source term calculations and performed confirmatory calculations of source terms and doses from effluent releases and found them acceptable.

NuScale SDAA FSAR Chapter 11 Review

Significant Differences between NuScale DCA FSAR Chapter 11 (Rev. 5) and NuScale SDAA FSAR Chapter 11 (Rev. 1):

- Section 11.2 - Liquid Waste Management System
 - The Radioactive Waste Building was designed fully to RG 1.143, RW-IIa classification in the DCA. In the SDAA, the below grade portions of the Radioactive Waste Building and above grade portions designated for storage or processing of radioactive waste are RW-IIa and the remaining is Seismic Category III. The staff found the approach for classifying the Radioactive Waste Building consistent with RG 1.143 and to be acceptable.

NuScale SDAA FSAR Chapter 11 Review

Significant Differences between NuScale DCA FSAR Chapter 11 (Rev. 5) and NuScale SDAA FSAR Chapter 11 (Rev. 1):

- Section 11.2 - Liquid Waste Management System (continued)
 - The DCA included a COL item for mobile liquid waste processing equipment which is not included in the SDAA. The staff reviewed the liquid waste processing system provided in the SDAA and determined that adequate liquid waste processing capacity is provided in the design. Therefore, a COL item for mobile equipment was not required in the SDAA.

NuScale SDAA FSAR Chapter 11 Review

Significant Differences between NuScale DCA FSAR Chapter 11 (Rev. 5) and NuScale SDAA FSAR Chapter 11 (Rev. 1):

- Section 11.2 - Liquid Waste Management System (continued)
 - In the SDAA, NuScale revised Section 11.2 to not include C-14 in the liquid effluent discharges and dose calculations. The minimum discharge flow rate to meet 10 CFR 20, Appendix B, and minimum dilution flow rate to meet 10 CFR 50, Appendix I, were impacted by this change. The assumption of not considering C-14 in liquid effluent releases is consistent with RG 1.21 and NUREG-0017 and is acceptable. The staff audited the applicant's revised calculations and performed independent confirmatory calculations and found the changes to be acceptable.

NuScale SDAA FSAR Chapter 11 Review

Significant Differences between NuScale DCA FSAR Chapter 11 (Rev. 5) and NuScale SDAA FSAR Chapter 11 (Rev. 1):

- Section 11.3 - Gaseous Waste Management System
 - There are no significant differences between NuScale DCA Section 11.3 and SDAA FSAR Section 11.3
 - SDAA SE conclusion is the same as DCA SE conclusion for Section 11.3

NuScale SDAA FSAR Chapter 11 Review

Significant Differences between NuScale DCA FSAR Chapter 11 (Rev. 5) and NuScale SDAA FSAR Chapter 11 (Rev. 1):

- Section 11.4 - Solid Waste Management System
 - The DCA included discussions of mobile waste processing equipment. The staff reviewed the solid waste processing capabilities provided in the SDAA and determined that adequate solid waste processing capacity and adequate waste storage areas are provided in the design. Therefore, the SDAA design is acceptable without including information on potential mobile waste processing equipment. Information on mobile waste processing equipment is expected to be removed in SDAA Rev. 2.

NuScale SDAA FSAR Chapter 11 Review

Significant Differences between NuScale DCA FSAR Chapter 11 (Rev. 5) and NuScale SDAA FSAR Chapter 11 (Rev. 1):

- Section 11.5 - Process and Effluent Radiation Monitoring Instrumentation and Sampling System
 - There are no significant differences between NuScale DCA Section 11.5 and SDAA FSAR Section 11.5
 - SDAA SE conclusion is the same as DCA SE conclusion for Section 11.5

NuScale SDAA FSAR Chapter 11 Review

Significant Differences between NuScale DCA FSAR Chapter 11 (Rev. 5) and NuScale SDAA FSAR Chapter 11 (Rev. 1):

- Section 11.6 - Instrumentation and Control Design Features for Process and Effluent Radiological Monitoring, and Area Radiation and Airborne Radioactivity Monitoring
 - There are no significant differences between NuScale DCA Section 11.6 and SDAA FSAR Section 11.6
 - SDAA SE conclusion is the same as DCA SE conclusion for Section 11.6

NuScale SDAA FSAR Chapter 11 Review

Conclusion

- While there are some differences between the DCA and SDAA, the staff found that the applicant provided adequate source terms, dose calculations, radwaste system design, process and effluent radiation monitors, and radiation sample points in both designs.
- The staff found that all applicable regulatory requirements were adequately addressed.

**Presentation to the ACRS Subcommittee
Staff Review of NuScale Standard Design Approval Application
Final Safety Analysis Report, Revision 1**

**CHAPTER 2, “SITE CHARACTERISTICS AND SITE
PARAMETERS”**

**March 19, 2024
(Open Session)**

NuScale SDAA FSAR Chapter 2 Review

- NuScale submitted Chapter 2, “Site Characteristics and Site Parameters,” Revision 1, of the NuScale SDAA FSAR on October 31, 2023.
- NRC performed a regulatory audit as part of its review of Chapter 2, from March 2023 to August 2023.
- Questions raised during the audit were resolved within the audit. No RAIs were issued.
- The staff completed the review of Chapter 2 and issued an advanced safety evaluation to support the ACRS Subcommittee meeting.

NuScale SDAA FSAR Chapter 2 Review

Contributors

- **Technical Reviewers**

- Kenneth See, NRR/DEX/EXHB
- Kevin Quinlan, NRR/DEX/EXHB
- Jenise Thompson, NRR/DEX/EXHB
- Scott Stovall, RES/DE/SGSEB
- Lissette Candelario-Quintana, NRR/DEX/ESEB
- Zuhan Xi, NRR/DEX/ESEB
- Kenneth Mott/ Edward Robinson, NSIR/DPR/RLB

- **Project Managers**

- Prosanta Chowdhury, PM, NRR/DNRL/NRLB
- Getachew Tesfaye, Lead PM, NRR/DNRL/NRLB

NuScale SDAA FSAR Chapter 2 Review

- **Section 2.0 – Site Characteristics and Site Parameters**
- **Section 2.1 – Geography and Demography**
- **Section 2.2 – Nearby Industrial, Transportation, and Military Facilities**
- **Section 2.3 – Meteorology**
- **Section 2.4 – Hydrologic Engineering**
- **Section 2.5 – Geology, Seismology, and Seismic Information**

NuScale SDAA FSAR Chapter 2 Review

NuScale DCA FSAR Chapter 2 (Rev. 5) vs SDAA FSAR Chapter 2 (Rev. 1):

- Sections 2.0 Site Characteristics and Site Parameters
 - There are no significant differences between NuScale DCA FSAR and SDAA FSAR.
 - NuScale provided site parameters that are representative of potential locations in the United States. Table 2.0-1 provides a summary of these parameters.
 - NuScale provided COL Items related to this area of review.
 - The SDAA SE conclusion is the same as DCA SE conclusion.

NuScale SDAA FSAR Chapter 2 Review

NuScale DCA FSAR Chapter 2 (Rev. 5) vs SDAA FSAR Chapter 2 (Rev. 1):

- Sections 2.1 Geography and Demography
 - There are no significant differences between NuScale DCA FSAR and SDAA FSAR.
 - NuScale provided the Exclusion Area Boundary and Low Population Zone outer boundary.
 - NuScale provided COL Items related to this area of review.
 - SDAA SE conclusion is the same as DCA SE conclusion.

NuScale SDAA FSAR Chapter 2 Review

NuScale DCA FSAR Chapter 2 (Rev. 5) vs SDAA FSAR Chapter 2 (Rev. 1):

- Sections 2.2 Nearby Industrial, Transportation, and Military Facilities
 - There are no significant differences between NuScale DCA FSAR and SDAA FSAR.
 - NuScale did not postulate any hazards from nearby industrial, transportation or military facilities.
 - NuScale provided COL Items related to this area of review.
 - SDAA SE conclusion is the same as DCA SE conclusion.

NuScale SDAA FSAR Chapter 2 Review

NuScale DCA FSAR Chapter 2 (Rev. 5) vs SDAA FSAR Chapter 2 (Rev. 1):

- Section 2.3 Meteorology
 - SDAA revised the design basis tornado wind speed, and associated characteristics to be more conservative than DCA.
 - SDAA revised onsite and offsite X/Q values. Supporting Met data and methodology the same; distances revised.
 - NuScale provided COL Items related to this area of review.
 - The SDAA SE conclusion is the same as DCA SE conclusion.

NuScale SDAA FSAR Chapter 2 Review

NuScale DCA FSAR Chapter 2 (Rev. 5) vs SDAA FSAR Chapter 2 (Rev. 1):

- Sections 2.4.1 – 2.4.14 (Hydrology)
 - There are no significant differences between NuScale DCA FSAR and SDAA FSAR.
 - NuScale provided the COL Items needed for the hydrologic characteristics of a site referencing the standard design.
 - SDAA SE conclusion is the same as DCA SE conclusion.

NuScale SDAA FSAR Chapter 2 Review

NuScale DCA FSAR Chapter 2 (Rev. 5) vs SDAA FSAR Chapter 2 (Rev. 1):

- 2.5.1: Basic Geologic & 2.5.2: Seismic Information & 2.5.3: Surface Deformation:
 - There are no significant differences between NuScale DCA FSAR and SDAA FSAR.
 - NuScale provided the COL Items needed for the geology, seismology and geotechnical characteristics of a site referencing the standard design.
 - SDAA SE conclusion is the same as DCA SE conclusion.

NuScale SDAA FSAR Chapter 2 Review

NuScale DCA FSAR Chapter 2 (Rev. 5) vs SDAA FSAR Chapter 2 (Rev. 1):

- 2.5.4 & 2.5.5: Geotechnical Engineering:
 - There are no significant differences between NuScale DCA FSAR and SDAA FSAR.
 - NuScale provided the necessary site parameters and COL Items needed for foundation stability design and analyses, and slope stability evaluations.
 - SDAA SE conclusion is the same as DCA SE conclusion.

**Presentation to the ACRS Subcommittee
Staff Review of NuScale Standard Design Approval Application
Final Safety Analysis Report, Revision 1**

CHAPTER 13, “CONDUCT OF OPERATIONS”

**March 19, 2024
(Open Session)**

NuScale SDAA FSAR Chapter 13 Review

- NuScale submitted Chapter 13, “Conduct of Operations,” Revision 1, of the NuScale SDAA FSAR on October 31, 2023.
- NRC performed a regulatory audit as part of its review of Chapter 13, from March 2023 to August 2023.
- NuScale submitted 5 pieces of supplemental information to address questions raised during the audit.
- 1 RAI, regarding 13.3, was submitted for review
- The staff completed the review of Chapter 13 and issued an advanced safety evaluation to support today's ACRS Subcommittee meeting.

NuScale SDAA FSAR Chapter 13 Review

Contributors

- **Technical Reviewers**
 - Kamishan Martin, NRR/DRO/IOLB (13.1, 13.2, 13.5)
 - Kenneth Mott, NSIR/DPR/RLB (13.3)
 - Ricky Vivanco, NRR/DNRL/NRLB (13.4)
 - Paul Harris (since retired), Brian Zaleski, NSIR/DPCP/RSB (13.7)
- **Project Managers**
 - Ricky Vivanco, PM, NRR/DNRL/NRLB
 - Getachew Tesfaye, Lead PM, NRR/DNRL/NRLB

NuScale SDAA FSAR Chapter 13 Review

- **Section 13.1 – Organizational Structure**
- **Section 13.2 – Training**
- **Section 13.3 – Emergency Planning**
- **Section 13.4 – Operational Programs**
- **Section 13.5 – Plant Procedures**
- **Section 13.6 – Physical Security**
- **Section 13.7 – Fitness for Duty**

NuScale SDAA FSAR Chapter 13.1 Review

- **No significant changes to 13.1 from DCA to SDA**
- **The staff's finding is consistent.**

NuScale SDAA FSAR Chapter 13.2 Review

- **No significant changes to 13.2 from DCA to SDA**
- **The staff's finding is consistent.**

NuScale SDAA FSAR Chapter 13.3 Review

Significant Differences between NuScale DCA FSAR Chapter 13.3 (Rev. 5) and SDAA FSAR Chapter 13.3 (Rev. 1):

- COL Items for the OSC and EOF removed in the SDAA FSAR. COL item in SDAA is broad to include all ERFs
 - NRC staff finds that the SDAA COL Item requiring the applicant to address the requirements for any/all required ERFs provides for a more streamlined application and provides flexibility for a future COL applicant that may not be required to provide the specified DCA FSAR ERFs.
- DCA FSAR listed TSC room and additional space size specifications removed in SDAA FSAR.
- The TSC design criteria of NUREG-0696, “Functional Criteria for Emergency Response Facilities,” does not specify a square footage size for rooms/additional spaces. The guidance specifies 75 sq ft/person of uncrowded working space for a minimum of 25 TSC personnel (20 licensee, 5 NRC).
- The DCA FSAR list the TSC as a Seismic Category I structure. The SDAA FSAR list the TSC as a Seismic Category II structure.
 - The NUREG-0696 TSC design guidance does not require the TSC to meet Seismic Category I criteria or be qualified as an engineered safety feature (ESF).
- **SDAA SE conclusions are the same as from the DCA.**

NuScale SDAA FSAR Chapter 13.4 Review

Significant Differences between NuScale DCA FSAR Chapter 13.4 (Rev. 5) and NuScale SDAA FSAR Chapter 13.4 (Rev. 1):

- Removal of the Motor Operated Valve (MOV) testing program
 - US460 design does not contain safety-related MOVs (3.9.6.3)
- Removal of the Reactor Vessel Material Surveillance Program
 - FSAR Section 5.3.1.6 is under review for exemption from 10 CFR 50.60 and 10 CFR 50, Appendix H.
- The staff concludes that applicable programs are listed in COL item 13.4-1

NuScale SDAA FSAR Chapter 13.5 Review

Significant Differences between NuScale DCA FSAR Chapter 13.5 (Rev. 5) and NuScale SDAA FSAR Chapter 13.5 (Rev. 1):

- Removal of the discussion of Generic Technical Guidelines.
 - The staff did not make a finding on GTGs in the DCA nor did it impact their conclusion.
 - **SDAA SE conclusions are consistent to those from the DCA.**

NuScale SDAA FSAR Chapter 13.7 Review

Significant Differences between NuScale DCA FSAR Chapter 13.7 (Rev. 5) and NuScale SDAA FSAR Chapter 13.7 (Rev. 1):

- Removal of the COL item from the DCA for a COL applicant to include a description of a Fitness for Duty (FFD) program
 - 10 CFR 26.401 requires an entity who intends to implement an FFD program under Subpart K of Part 26, “FFD Programs for Construction,” to submit a description of the FFD program and its implementation as part of the license, permit, or limited work authorization application. A COL item in this SDA is not required.

**Presentation to the ACRS Subcommittee
Staff Review of NuScale Standard Design Approval Application
Final Safety Analysis Report, Revision 1**

**CHAPTER 17, “QUALITY ASSURANCE AND RELIABILITY
ASSURANCE” (SECTIONS 17.1 – 17.3, 17.5, 17.6)**

**March 19, 2024
(Open Session)**

NuScale SDAA FSAR Chapter 17 (minus 17.4) Review

- NuScale submitted Chapter 17, “Quality Assurance and Reliability Assurance,” Revision 1, of the NuScale SDAA FSAR on October 31, 2023.
- NRC performed a regulatory audit as part of its review of Chapter 17, from March 2023 to August 2023.
- No Audit Questions or RAIs were issued.
- The staff completed the review of Chapter 17 and issued an advanced safety evaluation to support the ACRS Subcommittee meeting.

NuScale SDAA FSAR Chapter 17 (minus 17.4) Review

Contributors

- **Reviewer**
 - Frankie Vega, NRR/DRO/IQVB

- **Project Managers**
 - Prosanta Chowdhury, PM, NRR/DNRL/RLB
 - Getachew Tesfaye, Lead PM, NRR/DNRL/RLB

NuScale SDAA FSAR Chapter 17 (minus 17.4) Review

- **Section 17.1 – Quality Assurance during the Design Phase**
- **Section 17.2 – Quality Assurance during the Construction and Operations Phases**
- **Section 17.3 – Quality Assurance Program Description**
- **Section 17.4 – Reliability Assurance Program (reviewed as a “high effort” section; will be presented seperately)**
- **Section 17.5 – Quality Assurance Program Description— Design Certification, Early Site Permits, and New License Applicants**
- **Section 17.6 – Maintenance Rule**

NuScale SDAA FSAR Chapter 17 (minus 17.4) Review

NuScale DCA FSAR Chapter 17 (Rev. 5) vs SDAA FSAR Chapter 17 (Rev. 1):

- There are no significant differences between NuScale DCA FSAR Chapter 17 and SDAA FSAR Chapter 17
- Both the SDAA and DCA FSAR Chapter 17 referenced approved versions of NuScale's QAPDs
 - **DCA FSAR Chapter 17 (Rev. 5)** - references Topical Report: Quality Assurance Program Description for the NuScale Power Plant," NP-TR-1010-859-N
 - **SDAA FSAR Chapter 17 (Rev. 1)** - references Topical Report (LTR) MN-122626-A, Revision 1, "NuScale Power, LLC Quality Assurance Program Description
- SDAA SE conclusion is the same as DCA SE conclusion

| Full Name | User Action | Timestamp |
|--------------------------------------|-------------|---------------------|
| Michael Snodderly | Joined | 3/19/24, 9:27:48 AM |
| Sandra Walker | Joined | 3/19/24, 9:27:48 AM |
| Getachew Tesfaye | Joined | 3/19/24, 9:33:54 AM |
| Dave Petti | Joined | 3/19/24, 9:35:15 AM |
| Thomas Hayden | Joined | 3/19/24, 9:37:31 AM |
| James Cordes - Court Reporter | Joined | 3/19/24, 9:37:34 AM |
| Ricky Vivanco | Joined | 3/19/24, 9:38:11 AM |
| Shandeth Walton | Joined | 3/19/24, 9:43:20 AM |
| Tammy Skov | Joined | 3/19/24, 9:43:56 AM |
| Jose March-Leuba | Joined | 3/19/24, 9:45:23 AM |
| Robert Martin | Joined | 3/19/24, 9:46:03 AM |
| Walt Kirchner | Joined | 3/19/24, 9:47:25 AM |
| Matt Sunseri | Joined | 3/19/24, 9:48:31 AM |
| Kevin D (NuScale) | Joined | 3/19/24, 9:50:02 AM |
| Larry Burkhart | Joined | 3/19/24, 9:50:08 AM |
| Tyler Beck (NuScale) | Joined | 3/19/24, 9:50:15 AM |
| Stephen Schultz | Joined | 3/19/24, 9:51:15 AM |
| pleary | Joined | 3/19/24, 9:51:40 AM |
| Vesna B Dimitrijevic | Joined | 3/19/24, 9:51:50 AM |
| Lindsay Vance (NuScale) | Joined | 3/19/24, 9:52:57 AM |
| Thomas Griffith (NuScale) | Joined | 3/19/24, 9:52:58 AM |
| John Honcharik | Joined | 3/19/24, 9:53:11 AM |
| Gene Eckholt (NuScale Licensing) | Joined | 3/19/24, 9:53:55 AM |
| Wendy Reid (NuScale) | Joined | 3/19/24, 9:54:01 AM |
| Jim Osborn | Joined | 3/19/24, 9:54:22 AM |
| Elisa Fairbanks, NuScale | Joined | 3/19/24, 9:54:27 AM |
| Susan Baughn (NuScale) | Joined | 3/19/24, 9:54:41 AM |
| Charlie Brown | Joined | 3/19/24, 9:54:45 AM |
| Thomas Roberts | Joined | 3/19/24, 9:54:48 AM |
| Vicki Bier | Joined | 3/19/24, 9:55:21 AM |
| Dennis Bley (Guest) | Joined | 3/19/24, 9:55:23 AM |
| Ronald G Ballinger | Joined | 3/19/24, 9:55:23 AM |
| Gregory Halnon | Joined | 3/19/24, 9:55:57 AM |
| Paul Guinn (NuScale) | Joined | 3/19/24, 9:55:59 AM |
| Derek Scully | Joined | 3/19/24, 9:56:18 AM |
| Carrie Fosaaen - NuScale Power | Joined | 3/19/24, 9:57:05 AM |
| David Rickenbach (NuScale) | Joined | 3/19/24, 9:57:06 AM |
| Federico Perdomo - NuScale Licensing | Joined | 3/19/24, 9:57:07 AM |
| Doug B | Joined | 3/19/24, 9:57:07 AM |
| Chelsea Lockwood - NuScale | Joined | 3/19/24, 9:57:07 AM |
| Larry Hu (NuScale) | Joined | 3/19/24, 9:57:08 AM |
| Haydar Karaoglu | Joined | 3/19/24, 9:57:09 AM |
| Sarah Fields | Joined | 3/19/24, 9:57:24 AM |
| Stephanie Terwilliger (NuScale) | Joined | 3/19/24, 9:57:25 AM |
| Joseph Ashcraft | Joined | 3/19/24, 9:57:28 AM |
| Zuhan Xi | Joined | 3/19/24, 9:57:50 AM |
| Erwin Laureano (NuScale) | Joined | 3/19/24, 9:57:51 AM |
| Jill Magnusson (NuScale) | Joined | 3/19/24, 9:58:09 AM |

| | | |
|-------------------------------------|--------|----------------------|
| Angelo Stubbs | Joined | 3/19/24, 9:58:09 AM |
| Rose Charoensombud (NuScale) | Joined | 3/19/24, 9:58:14 AM |
| Freeda Ahmed (NuScale) | Joined | 3/19/24, 9:58:20 AM |
| Jim Schneider (NuScale Power) | Joined | 3/19/24, 9:58:35 AM |
| Prosanta Chowdhury | Joined | 3/19/24, 9:58:37 AM |
| Jenise Thompson | Joined | 3/19/24, 9:58:45 AM |
| Kevin Quinlan | Joined | 3/19/24, 9:58:48 AM |
| Ralph Costello | Joined | 3/19/24, 9:58:54 AM |
| Barry Reichelderfer (NuScale) | Joined | 3/19/24, 9:58:57 AM |
| Beth Brewer (NuScale) | Joined | 3/19/24, 9:58:58 AM |
| Omer Erbay (NuScale) | Joined | 3/19/24, 9:58:59 AM |
| Vivanco, Alaina | Joined | 3/19/24, 9:59:03 AM |
| Seth Robison (NuScale) | Joined | 3/19/24, 9:59:03 AM |
| Luisette Candelario-Quintana | Joined | 3/19/24, 9:59:04 AM |
| Kalene Walker | Joined | 3/19/24, 9:59:25 AM |
| Troy vonRenzell | Joined | 3/19/24, 9:59:31 AM |
| Jill Magnusson (NuScale) | Joined | 3/19/24, 9:59:35 AM |
| Matt Smith | Joined | 3/19/24, 9:59:41 AM |
| Mary H Miller (Services - 6) | Joined | 3/19/24, 9:59:56 AM |
| Mara Swanson (she/her, NuScale) | Joined | 3/19/24, 9:59:58 AM |
| Joey McPherson | Joined | 3/19/24, 10:00:08 AM |
| Edward Robinson | Joined | 3/19/24, 10:00:31 AM |
| Rosalynn Wang | Joined | 3/19/24, 10:00:47 AM |
| Sarah Tabatabai | Joined | 3/19/24, 10:03:27 AM |
| Thomas Dashiell | Joined | 3/19/24, 10:04:26 AM |
| Dennis Galvin | Joined | 3/19/24, 10:05:13 AM |
| Maurin Scheetz | Joined | 3/19/24, 10:06:07 AM |
| David Drucker | Joined | 3/19/24, 10:10:06 AM |
| Amy D'Agostino | Joined | 3/19/24, 10:12:22 AM |
| Tyler Cox | Joined | 3/19/24, 10:14:48 AM |
| Dinesh Taneja | Joined | 3/19/24, 10:15:57 AM |
| Rnaya | Joined | 3/19/24, 10:26:48 AM |
| Tim Polich | Joined | 3/19/24, 10:29:23 AM |
| Kenneth See | Joined | 3/19/24, 10:30:27 AM |
| Stacy Joseph | Joined | 3/19/24, 10:34:49 AM |
| Christina Antonescu | Joined | 3/19/24, 10:35:01 AM |
| Weidong Wang | Joined | 3/19/24, 10:38:02 AM |
| Leigh Ford, Snake River Alliance | Joined | 3/19/24, 10:39:22 AM |
| Adam Stein - Breakthrough Institute | Joined | 3/19/24, 10:41:45 AM |
| Nolan Bartlow | Joined | 3/19/24, 10:43:25 AM |