

**Official Transcript of Proceedings**  
**NUCLEAR REGULATORY COMMISSION**

Title:                   Advisory Committee on Reactor Safeguards  
                              719th Full Committee Meeting

Docket Number:   (n/a)

Location:            teleconference

Date:                 Wednesday, October 2, 2024

Work Order No.:    NRC-0053

Pages 1-23

**NEAL R. GROSS AND CO., INC.**  
**Court Reporters and Transcribers**  
**1716 14th Street, N.W.**  
**Washington, D.C. 20009**  
**(202) 234-4433**

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23

DISCLAIMER

UNITED STATES NUCLEAR REGULATORY COMMISSION'S  
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

The contents of this transcript of the proceeding of the United States Nuclear Regulatory Commission Advisory Committee on Reactor Safeguards, as reported herein, is a record of the discussions recorded at the meeting.

This transcript has not been reviewed, corrected, and edited, and it may contain inaccuracies.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION

+ + + + +

719TH MEETING

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

(ACRS)

+ + + + +

WEDNESDAY

OCTOBER 2, 2024

+ + + + +

The Advisory Committee met via  
Videoconference, at 8:30 a.m. EDT, Walter Kirchner,  
Chairman, presiding.

COMMITTEE MEMBERS:

- WALTER L. KIRCHNER, Chairman
- GREGORY H. HALNON, Vice Chairman
- DAVID A. PETTI, Member-at-Large
- RONALD G. BALLINGER, Member
- VICKI M. BIER, Member
- VESNA B. DIMITRIJEVIC, Member\*
- CRAIG D. HARRINGTON, Member
- ROBERT P. MARTIN, Member
- SCOTT P. PALMTAG, Member
- THOMAS E. ROBERTS, Member

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

ACRS CONSULTANT:

DENNIS BLEY

STEPHEN SCHULTZ

DESIGNATED FEDERAL OFFICIAL:

CHRISTOPHER BROWN

ALSO PRESENT:

SCOTT MOORE, Executive Director

\*Present via telephone

CONTENTS

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

Opening Remarks by the ACRS Chairman

1.1) Opening statement . . . . . 4

1.2) Agenda and items of current interest . 6

Topical Report PWROG-18068, "Use of Direct Fracture Toughness for Evaluation of RPV [Reactor Pressure Vessel] Integrity"

2.1) Remarks from the Subcommittee Chair . 8

P-R-O-C-E-E-D-I-N-G-S

8:30 a.m.

CHAIR KIRCHNER: Okay, the meeting will now come to order.

This is the first day of the 719th meeting of the Advisory Committee on Reactor Safeguards, ACRS. I am Walt Kirchner, Chair of the ACRS. ACRS members in attendance in person are Ron Ballinger, Vicki Bier, Greg Halnon, Craig Harrington, Robert Martin, Scott Palmtag, Dave Petti, and Thomas Roberts. ACRS members in attendance virtually via Teams are -- is Vesna Dimitrijevic. If I've missed anyone, either ACRS members, please -- any ACRS members, please speak up at this point. Looking to see if we have our -- if any of our consultants online. I see Dennis Bley and Steve Schultz are with us. Thank you.

The ACRS -- excuse me. Christopher Brown of the ACRS staff is the Designated Federal Officer for this morning's full committee meeting. No Member conflicts of interest were identified for today's meeting. And I note we have a quorum, as well.

The ACRS was established by statute and is governed by the Federal Advisory Committee Act, FACA. The NRC implements FACA in accordance with its regulations. Per these regulations and the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 Committee's Bylaws, the ACRS speaks only through its  
2 published letter reports.

3 Therefore, all Member comments should be  
4 regarded as only the individual opinion of that  
5 Member, and not a Committee position. All relevant  
6 information related to ACRS activities, such as  
7 letters, rules for meeting participation and  
8 transcripts are located on the NRC public website and  
9 can be easily found by typing, about us ACRS, in the  
10 search field on NRC's home page.

11 The ACRS, consistent with the Agency's  
12 value of public transparency in regulation of nuclear  
13 facilities, provides opportunity for public input and  
14 comment during our proceedings. We have received no  
15 written statements or requests to make an oral  
16 statement from the public. Written statements may be  
17 forwarded to today's Designated Federal Officer. We  
18 have also set aside time at the end of this meeting  
19 for public comments.

20 A transcript of the meeting is being kept  
21 and will be posted on our website. When addressing  
22 the Committee, the participants should first identify  
23 themselves and speak with sufficient clarity and  
24 volume so that they may be readily heard. If you are  
25 not speaking, please mute your computer on Teams. If

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 you are participating by phone, press star-six to mute  
2 your phone and star-five to raise your hand on Teams.

3 The Teams chat feature will not be  
4 available for use during this meeting. For everyone  
5 in the room, please put your -- all your electronic  
6 devices in silent mode, and mute your laptop  
7 microphone and speakers. In addition, please keep  
8 sidebar discussions in the room to a minimum since the  
9 ceiling microphones are live.

10 For presenters, the table microphones are  
11 uni-directional, and you'll need to speak into the  
12 front of the microphone to be heard online. Finally,  
13 if you have any feedback for the ACRS about today's  
14 meeting, we encourage you to fill out the public  
15 meeting feedback form on the NRC's website.

16 During today's meeting, the Committee will  
17 consider two topics. In the morning session we will  
18 discuss the Topical Report PWROG-18068, Use of Direct  
19 Fracture Toughness for Evaluation of Reactor Pressure  
20 Vessel Integrity. And in the afternoon session, which  
21 will begin at 1:00 p.m., we will have our Planning and  
22 Procedures Session.

23 Tomorrow morning the Committee will  
24 receive an information briefing on the Palisades  
25 Nuclear Plant restart, and further information in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309



1 tomorrow morning's introductory comments.

2 And with that, I will now turn to the --  
3 the Committee's deliberations over to the Fuels,  
4 Materials and Structures Subcommittee Chair, Ron  
5 Ballinger. Ron?

6 MEMBER BALLINGER: Thank you --

7 VICE CHAIR HALNON: Before we get started,  
8 the court reporter may not be familiar with the  
9 Members here in the room. So, at least for a few  
10 times, make your name clear when you talk, and then I  
11 think they'll get, eventually, familiar with who's in  
12 the room. James is not on -- not as familiar with us  
13 as James is.

14 CHAIR KIRCHNER: Yeah, so again, just to  
15 reiterate Greg's comment, just introduce yourself when  
16 you first speak, so --

17 VICE CHAIR HALNON: Which I failed to do  
18 when I spoke.

19 CHAIR KIRCHNER: That was Vice Chairman  
20 Greg Halnon.

21 (Laughter.)

22 MR. MOORE: Chair Kirchner --

23 (Simultaneous speaking.)

24 CHAIR KIRCHNER: Thank you Greg, though,  
25 for the reminder. And I'm remiss, Members, any

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 opening comments or other -- our Executive Director  
2 Scott Moore has a comment. Go ahead, Scott.

3 MR. MOORE: Thank you, Chair Kirchner.  
4 So, one of the things that the Committee will have to  
5 decide is when they want the court reporter to stop  
6 recording, because you're going into deliberation.

7 CHAIR KIRCHNER: Okay, thank you. And  
8 with that, now we turn to Member Ballinger. Ron?

9 MEMBER BALLINGER: Thank you, Mr.  
10 Chairman. I guess, during the previous Subcommittee  
11 meeting we had a presentation related to the PWROG  
12 Topical Report. And at that Subcommittee meeting we  
13 decided that we would not invite the applicant or the  
14 staff to come and give any further presentation on the  
15 topic, but that we would produce what amounts to a  
16 draft letter on the topical report. And that's what  
17 I've done.

18 And I think I've incorporated comments or  
19 suggestions from Members that provided them. And so,  
20 what we have today is a draft letter which I would  
21 propose that we just read in and then go from there.  
22 I'm not sure what the best path forward is with  
23 respect to reading in, waiting for comments, line-by-  
24 line. I'm not sure what the best way is to go

25 CHAIR KIRCHNER: I think your proposal is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 good. When I -- Sandra is ready, let's go ahead and  
2 put the letter up, and I'll ask you to read the letter  
3 into the record. And then, with the advice of our  
4 Executive Director, we can make a decision on when we  
5 do not need further services of the court reporter --

6 (Simultaneous speaking.)

7 MEMBER BALLINGER: I might also add that  
8 we haven't actually decided to write a letter, we've  
9 asked the Committee's -- well, it's the Committee's  
10 choice. So, I guess it's after we read in, we see  
11 what happens.

12 Okay. Dear Chair Hanson, during the 719th  
13 meeting of the Advisory Committee on Reactor  
14 Safeguards October 2-through-4, 2024, we completed our  
15 review of Topical Report PWROG-18068-NP Revision One,  
16 Use of Direct Fracture Toughness for Evaluation of  
17 Reactor Pressure Vessel Integrity and the Associated  
18 Safety Evaluation, SE.

19 Our Fuels, Materials and Structure  
20 Subcommittee reviewed this matter on September 20,  
21 2024. During these meetings, we've had the benefit of  
22 discussions with the NRC -- with NRC staff and  
23 representatives from the Pressurized Water Reactor  
24 Owners Group -- whoops, PWROG. We also had the  
25 benefit of reference documents.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1           Inclusions and recommendations. The use  
2 of direct fracture toughness data proposed in PWROG-  
3 18068-NP represents a significant advancement in the  
4 methods for estimating reactor pressure vessel, RPV,  
5 embrittlement.

6           The methodology proposed -- Two, the  
7 methodology proposed in PWROG, I'll just abbreviate it  
8 from now on, provides for more consistency of  
9 prediction as well as reduced uncertainty, especially  
10 at subsequent license renewal fluences.

11           Three, the methodology proposed in PWROG  
12 will allow more accurate pressurized thermal shock,  
13 PTS, and pressure-temperature, P-T, limit curve  
14 determination. The SE should be issued.

15           Background. The fracture toughness of the  
16 RPV steel provides a key input to calculations that  
17 commercial licensees perform to demonstrate the  
18 integrity of the vessel during both normal operation  
19 and postulated accident conditions, e.g. PTS.

20           Currently the American Society of  
21 Mechanical Engineers K1C and K1R curves indexed to the  
22 reference temperature for nil-ductility transition,  
23 RTNDT, of the unirradiated material describe the  
24 toughness of the RPV materials and their variance with  
25 temperature. These curves were adopted in 1972 as a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 lower bound representation to a set of 173 toughness  
2 values derived from Charpy data. These data have been  
3 incorporated into the Regulatory Guide, RG 1.99  
4 Revision Two. RPV irradiation embrittlement  
5 prediction methodology -- a bunch in parenthesis.

6 The use of RTNDT to normalize temperature  
7 was designed to account for heat-to-heat differences  
8 in the ductile-brittle transition temperature thereby  
9 collapsing the fractured toughness data onto a single  
10 curve. However, this Charpy-based fracture toughness  
11 correlation approach is broadly conservative which  
12 propagates forward in the development of PTS limits,  
13 10 CFR 50.61, as well as the development of P-T limit  
14 curves, 10 CFR 50 Appendix G, for operation.

15 Since the development of the correlation  
16 in Reg Guide 1.99, database for RPV embrittlement has  
17 been greatly expanded with 1,878 data points added to  
18 the database. This data has been employed in the  
19 development of an updated embrittlement correlation  
20 codified in American Society for Testing and  
21 Materials, ASTM, E900-15, Standard Guide for  
22 Predicting Radiation-Induced Transition Temperature  
23 Shift in Reactor Vessel Materials.

24 Analysis of this more extensive data set  
25 has shown that the current approach, RTNDT plus

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 embrittlement shift prediction plus margin, is not the  
2 best fracture metric. Data analysis has shown that  
3 the actual margin for any given material is generally  
4 unknown and inconsistent but is substantial, and the  
5 RG 1.99 prediction contains considerable uncertainty.

6 The staff has proposed a path forward to  
7 update the PV embrittlement process in SECY-22-0019  
8 rulemaking plan for a revision of operation  
9 embrittlement and surveillance requirements for high-  
10 fluence plants in long term. Options two and three in  
11 SECY-22-0019 would allow the use of E900-15 to  
12 estimate the degree of PV embrittlement.

13 The Committee has endorsed the use of  
14 option two in an April 28, 2022 letter rulemaking plan  
15 for the revision of embrittlement and surveillance  
16 requirements for high-fluence nuclear power plants and  
17 long-term operation.

18 In addition to the above issues, the  
19 current PWR fleet license life of 40 years is now  
20 being exceeded, or will be exceeded, for most plants,  
21 with some units now approved for life extension to 80  
22 years.

23 It has been shown that the deviation in  
24 the predicted versus measured temperature shift, when  
25 applying the correlation in Reg Guide 1.99 become

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 significantly negative, implying reduced margin at  
2 fluences greater than approximately 3E times 10 to the  
3 19. Several current PWRs are predicted to exceed this  
4 value during SLR.

5 The methodology proposed in PWROG will  
6 provide a method to address the limitations described  
7 above. The methodology also makes use of the vastly  
8 increased RPV embrittlement database. Note I used the  
9 word vastly.

10 Discussion. PWROG proposes a methodology  
11 that justifies the use of direct fracture toughness  
12 data to evaluate RPV integrity as an alternative to  
13 the requirements of PTS and P-T limit curves.  
14 Specifically, the Topical Report presents a  
15 methodology to generate a ductile-brittle transition  
16 reference temperature, T<sub>0</sub>, adjust the data for  
17 differences between tested material and RPV component  
18 of interest master curve approach, account for at  
19 least result -- for test result uncertainty and  
20 material variability in the respective RPV component  
21 and to apply the data using the ASME Section XI Code.

22 The approach represents a departure from  
23 the approach used in the current methods required for  
24 the PTS rule and the development of the P-T limit  
25 curve. Current approaches make use of an -- of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 empirical embrittlement correlations, Reg Guide 1.99,  
2 that are based on Charpy data correlated with material  
3 toughness from the PWROG.

4 And then there's now a transition.  
5 Transitioning from the current -- this is from their  
6 report. Transition from the current unirradiated  
7 reference temperature for nil-ductility transition and  
8 the predicted embrittlement shift approach for RPV  
9 integrity evaluations, to a direct fracture toughness  
10 approach, is expected to benefit RPV operation for  
11 license renewal and subsequent license renewal by  
12 reducing uncertainties.

13 The available irradiated master curve data  
14 show, in many cases, that substantial conservatism  
15 exists due to uncertainties in the current approach.  
16 Thus, application of irradiated master curve data as  
17 an alternative to 10 CFR 50.61 and 10 CFR 50 Appendix  
18 G RPV evaluations is expected to show a margin -- to  
19 show margin in these analyses. Establishing a robust  
20 fracture toughness basis will ensure public health and  
21 safety by reducing uncertainty and enabling a  
22 statistical understanding of the actual irradiated RPV  
23 fracture toughness.

24 The approach taken in the proposed  
25 methodology uses NRC-approved methodologies in ASME

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309



1 Section XI Appendix G Subsection G-2010 RTT0 and the  
2 NRC-endorsed Code Case N-830-1. Direct use of  
3 fractured toughness for flaw evaluations of pressure  
4 bounded materials in class one ferritic steel  
5 components.

6 The methodology used is the industry  
7 consensus ASTM E1921 standard test method for  
8 determination of reference temperature, T<sub>0</sub>, for  
9 ferritic steels in the transition range and the ASTM  
10 E900-15 standard guide for predicting embrittlement,  
11 and ensures uncertainties are properly addressed and  
12 appropriately bounding.

13 The proposed approach in PWROG represents  
14 a significant improvement in estimation of the extent  
15 of embrittlement since it makes use of actual  
16 toughness data as opposed to empirical correlations,  
17 and thus will allow for both a reduction in, and  
18 better characterization of, uncertainties.

19 Benefits will likely include improved PTS  
20 evaluations for license renewal, power uprates and  
21 other operational changes, and extend the  
22 applicability or improve the operating margin for  
23 heat-up/cool-down P-T limit curves in 10 CFR 50  
24 Appendix G.

25 Summary. Use of direct fracture toughness

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 proposed in PWROG-18068-NP represents a significant  
2 advancement in the method for estimating PV  
3 embrittlement. Methodology proposed in PWROG provides  
4 for more consistency in prediction as well as reduced  
5 uncertainty, especially at SLR fluences. The  
6 methodology proposed in PWROG will allow more accurate  
7 PTS and P-T limit curve determination.

8 The SE should be issued. We are not  
9 requesting a formal response from the staff to this  
10 letter. Sincerely, Walt Kirchner.

11 I might add that the staff has not asked  
12 for a letter. In their presentation, they explicitly  
13 said that --

14 CHAIR KIRCHNER: So, for anyone listening,  
15 we had this letter evolved from a Subcommittee meeting  
16 held on September 20. One can go to that and see the  
17 presentations that were made, and also there's a  
18 transcript at that meeting which had a majority of the  
19 Committee in attendance. We decided that we would  
20 write a letter and -- so, thank you for the letter,  
21 Ron.

22 And at this point, high level comments  
23 from any of the Members?

24 MEMBER BIER: With comments. First of all,  
25 Ron, that was very clear. I understand it better than

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 I did before, so that's good.

2 MEMBER BALLINGER: Thank you for the input  
3 from the other Members, by the way. They're the ones  
4 that made it clearer --

5 (Simultaneous speaking.)

6 CHAIR KIRCHNER: By clearer --

7 MEMBER BALLINGER: Other Members made it  
8 -- were the ones that made it clearer.

9 (Simultaneous speaking.)

10 MEMBER BIER: Oh, okay. Anyway, I thought  
11 it was a good letter. And I'm somewhat leaning to,  
12 that yes, we should go ahead and write the letter just  
13 because of the importance of the issue and, again, to  
14 kind of, you know, make it clear to the public that  
15 yes, we think this is okay. But I don't feel strongly  
16 about that.

17 CHAIR KIRCHNER: Any other comments? Go  
18 ahead, Tom.

19 MEMBER ROBERTS: When we come off the  
20 transcript now? When should we come off the  
21 transcript, just now or should we have a high level  
22 comment?

23 CHAIR KIRCHNER: Why don't we have our  
24 discussion, and then we will go off the transcript  
25 when we actually do line-by-line.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1                   MEMBER ROBERTS:   Okay, high level.   I  
2                   agree with what Vicki just said, I think this is a  
3                   very well-written letter and it, you know, clarified  
4                   the issues for me.  Where it leaves me, the first time  
5                   I read the letter and then hearing it read now, I'm  
6                   still a little bit confused as to what we're  
7                   communicating beyond what we communicated in 2022.

8                   In 2022 we communicated that we agree with  
9                   option two of the rulemaking, which essentially uses  
10                  the fracture toughness methods at more of a high  
11                  level, you know, go use that method instead of the  
12                  existing Reg Guide.  And then this is the, I think,  
13                  the next step in saying okay, this is how you would do  
14                  it.

15                  And so, if that's really what we're  
16                  saying, maybe there's some, you know, clean-up in the  
17                  language a little bit to kind of connect those dots a  
18                  little better.  But if this is basically us saying  
19                  that, yeah, we've now convinced ourselves that there  
20                  is a method and the details are now filled in, so it's  
21                  even more support for option two of the rulemaking,  
22                  that might be a good way to paint this.  I mean,  
23                  because -- make sure, if I understood that.

24                  MEMBER BALLINGER:  A couple of comments on  
25                  that.  That white paper that was -- the SECY that was

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 sent to the Commission, which we reviewed, has not  
2 been acted on by the Commission. And Reg Guide 1.99,  
3 which would be basically revised as a result of that  
4 SECY, has not been done, and we would see that. And  
5 so, that's why that stuff is in there.

6 The importance, for me, is the use of  
7 direct fracture toughness data, which is a departure,  
8 a significant departure and a welcomed one, at least  
9 in my personal opinion. And, it being the first time  
10 it's being used in a formal sense, we're going to see  
11 the words fracture toughness going forward with ALS  
12 and everything else continually from now on. So I  
13 think that that's, you know.

14 And also, there are a few plants -- I  
15 still have not been able to find that table. Gosh.  
16 Anyway, there was a table that was produced by one of  
17 the staff members, I think it was Mark Kirk, who  
18 identified which plants would likely be an issue at  
19 SLR. And this helps them out a lot. Not the least of  
20 which is probably Palisades.

21 VICE CHAIR HALNON: I have a comment too,  
22 Walt. This is Greg. Kind of building what Ron -- I  
23 was thinking the same thing. We're sort of building  
24 a mosaic of high fluence operations in SLR, and this  
25 is a piece of that mosaic that I think that it would

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 be important to have on the record as a letter so  
2 that, as we walk through this, we can say here's the  
3 five, four, whatever amount of reports that we've made  
4 on high fluence operations, and this is a piece of  
5 that. So I think it's a good thing to document, to  
6 make sure it's clear, and to go forward with building  
7 that picture that we're building in the future.

8 MEMBER BALLINGER: And I say this with a  
9 bit -- a bit tongue-in-cheek, the white paper that  
10 went to the Commission identified this issue as, of  
11 high priority, and that was two-and-a-half years ago.  
12 So I wonder what happens if something is not  
13 identified as high priority. And so this letter would  
14 probably reinforce the importance of getting this  
15 done.

16 VICE CHAIR HALNON: Do you --

17 MEMBER BALLINGER: I mean, I'll bet you --

18 VICE CHAIR HALNON: Should we say that in  
19 the letter?

20 MEMBER BALLINGER: Probably shouldn't.

21 (Laughter.)

22 MEMBER BALLINGER: I probably shouldn't.  
23 But, you know, what we'll -- the tripwire for applying  
24 this will be the first plant that exceeds the  
25 screening criteria at SLR. And that's -- those guys,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 for those Members that don't know what that is, the  
2 welds and plates, there have to -- the licensees have  
3 to do a projection to end-of-life on whether they will  
4 exceed the transition temperature limits, which is 300  
5 degrees for plate and I think 270 for welds, I don't  
6 know for sure. And if that happens, they have to back  
7 adjust their plant so that they don't exceed those  
8 criteria at the end-of-life.

9 So I'm guessing that we'll have a few  
10 plants that will exceed that -- will exceed the  
11 screening criteria. Although they won't -- they  
12 technically haven't yet.

13 And there's also the issue of the Reg  
14 Guide 1.99, that white paper, where applicants have  
15 been adjusting their removal of capsules to do  
16 toughness measurements because, when the plant was  
17 built, they had X capsules in place with a 40-year  
18 licensed life and now they're out to 60 or 80 years,  
19 and so they're having to do gymnastics, if you will,  
20 to get capsules that allow them to do the prediction  
21 to the end-of-life, so.

22 That's not part of this but it's part of  
23 that white paper, and that's why pushing this a little  
24 bit would be helpful, I think.

25 PARTICIPANT: So, adding to what Ron said,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 direct fracture toughness is not what the subject of  
2 the '22 SECY was?

3 MEMBER BALLINGER: No.

4 PARTICIPANT: Okay, so E900, the ASTM  
5 standard, that has nothing to do with direct fracture  
6 toughness? Okay, thank you.

7 (Simultaneous speaking.)

8 MEMBER BALLINGER: That's -- I tried -- I  
9 took your comment and I tried to change the words a  
10 little bit, hopefully I've done a little bit better  
11 job at addressing what you said.

12 PARTICIPANT: Okay, thanks. So it's --  
13 basically it's putting quite a bit more meat on the  
14 bones of the '22 SECY approach.

15 MEMBER BALLINGER: Yeah.

16 PARTICIPANT: That seems to make sense.

17 CHAIR KIRCHNER: Okay, further comment?

18 Then I believe at this juncture we can  
19 release the court reporter -- or, hold on one minute  
20 --

21 MR. MOORE: So Chairman, you may want to  
22 -- we're in a full Committee meeting, you may want to  
23 take public comments before --

24 (Simultaneous speaking.)

25 CHAIR KIRCHNER: Okay, thank you for the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309



1 reminder. Yes, okay. So if we have any participants  
2 from the public who wish to make a comment, please  
3 raise your hands so we can see you.

4 Not seeing any hands raised right now on  
5 our screens. If anyone would like to make a comment,  
6 just unmute your mic, identify yourself, affiliation  
7 as appropriate, and state your comment.

8 Hearing none. So now, at this juncture we  
9 can release the court reporter. Thank you for your  
10 service this morning.

11 (Whereupon, the above-entitled matter went  
12 off the record at 8:57 a.m.)

13

14

15

16

17

18

19

20

21

22

23

24

25

C E R T I F I C A T E

This is to certify that the foregoing transcript

In the matter of: Advisory Committee on Reactor  
Safeguards

Before: NRC

Date: 10-02-24

Place: teleconference

was duly recorded and accurately transcribed under  
my direction; further, that said transcript is a  
true and accurate complete record of the  
proceedings.



-----  
Court Reporter

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1716 14TH ST., N.W., STE. 200

WASHINGTON, D.C. 20009-7831