

UNITED STATES

NUCLEAR REGULATORY COMMISSION

+ + + + +

STRATEGIC PROGRAMMATIC OVERVIEW OF THE OPERATING  
REACTORS AND NEW REACTORS BUSINESS LINES

+ + + + +

THURSDAY,

NOVEMBER 14, 2024

+ + + + +

The Commission met in the Commissioners' Hearing Room,  
at 9:00 a.m., Christopher T. Hanson, Chair, presiding.

COMMISSION MEMBERS:

CHRISTOPHER T. HANSON, Chair

DAVID A. WRIGHT, Commissioner

ANNIE CAPUTO, Commissioner

BRADLEY R. CROWELL, Commissioner

ALSO PRESENT:

CARRIE SAFFORD, Secretary of the Commission

BROOKE CLARK, General Counsel

NRC STAFF:

MIRELA GAVRILAS, Executive Director for Operations

CHRISTIAN ARAGUAS, Director, Division of

Engineering, Office of Nuclear Regulatory Research (NRR)

JEREMY BOWEN, Director, Division of Advanced

Reactors and Non-power Production and Utilization

Facilities, NRR

GREG BOWMAN, Deputy Office Director for New

Reactors, NRR

MIKE FRANOVICH, Acting Deputy Office Director for

Reactor Programs, NRR

LAUREN GIBSON, Chief of the License Renewal Project

Branch, Division of New and Renewed Licenses, NRR

MEENA KHANNA, Acting Director, Division of Risk

Assessment, NRR

JAMIE PELTON, Deputy Director, Division of Operating Reactor Licensing,

NRR

MICHELLE ROME, Branch Chief, Environmental Technical Review Branch 1,

Division of Rulemaking,

Environmental, and Financial Support, Office of

Nuclear Material Safety and Safeguards (NMSS)

## PROCEEDINGS

1 9:00 a.m.

2 CHAIR HANSON: Good morning, everyone. I convene the  
3 Commission's public meeting on the NRC's Strategic Programmatic Overview  
4 of the Operating and New Reactor Business Lines. The Commission is meeting  
5 today to get an update from the staff on a range of important activities and the  
6 reactor business line supporting our safety and security mission, including  
7 strategic priorities, recent accomplishments, expected challenges, and  
8 implementation of the ADVANCE Act into our activities.

9 We have two staff panels today. We'll begin first with the  
10 Operating Reactor Business Line followed by the New Reactor Business Line.  
11 But before we start, I'll ask if my colleagues have any remarks they'd like to  
12 make.

13 Commissioner Wright?

14 COMMISSIONER WRIGHT: No, I'm good. Thank you.

15 CHAIR HANSON: Okay. Glad to have Commissioner Wright  
16 joining us remotely this morning. So, with that, we'll get rolling and we'll begin  
17 with our Executive Director for Operations, Mirela Gavrilas.

18 MS. GAVRILAS: Thank you, and good morning, Chair. Good  
19 morning, Commissioners. We'll have a very busy morning today. The staff has  
20 a lot of material to cover, so I'll keep my remarks short.

21 I want to remind everybody that these business lines touch  
22 everybody's life in the agency. Not only does NRR have more than 500 staff on  
23 board, but there are 1,700 FTE allocated to these business lines. So the broad

1 range of topics that you will hear about today is exemplary of that amount of  
2 work that the agency conducts. Thank you and with that I'll pass it to Mike.

3 MR. FRANOVICH: Thank you, Mirela.

4 Good morning, Chair and Commissioners.

5 May I have the next slide, please. The NRC has dedicated  
6 itself to establishing robust infrastructure that accelerates our efforts within the  
7 Operating Reactor Programs. Upholding the principles of good regulation NRR,  
8 in partnership with our other offices, has developed tools, guidance, and best  
9 practices informed by data analytics to achieve mission excellence. Ensuring  
10 the safe and secure operation of the operating fleet remains at the core of our  
11 safety mission.

12 As we move forward we continually evaluate our priorities and  
13 organizational structure enabling us to adapt the high interest areas. A central  
14 focus remains on strengthening our team's capabilities through targeted hiring,  
15 professional development, and retention efforts.

16 The principles outlined in this slide highlight NRR's  
17 commitment, a commitment to delivering safety-focused reviews within  
18 established schedules and resource limits. Through advanced project  
19 management, tools, and data analytics we ensure transparency and enable  
20 assessments of ongoing licensing actions. By actively engaging stakeholders  
21 in public workshops we're building public confidence and gaining insights for  
22 process improvements. Concepts such as the Core Review Team and the  
23 Integrated Review Team provide predictable and timely outcomes.

24 The implementation of these principles enhances our

1 adaptability, supports effective workload management, empowers timely  
2 decision making. In both panels today you'll see these principles in action  
3 showcasing how they are applied to specific projects and initiatives.

4                   May I have the next slide, please? This graphic presents an  
5 extensive range of key accomplishments achieved by applying our mission-  
6 excellent principles. I will highlight a few items.

7                   First, we address numerous construction issues at Vogtle  
8 resulting in the issuance of the Part 52 construction lessons learned report and  
9 a successful transition of Unit 4 to commercial operation.

10                   Authorizing advanced risk management programs remains a  
11 top priority. Nearly 200 transitions to risk-informed programs have been  
12 approved to date providing operational flexibility for licensees including reduced  
13 personnel radiation exposure, safety-improving plant modifications, and timely  
14 maintenance while plants remain online. We've also refined the reactor  
15 oversight process by revising over 40 inspection procedures and inspection  
16 manual chapters. This includes introducing a new inspection procedure to  
17 support the Palisades restart effort.

18                   With over 170 power uprates approved we are drawing upon  
19 this extensive experience to optimize regulatory guidance for future  
20 submissions. We continue to host public workshops aimed at identifying  
21 additional efficiencies including through the power uprate project.

22                   Finally, we are improving management practices through data  
23 analytics using both historical and current performance data to align resources  
24 and schedules with the safety significance of each review. Technology and

1 dashboards at workload management meetings help to communicate review  
2 progress and manage project risks effectively.

3                   May I have the next slide, please? Together NRR and our  
4 partners use research capabilities to develop reliable regulations and guidance.  
5 I'll cover our highest priority activities each with significant stakeholder interest.

6

7                   Our mission is diligently working -- our agency rather is  
8 diligently working on the increased enrichment rulemaking for next generation  
9 fuels. This initiative includes a comprehensive reevaluation of accident safety  
10 analysis to support regulatory updates. We are integrated insights from  
11 operating experience as well as engineering analysis, risk assessments,  
12 advanced severe accident modeling capabilities such as using the MELCOR  
13 Code alongside radiological studies.

14                   Two key proposed regulatory changes include: first,  
15 redefining the large loss of coolant accident as a beyond-design-basis event;  
16 and second, implementing a graded approach to control room dose design  
17 criteria based on plant-specific risk.

18                   A significant milestone this year was issuance of the  
19 Phenomena Identification and Ranking Tables. This technical report marks a  
20 step forward in evaluating the importance and level of knowledge and  
21 associated uncertainties with fuel fragmentation, relocation and disbursal, and  
22 its potential consequences for high burnup fuel.

23                   In digital instrumentation and controls we've implemented the  
24 Commission's direction ahead of schedule for risk-informed alternatives. In

1 May we revised the staff guidance to expand policies on common-cause failure  
2 enabling risk-informed alternatives to establish suitable levels of defense-in-  
3 depth and diversity in digital systems.

4                   And lastly, our collaboration efforts across the business lines  
5 has sparked a new initiative, the Reactor Accident Analysis Modernization  
6 Project. Inspired by the Licensing Modernization Project used for advanced  
7 reactors, the RAAM Project builds upon this framework aligning with the NRC's  
8 Level 3 PRA insights.

9                   Through RAAM we are reevaluating reactor accident analysis  
10 methods to incorporate past lesson  
11 -- licensing experiences, risk insights, and existing plant safety margins. The  
12 plant -- or rather the project may lead to improving the design basis for facilities  
13 and eliminating unnecessary conservatisms.

14                   For instance, we're exploring modernizing the single active  
15 failure criteria and also evaluating crediting of non-safety systems which could  
16 streamline safety analysis particularly for core reload analyses and for new  
17 reactor reviews without compromising safety. These actions and upcoming  
18 steps are laying a strong foundation to support the deployment of new  
19 technologies.

20                   May I have the next slide, please? The ADVANCE Act has  
21 been a catalyst to improve connectivity and build on existing efforts to share  
22 best practices across the business lines. Our changed management activities  
23 are closely coordinated through the EDO's ADVANCE Act Core Team to ensure  
24 a disciplined and interconnected agency response. A myriad of ideas are

1 coming from within and outside the agency. I'll just touch on a few of them this  
2 morning.

3 For licensing efficiencies we're examining licensing  
4 commonalities across the business lines with specific increased focus on the  
5 pre-application engagements and the development of associated guidance to  
6 provide greater regulatory stability for applicants. Related to this work is  
7 improved project management capabilities, which is a focused area that Ms.  
8 Gibson will discuss further this morning.

9 Turning to oversight efficiencies, we're evaluating a potential  
10 new Baseline Inspection Program while ensuring sustained good performance.  
11 We initiated an assessment of the Cross-Cutting Issues Program using  
12 technology, improved planning, and feedback. We're also examining ways to  
13 be timelier with the resolution of low-importance issues, issues that are not  
14 captured by the Very Low Safety Significance Resolution process, or better  
15 known as the VLSSR process.

16 I'll now turn the presentation over to Ms. Pelton. Thank you.

17 MS. PELTON: Thank you, Mike. Good morning,  
18 Commission. My name is Jamie Pelton. I'm the Deputy Director of the Division  
19 of Operating Reactor Licensing in NRR.

20 Consistent with the ADVANCE Act and the NRC's strategic  
21 goals, NRR is implementing numerous process improvements, as I'll describe,  
22 with the Palisades Potential Restart Project, power uprates, and the use of data  
23 in licensing.

24 Next slide, please. The Palisades Nuclear Plant permanently



1 ceased operations in May of 2022 after more than 40 years of commercial  
2 operation and transitioned to a decommissioning licensing basis. In early 2023  
3 Holtec expressed interest in returning the plant to an operational status and  
4 provided a proposed regulatory path to reauthorize power operations. Between  
5 September of last year and this May Holtec submitted six licensing applications  
6 to support the potential restart of Palisades.

7                   To prepare for this first-of-a-kind nature project last November  
8 we convened the Palisades Restart Panel to proactively identify and promptly  
9 resolve any licensing, inspection, or regulatory challenges that concern the  
10 Palisades restart, leveraging best practices from the past, for example, with the  
11 Watts Bar 2 Reaction Group and the Vogtle Readiness Group.

12                   This panel aligns all of our partners across the agency  
13 including NRR, Region III, NMSS, NSIR, OGC, OPA, and OCA. The NRC staff  
14 established a risk-informed framework for the licensing and oversight of the  
15 Palisades Potential Restart Project, which we're confident can be applied to  
16 future potential restart applications.           We have made substantial  
17 progress within the Palisades Potential Restart Project overcoming regulatory  
18 and technical challenges.

19                   I would first like to specifically commend the staff for  
20 demonstrating flexibility in thinking about the approach to this project. We're  
21 quite used to what it takes to transition a plant from operations to  
22 decommissioning, but thinking about it in reverse took a lot of open-mindedness  
23 and collaboration across organizations. So kudos and thank you to the entire  
24 team.

1                   This slide contains our main accomplishments since the  
2 Holtec announcement. To inspire stakeholder confidence the NRC has  
3 coordinated over 12 public meetings, proactively expanded the use of on-site  
4 public meetings and site visits to maximize our local stakeholder engagement  
5 and transparency.

6                   Earlier this year, as Mike mentioned, the NRC issued an  
7 inspection manual chapter establishing a risk-informed inspection guideline for  
8 this and future applications. Currently the NRC staff are actively conducting the  
9 safety reviews of the six licensing actions mentioned earlier to support the  
10 potential restart of Palisades and return the licensing basis to that which existed  
11 during operations as well as completing an environmental assessment. The  
12 NRC is continuing inspection and oversight activities at Palisades and will  
13 ensure that any activities undertaken in this effort are done safely and in  
14 accordance with the regulations.

15                   Transparency and communications is a priority for the  
16 Palisades Restart Panel. For example, in September NRC staff issued a  
17 preliminary notification regarding steam generator inspections that identified the  
18 potential number of tubes required to be plugged would exceed the program  
19 guidelines. In coordination with the Palisades Restart Panel the licensee  
20 performed a root cause analysis and is proposing mitigating actions and a  
21 repair methodology which would be documented in a future license amendment  
22 prior to restart. From day one of the licensee's steam generator inspections  
23 Region II had experienced NRC in-service inspectors on site. By the end of this  
24 year the newly-named resident and senior resident inspectors will also be on

1 site.

2                   Recently Constellation Energy announced its intention to  
3 launch the Crane Clean Energy Center intending to rename it from former  
4 Three Mile Island Unit 1 in 2028, if approved. Staff will utilize the lessons  
5 learned from Palisades as the benchmark for this application increasing  
6 licensing predictability in our review.

7                   Next slide, please. Power uprates, or increasing the power  
8 output of an existing reactor, can assist in meeting rising energy demands.  
9 Power uprates can range from 20 percent of originally-licensed thermal power  
10 and can be accomplished through more precise measurements or  
11 instrumentation, higher enriched fuel, or major plant modifications.

12                   Over the past 20 years the NRC has approved 173 power  
13 uprates that have given the nation's electricity grid an additional six gigawatts.  
14 Over 70 percent of sites surveyed recently by NEI indicated that they're  
15 planning for one or more power uprates with a combined capacity of greater  
16 than three gigawatts. The NRC is ready to review these power rate -- power  
17 uprate applications.

18                   Since our last meeting in November of last year the staff has  
19 made substantial progress to prioritize and coordinate with industry in a graded  
20 approach to licensing reviews. Just two months ago, in September, we issued  
21 a public memorandum providing preliminary licensing recommendations derived  
22 from industry feedback received at two public meetings.

23                   Initial recommendations are focused on strategic bundling of  
24 licensing actions, leveraging approved topical reports, and using a tiered

1 approach to reviews. A February 2024 topical report regarding data validation  
2 and reconciliation methods provide increase accuracy of the power estimates  
3 which would allow many licensees to obtain a power uprate without additional  
4 plant equipment; for example, updated flow meters. In addition, we're looking  
5 at our administrative processes such as delegations of signature authority for  
6 power uprates to further streamline the review.

7                   Staff will continue to employ the Core Team concept to  
8 provide predictability and increased capacity for power uprate reviews and will  
9 codify these techniques in guidance going forward. Leveraging historical data  
10 and lessons learned within the Structured Project and Communication Plan the  
11 Core Team is developing and communicating enhancements to prioritize  
12 resources based on safety significance. Although there are currently no  
13 applications in house, the NRC staff continues to engage with licensees in  
14 preparation for potential applications.

15                   The staff developed a regulatory issue summary requesting  
16 licensee information on any power uprate-related submittals. The NRC  
17 maintains a public web page and internal power uprate dashboard that provides  
18 centralized means to highlight power uprate activities across the agency.

19                   Next slide, please. The use of data-driven licensing increases  
20 transparency and the ability to budget resources for future licensing actions.  
21 Both real time and historical data analysis are available with the Operating  
22 Reactor Licensing Dashboard, Reactor Program System, or RPS, and the  
23 Request for Additional Information app to ensure transparency in real time  
24 evaluation during the processing of associated licensing actions.                   For

1 example, staff can quickly locate and utilize historical data and forecasting  
2 information to budget resources for specific projects. We continue to hold  
3 ourselves accountable through the use of agency-wide performance reporting,  
4 indicators, and metrics.

5 In fiscal year 2024, the NRC internal metric for licensing was  
6 shifted from a generic one-year schedule metric to a new metric focusing on  
7 schedule accuracy. This metric has the estimated completed schedule  
8 between 75 and 115 percent of that which is estimated.

9 This slide illustrates our historical project lane from FY '23 to  
10 present with the largest sector representing a 12-month schedule and the  
11 others representing some deviation. Notice, since the metric implementation in  
12 FY '24 the percentage of projects utilizing a 12-month schedule decreased by  
13 19 percent to only 33 percent correlating to 61 percent of projects completed in  
14 less than 12 months.

15 Further, we use historical data through the Effort and  
16 Schedule Estimator tool, or the EASE tool, and collaboration between our  
17 project managers and technical staff to help ensure that the schedules  
18 proposed are accurate. On a routine basis we conduct workload management  
19 meetings to discuss performance on specific licensing actions. These meetings  
20 rely on the use of real-time RPS data dashboards which enable to proactively  
21 address challenges and assure accountability of staff and management.

22 Staff utilize a modernized dashboard like the Accident  
23 Tolerant Fuel Internal Dashboard using real-time data from RPS.

24 NRR, in conjunction with our partner offices, has invested in

1 both infrastructures to support data-driven licensing as well as staff with the  
2 knowledge and skill set to use the data for maximal impact.

3 Now I'll turn it over to Lauren Gibson.

4 MS. GIBSON: Next slide, please. Thank you, Jamie. Good  
5 morning. I am Lauren Gibson. I am the Branch Chief for the License Renewal  
6 Projects Branch in NRR. I'm excited to discuss the changes we are making to  
7 license renewal and the early returns and efforts that are already underway.

8 Next slide, please. Recently we issued the Comanche Peak  
9 initial license renewal. This is one of two renewals that we've issued recently.  
10 It came in almost 6,000 hours under budget. Note that the budget had been  
11 established in 2022 before the efficiency efforts were started in earnest,  
12 therefore this is a good gauge of the earlier returns on the changes that we  
13 have made.

14 Some of these efforts were able to be applied to Comanche  
15 as they were developed, but the most significant change, the graded approach  
16 to the review, was not yet available. Notably, we had only one ACRS meeting  
17 instead of two and the environmental review streamlined the reasonable power  
18 replacement alternative evaluation and used requests for confirmation of  
19 information.

20 Our interactions with the licensee were also very positive. We  
21 had extensive pre-application activities. In turn, the application was very high  
22 quality. Vistra was also very responsive to our audit needs and requests for  
23 information. We maintained strong communications throughout the review, and  
24 it shows.

1                   Next slide, please. More broadly, the staff is implementing  
2 the SRM to achieve more streamlined initial and subsequent license renewals  
3 that require no more than 14,000 hours and 18 months to review. We are  
4 providing monthly status reports describing how well we are progressing with  
5 the reviews of subsequent license renewal applications and how we are  
6 applying efficiency strategies to the reviews that are already in-house.

7                   We are continuing to find and pursue creative ways to  
8 achieve the goals while maintaining the mission of public health and safety.  
9 This meets the intent of the ADVANCE Act.

10                   The most safety-significant efficiency is the tiered approach.  
11 We are currently implementing it for the two most recently received reviews. It  
12 is going well as the staff is applying a risk-informed graded approach to adjust  
13 the depth of our reviews.                   You can see on this slide what the  
14 differences in reviews are and how we decide which aging management  
15 programs goes into which tier. The factors include: the risk significance of the  
16 related structures, systems, and components; how much oversight is later  
17 performed; and whether it was evaluated in a previous review including whether  
18 or not it's a fleet-wide program. This is currently in place for Clinton and  
19 Dresden and we are further refining the approach to challenge ourselves to key  
20 in on the aspects of the review that are the most safety-significant.

21                   Next slide, please. We are also streamlining on the project  
22 management side. Collaborating with OCIO and EMBARK we are easing our  
23 administrative burden with a new workload management tool designed to  
24 organize, structure, and disseminate information contained in the application

1 package to the project managers and the technical reviewers.

2                   Here are screenshots of the new system. You can see a  
3 dashboard interface, the ability to upload files, and views for the technical  
4 reviewers. This year-plus effort has been rolled out and is in use for Dresden.  
5 We are not stopping there, however.

6                   Using the Agile Project Management Structure OCIO is  
7 adding additional capabilities such as the ability for the reviewers to submit  
8 audit questions and safety evaluation input through the system for the system  
9 to automatically compile them into a document for concurrence. We are also  
10 investing in further training for our project managers so that we can use state-  
11 of-the-industry methods to identify pinch points, track progress, and  
12 communicate effectively. Our partners on the environmental side are also  
13 creating efficiencies which Michelle Rome will be discussing in the next panel.

14                   Both the Environmental and the Safety teams have ongoing  
15 external engagement through periodic public meetings with NEI. At these  
16 meetings we hear the industry's needs, perspectives, and get valuable  
17 feedback on the practical implications of the license renewal road map. We  
18 also communicate what we need from applicants to have a streamlined and  
19 efficient review.

20                   In conclusion, we are further pressing towards efficiencies  
21 while ensuring safety with implementing the tiered approach, adding more  
22 capabilities to our workload management tool, participating in the business  
23 process improvement review, and continuing productive dialogue with both NEI  
24 and the individual applicants. We are getting more streamlined and will



1 continue to do so.

2                   Next slide. The NRC is not just focused on project  
3 management of license renewals. One of our EDO's Strategic Direction  
4 Initiative is to address project management across the agency. To do this we  
5 are seeing how we can adapt the PM principles which are focused on creating  
6 a product to a regulatory setting in which our value is ensuring adequate  
7 protection of public health and safety.

8                   Our PMs are already regulatory and licensing experts. Let's  
9 make them even better by bringing in best practices from the broader project  
10 management discipline to troubleshoot our current process and improve how  
11 we manage our work. This includes enterprise-wide prioritization and  
12 anticipating where bottlenecks are for quality issues or trouble spots may occur  
13 and supporting efficient resolutions before an issue impedes a schedule. Even  
14 though this Strategic Direction Initiative has started, efforts are already  
15 underway.

16                   We have two courses scheduled based on the Project  
17 Management Institute standards for November and February. These are  
18 geared toward NRR and NMSS and will cover the basic principles as well as  
19 leadership and communication. Furthermore, throughout the agency  
20 dashboards and workload management systems are being updated and  
21 reexamined.

22                   This is an example of an ideal single-point dashboard. We  
23 want these tools to be scalable from the project level to the business line and  
24 above It is important to note however that project management is not a person.

1 It is a mindset, an approach that permeates the organization. The Strategic  
2 Direction Initiative seeks to make those best practices part of our culture.

3 Thank you. Now I will transition to Meena.

4 MS. KHANNA: Thank you, Lauren. Good morning, Chair  
5 Hanson, Commissioners. I am Meena Khanna and I'm the Acting Director of  
6 the Division of Risk Assessment.

7 The Operating Reactor Business Line continue to expand the  
8 use of risk-informed decision making. We are successfully accomplishing this  
9 by using various processes, tools, and resources available to support efficient  
10 and timely decisions while continuing to assure safety.

11 Next slide, please. With regard to the increased enrichment  
12 rulemaking that Mike spoke of we are revising one of the regulatory guidance  
13 documents, and that is Regulatory Guide 1183, Revision 2, associated with  
14 alternative radiological source terms for evaluating design-basis accidents. For  
15 this effort the staff has leveraged a graded risk-informed performance-based  
16 approach to propose a revised control room design criteria -- excuse me, dose  
17 criteria framework to support increased enrichment fuel.

18 The Office Nuclear Regulatory Research has been a strong  
19 partner to NRR in supporting this effort. A few key examples of Research's  
20 support to NRR include identifying an approach on how staff can credit  
21 suppression pool scrubbing, developing natural deposition models for  
22 containment spray, as well as developing an in-house tool that will allow the  
23 staff to assess reactor core inventories at increased enrichments. We continue  
24 to be responsive to the current environment and have demonstrated our ability

1 to expend resources commensurate with the risk and safety significance of the  
2 issues.

3                   As one example, the staff authorized the use of Code Case  
4 N-752 for several plants in determining the risk-informed categorization and  
5 implementing alternative treatment for repair and replacement activities on  
6 certain piping components. In conducting these reviews the staff demonstrated  
7 a breakthrough in applying in-house capabilities to conduct real-time  
8 independent what-if scenarios and to conduct our own confirmatory and  
9 independent risk analyses using standardized plant analysis risk models to  
10 influence the outcome of our review.

11                   In speaking to the connectivity between the Operating  
12 Reactor and New Reactor Business Lines I would like to take this opportunity to  
13 address how we've expanded the use of risk-informed decision making for the  
14 review of the NuScale Standard Design Approval Application.

15                   We used risk insights provided by NuScale to identify review  
16 hours as well as schedules for the staff's review of the application which was  
17 commensurate with the risk and safety significance of the issues. We continue  
18 to use risk-informed decision making to address complex issues associated  
19 with this review. Also, Research has developed a NuScale internal events  
20 SPAR model that staff is extensively leveraging to perform sensitivity studies  
21 and verify risk insights provided by the applicant for the NuScale SDAA review.

22                   This is the first new reactor application where an in-house model is available to  
23 support the staff's evaluations.

24                   Next slide, please. We continue to demonstrate leveraging

1 efficiencies and the use of risk in our reviews via the Risk-Informed Process for  
2 Evaluations, or RIPE. RIPE has proven to be a very effective process ensuring  
3 that our resources are commensurate with the risk significance of the issues  
4 being evaluated in the licensing submittals.

5                   In July NRR approved two applications using RIPE. One was  
6 for an exemption for Shearon Harris where the staff completed its review with  
7 less than 80 hours of review time and within the 13-week schedule for an  
8 exemption submitted under RIPE.

9                   The other was for a license amendment for Palo Verde where  
10 the staff issued its SE one week ahead of the scheduled 21 weeks per RIPE  
11 and with less than 100 hours of staff review time for a license amendment  
12 request. We expect another RIPE submittal for the staff's review in the first  
13 quarter of 2025.

14                   We are in the early stages of developing qualitative criteria in  
15 addition to the quantitative criteria already in place that could be leveraged for  
16 RIPE. We would expand the universe of issues that could be applicable to the  
17 process and we look forward to engaging with industry on this approach via a  
18 public meeting that we are planning for in early 2025.

19                   Next slide, please. In our effort to expand the use of risk-  
20 informed decision making and the use of probabilistic risk assessment the  
21 agency has developed and approved several advanced risk-informed initiatives  
22 that provide for additional flexibilities to our licensees while also ensuring that  
23 they focus on the most safety-significant issues, thus enhancing our safety  
24 focus.

1                   These initiatives are the Surveillance Frequency Control  
2 Program, 10 CFR 50.69, and the risk-informed completion times, just to name a  
3 few.

4                   To the staff's credit we quickly recognized that our oversight  
5 framework did not specifically address PRA configuration control to ensure that  
6 the licensees' decisions reflect the current as-built, as-operated plant and that  
7 models continue to be updated per the approved and endorsed standards. The  
8 agency conducted several external engagements to ensure that the proposed  
9 approach was balanced, performance-based, and focused staff and licensee  
10 resources on issues of greater safety significance.

11                   Through our efforts NRR, with regional support, successfully  
12 identified, developed, and implemented a balanced performance-based  
13 approach with the oversight of PRA configuration control. By leveraging the  
14 PRA configuration control operating -- I'm sorry -- the PRA configuration control  
15 operating experience Smart Sample.

16                   The Smart Sample is a great approach that focuses our  
17 resources on licensees that adopted several of the more impactful risk-informed  
18 initiatives such as risk-informed completion times and 50.69.

19                   Further, we committed to conduct an assessment of the  
20 Smart Samples at the end of each performance year to check and adjust our  
21 OpE Smart Sample based on the experience obtained from each use, ensuring  
22 a performance-based approach. All these insight will inform the staff's  
23 oversight framework in this area which we expect to complete in 2027.

24                   Next slide, please. In becoming riskSMARTer we continue to

1 leverage all initiatives related to risk-informed decision making internal and  
2 external to the agency. We are reinvigorating Be riskSMART as a framework  
3 that facilitates the effective management and use of risk for various agency  
4 processes. Within the Operating and New Business Lines we continue to  
5 develop tools to encourage the use of the five key principles of risk-informed  
6 decision making for complex issues as well as to communicate how we have  
7 used risk in our decision making.

8           We are also continuing to expand the use of risk-informed  
9 licensing processes such as LIC-206, which is the used for the integrated  
10 review teams; RIPE; and LIC-504, which is an integrated risk-informed decision  
11 making process for emergent issues.           NRR recognizes the  
12 importance of positive change management activities to assure that new and  
13 existing staff are provided with the guidance, tools, and resources needed to  
14 enhance their use of risk-informed decision making.

15           A few examples of NRR's positive change management  
16 activities include NRR recently held four RIDM 2.0 workshops for our staff in  
17 September. These workshops highlighted the staff's accomplishments in  
18 leveraging risk and encouraged the staff's use of risk. Also, NRR will be  
19 hosting a public risk workshop with industry in early calendar year 2025 to  
20 provide for a KMKT session for new and existing staff on the 10 CFR 50.69  
21 reviews as well as the associated oversight activities.

22           Further, we are exploring additional opportunities to ensure  
23 resources are focused on the most risk and safety-significant issues to meet the  
24 provisions of the ADVANCE Act.

1                   We continue to benchmark with the international community  
2 as well as with our external stakeholders through public meetings and other  
3 forums. A few representative examples of these efforts include, we've  
4 conducted a bilateral with UK ONR where we shared NRC's perspectives,  
5 insights, and initiatives on how we leverage risk in our work. We also  
6 conducted a bilateral with CSN, the Spanish regulator, where we shared our  
7 PRA configuration control approaches. And lastly, we do participate in the  
8 PWR Owners' Group/BWR Owners' Group Risk Management Committee semi-  
9 annual meetings which allow for a venue to exchange information on risk-  
10 informed initiatives between the NRC and industry.

11                   I will now go to Mirela for closing remarks. Next slide, please.

12                   MS. GAVRILAS: Thanks, Meena. We presented sample of  
13 examples that improved the application of risk that focused on transparency  
14 and the utilization of resources and focused on efficiency and timeliness. And  
15 with this we welcome your questions.

16                   CHAIR HANSON: Okay. Thank you. We're going to begin  
17 questions this morning with Commission Crowell.

18                   COMMISSIONER CROWELL: Thank you, Mr. Chair. And  
19 thank you to all of our panelists today. You packed a lot into your presentations  
20 and I'm going to try to pick out a few things here to follow up on. And if I ask  
21 you a question that's more applicable to one of the other panelists, please -- or  
22 if it's too hot to handle, you can give it to Mirela.

23                   (Laughter.)

24                   COMMISSIONER CROWELL: Mike, I'll start with you. You

1 peaked my interest when you were talking about the new initiative RAAM. Can  
2 you just quickly tell me a little bit more about how that's going to work and how  
3 it's going to improve things and then if it's going to be best applied in a potential  
4 Part 53 context versus 50/52, or if it's agnostic on those in that regard?

5 MR. FRANOVICH: Thank you for your question. I'll start with  
6 the reverse, the latter part.

7 The project is right now run by three senior-level advisors  
8 between two offices and it focuses largely on Chapter 15 safety analysis where  
9 we've had challenging issues in -- primarily in the new reactor area where the  
10 risk profiles are very low and you're looking at traditional accident scenarios that  
11 are rather prescriptive in the Standard Review Plan. And yet alternatives are  
12 being proposed.

13 So this group, its charter is to look at advanced reactors, new  
14 reactors, and operating reactors. So the goal is how can these techniques -- if  
15 we go barrel down into the area of single active failure criteria, how can they be  
16 applied in all three domains? If it works. I mean, there's other work going on in  
17 Part 53 as well. But they are interconnected and there is communication going  
18 on with the advanced reactor folks as well. So it's all part of the senior-level  
19 advisory -- I call it a network because they're agency-level assets or resources.  
20 So that's its larger goal focused on Chapter 15 analysis.

21 And when you look at the issues such as crediting of non-  
22 safety systems, that's a huge push for new reactor vendors and advanced  
23 reactor vendors. They're particularly interested in it for economic reasons. If  
24 they can demonstrate a certain level of reliability and say, you know, some of



1 these prescriptive type of events that you look at for Chapter 15 that are maybe  
2 more frequent but there's lots of levels of defense to protect -- do you need to  
3 have all that safety-related or can I show you through a compelling case that a  
4 combination of non-safety-related equipment -- if it's maintained properly  
5 through augmented quality, that might be sufficient.

6                   So it's an exploratory work right now because it's at an  
7 embryonic stage. It's been socialized with the three -- I call them three tracks --  
8 advanced, the new reactor community, and operating fleet. And we got some  
9 valuable feedback from different stakeholders. For example, the operating  
10 reactor fleet says, hey, there may be more benefits to the single active failure  
11 criterion treatment that you're not realizing, so we would like to see more work  
12 in that area from a prioritization.

13                   The new reactor community looks at it and says, yes, we  
14 could use this guidance but let me suggest some ways of expediting that; for  
15 example, use of interim staff guidance documents to get that out on the street  
16 so they have something to say, okay, there's some regulatory picture and  
17 footprint in this area.

18                   That's a little bit of a long answer, but it --

19                   COMMISSIONER CROWELL: I appreciate it. And I knew it  
20 would be a long answer and I was interested in hearing it. It sounds like it's  
21 focused in the right direction, so I'll be interested to see how it plays out going  
22 forward. So thanks, Mike.

23                   Jamie, turning to you, so for these restarts you mentioned  
24 Palisades will help inform other similar efforts that have been announced or

1 may come along. But each restart is unique in its own right, you know, the  
2 condition of the plant and its operating lifetime and then how long it had been  
3 not operating or how far into decommission it went. So I'm kind of curious, how  
4 much is one restart or recommissioning effort going to really inform the others if  
5 there's a big discrepancy in the state of the plant or the experience of the  
6 operator?

7 MS. PELTON: That's a great question. Thank you. So what  
8 I can say for Palisades was fundamentally it -- we've laid the framework for the  
9 exemption process for an exemption from 50.82. And the basic amendments  
10 that are typical for plants that go from in-operation to a decommissioning status.  
11 With that said, you're exactly right. Each plant may have chosen a slightly  
12 different path or had different licensing actions or different paths to  
13 decommissioning that we need to evaluate as each potential restart comes in.

14 In terms of plant condition, resources will be different from  
15 regional inspections: how the regions respond, what activities need to be done,  
16 and what needs to be overseen focusing on the most risk and safety-significant  
17 areas. And as such, as we engage with Holtec, Constellation, and any potential  
18 future applicant we'll evaluate those scenarios and adjust accordingly.

19 COMMISSIONER CROWELL: Are you concerned about any  
20 discrepancies and how one region versus another may have performed their  
21 work to date or is -- looking at the current prospects for restart is there a  
22 consistency issue we need to worry about across regions and how we're  
23 looking at restarts?

24 MS. PELTON: So one of the things that we've done -- I

1 mentioned the Palisades Restart Panel. And the inspection manual chapter  
2 that we've established for transitioning plants from decommissioning to restart  
3 lays out a framework for establishing a panel between headquarters with  
4 representation from the Division of Operating Reactor Licensing, the Division of  
5 Reactor Oversight, and the particular region to help ensure that consistency.

6                   So those panels -- we have not yet established the Crane  
7 Clean Energy Center Panel, but we're in close communication with Region I.  
8 We're in close communication with Region III. And we are all working together  
9 to make sure that we are consistent.

10                   COMMISSIONER CROWELL: And for an instance like  
11 Palisades where they're looking at restart and I think also license renewal in the  
12 near term -- maybe I'm confusing plants, but they're also looking at potentially  
13 co-locating advanced reactors on the same site. How does that either  
14 complicate or lengthen the review or approval process? What impact does that  
15 prospect of new build advanced reactors on the same site as a restart?

16                   MS. PELTON: Right. So I'll speak to the Palisades example.  
17 Holtec is engaged with DRNL for the potential placement of small modular  
18 reactors on the site. So there are environmental considerations that are  
19 considered for the restart project. NMSS/REFS looks at the current action and  
20 what's potentially foreseeable. So that will be factored in to the environmental  
21 assessment that's being done. But from a safety review they're independent  
22 reviews. So we're conducting the safety review of the potential restart  
23 independently. I believe Holtec had stated March of 2026 they would come in  
24 for subsequent license renewal and they would follow each of those licensing

1 processes separately.

2 COMMISSIONER CROWELL: At our most recent meeting  
3 with ACRS when we talked about license renewal and subsequent license  
4 renewal we kind of came up with what I thought was an apt analogy of it's kind  
5 of like going to the doctor as you get older. But each person that goes to the  
6 doctor is going to have a different result from their checkup depending on how  
7 well they're taking care of themselves, their genetics that are not within their  
8 control, and things like that.

9 So is that an applicable analogy for license renewal and how  
10 do we manage expectations with the regulated community in terms of  
11 expectations for license renewal when it could be very different depending on  
12 the state of their individual health when they come for license renewal?

13 MS. PELTON: If I could defer Lauren.

14 MS. GIBSON: Are you referring to just the plants that are  
15 restarting or overall?

16 COMMISSIONER CROWELL: Overall.

17 MS. GIBSON: Overall?

18 COMMISSIONER CROWELL: Actually put aside the plants  
19 that are restarting and just talk about ones that are operating and looking for  
20 license extensions. I mean, they've all had a different experience leading up to  
21 license renewal so there are similarities, but there's differences. And I'm just  
22 wondering how we're incorporating those differences.

23 MS. GIBSON: Yes, that is part of our normal review. We look  
24 a lot at the operating experience, not just from the plant, but also what's been

1 happening at the plant to determine if the generic aging lessons learned  
2 programs are still appropriate for the plant. And we make adjustments as  
3 necessary for that.

4 And there are also additional AMPs that we require going  
5 from 60 to 80 years that we didn't require for 40 to 60. Consistent with going to  
6 the doctor when you're older, you may need additional things as well.

7 COMMISSIONER CROWELL: And are there any issues  
8 related to consistency across regions as we look at this -- as we look at license  
9 renewal for plants in all four of our regions?

10 MS. GIBSON: I'm not aware of any major inconsistencies.  
11 We do have a group that meets, all of the four regions together with  
12 headquarters, in order to discuss current inspections that are ongoing and  
13 disposition of any concerns that arise.

14 COMMISSIONER CROWELL: Great. I'm out of time, but I  
15 appreciate everyone's input. Thank you.

16 CHAIR HANSON: Thank you, Commissioner Crowell. Good  
17 morning, everybody. Thanks for being here. Thanks for your presentations. I  
18 think there's a lot of really positive forward momentum and just want to thank  
19 the staff for all your efforts in this area.

20 Jamie, if I could start with you, I want to pick up on --  
21 Commissioner Crowell was talking about RAAM, this Reactor Analysis  
22 Assessment Modernization. What's the relationship of that going to be to power  
23 uprates?

24 MS. PELTON: I think I'm going to defer to Mike.

1 MR. FRANOVICH: The short answer is I'm not sure the  
2 scope of the team looked at that aspect quite yet about power uprates. I mean,  
3 on power uprates you'd have to make the cases as an applicant that your  
4 envelopes for performance and safety margins and defense-in-depth -- those all  
5 have to be preserved.

6 Is there a nexus between the target areas that they're looking  
7 at that could provide relief? I would say -- and I should clarify when I say  
8 there's a nexus. There are mentions in the report about, for example, the  
9 increased enrichment rulemaking effort, but what the group said is that is an  
10 ongoing effort. And rather than this smaller group focus on that, which would  
11 add more resources -- those resources are already being applied.

12 So for example, if we're looking at the treatment of large  
13 break LOCA -- that was one of the topical areas they looked at and they said  
14 the motion -- the wheels are in process of looking at that already in the reg  
15 basis for the rulemaking as well as the rulemaking guidance and the Regulatory  
16 Guides that are being written. Therefore, they did not recommend that we  
17 apply effort in that area.

18 So they did do a systematic look at the things that are being  
19 actively worked on, but that one in particular they said, look, there's already an  
20 infrastructure in place to look at it and proposals that are being developed and  
21 therefore we don't think we need to go spend the resources on that.

22 And so they were using a very resourced and focused effort  
23 to say are we duplicating? Is this helpful or not? What areas are not being  
24 focused on as much? Maybe the single-failure-to-act criteria could be an areas

1 where -- with the level of effort not being as significant and duplicative. So it's  
2 baked into what they looked at, but they didn't go and say we're going to do a  
3 de novo review of that area.

4 CHAIR HANSON: Okay. This is kind of the first time I've  
5 been learning about this. I'm really keenly interested in that. And if you think  
6 about -- again, this is at a very, very high level for me, but if you're thinking  
7 about increased enrichment, higher burnup, the idea of bundling that with  
8 power uprate applications, right, that's part of the LAR bundling that we've been  
9 talking about, right, because the analysis is so similar.

10 Well, what is that analysis? Obviously it's a lot of the  
11 defense-in-depth and other kinds of safety systems that come into play, but it's  
12 also that reactor analysis itself. And so if we're modernizing that, how do these  
13 things ultimately -- I would hope at least from my reasonably high level that at  
14 some point they'll kind of come together. And just maybe we can continue to  
15 hear more about that going forward.

16 MR. FRANOVICH: There's connectivity. It's actually  
17 interesting. It's the same community of people working on it, which is a real  
18 advantage. The other thing I want to just clarify in power uprates, not all  
19 applicants that we've had pre-application discussions with will be depending on  
20 high burnup or increased enrichment.

21 CHAIR HANSON: Well, I understand.

22 MR. FRANOVICH: There are some that said, hey look, I don't  
23 need that for my facility and what I intend to do.

24 CHAIR HANSON: Okay. I want to tee off that. I'm going to

1 try to come back to Jamie. I noticed for the reactors that want to pursue both  
2 the increased enrichment and increased burnup that potentially there's some  
3 efficiencies to achieve by bundling those with your extended power uprate  
4 applications. But what about the folks who are -- maybe there's a mismatch in  
5 terms of the timing or availability of higher enriched fuel to be able to put into  
6 the reactor?

7                   If they want to do an extended power uprate now, they're  
8 going to do that reactor systems analysis now, can that analysis then be  
9 leveraged down the road, I mean, as part of the efficiency effort. We're talking  
10 about bundling, right, so there's some overlap in the amount of analysis, but if  
11 the timing doesn't work for some applicants, do they have to kind of start over if  
12 they come for enriched burnup -- increased enrichment or can they leverage  
13 what had probably reasonably recently already been done?

14                   MS. PELTON: So in general we're extremely focused on  
15 where we can be as efficient as possible in these reviews. Key to that is ample  
16 preapplication engagement. So we understand exactly what each applicant,  
17 what each utility is looking for in a power uprate. So were an applicant or a  
18 utility to request something like that, that upfront engagement would be very  
19 important to ensure that we were all on the same page so we could have the  
20 most efficient review possible.

21                   CHAIR HANSON: I see. Okay.

22                   MS. GAVRILAS: I'm going to help out a little bit in this area, if  
23 I may. So there are certain aspects that are unique to each type of fuel, let  
24 alone to fuel that has different enrichment.



1 CHAIR HANSON: Right.

2 MS. GAVRILAS: But the staff is able to isolate those aspects  
3 and only do the analysis that need to be done given the changing conditions.

4 CHAIR HANSON: Okay. Thanks. Lauren, if I could turn to  
5 you, if I remember some of the information that's come to the Commission,  
6 Dresden and Clinton are the most recent SLR applications we've gotten.

7 MS. GIBSON: Yes.

8 CHAIR HANSON: And obviously the Commission directed  
9 staff to target 14,000 hours, right? Fourteen is the ceiling, not the floor.

10 MS. GIBSON: Yes.

11 CHAIR HANSON: And so what is the schedule then for  
12 Clinton and Dresden?

13 MS. GIBSON: Clinton --

14 CHAIR HANSON: The resource estimate. Excuse me. Are  
15 they meeting --

16 MS. GIBSON: Dresden is 14,000 hours.

17 CHAIR HANSON: Yes.

18 MS. GIBSON: I believe Clinton is, too, but I would have to go  
19 back.

20 CHAIR HANSON: Okay. All right. Yes.

21 MS. GIBSON: Yes, as soon as that SRM came out, we made  
22 it work so that could be --

23 CHAIR HANSON: Okay. All right. Good. Without sacrificing  
24 safety obviously.

1 MS. GIBSON: Obviously.

2 CHAIR HANSON: And then what are we doing -- we have a  
3 number of these things in process at various stages of review. Can you talk a  
4 little bit about how the Commission's direction is being applied to the things --  
5 you referenced it obliquely, but could you get into a couple of details about how  
6 the Commission's direction is being applied to the things that are maybe six  
7 months or a year or something into the SLR review?

8 MS. GIBSON: Yes, we are looking at schedules. And when  
9 we're able to tighten them up, we are tightening them up. We are using the  
10 project management processes that we've developed on those ones. For  
11 example, combining all the audit reports. Some of those administrative burdens  
12 that we've identified we're able to apply across the board as they go.

13 CHAIR HANSON: Okay. Yes, we encourage staff to  
14 continue to do that.

15 MS. GIBSON: Yes.

16 CHAIR HANSON: And, Mirela, you're going to reference a  
17 slide that I'm actually going to turn to next, I think, maybe on slide 15, that's  
18 important. I don't know if you want to jump in here.

19 MS. GAVRILAS: So I just wanted to say that I'm excited  
20 about what appears on slide 15 because it actually has factors that are rather  
21 specific that will be considered in determining what kind of approach, and then  
22 it also specifies what approach is going to be taken for things that are  
23 considered high, medium, and low significance. So I'm looking forward to  
24 seeing what's going to happen, but that's being piloted now. That's being

1 applied now. So we don't have information.

2 CHAIR HANSON: So I think it's great that we were talking  
3 about high, medium, and low safety significance in this, but can I just run  
4 something by you? I mean, just because something is of high safety  
5 significance doesn't mean that we don't have a lot of experience or a lot of  
6 knowledge in house or whatever, right? I mean, at some point the relationship  
7 between safety significance and review focus or review resources is not linear,  
8 right? Because we have a tremendous amount of experience, we have a lot of  
9 knowledge, we have a lot of data. Is that fair?

10 MS. GAVRILAS: Absolutely.

11 CHAIR HANSON: Okay.

12 MS. GAVRILAS: And we believe that the staff's approach  
13 actually credits the maturity of programs in actually determining the level of  
14 review and what's going to be reviewed.

15 CHAIR HANSON: Yes, I would certainly expect it to.

16 MS. GAVRILAS: Yes.

17 CHAIR HANSON: Right.

18 MS. GIBSON: And so risk significance is one of many factors  
19 that is considered.

20 CHAIR HANSON: Okay. Very good. Man, I got a whole  
21 minute left.

22 Okay. So, Jamie, on slide 12 -- so I think it's great that the  
23 staff has kind of moved away from this blanket 12-month standard thing for  
24 approvals, right, and actually said, no, we're going to look at this thing and

1 we're going to come up with something that we think is realistic.

2                   The next question, which I don't think is on this slide, then is,  
3 okay, I set six months for this; I set nine months for that; how close did I come?  
4 What's the actual cost in schedule performance, right, getting into those project  
5 management principles we were talking about. I think Meena talked about  
6 those a little bit, right?

7                   So how are we -- it's not in this slide, I don't think. So how are  
8 we doing?

9                   MS. PELTON: So we've met the metric for FY '24. So the  
10 metric is again between 75 and 115 percent of the schedule accuracy, and over  
11 80 percent of your actions were within that range. So we met the metric and we  
12 were actually 92 or 93 percent accurate with our schedules.

13                  CHAIR HANSON: Okay. I think as data display that would  
14 have been here. I think that could have been a pretty great message.

15                  MS. PELTON: Thank you.

16                  CHAIR HANSON: All right. Thank you.

17                  All right. With that, I'll hand it over to Commissioner Wright.

18                  Commissioner Wright, you still out there?

19                  COMMISSIONER WRIGHT: I am still here.

20                  CHAIR HANSON: Fantastic.

21                  COMMISSIONER WRIGHT: Yes. Thank you for the  
22 presentations today. I know it takes a lot of work to put these meetings  
23 together. And it takes a lot of people to help back you up, so thank you to your  
24 teams for preparing you.

1 I want to pick up on the last thing, Chair, just to follow back  
2 up. That last slide that was shown, you're talking generally into percentages of  
3 actions. Are there numbers that back that up as far as like how many actions?  
4 You, now, 61 percent of 5 isn't a lot, but 61 percent of 100 is a whole other  
5 number, right? So do you have those numbers, too?

6 MS. PELTON: Yes, I don't have the exact number in front of  
7 me, but the number is on the order of hundreds versus single digits. So it was  
8 a substantial change.

9 COMMISSIONER WRIGHT: And that's what I was trying to  
10 understand, that part. And we may reach out for that.

11 Mike, I'm going to come to you right now. You spoke about  
12 operating reactors are leveraging data and identifying opportunities to improve  
13 the reviews. Can you tell me a little bit more about how the efforts are going?  
14 What kind of improvements are we seeing?

15 MR. FRANOVICH: Well, I'll give you more of a personal  
16 perspective. I would say when we use the data -- and we're talking about --  
17 make sure I have an understanding of your question -- the operating data in  
18 terms of the performance of the staff in terms of hours spent on the review of  
19 each project. What I see is not only do we have our periodic workload  
20 management meetings, but we have -- also individual project managers meet to  
21 monitor their projects. So we have instances where we have seen project  
22 managers say look, you know, the burn rate on this project is starting to be very  
23 high.

24 And we want to intervene because we do have checkpoints

1 that says if you're deviating by a certain forecast and going above a certain  
2 amount of hours, you need management approval to do that. We should not be  
3 proceeding down a track that says at the end we're way off of our estimate and  
4 we didn't -- we missed our opportunity to intervene.

5                   Some of that intervention may be, hey, wait a minute, there  
6 are challenges there with the applicant and we need to have a public meeting  
7 on this. Maybe our RAIs aren't clear, or they are clear, but there are challenges  
8 in ability for the applicant to actually respond for numerous reasons.  
9 Organizations have a number of reasons.

10                   So I see it being used in a live sense. it still requires a lot of  
11 diligence and oversight to make sure it's happening, not just at the individual  
12 PM level, but also through the management reviews and the monthly workload  
13 management forums that we use.

14                   COMMISSIONER WRIGHT: Okay.

15                   MR. FRANOVICH: I don't think that's --

16                   COMMISSIONER WRIGHT: Thank you.

17                   (Simultaneous speaking.)

18                   COMMISSIONER WRIGHT: Yes, I think, I mean, it could be  
19 anything. I think it's all of the above, the things that you're talking about. I  
20 mean, we're looking -- if we're leveraging data somewhere and we're identifying  
21 opportunities, that could be about anywhere. So I thank you for your answer.

22                   I'm going to switch to the Reactor Accident Analysis  
23 Modernization Project you spoke about a little bit. And it's a pretty -- I don't  
24 know that I heard it. If I did, I'm sorry. If you mentioned it and I missed it, I'm

1 sorry, but when will these improvements to the reactor analysis methods --  
2 when will they be in place? And I guess what is the proposed timeline for  
3 implementation?

4 MR. FRANOVICH: Great question. So, right now, we're at a  
5 decision-making point where the working group has briefed the NRR executive  
6 team. And we have to come to decision points of the four items they distill  
7 down. Which ones do we want to give higher priority and set the team in  
8 motion to develop an implementation plan?

9 There are some items that we think could be done in a shorter  
10 term, within a span -- within less than a year and others that may take longer.  
11 Because the thing we have to offset is where are those resources coming from  
12 that are currently dedicated, the experts, to doing active reviews? And so that's  
13 the part we haven't worked on yet. That's still to come.

14 COMMISSIONER WRIGHT: Okay. Do you have an idea of  
15 the timeline? Maybe can you give me a target?

16 MR. FRANOVICH: Well, I think if we look at the single active  
17 failure criteria -- and that's -- I mean, I don't want to overstate because I have to  
18 work with my colleagues -- I think that some draft form of guidance could be  
19 done within the next year.

20 COMMISSIONER WRIGHT: Okay. Thank you.

21 Jamie, thank you for your presentation. I know Palisades is a  
22 very interesting and a hot topic. We've gotten a lot of good feedback. And I've  
23 heard feedback from external stakeholders in this area as well. How is this  
24 project -- if at all, how is it I guess affected by the ADVANCE Act? And if it is,

1 how is the Core Team approaching it?

2 MS. PELTON: So, fundamentally, my view of the ADVANCE  
3 Act is ensuring that we conduct our activities as efficiently as possible with  
4 safety at the forefront, and with the communication that we've had across  
5 organizations, with Palisades, we all have that same focus.

6 So, for example, in the safety review, one of the things that  
7 we thought about early on is the plant was operating safely two years ago, and  
8 in a licensing basis, that was safe and demonstrated to be safe two years ago.  
9 So, we are focusing the review on those things that are different.

10 And so, if changes are proposed, if things have changed over  
11 the last two and a half years since the plant shut down, those are the areas  
12 where we are focusing our review. So, that's from the licensing perspective.

13 From an inspection perspective, the Region III team is  
14 focusing on those areas that are most risk significant, and those fundamentals  
15 are outlined in the manual chapter. So, all of those things put safety at the  
16 forefront with an eye towards efficiency in accordance with the ADVANCE Act.

17 COMMISSIONER WRIGHT: Right, okay. I got one general  
18 question here. Your metrics, you said you hit 92 percent, 95 percent,  
19 somewhere like that. Is that correct?

20 MS. PELTON: Yes, for schedule accuracy, yes.

21 COMMISSIONER WRIGHT: Okay.

22 MS. PELTON: For FY24, thank you.

23 COMMISSIONER WRIGHT: Right, so, and I think it's a good  
24 number, right? You all should be pleased and happy with that, but when you



1 get to like a 92, 95, 97, you know, percent hit, do you think that maybe it might  
2 be time to take a look at the metric? Are you measuring the right stuff? Is there  
3 something you can -- I mean, you know what I'm saying?

4 MS. PELTON: Yeah, so actually let me correct one thing I  
5 said. So, 80 percent of our actions fell within that window, and I don't want to  
6 get too much into the exact numbers because I don't have them right in front of  
7 me, but fundamentally, your point is that we need to set stretch goals, and that  
8 is one thing that our team in DORL, that we work with EMBARK and across the  
9 offices. We're continually evaluating our data and seeing where can we stretch  
10 ourselves?

11 So, what I'm so proud of the team for is in that change of  
12 metric, it has shown positive progress in just one year of implementation, so  
13 that shows that setting stretch goals works, and we're continually evaluating.  
14 And as part of the ADVANCE Act Section 505 team, we are looking at where  
15 can we stretch ourselves? So.

16 COMMISSIONER WRIGHT: Well, that's encouraging.

17 MS. GAVRILAS: If I may just chime in?

18 COMMISSIONER WRIGHT: Sure.

19 MS. GAVRILAS: Those generic milestones that we had, we  
20 inherited them from the time when we didn't have computers and we didn't have  
21 the ability to track not just resources, but milestone-related resources for  
22 absolutely every action.

23 So, now we have those and we plan on leveraging those to  
24 adjust generic milestones should that become necessary, and to also -- but

1 most to personalize the milestones according to each project that's in front of  
2 us.

3 So, rather than saying I'll need 12 months for this project, if  
4 we need eight months, just say eight months, and track resources and timelines  
5 towards the completion of that individual project. Thank you.

6 COMMISSIONER WRIGHT: Thank you, Mirela.

7 MR. FRANOVICH: If I may add, I think the strength of that  
8 system is -- you know, there's a tendency to overestimate. It happens in  
9 numerous areas, budgeting. It's the inherent nature of the engineers to be  
10 conservative, but that's not good if you're trying to optimize the performance of  
11 an organization.

12 You need to be -- you know, you don't want to be delayed, but  
13 if you're overestimating the amount of resources -- so this new system allows  
14 us to challenge that piece. So, you achieved it in half the time than you  
15 forecasted. That's great. On the other hand, your estimation wasn't very good,  
16 so you have to roll that back into the next project.

17 COMMISSIONER WRIGHT: Exactly. I mean, that's kind of  
18 the point, right? You want to keep, you always want to keep refreshing, right,  
19 when you can and where you can. I appreciate it. That's good information.  
20 And Chair, I'm out of time, so I'll pass it off.

21 CHAIR HANSON: Okay, thank you, Commissioner Wright.  
22 Commissioner Caputo?

23 COMMISSIONER CAPUTO: Good morning. Thank you all  
24 for your presentations. It's good to hear about a reinvigorated focus on

1 efficiency, particularly in the wake of the ADVANCE Act. I want to align myself  
2 with the Chairman's remarks about there seems to be a lot of forward  
3 momentum mentioned here and a focus on efficiency.

4 I'm glad to hear about the Reactor Accident Analysis  
5 Modernization project. It's gotten a fair amount of attention this morning. I  
6 hope it's building on the lessons of SOARCA in moving that area forward.

7 As an agency, we aspire to be a modern, risk-informed  
8 regulator, and this is reflected in our efficiency principle which states  
9 "Regulatory activities should be consistent with the degree of risk reduction  
10 achieved," so the staff has discussed several stellar examples of that this  
11 morning.

12 We also espouse data driven decision making, which the staff  
13 has also described repeatedly this morning, consistent with our reliability  
14 principle which states "Once established, regulations should be perceived to be  
15 reliable and not unjustifiably in a state of transition."

16 Probabilistic risk assessment or PRA is a valuable tool to  
17 inform our regulatory activities. As noted in the Commission's PRA policy  
18 statement, it should be used in regulatory matters, where practical, to reduce  
19 unnecessary conservatisms and to support the proposal of additional regulatory  
20 requirements in accordance with the backfit rule.

21 Unfortunately, we have situations where the staff is elevating  
22 PRA beyond its use as a tool to the level of a regulatory requirement, creating a  
23 compliance regime in and of itself. Part 52 requires that a PRA must be  
24 upgraded every four years regardless of whether any new standards are issued

1 during that time.

2                   This goes well beyond the PRA configuration control that Ms.  
3 Khanna mentioned and creates work for both the NRC and the licensee PRA  
4 experts without a clearly defined safety benefit. In fact, a review of the Part 52  
5 rulemaking preamble shows an indication of a view of PRA as an end to itself  
6 rather than a tool to reduce unnecessary conservatisms.

7                   The preamble highlights the thinking at the time that the  
8 agency expected everyone to continually upgrade PRA codes and standards to  
9 improve their quality and comprehensiveness, but without any mention of safety  
10 benefit.

11                   The Part 50-52 alignment proposal pending before the  
12 Commission includes an expansion of this requirement into Part 50, once  
13 again, ironically, without a clear analysis demonstrating the safety benefit of  
14 doing so and contrary to the backfit rule.

15                   This will likely impose significant regulatory burden since  
16 approvals and modifications can incur significant debate over the model itself,  
17 the assumptions made, the treatment of uncertainties, and what constitutes  
18 compliance. As an example, look no further than the significance determination  
19 process within the ROP itself.

20                   Adding this requirement to Part 50 becomes a backfit on  
21 existing licensees which has not been analyzed. With regard to new reactors,  
22 companies developing license applications under Part 50 would be confronted  
23 with a rule that is unjustifiably in a state of transition by adding requirements  
24 that lack a corresponding safety benefit.

1 PRA requirement can be a hurdle for some novel  
2 technologies that lack an operating history substantial enough to support a  
3 PRA. The ACRS is on record noting that an alternative evaluation of risk  
4 insights proposed in a Part 53 rulemaking should be expanded to Parts 50 and  
5 52. In the case of microreactors, the ADVANCE Act instructs the agency to do  
6 just that.

7 More isn't always better. Sometimes it's just more. PRA is a  
8 valuable tool, but any effort to expand it beyond that should be based on a  
9 data-driven decision demonstrating substantial safety benefits that are cost  
10 justified in accordance with the backfit rule. Otherwise, the agency undermines  
11 its efficiency and regulatory reliability, contrary to congressional direction in the  
12 ADVANCE Act.

13 I believe it is time for the staff to take a hard look at what  
14 constitutes an appropriate role of PRA in general. At a minimum, there should  
15 be a thorough backfit analysis of costs and benefits before expanding PRA  
16 requirements or endorsing new PRA standards. Mike, can you tell me whether  
17 or how the staff considers those costs and benefits?

18 MR. FRANOVICH: May I ask a little clarification because  
19 there's a little bit I have to unpack? In the context of the 50-52 rulemaking  
20 itself? Okay.

21 COMMISSIONER CAPUTO: In the context of PRA  
22 requirements as a compliance mechanism, as a compliance requirement.

23 MR. FRANOVICH: Yeah, in the current operating fleet, as  
24 you know, without the 50-52 rulemaking, unless you voluntarily sign up for

1 50.69, there really is no mandate for PRA specifically in the regulations. That's  
2 known.

3 COMMISSIONER CAPUTO: Yet.

4 MR. FRANOVICH: And yet we've shown that we can  
5 effectively implement a number of risk-informed regulations without having the  
6 PRA requirement.

7 COMMISSIONER CAPUTO: Yes.

8 MR. FRANOVICH: So, the maintenance rule is an excellent  
9 example.

10 COMMISSIONER CAPUTO: Yes.

11 MR. FRANOVICH: It does not say you have to have a PRA.  
12 In practice, they're there and they're used, and so --

13 COMMISSIONER CAPUTO: As a tool.

14 MR. FRANOVICH: -- we have shown -- yes, and a vital tool  
15 for the daily operation for maintenance taking equipment out of service. In  
16 terms of the licensing of new reactors, I can't tell you and I haven't studied the  
17 construct of the 50-52 rulemaking package that went up in terms of is that  
18 specifically analyzed as a deaggregated item in the rulemaking. That's  
19 something I personally would have to go back and look at.

20 In terms of the maintenance and periodicity of PRAs and  
21 things like that, I think we do have an opportunity here, through the current  
22 inspection activities going on that Meena mentioned, to say hey, look, if we've  
23 been prescriptive to say how often you need to maintain and update your PRA,  
24 or upgrade it --

1                   Because there's a standard there. If you upgrade, it triggers  
2 more review by industry peer review. Have we really gotten what we needed  
3 out of that? If things are stable and the practices are fine, then maybe we  
4 should feed that back into our process, but I would have to go back, to be  
5 honest with you, to go study that 50-52 rulemaking and understand --

6                   COMMISSIONER CAPUTO: Thank you. Thank you. So, the  
7 Chairman and Commissioner Wright both raised Jamie's slide 15 and the  
8 metrics. I really want to commend the effort to develop what I would consider a  
9 bonafide metric, and I appreciate and recognize the intent of pursuing stretch  
10 goals.

11                   I do want to just make a comment reflecting on Project AIM  
12 from almost ten years ago, that 85 percent of license amendment reviews  
13 require 300 hours or less. So, I would hope that that business process review  
14 forms an input to how to size goals appropriately, because I think that might  
15 drag some of those time frames down a little bit more toward efficiency.

16                   Lauren, a quick question for you. You talked a lot about the  
17 Commission's direction and how license renewal efficiencies are being pursued.  
18 Historically, the agency executed 12 license renewal reviews at a time.

19                   At this point, the agency has positioned itself to handle only  
20 six. Is that under reconsideration? Because we heard from former EDO Luis  
21 Reyes yesterday that the agency was anticipating and preparing for subsequent  
22 license renewals as far back as 2008.

23                   So, this is a wave of work that we have known about for a  
24 very long time and prepared for, for a very long time, and it seems to be quite a

1 question for me that, given the technology in place now compared to our  
2 knowledge, experience, and tools from 20 years ago, that we would have a  
3 hard time achieving a similar rate of review.

4 MS. GIBSON: We are addressing that issue. We are trying  
5 to come up with ways to be able to work on more reviews at the same time,  
6 especially since it does not appear that industry will be able to stagger their  
7 applications to the extent that would have been necessary to meet that. So, I  
8 don't have an answer for you today about exactly how, but I can tell you that  
9 that is on our mind and we're trying to tackle it.

10 COMMISSIONER CAPUTO: I think one of the things that I  
11 have a concern about is just the nature of the fact that this is a workload wave  
12 that we've known is coming. There is workload out there that we didn't  
13 necessarily foresee, like power updates, and plus increasing expectations on  
14 new reactor work.

15 So, to the extent that there is room to improve the nature of  
16 how we manage that workload that we know about, I think it behooves the  
17 agency to position itself as well as possible given the nature of the fact that our  
18 workload going forward may have a measure of unpredictability to it that we've  
19 not seen before.

20 MR. FRANOVICH: Commissioner, if I may add, I think the  
21 other thing we need to overlay is, so we're forecasting efficiencies. While  
22 workload anticipated is coming in, the offset is if we achieve these efficiencies,  
23 what does that picture look like?

24 COMMISSIONER CAPUTO: Exactly, thank you.



1 CHAIR HANSON: Thank you, Commissioner Caputo.

2 All right, we've reached the end of our first panel. Thanks to  
3 all of our presenters this morning. We're going to take a short break. Why  
4 don't we reconvene a little after 10:25, some place in there? And thanks,  
5 everybody, again.

6 (Whereupon, the above-entitled matter went off the record at  
7 10:17 a.m. and resumed at 10:30 a.m.)

8 CHAIR HANSON: Okay, we're back. We're going to have the  
9 second panel for the New Reactor Business Line. And with that, I'll hand it over  
10 to you, Mirela. Thank you.

11 MS. GAVRILAS: Good morning, and again, I'm going to ask  
12 all of the speakers to introduce themselves, and we're going to dive right in  
13 because we have a lot to discuss. Thank you.

14 MR. BOWMAN: Thank you, Mirela. My name is Greg  
15 Bowman. I'm a Deputy Office Director for New Reactors at NRR. Good  
16 morning, Chair Hanson and Commissioners. I'm very happy to be here this  
17 morning to talk about our performance in the New Reactor Business Line. Our  
18 speakers this morning will cover several important business line activities, focus  
19 areas, and accomplishments, with an emphasis on our progress towards  
20 addressing our strategic priorities. Next slide, please.

21 So, as you'll hear in our presentation, the new reactor  
22 business line has successfully completed a significant number of activities. Our  
23 success to date has been driven by proactive and deliberate foundation building  
24 to ensure we're ready to license new reactors.

1           To highlight some of the key accomplishments for the  
2 business line over the last several years, we continued to work with our federal  
3 partners, such as DOE and DHS, to complete ten MOUs focused on advanced  
4 reactor collaboration. We worked with our international counterparts and  
5 issued eight joint reports with Canada on small modular reactor technology.

6           The staff addressed more than 35 policy issues and  
7 developed more than 60 guidance documents to provide clarity for the industry  
8 with their applications. We engaged with more than 20 vendors in pre-  
9 application activities, and new policy issues identified through those  
10 engagements are being considered by the Commission or assessed by the  
11 staff.

          We held more than 140 public engagements each year on  
12 advanced reactor topics, including workshops. We reviewed more than 90  
13 topical reports and white papers, and those reviews were completed, on  
14 average, more than 30 percent faster than the generic schedule.

15           And we also issued the Kairos Hermes 1 and Abilene  
16 Christian University construction permits, and completed the associated safety  
17 reviews faster than the generic schedule and with fewer resources than  
18 estimated.

19           Now, none of those accomplishments would have been  
20 realized without outstanding collaboration between NRR, Research, NMSS,  
21 NSIR, OPA, OGC, and all our other partners. Continued collaboration will be  
22 critical for our future success.

23           For example, we're working with Research to complete  
24 advanced reactor reference plant models, enabling us to leverage enhanced

1 analytical tools and computer codes to conduct efficient, independent  
2 assessments for a variety of advanced reactors. We're also working closely  
3 with NSIR on new approaches being considered by applicants for physical  
4 security, cyber security, and emergency preparedness.

5           And finally, since the summer of 2023, through coordination  
6 with OPA, OCIO, and OEDO, we've established a communication strategy to  
7 advertise that the NRC is advanced reactor ready. We continue to use this  
8 strategy to highlight the work we've done and set the stage for a lot of  
9 opportunities for future accomplishments. Next slide, please.

10           So, similar to what you heard from Mike in the previous panel,  
11 on this slide, we've highlighted our top three priorities for the safe and secure  
12 execution and the new reactor business line. We're addressing those priorities  
13 by improving the use of data and risk insights to enhance our decision making  
14 by focusing on hiring, developing, and retaining our workforce, and by  
15 continuing to optimize our processes.

16           The new reactor business line was successful in 2024 and  
17 we're ready for the future. However, we're certainly not declaring victory. We  
18 understand we need to build on what we achieved and further incorporate  
19 efficiencies into how we work.

20           So, key focus areas for us going forward include using the  
21 lessons we've learned over the last year where we completed a number of first-  
22 of-a-kind reviews to improve our performance on future reviews, using the Be  
23 riskSMART framework to establish a graded approach for our reviews where  
24 we're focusing on key safety and risk significant areas, and plan project

1 management tools and data analytics in an innovative manner to obtain real-  
2 time information to support resource management and timely resolution of  
3 project challenges, transforming how we communicate with both internal and  
4 external stakeholders to ensure that all stakeholders are getting the information  
5 they need in a form that's useful to them, continuing to support pre-application  
6 engagements, which have been critical to both enabling high-quality  
7 applications and supporting early identification of new technical and regulatory  
8 issues so they can be addressed proactively, continuing with implementation of  
9 core and integrated review teams, and finally, adapting, assessing, and quickly  
10 adjusting to fact-of-life changes to we can allocate resources where needed.  
11 Next slide, please.

12                   So, as we all know, the ADVANCE Act that was passed  
13 earlier this year requires us to take a number of actions, including several  
14 associated with new reactor licensing, while maintaining our core mission of  
15 protecting public health and safety. The Act sends a strong message of  
16 bipartisan support for new and advanced reactor deployment in the U.S., and it  
17 acknowledges the important role of the NRC in that deployment to enable us to  
18 meet existing and future energy demands in this country.

19                   So, this slide shows some of the key provisions of the  
20 ADVANCE Act that are directly relevant to the new reactor business line. We're  
21 in the early stages of implementing many of the provisions of the Act, but we're  
22 already seeing tangible results.

23                   For example, the working group for Section 206 of the  
24 ADVANCE Act which deals with brownfield site licensing has identified potential

1 modifications to our regulatory approaches to streamline licensing reviews at  
2 those sites, including for environmental reviews.

3 We've initiated an engagement with DOE to establish an  
4 MOU associated with advanced nuclear fuels. The MOU will augment existing  
5 MOUs and streamline processes for interagency collaboration. A draft of the  
6 MOU is currently under DOE review.

7 And we've been working with OCFO to develop the necessary  
8 accounting structure to ensure timely and effective implementation of Section  
9 201 of the Act, which established reduced hourly rates for advanced reactor  
10 applicants and pre-applicants beginning in fiscal year 2026.

11 Of course, we're also continuing to see progress on activities  
12 that were underway before the ADVANCE Act, but that directly support its  
13 objectives. For example, we made progress on key rulemaking activities for  
14 advanced reactors, including Part 53, and rules on EP and physical security.  
15 We've made progress in developing a graded and risk-informed approach for  
16 advanced reactor construction oversight. We've developed and  
17 issued guidance for contents of applications for advanced reactors, and we've  
18 established challenging metrics and milestones to support timely reviews and  
19 better enable us to hold ourselves accountable for carrying out our mission  
20 efficiently.

21 Engagement with our external stakeholders, including  
22 industry and our federal partners, is also critical to successful implementation of  
23 the Act. We've already benefitted from extensive feedback related to advanced  
24 reactors, and we expect that to continue into the future.

1           So, while effective implementation of all of the new  
2 requirements in the ADVANCE Act will necessitate a lot of hard work and  
3 outside the box thinking, I'm confident that the investment we make today will  
4 ultimately enable the business line and the agency to significantly improve how  
5 we achieve our mission into the future. Now I'll turn the presentation over to  
6 Jeremy to provide additional information on activities related to advanced  
7 reactors.

8           MR. BOWEN: Thanks, Greg. Good morning, Chair Hanson  
9 and Commissioners. My name is Jeremy Bowen. I'm the Director of the  
10 Division of Advanced Reactors and Non-power Production and Utilization  
11 Facilities. We need a shorter name.

12           As Greg shared, the new and advanced reactor programs  
13 have had many notable successes over the past year thanks to the cooperative  
14 and innovative thinking across the agency. We recognize there are still  
15 challenges to address, but recent achievements further reinforce the agency's  
16 readiness and capability to license advance reactors in a timely and predictable  
17 manner. Next slide, please.

18           This slide highlights some of the key milestones of our  
19 regulatory framework development in the past year. First, the staff revised the  
20 draft Part 53 rule, consistent with Commission direction, and it was issued for  
21 public comment on October 31.

22           Since its inception, the rule has benefitted from stakeholder  
23 feedback, and the staff looks forward to this latest round of engagement and  
24 applying lessons learned from prior interactions to maximize the benefit and

1 deliver a draft final rule to the Commission.

2           The staff also published a proposed rule that would  
3 streamline reviews by codifying the new reactor generic environmental impact  
4 statement, and the NRC amended its regulations to include alternative  
5 emergency preparedness requirements for new technologies, acknowledging  
6 advancements inherent in new reactor designs.

7           The staff also issued multiple guidance documents to support  
8 applicants and provide further clarity on the regulatory process. Highlights  
9 include nine documents related to the advanced reactor content of application  
10 project, which builds on the licensing modernization project.

11           Guidance was also issued on site suitability to provide  
12 alternative approaches and modifications for advanced reactors, and multiple  
13 documents were developed discussing the inherent safety of microreactors and  
14 how the regulatory framework could support plant licensing and deployment  
15 models.

16           Finally, we continue our collaboration with the international  
17 community. We expanded our memorandum of cooperation with the Canadian  
18 Nuclear Safety Commission to include the United Kingdom's Office of Nuclear  
19 Regulation. A noteworthy success was the exchange of information on novel  
20 topics related to the BWRX-300 small modular reactor.

21           These interactions directly supported CNSC's evaluation of an  
22 application to construct at the Darlington site in Canada. Additional work  
23 products have been identified and interactions are already underway. Next  
24 slide, please.

1                   Moving from framework development to licensing, the NRC  
2 staff has completed several first-of-a-kin reviews this past year. These were all  
3 completed ahead of schedule and used fewer resources than anticipated  
4 without compromising our safety, security, or environmental assessments.

5                   We were able to achieve these accomplishments by applying  
6 enhanced licensing practices such as the use of core teams, extensive use of  
7 audits, streamlined documentation of staff findings, and the use of data to drive  
8 our decision making.

9                   With the issuance of the construction permit for the Kairos  
10 Hermes 1 test reactor in December 2023, we established a new benchmark for  
11 how much time and resources should be assumed for the review of an  
12 advanced reactor application.

13                   The staff's safety review was completed in 18 months, ahead  
14 of schedule and below the initial resource estimate. This was the first non-light  
15 water reactor approved for construction since 1973.

16                   Leveraging information and experience from the Hermes 1  
17 review, the NRC staff followed up by completing the safety evaluation for the  
18 Hermes 2 construction permit in just ten months. The Hermes reviews provided  
19 numerous learning opportunities, including various process improvements that  
20 the staff plans to leverage for subsequent or nth-of-a-kind reviews.

21                   Two months ago, the agency issued the construction permit  
22 for the Abilene Christian University Molten Salt Research Reactor. This review  
23 was completed in 21 months and was also below the initial resource estimate.  
24 ACU was noteworthy not only because it was the first research reactor



1 construction permit issued in over 40 years, but because there was a change in  
2 the design in the middle of the NRC's review.

3 This experience highlighted the staff's ability to leverage our  
4 enhanced processes and adapt quickly to new information. We continued to  
5 ensure safety with a minimal impact on the review schedule, and we were able  
6 to make our regulatory findings well ahead of the applicant's needed date.

7 Although not licensed by the NRC, the staff employed the  
8 concepts for advanced reactor reviews in its evaluation of the Navy's Columbia  
9 Class Submarine Propulsion Plant. The review demonstrated that the value of  
10 the core team approach and the staff's ability to assess technical information  
11 with a risk-informed and safety-focused mindset. The review was completed in  
12 ten months, ahead of schedule and under budget.

13 The final lesson I'd like to highlight from these experiences is  
14 the tremendous value of a quality application and productive interaction with the  
15 NRC. In each case, the staff was able to establish and execute a timely  
16 schedule because of robust pre-application engagement and very productive  
17 interaction by the applicants when outlining the bases for their safety, security,  
18 and environmental conclusions. Next slide, please.

19 The staff remains diligent in capturing effective licensing  
20 practices and making appropriate adjustments with each subsequent project.  
21 Building on the successes and experience I just discussed, the staff has the  
22 data and the motivation to continue establishing schedules and resource  
23 estimates that are more aggressive, but do not negatively impact the quality of  
24 our reviews.

1                   Two new reactor applications are currently under review. The  
2 US, pardon me, the NuScale US460 standard design approval was set for 24  
3 months, which is ahead of the 42-month generic milestone. This schedule was  
4 established by leveraging similarities to the previously approved US600 design  
5 and pre-application engagement by NuScale.

6                   Over half of the chapters for the staff's safety evaluation are  
7 complete and the rest are on track to be issued to support issuance on  
8 schedule. The staff is also working with the Advisory Committee on Reactor  
9 Safeguards to maximize efficiencies in the schedule. Similar coordination was  
10 instrumental in the success of the Hermes reviews.

11                   A 27-month review schedule was established for the  
12 Kemmerer Unit 1 construction permit and Terra Power's sodium reactor design.  
13 This schedule is ahead of the 36-month generic milestone, leverages  
14 execution from past reviews, and supports TerraPower's overall plans. The  
15 schedule was also enabled by pre-application engagement and the  
16 completeness and the quality of the application.

17                   Less than six months into the review, several chapters of the  
18 staff's safety evaluation are already drafted, and the core team continues to  
19 interact with the applicant to expeditiously identify, assess, and resolve  
20 questions about safety, security, and environmental impacts.

21                   To elaborate on the point about pre-application engagement,  
22 effective use of these interactions has been one of the most impactful factors in  
23 our reviews. Pre-application benefits include early understanding of new and  
24 novel technologies, reducing regulatory uncertainty, and identifying mitigation

1 strategies for items that may introduce potential delays in the licensing process.

2 More than 20 advanced reactor vendors are currently  
3 interacting with the NRC in some capacity. Early engagement will become  
4 even more critical to supporting further streamlined reviews and to achieving  
5 the desired predictability and stability to support the anticipated demand. Next  
6 slide, please.

7 This is an exciting time. Industry has increasingly indicated  
8 that rapid large-scale deployment of advanced reactors is likely. We recognize  
9 that the NRC will need to continue to evolve and expand our current  
10 capabilities.

11 To ensure success, we are focused on five key areas. The  
12 first is staff capacity. We're dedicated to retaining our exceptionally qualified  
13 staff. We're aggressively recruiting, hiring, and training additional talent,  
14 leveraging the flexibilities afforded by the ADVANCE Act, and we're establishing  
15 contract support in critical areas. Engagement with potential applicants helps  
16 us refine each of these needs and identify where we should place additional  
17 emphasis.

18 For example, we recently initiated an effort to help with  
19 knowledge management. Staff from across the agency who are new to  
20 advanced reactor projects are provided with opportunities to shadow other  
21 experienced staff so that they are prepared to take on larger roles in future  
22 projects.

23 Next, we must continue to establish the appropriate regulatory  
24 landscape. As previously mentioned, one area that is prime for modernization

1 is microreactors. We've been actively engaged with developers and end users  
2 for several years, and have made substantial progress towards providing further  
3 clarity in this area. The staff is currently finalizing a notation vote paper to  
4 provide the Commission with options for enhancements to the regulatory  
5 framework for microreactors.

6 We're also focused on effective implementation of our  
7 licensing processes. In addition to the activities outlined in my prior slides, we  
8 are leveraging cross-organizational groups to share best practices and lessons  
9 learned across all business lines and licensing organizations, and we are  
10 identifying practical methods to further streamline our reviews. Examples  
11 include our review of brownfield sites and the NEPA process, which Michelle  
12 Rome will expand on shortly.

13 Regarding communication, we routinely interact with  
14 stakeholders to maintain awareness of planned submittals, understand  
15 business models, and assess information needs. These interactions not only  
16 help with our budget process, but they allow us to identify potential challenges  
17 with planned licensing actions early enough to address them in a timely  
18 manner. We're also enhancing our external communication platforms to  
19 provide clear and accessible information to all of our stakeholders.

20 Finally, continual learning and refinement of all aspects of our  
21 work remains essential, and we welcome all opportunities to continue our  
22 evolution. This concludes my remarks and I'll now turn it over to Michelle.  
23 Thank you.

24 MS. ROME: Thanks, Jeremy. Good morning, Chair and

1 Commissioners. My name is Michelle Rome and I'm one of the Branch Chiefs  
2 in the Environmental Center of Expertise. In the past year, we have received  
3 an historic level of applications for new and operating reactors, and the case  
4 work is expected to increase.

5 Today, I plan to discuss the fundamental changes and  
6 efficiency tools we are implementing to tackle this volume of work while  
7 improving environmental review quality, cost, timeliness, and predictability, and  
8 meaningfully engaging with tribes and stakeholders. Next slide, please.

9 This past month, we celebrated the fifth anniversary of the  
10 Environmental Center of Expertise, and one year ago, we realigned into five  
11 fully integrated branches with matrix staffing. This new structure allows for  
12 efficient sharing of lessons learned across business lines and more agile  
13 staffing to support workload surges.

14 Another fundamental change is meeting time and page limits.  
15 This was required based on the 2023 NEPA amendments, and in May of 2024,  
16 staff submitted a notation vote paper which included six recommendations to  
17 further transform and streamline environmental reviews, such as allowing  
18 applicants to prepare draft environmental assessments and environmental  
19 impact statements.

20 One of the most significant changes that can fundamentally  
21 streamline environmental reviews is to prepare environmental assessments  
22 rather than environmental impact statements for actions without reasonably  
23 foreseeable significant impacts.

24 For example, at the Hermes test reactor site, staff issued an

1 exemption to prepare an environmental assessment for the Hermes 2  
2 application, and then relied upon and referenced analyses in the Hermes 1  
3 environmental impact statement. As a result, the environmental assessment  
4 was 60 percent shorter, used 40 percent less resources, and was prepared in  
5 nearly half the time.

6                   Based on the results of the Hermes 2 environmental  
7 assessment, staff are implementing a risk-informed decision making framework  
8 to efficiently and consistently determine the appropriate level of documentation  
9 for all reviews. This framework takes into account a technical analysis, risks,  
10 and whether an exemption or communication to the Commission would be  
11 warranted.

12                   We are also updating our resource goals and models. For  
13 license renewal, we've developed a 5,500-hour and 18-month model per  
14 review, which will meet and exceed historic resource goals. This model was  
15 based on Commission direction in combination with our efficiency tools and  
16 approaches. We are also actively planning how to further reduce these levels.  
17 Next slide, please.

18                   We've been able to conduct high-quality reviews using less  
19 resources by applying the right set of tools for which some are listed on this  
20 slide. For license renewal, for example, we were able to set the 5,500 model  
21 based on rulemakings, process improvements, and new staffing approaches.  
22 In terms of rulemakings, the publication of the final generic environmental  
23 impact statement allows staff to generically disposition 74 percent of the  
24 environmental issues.

1           For process improvements, we are applying novel  
2 approaches to scope and risk inform technical reviews. For example, under the  
3 Endangered Species Act, we are piloting a new approach where licensees can  
4 serve as non-federal representatives.

5           Under this process, the licensee develops required analyses  
6 and works directly with the National Marine Fisheries Service and the Fish and  
7 Wildlife Service to answer requests for information while saving NRC staff time  
8 for the most complex aspects of the consultation such as developing mitigation  
9 measures to protect endangered species. This approach is expected to reduce  
10 NRC staff hours by 50 to 80 percent, and can be applied to both new and  
11 operating reactors.

12           The last toolbox is for staffing approaches. Matrix staffing  
13 under our realignment means that staff who worked on the Hermes 2  
14 environmental assessment are now involved in streamlining license renewals in  
15 the Palisades restart environmental assessment.

16           In addition to increasing our capabilities, we are increasing  
17 our capacity through historic levels of hiring. Within the past two years, we've  
18 hired 20 people, an incredible growth of 35 percent, and once the most recent  
19 hires are onboarded, we will be at fully funded levels of staffing. Next slide,  
20 please.

21           Staff have applied a risk-informed approach to streamline  
22 consultations while strengthening tribal engagement and prioritizing aspects of  
23 the consultation that benefit tribes. We are optimizing internal procedures for  
24 consultations under the National Historic Preservation Act, and are continuing

1 meaningful outreach to tribes.

2 Over the past year, we've consulted with over 200 tribes, sent  
3 out over 480 letters, and led 27 tribal meetings. We are creating trust  
4 relationships by meeting with tribal elders, attending tribal conferences, and  
5 participating in tribal ceremonies, which builds off of the important efforts of the  
6 tribal relations team and our regional state liaison officers.

7 Our interactions have helped provide information in a more  
8 digestible manner and ensure that our environmental analyses address  
9 concerns most important to affected tribes. In addition, we've been able to  
10 facilitate site visits and ensure that licensees update procedures to protect  
11 important cultural resources and allow tribal monitors during ground disturbing  
12 activities.

13 Our documents are now more inclusive of tribal perspectives  
14 and help tell their histories and their stories. Taken together, these activities  
15 have resulted in stronger working relationships and earlier resolution of project  
16 concerns.

17 We are already seeing the return on investment as we consult  
18 with the same tribes on multiple projects. For example, on the Hermes 2 and  
19 Clinch River environmental assessments, staff built upon the relationship forged  
20 with tribes on the Hermes 1 review, and as a result, no concerns, challenges, or  
21 delays were raised during the tribal consultation. Next slide, please.

22 In accordance with the ADVANCE Act, staff have developed  
23 and are considering several ways in which technology can help both modernize  
24 our reviews and increase meaningful stakeholder engagement. Last week,



1 staff published an updated and expanded external website which for the first  
2 time provides a one-stop shop of integrated information on environmental  
3 reviews across all business lines.

4 This website also includes the external version of our  
5 environmental review blueprint which illustrates new and existing initiatives to  
6 strategically prepare and advance the environmental review program and  
7 include stakeholders in the process. Each year, we conduct 20 to 25 public  
8 meetings and receive approximately 3,000 comments which we respond to  
9 using aggregated technologies across multiple platforms.

10 To ensure we are reaching underrepresented audiences, we  
11 use a variety of outreach tools such as translating materials into multiple  
12 languages, setting up 1-800 numbers to encourage comments in any language,  
13 advertising public meetings at libraries, on local radio stations and in  
14 newspapers, meeting with community and religious leaders, talking to staff  
15 running support services, and emphasizing the importance of in-person  
16 conversations during outreach events.

17 Most recently, we have found that a balance of in-person and  
18 virtual meetings are allowing us to reach a broader audience, especially as  
19 advanced and new reactors continue to be proposed in more remote areas in  
20 the west and Alaska. I will now turn it over to Christian.

21 MR. ARAGUAS: Thank you, Michelle, and good morning,  
22 Chair and Commissioners. My name is Christian Araguas. I am the agency's  
23 new Standards Executive, as well as the Division Director for the Division of  
24 Engineering in our Office of Research. As you know, the Office of Research is

1 a partner office that provides valued support to all business lines in the agency.

2

3 Research staff have a wide range of technical expertise  
4 across a variety of technical disciplines to ensure the agency's readiness to  
5 tackle the most complex issues facing the operating fleet, as well as new and  
6 innovative nuclear technologies. However, the focus of my presentation is on  
7 the agency's codes and standards enhancement initiative. Next slide?

8 Consensus codes and standards are essential to the NRC  
9 licensing process, offering a framework that ensures regulatory stability and  
10 consistency across diverse regulatory actions. By adhering to consensus  
11 guidelines, licensees and applicants can be evaluated more effectively by the  
12 staff, especially if graded approaches are used that incorporate risk and  
13 performance-based insights.

14 Use of voluntary consensus codes and standards instead of  
15 government unique standards is required by the National Technology Transfer  
16 and Advancement Act of 1995. Use of consensus codes and standards is also  
17 aligned with the NRC's principles of good regulation, particularly in the area of  
18 enhanced openness, clarity, and reliability across our licensing decisions.

19 Application of NRC-endorsed consensus standards increase  
20 the potential for approval efficiency during first-of-a-kind licensing.  
21 Endorsement also supports the potential for large-scale, high-volume licensing  
22 by providing clear regulatory expectations and reducing uncertainty.

23 Participation by agency staff in codes and standards  
24 development fosters collaboration among various stakeholders, which facilitates

1 a more efficient regulatory environment that prioritizes both safety and  
2 innovation within the nuclear sector.

3 The NRC maintains a robust codes and standards program  
4 that is led out of my division, but with agency-wide impact. Over 180 dedicated  
5 staff from across the agency currently participate through engaging with various  
6 standards development organizations.

7 These professionals externally coordinate efforts across 36  
8 government agencies and 12 different standard organizations. As of today,  
9 NRC staff are contributing to the development of over 200 new or revised codes  
10 or standards through these organizations' activities.

11 This is accomplished by NRC staff's active participation on  
12 various codes and standards committees and working groups alongside  
13 participants from academia, research institutions, vendors and manufacturers,  
14 and utilities. Staff participation in this program ensures the agency remains  
15 informed on the latest technological advancements and best practices in the  
16 industry. To date, the NRC staff have issued more than 320 regulatory guides  
17 that endorse codes, consensus codes, or standards.

18 I'd like to highlight some recent accomplishments by the  
19 program. One example is the staff's endorsement review of the 2023 edition of  
20 ASME boiler and pressure vessel code for high-temperature reactors.  
21 Endorsement of this part of the ASME code will help provide regulatory clarity  
22 and stability for several advanced reactor developers.

23 By initiating preparatory research in parallel with development  
24 of associated ASME code changes and code cases a few years back, staff

1 completed their endorsement review in substantially reduced time. Staff  
2 estimate the research shaved approximately one and a half years off staff's  
3 review time compared to the previous endorsement.

4 This expedited review also benefitted by maximizing staff  
5 participation during ASME code week meetings and reprioritization of other staff  
6 work to complete the review. Another accomplishment is the issuance of  
7 several reg guides that directly support future reactor licensing.

8 These include several reg guides that endorse specific  
9 divisions of the ASME boiler and vessel code, a reg guide that endorses IEEE  
10 guidance on environmental qualification of fiberoptic cables for safety systems,  
11 and a reg guide that endorses industry guidance on a technology-inclusive  
12 application methodology for non-light water reactor applications. Next slide,  
13 please.

14 While the existing codes and standards program has served  
15 us well, we listened to stakeholder feedback that the program may not be  
16 positioned to serve us efficiently or effectively in the future.

17 In February 2024, staff from the NRC and the Idaho National  
18 Laboratory issued a coordination plan with the objective of sharing expertise  
19 and knowledge in codes and standards, development to identify opportunities  
20 that could focus NRC's program, and optimizing support in areas that benefit  
21 new and advanced reactors.

22 On April 4, 2024, the NRC and the INL cohosted a public  
23 workshop to gain insights on high priority consensus standards needed to  
24 successfully deploy new and advanced reactors, explore how to best focus

1 NRC's support to codes and standards organizations, and explore endorsement  
2 efficiencies for new or revised standards.

3 Feedback noted that today's endorsement standards are  
4 predominantly focused on large light water reactor designs and predominantly  
5 rely on deterministic approaches. Additionally, the stability benefits afforded by  
6 use of the rulemaking process may not be advantageous for advanced reactors  
7 seeking endorsement in the near term.

8 Finally, many of today's endorsed standards do not facilitate  
9 efficient construction or the rapid large-scale deployment envisioned by today's  
10 new reactor developers.

11 Staff recognized the evolving desire for endorsing more  
12 technology-inclusive codes and standards that accommodate the diverse  
13 landscape of nuclear innovations, particularly for advanced reactors. By  
14 promoting innovative solutions to endorse high-priority codes and standards, an  
15 enhanced NRC program could ensure that the regulatory frameworks remain  
16 relevant, timely, and effective.

17 The codes and standards program should promote the  
18 inclusion of graded approaches that utilize risk and performance-based  
19 insights, which allows for a more tailored regulatory process addressing the  
20 unique safety profiles of new technologies.

21 Finally, program resources should be strategically refocused  
22 by prioritizing staff support to high-priority standards' activities informed by  
23 external stakeholder feedback to ensure the program remains responsive and  
24 aligned with industry advancements and future licensing submittals. Next

1 slide?

2                   Based on input from the workshop and a broad range of  
3 stakeholders, the codes and standards action plan was issued in August of this  
4 year. This plan identifies key areas for improvement, focusing on increasing  
5 timeliness and efficiency while promoting risk and performance-based insights.

6                   It comprises 17 items categorized into three program areas.  
7 The figure on the left of the slide illustrates the makeup of the action plan  
8 components. The action plan's implementation involves a phased approach  
9 with defined time frames that include swift actions to be executed within one  
10 year, intermediate actions to be developed over two to four years, and ongoing  
11 program enhancements aimed at sustained long-term improvements.

12                   The first enhancement area is on the standard development  
13 process improvements. These activities aim to focus NRC staff participation on  
14 high-priority standards' development activities. Enhancements in this area also  
15 include solicitation of external input to tell us which consensus standards should  
16 be considered high priority and might benefit from NRC staff engagement.

17                   The second enhancement area focuses on NRC  
18 endorsement processes. The action plan items investigate creation of more  
19 explicit criteria for endorsements to foster greater transparency in the decision  
20 making process.

21                   Intermediate activities include an update to Management  
22 Directive 6.5 on staff participation and use of consensus standards to identify  
23 enhancements for early deployment and flexibility in the endorsement process.

24                   And the third enhancement area focuses on leveraging

1 commercial standards. This area evaluates the potential use of commercial  
2 standards that are traditionally non-nuclear standards.

3 As an alternative to traditional nuclear-specific standards,  
4 some new and advanced reactor designers have identified commercial  
5 standards for use based on the relative risk of their structures, systems, and  
6 components in the design, and their limited impact to the safety of plant staff  
7 and the public.

8 Action plan program enhancements in this area will solicit  
9 input on which standards are of greatest interest to industry, and a pilot, a test  
10 case for potential NRC endorsement with the goal of developing future  
11 guidance for use in endorsing additional commercial standards.

12 In closing, this action plan aims to create a more focused and  
13 efficient codes and standards program by realizing the evolving needs of the  
14 nuclear industry, while ensuring the highest safety standards. The plan was  
15 developed with awareness of external environmental drivers such as the  
16 ADVANCE Act Section 401, which discusses seeking stakeholder input from  
17 standards development organizations.

18 This action plan also aims to foster staff innovation, enhance  
19 regulatory effectiveness, and to continue supporting the safe licensing of  
20 nuclear technologies using risk and performance-based insights. Now I will turn  
21 the presentation to Mirela for closing remarks.

22 MS. GAVRILAS: Thank you, all, and we are ready for your  
23 questions.

24 CHAIR HANSON: Thank you. We'll begin again with

1 Commissioner Crowell.

2                   COMMISSIONER CROWELL: Thank you, Mr. Chair, and  
3 thanks again to all of our panelists. It was great information. Christian, I'm  
4 going to start with you down there so that seat doesn't look neglected, but I'm  
5 not going to take the most risk-informed approach because I don't know your  
6 area as well as I know some of these other areas, so I hope I ask this question  
7 correctly.

8                   Your approach to codes and standards, I mean, it makes  
9 sense to me, but I'm trying to think about how it applies and the relative level of  
10 importance in the context of first-of-a-kind reviews where you don't have any  
11 data, you know, no historical data from other, you know, from other operations  
12 or anything much from the applicant who is proposing the new reactor design.  
13 So, how do you incorporate codes and standards in an environment where you  
14 don't really have any run time and data?

15                   MR. ARAGUAS: So, thanks, Commissioner, for the question.  
16 And so, I think that is one of the challenges with development of codes and  
17 standards. It is a fairly lengthy process.

18                   I think it's aimed particularly more at creating efficiencies for  
19 nth-of-a-kind reactors, but that doesn't preclude us to learn a fair amount  
20 through engagement through the various standards organizations of what the  
21 issues are and what are the needs in a way that maybe allows us to pivot.

22                   We don't have to necessarily wait for a code to be developed  
23 to support licensing. It could be that an applicant may elect to submit a topical  
24 for approval of a new or novel approach, and so I think to the extent that, you



1 know, we're participating actively in those areas of high priority, we can be  
2 informed to make sure that we're best prepared, particularly in Jeremy's area, to  
3 support timely licensing of those areas.

4 COMMISSIONER CROWELL: I appreciate that, and do you  
5 think that leveraging the potential opportunity to leverage commercial standards  
6 is going to be an area where we can gain, save some time, or not duplicate  
7 things or gain efficiencies?

8 MR. ARAGUAS: So, yeah, so I think so. Again, thanks for  
9 the question. I think there's been quite a demand signal from the industry in  
10 leveraging, you know, existing commercial standards, particularly in applying  
11 those to areas where the risk is significantly lower.

12 So, I think for us, there's value in looking and understanding  
13 what particular commercial standards are of interest and making sure that we're  
14 focusing on looking at how we can endorse those quickly to support their use.

15 COMMISSIONER CROWELL: Thank you. Michelle, thank  
16 you for your presentation. I noted that you used the phrase risk-informed  
17 approach to streamline consultations, and I like the sound of it, but how do you  
18 do that and where are the opportunities to streamline without undermining  
19 appropriate levels and scope of participation?

20 MS. ROME: Thank you, Commissioner. That's a great  
21 question. So, for example, for tribal consultation, we've really focused on  
22 streamlining our internal processes, so, for example, how quickly we can get  
23 letters out, which wouldn't have an impact on how much time we're spending  
24 with the tribes, and so we're looking at it that way, so internally.

1                   And then the other way we're looking at it is what's the return  
2 on investment for our approaches for engaging tribes? So, for example, we've  
3 found that if we spend the same amount of time reaching out to tribes and  
4 meeting with them earlier in the process, ideally during the pre-application  
5 phase and in-person, doing those same set of meetings earlier than later in the  
6 process has a higher return on investment because we're able to build those  
7 working relationships ideally by the time the application comes in, and then  
8 more efficiently and effectively address any of their concerns during the review  
9 process.

10                   COMMISSIONER CROWELL: And are those relationships  
11 that you try to establish early, do they endure over changes in tribal leadership  
12 or do you have to start all over again?

13                   MS. ROME: That's a great question. So, yeah, it depends.  
14 As you're aware, there is a lot of change in tribal leadership, so we try to make  
15 sure that we're meeting with the right group of people, and that we are always  
16 working with the tribal liaison team and our other partners throughout the  
17 agency so we have a one NRC approach so that it's more continuous  
18 relationship building across the agency and working with the tribes, and then on  
19 our own side, to decrease any sort of turnover.

20                   Because we now have matrix staffing, we're able to staff  
21 people based on geographic area rather than by business line, so that means  
22 the same staff can work with the same tribes no matter what business line the  
23 project is under.

24                   COMMISSIONER CROWELL: And for initial license

1 applications, is it possible for you to identify like what the typical long pole in the  
2 tent is on completing environmental review? Is it Section 106 consultation? Is  
3 it -- I mean, you know, what takes the longest or is the most challenging right  
4 now?

5 MS. ROME: So, for each review, it's quite site specific as to  
6 what is going to be most technically difficult or take the most amount of time,  
7 and so what's really important that we're doing is during the pre-application  
8 phase, really looking at what do we think is going to be the most challenging  
9 and how can we mitigate those risks, and also looking at the flip-side of are we  
10 right-sizing the review and risk informing it, so for areas that aren't as  
11 challenging, to make sure we're spending the right amount of time on that as  
12 well.

13 COMMISSIONER CROWELL: And do the relationships that  
14 you build with tribal leadership, do they -- oftentimes we find that the tribe, we  
15 send out communications, but then we find out later that they either, they were  
16 missed or weren't received. Do we make sure that when we're communicating  
17 with tribes that it's received? Because there's just such a variety of ways that  
18 tribes receive information and sometimes one thing will work with one tribe and  
19 won't with another.

20 MS. ROME: Yeah, great question, yes. So, we make sure  
21 that we send the letter to the appropriate tribal contact, and again, we're  
22 working with our colleagues in the tribal relations team to make sure we have  
23 that, and then our staff work at the staff level to make sure they're reaching out  
24 to their counterparts and then following up via email and phone calls.

1                   And then we try to meet the tribes where they want to, so  
2 whether it's in person, a quick phone call, a virtual meeting, and so it's really  
3 important that we do that extra level of effort to make sure we are reaching the  
4 right person, and especially the decision maker among the tribes so that we're  
5 being as effective as possible during our conversations with them.

6                   COMMISSIONER CROWELL: Yeah, just for a little  
7 commentary, even for tribes that have or, you know, use technology more, I still  
8 feel like the in-person engagement, particularly on the front end, pays huge  
9 dividends as you go through the process.

10                  Greg and Jeremy, both of your presentations were insightful  
11 and helpful. All I can think of as you go through all of that is how we're going to  
12 do all of this, and, you know, what is our biggest challenge to doing all of this  
13 going forward? Is it staffing? Is it skill set? Is it standardization by industry  
14 that's going to make the difference? Is it project management, like --

15                  MR. BOWMAN: So, we may have different perspectives. I  
16 would say from my perspective, I think we're very well positioned to review what  
17 we have in-house today for the next year or so. I think our challenge is going to  
18 be building the capacity we need to review applications when they come in on  
19 the nth-of-a-kind scale several years down the road.

20                  So, I think that's our biggest challenge and Jeremy is doing a  
21 lot of great work to build our capacity across the Office of NRR, and across the  
22 agency actually, to help with those reviews. We've done a lot of work kind of  
23 within Jeremy's division, but we're now trying to branch out to get that capacity  
24 built up. I think from my perspective, that's our biggest challenge, but --

1 MR. BOWEN: Yeah, so it's a good thing I'm in line with my  
2 boss.

3 (Laughter.)

4 MR. BOWEN: So, I'd agree. I think like Greg said --

5 COMMISSIONER CROWELL: I'll watch Mirela's face while  
6 you speak.

7 (Laughter.)

8 MR. BOWEN: We're set up for success for what we foresee  
9 for the near term. We have areas where we --

10 COMMISSIONER CROWELL: Near-term being a year or  
11 two?

12 MR. BOWEN: Two, three, four years, and it's really building  
13 on the additional efficiencies we've seen from the first few reviews and kind of  
14 enhancing on that. I think it's what comes after that in the four or five, six-year  
15 time frame, when now we're not looking at one, two, three applications at a time  
16 and we're looking at potentially ten, 12, 15 applications at a time.

17 Certainly, there's opportunities in there for nth-of-a-kind  
18 reviews and efficiencies there, but there's going to be new first-of-a-kind  
19 reviews as well. So, that's kind of what we need to look for is how do we build  
20 that capacity for when we get to that stage of licensing?

21 COMMISSIONER CROWELL: And Mirela, maybe I'll punt  
22 this to you, but, you know, how confident -- I mean, I know we're making some  
23 plans based somewhat on insight from licensees and applicants about, you  
24 know, receiving these things in a staggered way, but best laid plans are what

1 they are.

2                   It's very likely that that staggeredness won't match, won't be  
3 as pronounced as we hope, or we just end up with a deluge of applications at  
4 the same time across a range of topics. If that happens, are we in a world of  
5 hurt or are we able to triage and make it happen?

6                   MS. GAVRILAS: We'll have to make it happen. So what  
7 gives me some comfort is the level of detail to which these guys are tracking  
8 the likelihood of an application materializing and the kind of factors that they  
9 look at when they evaluate the possibility of having something in-house next  
10 year, the year after that.

11                   So there are concrete things that they are looking at that give  
12 us additional insights. So we're tracking that. But even with that, there will be  
13 surprises, and we'll be prepared for them. And when they come, we are going  
14 to need to prioritize and figure out a way to prioritize. We just are starting to  
15 think about that.

16                   MR. BOWMAN: If I can add just one thing. So preapplication  
17 engagement has been a huge element of the program that we've been  
18 emphasizing with the applicants. So while it's true that everything could  
19 converge and cause us resource challenges, we should have a hand on that  
20 pretty early through the preapplication engagement we are having. That's  
21 giving us a pretty good handle on when things are coming and at what time  
22 frame.

23                   COMMISSIONER CROWELL: And the quality of the material  
24 relates directly. Thank you.

1 Thank you to my colleagues for indulging me with a little extra  
2 time.

3 CHAIR HANSON: Thank you, Commissioner Crowell. I  
4 mean, I think the conversation about capacity is a really, really good one in how  
5 we're going to accomplish that. And I think in speeches recently, several of you  
6 have heard me say that in addition to kind of continuing the risk-informed  
7 thinking that we are permeating throughout the agency, I think Meena gave a  
8 great presentation in the previous panel about this about Be Risk Smarter, the  
9 reinvigoration of the Be Risk Smart approach in the agency, right?

10 They were kind of in my view three additional things in what I  
11 call consistency, sustainability and then the third one being capacity.  
12 Consistency being, I think of it as the horizontal, right, where people are seeing  
13 similar kinds of decisions coming out of the agency, risk-informed decisions  
14 regardless of where you interact with the agency, whether that's Greg in your  
15 division or whether that's license renewal or whether it's fuel facilities or  
16 whatever, right?

17 Sustainability I see is kind of the vertical, right, where we're  
18 seeing the right kinds of decisions being made not just at the top of the  
19 organization, but all the way down into the branch chief and project manager  
20 piece as well.

21 And then that last piece is capacity. And I think, you know,  
22 you hit on a lot of the really good things.

23 Mirela, you were talking about -- I was thinking about this as  
24 Jeremy was giving his presentation, the prioritization is going to be really

1 important, the add/shed work that's getting started under the ADVANCE Act is  
2 going to be important.

3                   We have a lot of really smart people in this agency who  
4 maybe are pointed at things, and we are going to need them in this other area.  
5 And we are going to need to think about where we have to qualify people now  
6 to be able to get ready down the future.

7                   And so it's reassuring to me that we've got the folks for the  
8 next couple years. I don't know if I'm -- I spent a lot of time thinking about the  
9 timing of the wave and how we are going to be ready for that and so on and so  
10 forth. And there is no great pool of people out there in the world.

11                   You know, we're going to continue to hire. We're going to  
12 continue to focus on this. The emphasis that some of my colleagues have had  
13 on strategic workforce planning is exactly right, continuing capacity through the  
14 right metrics.

15                   You know, I want to associate myself with Commissioner  
16 Wright and Commissioner Caputo about having the right metrics and being  
17 aggressive about revising those. And, you know, if we've got something we're  
18 hitting 95 percent of the time, we might need a better metric, et cetera.

19                   So there's a lot that's really going into this in addition, I think,  
20 Jeremy to the knowledge management stuff that you brought up.

21                   There's not really a question there, but I will give Mirela a  
22 chance to respond if she wants to.

23                   MS. GAVRILAS: Oh, a couple of things, which is why I think  
24 the project management initiative that we're hearing about a lot will matter so



1 much. We need to know that when we are spending time on something, we are  
2 spending the right amount of time on something so that every capacity that we  
3 have available can go to support the emergent issues and issues that we all  
4 care about.

5 CHAIR HANSON: Okay. Great. Thank you. So with that I've  
6 got actually a couple questions. Michelle, I'm going to start with you if I can.  
7 And it was just something that Commissioner -- usually it's when I go last where  
8 all my questions have been taken. This time I'm going second and all of my  
9 questions have been taken. No, no, you're good.

10 But you were talking about tribal consultation and early  
11 engagement. Is that -- you know, we've got this process under the Endangered  
12 Species Act where licensee participation has been baked into that, right?  
13 Where you said -- and I'm going to have a couple questions on this. But you  
14 said that licensees can go work with National Marine Fisheries or Fish and  
15 Wildlife or whatever, kind of independently and then we get kind of the readout  
16 of that for our purposes.

17 Is there a similar kind of process or opportunity under Section  
18 106 in terms of like state historic preservation organizations, et cetera, there?

19 MS. ROME: Thank you, Chair, for the question. So there is  
20 for working with the State Historic Preservation Office but part of the Section  
21 106 consultation also includes tribal engagement. And that would stay with the  
22 NRC.

23 CHAIR HANSON: Got it.

24 MS. ROME: And so we've considered this in the past

1 whether we want to use this approach. But what we've determined is that there  
2 is a higher risk with this approach the way it is set up like that and that there are  
3 other approaches we can implement that have a higher return on investments,  
4 similar to what I was talking about with front loading consultations in-person and  
5 then also really encouraging the licensees or applicants to do a lot of that  
6 outreach with tribes earlier as well.

7 CHAIR HANSON: Is that because we really want to honor the  
8 government-to-government relationship that we have with the tribal entities?

9 MS. ROME: Exactly, yes. Thank you. So we're really  
10 striving to build that trust relationship with the tribal governments.

11 CHAIR HANSON: Okay. Great. Thank you. You had  
12 mentioned by having the licensee participate directly with these other agencies  
13 on ESA, endangered species stuff, that we were saving 50 to 80 percent. Is it  
14 just on that piece or are we saving 50 to 80 percent across the board?

15 MS. ROME: Thank you for that question. Let me clarify it is  
16 just on that piece, on the Endangered Species Act consultation --

17 CHAIR HANSON: Okay.

18 MS. ROME: -- specifically.

19 CHAIR HANSON: And is that baked into the 5,500 hours on  
20 SLRs or is there going to be -- are we going to be able to see some additional  
21 efficiency on that?

22 MS. ROME: That is not yet included because we are just  
23 starting to pilot it with some licensees that are currently operating right now.  
24 We have not started implementing it yet on license renewal.

1 CHAIR HANSON: I promise not to hold you to it, but do you  
2 have a thumb in the air kind of estimate on that?

3 MS. ROME: Well, we're actively reaching out to licensees  
4 right now, including on the material side, to gauge who would be interested so  
5 we need them to also want to do this.

6 And so far we have heard mixed results. So some want us to  
7 do it and some don't want to do it. But we will be reaching out to all licensees  
8 that plan to come in so let them know about this approach assuming that the  
9 pilots work well.

10 CHAIR HANSON: Thank you.

11 MS. ROME: Thanks.

12 CHAIR HANSON: I really appreciate it. All right. Christian,  
13 thank you for the work that you and the Office of Research are doing on the  
14 codes and standards.

15 I wanted to ask -- I was really intrigued by Slide 44, or  
16 something right, where you're talking about kind of the three areas. And then  
17 you've also got swift actions kind of near-term and then longer-term things.

18 So, you know, in the area of leveraging commercial  
19 standards, what would be an example of like a swift action in that space, like a  
20 near-term kind of output?

21 MR. ARAGUAS: Yes. So thanks for the question. I think the  
22 first thing I would sort of view as one of the swift actions is just getting a handle  
23 on what the interest is across the industry. What are the needs? What are the  
24 commercial standards that exist out there that are being contemplated for use

1 and for advanced reactor developers? And then getting a sense of timing.

2                   And then I think for us is making sure kind of tying back to  
3 what falls under how we engage on the codes and standards committee is  
4 making sure that we're prioritizing having the right focus, the right people there  
5 and participating with them to ensure that we can enable timely creation of  
6 those standards and then more importantly that we're well-positioned to do the  
7 endorsement as quickly as we can.

8                   CHAIR HANSON: Okay. Okay. So I want to connect, if I  
9 can, the two ends of the table here, right, between what you're doing and what  
10 maybe Jeremy is seeing in terms of applications that are coming in, alternatives  
11 to particular codes and how that might be informing your work.

12                   So how are you guys coordinating some of this?

13                   MR. ARAGUAS: Go for it.

14                   MR. BOWEN: So thank you for the question, Chair. Yes,  
15 that's definitely an area of focus for us. Again, Christian has been doing a  
16 tremendous effort to help us out there.

17                   Kind of behind your question, there are alternatives that are  
18 coming in. And it's based on the new materials, new uses, you know, a lot of  
19 unanticipated challenges that are being developed as designs are being  
20 matured and everything so applicants are proposing new and different  
21 approaches.

22                   You know, we anticipated there would be a lot of interest in  
23 ASME Section 3, Division 5, for high temperature materials, but that has  
24 created challenges in and of itself. So they've proposed different aspects of the

1 code.

2                   So some of that we've worked with Christian's group, and he's  
3 helping kind of us figuring out well, how can we kind of compare and contrast  
4 the codes and standards that are being proposed with the codes that we've  
5 endorsed? What challenges do we foresee? Is this an area that we even need  
6 to be interested in at this point? What testing is being planned?

7                   So not just what the applicants are doing, but what else might  
8 be out there in an industry that we can leverage to kind of help move the review  
9 forward.

10                  MR. ARAGUAS: And I'll just second. So, again, I probably  
11 should have prefaced with I'm some two months into the job. But I will give  
12 credit to my predecessor Michelle Sampson, who was doing a fantastic job I  
13 think coordinating with the DANU folks and across the agency. And so, you  
14 know, my role I think is to continue the great work, making sure that we're  
15 plugged in with Jeremy and his team and, you know, making sure that they  
16 understand the work that we're doing and vice versa.

17                  CHAIR HANSON: Now, I know that this is a topic that's super  
18 detailed and a little weedy as we say. But when, you know historically reactor  
19 construction, 70 percent of the cost has been steel and concrete. And we have  
20 these new designs that, you know, leverage functional containment, leverage  
21 atmospheric pressure and other kinds of things, I think it's timely to revisit, you  
22 know, what really needs to be -- what codes and standards we're endorsing  
23 and for what applications and also potentially what components and other kinds  
24 of things need to be what we called "N" stamped or nuclear grade and which

1 ones aren't.

2 So I appreciate the effort here. And with that, I will hand it  
3 over to Commissioner Wright.

4 COMMISSIONER WRIGHT: Thank you, Chair. This has  
5 been a good conversation. This panel is loaded with information and  
6 opportunity to talk about stuff.

7 Michelle, I'm going to come back to you and start. I really  
8 appreciated your exchange with Commissioner Crowell and then with the Chair  
9 on the tribes.

10 I want to ask a -- you know, I think you noted in FY24 that you  
11 had consultations with like 200 tribes. Is that an increase over past years or is  
12 that pretty standard?

13 MS. ROME: That's typical for the amount of tribes that we  
14 reach out to in a typical year. It could vary slightly depending if we happen to  
15 have more projects in-house or less projects in-house. And I'll say what's really  
16 changed most recently as I was mentioning is how we're reaching out to tribes  
17 and just making sure we're being as effective as possible when we do get to  
18 meet with them and figuring out how to meet with them on their terms to make  
19 sure that we are effectively building that trust relationship.

20 COMMISSIONER WRIGHT: Yeah. I'm wanting to drill on  
21 that. My initial thought was to ask you a question like, you know, what kind of  
22 feedback were you getting from tribes. But you kind of made it -- let us know in  
23 your conversations here that you all are trying to be proactive and do things  
24 better or, you know, just make sure that you're getting to the right person,

1 maybe the right way.

2                   Is that coming from feedback that you got from the tribes on  
3 how they wanted to be approached or is that coming from just your read of how  
4 things might go? Because the follow-up question for me is going to be, you  
5 know, are the tribes happy with our engagement process with them?

6                   MS. ROME: Thank you for the question. So it is a  
7 combination of this is our procedures of how we reach out are consistent over  
8 the years. But we always strive to make sure we ask the tribes how they want  
9 to be engaged and how they want us to communicate with them.

10                   So for example one of our first meetings with them is always  
11 that question. Do you want emails? Do you want us to call you? Do you want  
12 newsletters? So really taking the time to build that relationship in a way that  
13 they want to hear from us.

14                   And I will say that the most consistent feedback we've heard  
15 from tribes is that they appreciate in-person meetings very early in the process.

16                   So ideally during pre-app if we can get out and meet with tribes, that has the  
17 highest return on investment for us.

18                   COMMISSIONER WRIGHT: That's great. Thank you for your  
19 efforts in that area. I think that's critically important. And I think we do it better  
20 than anybody in government quite honestly. So you should feel good about  
21 things. And any way we can support you, we want to do that.

22                   Christian, I want to come to you real quick. The codes and  
23 standards conversation has been good. And it seems like that everything that  
24 we're focused on, we're doing advanced reactors, you know, trying to identify

1 efficiencies going forward, this seems kind of like aligned well with the spirit of  
2 the ADVANCE Act.

3                   Keeping that thought, are there actions that you are thinking  
4 about that might similarly enhance our codes and standards program for the  
5 operating fleet?

6                   MR. ARAGUAS: Yup. Thanks, Commissioner Wright for that  
7 question. And, yes, I think that some of the items that I identified, particularly in  
8 the process enhancements areas aren't going to be unique to our focus on  
9 advanced reactors.

10                   Certainly, I think the push right now, because of the timing  
11 right now in the interest for supporting advanced reactors, that's our focus. But  
12 if I could kind of highlight some of the areas where I think we could also apply  
13 some of the process improvements, it would be how we engage -- or how staff  
14 engage in the actual standards committees.

15                   You know, certainly as we engage if there are things that we  
16 are seeing as potential challenges, you know, we are thinking about having  
17 public meetings to get our positions -- our draft positions out early and making  
18 sure that we're getting stakeholder feedback and bringing that into the  
19 standards discussions. So I think that's not unique to advanced reactors.

20                   I think on the endorsement side, similarly, you know, we are  
21 going to start to look at developing the endorsement reg guides no longer going  
22 with the serial approach but doing it in parallel with the codes and standards  
23 that are being developed.

24                   So, you know, we are anticipating that being an efficiency



1 gain that, again, we can apply for any standards that would need to be  
2 endorsed for the operating fleet going forward.

3 So I think there are certainly things that are going to apply to  
4 the operating fleet. And, you know, just even thinking a little bit more broadly.  
5 You know, even some of the standards that we are going to be focusing on for  
6 new technologies, they are not even unique to just advanced reactors. And I  
7 think about advanced manufacturing technologies.

8 And so I think to your question, and I appreciate again, I think  
9 there is certainly going to be things that we can apply to the operating fleet.

10 COMMISSIONER WRIGHT: Thank you for that. Jeremy,  
11 good morning to you.

12 And you do have the longest title of most of the team at the  
13 NRC. I'd ask you for a business card, but I don't have a wallet big enough.

14 So you spoke about the -- how the new reactor business  
15 line's evolving to meet future demand. Can you tell me a little bit more about  
16 this? I mean, can you expand on some of the lessons learned maybe from the  
17 reviews that have been conducted in the past year and maybe how those will  
18 lead to more efficient reviews hopefully in the future?

19 MR. BOWEN: Yes, sir. Thank you. for the question,  
20 Commissioner. Quite honestly, I could probably talk about this for an hour or  
21 longer. But I'll try and kind of keep it summarized, keep it at a high level and  
22 kind of put it in different groups.

23 So I would say the first issue -- the first area for learning for  
24 us is how we look at technical issues. We had a great discussion about the

1 codes and standards, the materials. The more we are understanding all these  
2 different designs, we're seeing, like, where do we actually need to look? Where  
3 do we need to focus? And where is it not as important? Where can we kind of  
4 gain some efficiency back in our review?

5                   So I think that's one area, relearning some of the lessons  
6 about construction permit versus operating license, what sort of different  
7 technical information did we need at each stage of the review? Our research  
8 and test reactor versus a power reactor, the differences there. Right now we're  
9 learning a lot about the first implementation of the licensing modernization  
10 project and how that all fits together, how we can look at the application  
11 comprehensively with the review of Natrium. So I would say that's our first  
12 group, kind of the technical aspects.

13                   The second area where I think we have a lot of learning is  
14 what I call process discipline and communications. So what I mean by that is  
15 there is a lot of processes that we have had in place. And we need to be more  
16 disciplined in applying them.

17                   So developing a draft safety evaluation before we go out with  
18 questions to the applicants so that we have a clear understanding and are able  
19 to communicate what the regulatory concern is and making sure that we are  
20 going through that.

21                   How we are implementing the core teams, right? The core  
22 team concept, the integrated review idea, it's really -- you know, we've learned  
23 a little bit. The concept was out there before. But the ability to actually put it  
24 into practice, okay? How is the communication of the team working? How did

1 they interact? What happens if one individual on the team identifies an issue?  
2 How is that brought it to bear?

3 We have weekly meetings on each of the projects. So we  
4 discuss, like, areas of challenges and how can we work through those  
5 collectively? And we kind of hold each other accountable there.

6 And then building on that from the communications  
7 standpoint, I touched on it briefly. But recognizing that we are not talking to the  
8 same type of licensee that we've been talking to for 50 years. This is a different  
9 group of applicants, and they're not all the same.

10 And we need to recognize that we need to meet them where  
11 they are and be able to communicate to them in clear and plain language of  
12 what the expectations are and why and be able to, again, meet the applicants  
13 where they are. So that's the second group.

14 And then third group, I say, is really just leveraging the data  
15 and process enhancement. So I talked about the details about our schedule  
16 estimates and our resources. We've got three data points at this point, four if  
17 you count the Navy. I think that's helping inform where we're going forward.

18 As you probably saw, we've overestimated in some cases. I  
19 think we need to get better in that. But also I'll go a level deeper about some of  
20 our process enhancements of finding where the pinch points are in the review  
21 process.

22 So a great example is the Hermes 2 safety evaluation. It was  
23 the first time we had used a full template from the beginning and where we had  
24 incorporated by reference another safety evaluation. The first time that had

1 ever been done. We weren't really sure how to do it.

2 A great partnership with our colleagues in the Office of  
3 General Counsel -- Brooke, thank you to your staff to kind of put that together --  
4 and figure out how we could do that. That saved hundreds of hours, hundreds  
5 of hours on the staff's part, hundreds of hours on the OGC's part. So stuff like  
6 that we can find -- we have the data. We can kind of drill down and find out  
7 where can we make it more efficient so.

8 A long-winded answer, but I hope that helps, sir.

9 COMMISSIONER WRIGHT: Well, it does help. And two  
10 things that you made comments of that are really important to me, and that is  
11 that you are meeting them where they are because they are a different group, a  
12 different breed. And I am glad that you recognize that and that you all are  
13 making that effort.

14 And, you know, the second thing, which I would ask Jeremy  
15 as well -- but, I mean, Greg as well, but we don't have time, this whole metrics  
16 thing that you all are also reviewing and keeping that forward in thought so that  
17 we're making adjustments if we need to. And so I appreciate the presentations.  
18 This has been a great meeting. So Chair, I am done.

19 CHAIR HANSON: Thank you Commissioner Wright.  
20 Commissioner Caputo.

21 COMMISSIONER CAPUTO: Good morning. Thank you all  
22 for your presentations. I am going to start with Mr. Araguas. Welcome.

23 MR. ARAGUAS: Thank you.

24 COMMISSIONER CAPUTO: I'm recognizing since you're

1 new, this question is going to be a little bit unfair. So if you need to take the  
2 question and follow-up with me later, I'm fine with that.

3 But I have a question regarding American Society of  
4 Mechanical Engineers Code Case N-8833. This has been an issue for several  
5 years. The Code Case is intended to allow the production of certain  
6 components before an owner is identified, which seems important concerning  
7 manufacture of microreactors.

8 So the NRC endorsement of this Code includes an odd  
9 bureaucratic limitation that within the U.S. the only people who can use this  
10 Code Case are those that already meet the ASME definition of owners as  
11 holders of construction permits, operating licenses or combined licenses.

12 But as owners, the Code Case would then be irrelevant. So  
13 it's unclear why the Agency expended the effort to endorse it but with a  
14 limitation that precludes its use in the U.S. And furthermore, it sounds like  
15 ASME is now revising the Code Case to add holders of manufacturing licenses.

16 So I am concerned that this is going to end up being a Catch-  
17 22 that becomes a problem for anyone considering a business model that  
18 includes deployment of significant numbers of microreactors. Are you familiar  
19 with the issue?

20 MR. ARAGUAS: So I will just pivot really quickly. And I'll say,  
21 Commissioner Crowell, you thought the seat wouldn't get a lot of love, and it's  
22 getting a lot of love.

23 COMMISSIONER CROWELL: I jinxed you. I apologize.

24 MR. ARAGUAS: I appreciate the question and also

1 appreciate the -- before I take that, I did just want to see if there was somebody  
2 else on the panel that had a bit more background before I took it away.

3 MR. BOWMAN: Did you want to talk to that or did you want  
4 me to start? So we did a lot of work as part of reviewing the application of that  
5 Code Case, the NuScale. Obviously, you're aware of that.

6 What we ultimately found out was that there are Atomic  
7 Energy Act prohibitions against applying the Code Case the way NuScale  
8 wants to apply it. We tried through our review of the Code Case to give options  
9 that we could.

10 Some of those are short-term options. Some of them are  
11 longer-term rulemaking options. I think we know that the outcome is not  
12 probably satisfying to NuScale and other people that might want to use it. But  
13 we are limited by what the Atomic Energy Act allows us to do.

14 I do understand completely kind of the circular logic in the  
15 Code Case saying that you have to be an owner. You can't use -- I understand  
16 the circular logic. I'll just put it that way.

17 COMMISSIONER CAPUTO: So is it unique to NuScale or is  
18 it a matter that would then affect anyone who attempts to use the Code Case,  
19 which then raises the question why did we spend the time and effort to endorse  
20 it if it's actually not applicable to anyone in the U.S.?

21 MR. BOWMAN: I think the idea was that it could be used  
22 internationally, I believe. But you're right, that in the U.S. it wouldn't be -- it  
23 could not be used in the U.S. based on our framework.

24 Mirela, did you want to add anything or was that --

1 MS. GAVRILAS: I don't have anything to add to it.

2 COMMISSIONER CAPUTO: Okay. So there's no apparent  
3 resolution to the issue?

4 MR. BOWMAN: So we did provide --

5 COMMISSIONER CAPUTO: Is there a limitation in the  
6 Atomic Energy Act that would preclude --

7 MR. BOWMAN: If you're an applicant --

8 COMMISSIONER CAPUTO: -- the manufacture of anything  
9 before an owner is identified?

10 MR. BOWMAN: If you are an owner or an applicant or -- an  
11 applicant would be someone who is considered an owner. So one option that  
12 we discussed with NuScale is apply for a manufacturing license. When the  
13 application is docketed, you become an applicant and an owner. And so then  
14 you could apply the Code Case.

15 That's a decision for them to make. But we have committed  
16 to working with them to discuss options, other options that they might want to  
17 consider. So, yeah, go ahead, Mirela.

18 COMMISSIONER CAPUTO: But this is going to preclude if  
19 manufacturing licenses are now rolled into this Code Case. You can't have a  
20 manufacturer who then proceeds to manufacture things for which the owner is  
21 not identified.

22 MR. BOWMAN: So if they are an applicant for a  
23 manufacturing license, they are an owner and the Code Case would be  
24 irrelevant. They're owner and they can --

1 COMMISSIONER CAPUTO: I think you are missing my point.

2 MR. BOWMAN: I'm probably --

3 COMMISSIONER CAPUTO: If someone wants to build a  
4 factory to manufacture microreactors, they would be the holder of the  
5 manufacturing license. But could they then manufacture microreactors if they  
6 don't actually have identified customers who sign contracts?

7 MS. GAVRILAS: We believe so. So if they hold a  
8 manufacturing license, then they can manufacture and be subject to everything  
9 else that they needed. So that's my understanding right now.

10 MR. BOWMAN: That's my understanding.

11 MS. GAVRILAS: Yes. All it would take for NuScale to be  
12 able to avail themselves of the code is for them to have a manufacturing  
13 license.

14 MR. BOWMAN: Not have a manufacturing license, apply for  
15 a --

16 MS. GAVRILAS: Apply.

17 MR. BOWMAN: -- manufacturing license.

18 COMMISSIONER CAPUTO: Okay. I'm thinking more broadly  
19 than just the NuScale example. But we're going to have to follow up I think a  
20 little bit more on this because I think this is potentially not necessarily a good  
21 place for us to be in if people are looking at wide scale deployment of  
22 microreactors.

23 MS. GAVRILAS: We're also contemplating rulemaking on the  
24 subject.



1                   COMMISSIONER CAPUTO: Because this is going to be a  
2 broader supply chain issue than just NuScale.

3                   Greg and Jeremy, both of you are new to your current roles.  
4 So thank you for stepping up and taking on those responsibilities. So I am now  
5 going to ask a question -- well, put forward a discussion on something that  
6 transpired before you took on those responsibilities.

7                   Regarding the recent publication of the Part 53 proposed rule,  
8 when NRC needs to act to ensure adequate protection of public health and  
9 safety, that action will be taken regardless of cost. In all other cases, the  
10 efficiency of a regulatory action has always played a role or should always play  
11 a role.

12                   This was recognized when the Commission established its  
13 Safety Goal Policy Statement, "An explicit policy statement on the safety  
14 philosophy and the role of safety and cost tradeoffs in NRC safety decisions."  
15 That policy, together with the backfit rule provided a framework for determining  
16 whether regulatory actions that are not necessary for adequate protection  
17 should be pursued in that framework if a proposal provides a substantial safety  
18 benefit that is cost justified, it warrants regulatory action. This approach is both  
19 risk-informed and efficient, focusing agency action on safety significance with  
20 appropriate consideration of cost.

21                   The reason I raise this again is because in its current state,  
22 Part 53 proposed rule includes a requirement to establish a comprehensive risk  
23 metric, something the agency has heretofore abstained from for 50 years. This  
24 is one area that needs robust stakeholder feedback to ensure that Part 53 will

1 be an efficient framework to ensure the safe and secure licensing of advanced  
2 reactors.

3                   Staff has emphasized that this metric is not to be interpreted  
4 as a real-time speed limit for risk. However, that seems overly optimistic. It  
5 seems more likely that compliance with this metric will supplant the backfit  
6 rule's mandate to consider safety significance and cost.

7                   And in its decision on the Part 53 proposed rule, the  
8 Commission rejected codifying the quantitative health objectives from the  
9 Safety Goal Policy Statement, otherwise known as QHOs. The Commission  
10 rejected codifying the QHOs as a regulatory requirement, but a majority of  
11 Commissioners voted to include an undefined comprehensive risk metric.

12                   The preamble to the now published proposed rule states that  
13 the QHOs could be used to satisfy the requirement for that metric, something  
14 the stakeholders have commented would make the rule unworkable.

15                   This seems to be an attempt to sidestep Commission  
16 direction by requiring applicants to use the QHOs or bring the staff a rock or  
17 some other proximity solution. At a minimum, it's a cautionary tale for  
18 Commissioners on why it's important for the Commission to take ownership of  
19 and responsibility for rule text.

20                   Some of my cautionary comments during the previous panel  
21 apply equally to Part 53.

22                   As currently contemplated, all three licensing frameworks, 50,  
23 52, and 53, would include a regulatory requirement for PRA superseding its role  
24 as a tool contrary to the PRA Policy Statement and adding regulatory burden

1 without a compelling analysis of safety benefits or cost justification. It's  
2 exceedingly difficult to square this with our principles of good regulation or the  
3 direction provided in the ADVANCE Act.

4 Our nation is coming to a time where our energy security  
5 needs are quite likely to become profound and the country will need us to  
6 perform more effectively and efficiently than this agency has in decades.

7 The demands upon us are going to be significant. To me it  
8 seems like common sense that the NRC would enable the safe and secure use  
9 of nuclear technologies by efficiently licensing and regulating civilian uses for  
10 the protection and benefit of public health and safety and the environment.

11 Unfortunately, what I have described here today diverges  
12 from this. Thank you.

13 CHAIR HANSON: Thank you, Commissioner Caputo. We  
14 are at the end of our time together this morning. Thank you to both panels.  
15 Thanks to the staff for your preparation. Thank you for the substantial  
16 information density associated with all of your presentations. I think it prompted  
17 a good discussion among the Commission.

18 Thanks to my colleagues for your questions. And, with that,  
19 we are adjourned.

20 (Whereupon, the above-entitled matter went off the record at  
21 11:48 a.m.)