

Official Transcript of Proceedings
NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards

Docket Number: (n/a)

Location: teleconference

Date: Wednesday, November 6, 2024

Work Order No.: NRC-0096

Pages 1-94

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1716 14th Street, N.W.
Washington, D.C. 20009
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23

DISCLAIMER

UNITED STATES NUCLEAR REGULATORY COMMISSION'S
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

The contents of this transcript of the proceeding of the United States Nuclear Regulatory Commission Advisory Committee on Reactor Safeguards, as reported herein, is a record of the discussions recorded at the meeting.

This transcript has not been reviewed, corrected, and edited, and it may contain inaccuracies.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION
+ + + + +
720TH MEETING
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

(ACRS)

+ + + + +

WEDNESDAY

NOVEMBER 6, 2024

+ + + + +

The Advisory Committee met via teleconference at 8:30 a.m., Walter L. Kirchner, Chair, presiding.

COMMITTEE MEMBERS:

- WALTER L. KIRCHNER, Chair
- GREGORY H. HALNON, Vice Chair
- DAVID A. PETTI, Member-at-Large
- RONALD G. BALLINGER, Member
- VICKI M. BIER, Member
- VESNA B. DIMITRIJEVIC, Member
- CRAIG A. HARRINGTON, Member
- ROBERT P. MARTIN, Member
- SCOTT P. PALMTAG, Member
- THOMAS E. ROBERTS, Member

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

ACRS CONSULTANTS :

DENNIS BLEY

STEPHEN SCHULTZ

DESIGNATED FEDERAL OFFICIAL :

DEREK WIDMAYER

HOSSEIN NOURBAKHS

CONTENTS

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

PAGE

Opening Remarks by the ACRS Chairman 4

Draft White Paper "Nth-of-a-Kind
 Micro-Reactor Licensing and
 Deployment Considerations" 7

Committee Deliberation on Draft White Paper
 "Nth-of-a-Kind Micro-Reactor Licensing
 and Deployment Considerations" 45

Break 69

Triennial Review and Evaluation of NRC Safety
 Research Program/Preparation of Reports . . 70

P-R-O-C-E-E-D-I-N-G-S

(8:30 a.m.)

CHAIR KIRCHNER: Okay. The meeting will now come to order. This is the first day of the 720th meeting of the Advisory Committee on Reactor Safeguards, ACRS. I'm Walt Kirchner, Chair of the ACRS.

ACRS members in attendance in person are Ron Ballinger, Greg Halnon, Craig Harrington, Bob Martin, Scott Palmtag, Dave Petti and Tom Roberts.

ACRS members in attendance virtually via Teams are Vicki Bier and Vesna Dimitrijevic. And ACRS consultants also via Teams are Dennis Bley and I expect Steve Schultz to join us as well. If I missed anyone, either ACRS members or consultants, please speak up at this point.

Derek Widmayer, the ACRS staff, is the designated federal officer for this morning's full committee meeting.

No member conflicts of interest were identified for today's meeting and I note that we have a quorum.

The ACRS was established by statute and is governed by the Federal Advisory Committee Act, or FACA. The NRC implements FACA in accordance with its

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 regulations.

2 For these regulations and the Committee's
3 bylaws, the ACRS speaks only from its published letter
4 reports. Therefore, all member comments should be
5 regarded as only the individual opinion of that member
6 and not a committee position.

7 All relevant information related to ACRS
8 activities, such as letters, rules for meeting
9 participation and transcripts, are located on the NRC
10 public website and can be easily found by typing
11 "About Us ACRS" in the search field on the NRC's home
12 page.

13 The ACRS, consistent with the Agency's
14 value of public transparency in regulation of nuclear
15 facilities, provides opportunity for public input and
16 comment during our proceedings.

17 We have received no written statements or
18 requests to make an oral statement from the public;
19 however, and, in addition, written statements may be
20 forwarded to today's designated federal officer. We
21 have also set aside time at the end of this meeting
22 for public comments.

23 A transcript of the meeting is being kept
24 and will be posted on our website. When addressing
25 the Committee, participants should first identify

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 themselves and speak with sufficient clarity and
2 volume so that they may be readily heard.

3 If you are not speaking, please mute your
4 computer on Teams. If you're participating by phone,
5 press *6 to mute your phone and *5 to raise your hand
6 on Teams.

7 Please do not use the Teams' chat feature
8 to conduct sidebar discussions related to
9 presentations. Rather, limit use of the meeting chat
10 function to report IT problems.

11 For everyone in the room, please put all
12 of your electronic devices in silent mode and mute
13 your laptop microphone and speakers.

14 In addition, please keep sidebar
15 discussions in the room to a minimum since the ceiling
16 microphones are live.

17 For presenters, your table microphones are
18 unidirectional and you'll need to speak into the front
19 of the microphone to be heard online.

20 Finally, if you have any feedback for the
21 ACRS about today's meeting, we encourage you to fill
22 out the Public Meeting Feedback Form on the NRC's
23 website.

24 During today's meeting, the Committee will
25 consider two topics. In the morning session, we will

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 discuss the Draft White Paper "Nth-of-a-Kind Micro-
2 Reactor Licensing and Deployment Considerations."

3 And in our afternoon session that will
4 begin at 1:00 p.m., we will discuss the Triennial
5 Review and Evaluation of the NRC Safety Research
6 Program.

7 Tomorrow morning, the Committee will
8 discuss the TerraPower Sodium Topical Report on Plume
9 Exposure Pathway Emergency Planning Zone. And
10 tomorrow afternoon, the Committee will have its
11 monthly planning and procedures meeting.

12 Before I turn over the Committee's
13 deliberations to Vicki Bier, who chairs our Regulatory
14 Rulemaking and Policies Subcommittee, I'll ask members
15 if they have any opening statements or comments for
16 the record.

17 (Pause.)

18 CHAIR KIRCHNER: Okay. Hearing none,
19 we'll turn now to the Draft White Paper on Nth-of-a-
20 kind micro-reactor licensing and deployment
21 Considerations.

22 Vicki, the floor is yours.

23 MEMBER BIER: Thank you very much, Walt.

24 As Walt mentioned, the Subcommittee on
25 Regulatory Policies and Practices heard a detailed

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 briefing on the staff's Draft White Paper on Nth-of-a-
2 kind micro-reactor licensing at its subcommittee
3 meeting a couple of weeks ago and this draft is
4 planned to become a SECY paper and sent to Commission
5 for consideration.

6 So, we are reviewing the paper, as part of
7 our obligations, under Title 10 of CFR to report on
8 matters concerning the safety of nuclear power
9 reactors.

10 At the subcommittee meeting, all but one
11 of the ACRS members were present. We had some
12 detailed discussion at the time and it was recommended
13 that most likely a letter would not be needed at this
14 time.

15 We may have comments on Nth-of-a-kind
16 reactor licensing and deployment later as the process
17 develops and becomes more detailed, but that at this
18 time we most likely will not write a letter.

19 So, therefore, the plans for today are to
20 have a short briefing summarizing some of the status
21 of this effort on the part of the staff.

22 After that, there may be some discussion
23 among the Committee Members and time for public
24 comment.

25 I anticipate that this meeting will most

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 likely end fairly early, you know, not go the full
2 morning session.

3 Anyway, with that, I apologize for not
4 being in the room in person today. So, I'm not sure
5 who is the lead presenter this morning, but whoever is
6 opening for the staff can go ahead and begin their
7 remarks.

8 MR. LYNCH: Good morning. This is Steve
9 Lynch, Chief of the Advanced Reactor Policy Branch.
10 I just wanted to thank the members again for the
11 opportunity to come and discuss the important work
12 that we are doing to prepare our regulatory framework
13 for the rapid advanced deployment of micro-reactors.

14 The staff here is going to share a summary
15 of the work that we have done by addressing
16 operational programs and reviewing of the
17 standardization of those to facilitate more effective
18 licensing Nth-of-a-kind micro-reactors.

19 We look forward to answering any questions
20 that the Committee may have for us today to further
21 inform the work that we're doing as our next milestone
22 with this effort is to prepare a policy paper for the
23 Commission.

24 We are still in the feedback stage of
25 developing this paper. So, getting feedback from the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 members today will be taken into account in our
2 continued work, and the staff is further engaging with
3 stakeholders at a public meeting later this afternoon
4 to get additional perspectives on the paper.

5 So, thank you, again, for your time. I
6 will now turn it over to our presenters Duke Kennedy
7 and Jackie Harvey.

8 MR. KENNEDY: Okay. Thank you, Steve.

9 Good morning, members of the ACRS.
10 Pleasure to be here today to talk to you about our
11 paper on Nth-of-a-kind micro-reactor licensing and
12 deployment considerations.

13 So, the contents of our presentation today
14 will include the motivation for the paper, the
15 background, we'll talk about the conceptual deployment
16 model for transportable micro-reactors, the
17 anticipated licensing strategy for Nth-of-a-kind
18 reactors, and we'll cover the options for
19 standardization of operational programs and their
20 review concurrent with the design stage.

21 And then there are five other topics
22 related to Nth-of-a-kind micro-reactor licensing and
23 deployment that we'll discuss that relate to enhancing
24 the efficiency of Nth-of-a-kind licensing. And then
25 we'll wrap up with brief notes on stakeholder

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 engagement and next steps.

2 Our motivations for the paper. We've been
3 working for several years to evaluate the regulatory
4 framework for micro-reactors and prioritizing
5 strategies for reliable and efficient licensing of
6 micro-reactors.

7 We continue to engage those stakeholders
8 and pre-applicants through periodic stakeholder
9 meetings as well as dedicated pre-application
10 engagement activities.

11 We are prioritizing these strategies for
12 predictable and efficient licensing and regulation of
13 micro-reactor designs and the new operational models
14 that they present, and have been working to identify,
15 prioritize, and take steps to address and resolve
16 associated policy issues.

17 So, for licensing purposes, micro-reactors
18 are commercial power reactors licensed under Section
19 103 of the Act.

20 Based on feedback and information from
21 developers, they're typically planning to use non-
22 light-water reactor technologies, power levels
23 anywhere from a few megawatts to several tens of
24 megawatts. They have anticipated small site
25 footprints which could be just a single container that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 the reactor is contained in or a small site with
2 simple instruction activities and buildings to support
3 operations.

4 It is anticipated they'll have lower
5 potential consequences in terms of radiological
6 releases and increased reliance on passive systems and
7 inherent characteristics to control power and heat
8 removal compared to the large light-water reactors
9 that are in operation today.

10 So, factory-fabricated transportable
11 micro-reactors are a subset of micro-reactors that
12 would rely heavily on standardization and mass
13 production to simplify licensing and deployment.

14 We covered other topics related to
15 factory-fabricated transportable micro-reactors in the
16 SECY paper provided to the Commission in January of
17 this year that focused on licensing and -- options for
18 licensing and regulation of fuel loading and
19 operational testing in a factory as well as a concept
20 of features to preclude criticality that would allow
21 a reactor loaded with fuel to be considered not to be
22 in operation, which would facilitate transportation
23 and other activities under the current regulatory
24 framework.

25 For the purposes of this presentation, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 term "Nth-of-a-kind micro-reactor" generally means a
2 micro-reactor of a standard design that has been
3 previously approved by the NRC. This could be through
4 a design certification, a manufacturing license, as
5 well as through a first-of-a-kind licensing effort.
6 Any of these can then be referenced in a subsequent
7 application for an Nth-of-a-kind reactor.

8 And so, Nth-of-a-kind micro-reactor
9 licensing refers to the licensing of micro-reactors of
10 the standard pre-approved design for operation as
11 power reactors at fixed sites.

12 Here's our conceptual deployment model.
13 This is the same deployment model that we developed
14 for the SECY paper provided to the Commission in
15 January.

16 It starts with a manufacturing facility or
17 factory where the reactor is fabricated. And
18 depending on Commission direction on the previous
19 SECY, it could be loaded with fuel or potentially
20 operated for functional testing, including nuclear
21 testing.

22 Then the reactor would be transported to
23 a deployment site where it would be either set up as
24 a standalone, self-contained design or incorporated
25 into buildings and structures and equipment that's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 constructed onsite.

2 And so, the paper that we're discussing
3 today really focuses on the process for licensing that
4 operation at the deployment site, in the middle column
5 there.

6 And then following operation, reactors may
7 be transported offsite and decommissioned elsewhere.
8 They may be decommissioned onsite or they may be
9 refurbished and refueled and redeployed.

10 So, what's in the Draft White Paper? We
11 have two vote topics. One is approval of standardized
12 operational programs at the design stage concurrent
13 with a manufacturing license or design certification.

14 Then we also have alternative approaches
15 for environment reviews, which we are not going to
16 discuss today, but we have released an enclosure last
17 week that covers more information about environmental
18 reviews.

19 There's another enclosure, Enclosure 1,
20 that provides additional information about operational
21 programs and how they might be standardized for micro-
22 reactors.

23 And so, that enclosure includes a lot of
24 information about the staff's thinking of what might
25 be able to be standardized for micro-reactors and what

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 benefits could be achieved by approving standardized
2 operational programs early in the licensing process
3 concurrent with a design review.

4 And then Enclosure 3 includes six
5 additional information topics related to efficient
6 Nth-of-a-kind license.

7 So, next we'll talk about the anticipated
8 licensing strategies. Phase 1 is a robust up-front
9 approval of a standard design. Listed there are
10 numerous pathways through which this could be
11 accomplished.

12 Also, approval of standardized operational
13 programs to the extent practicable, and completion of
14 a generic environmental review, to the extent
15 practicable, and also completion of hearings that are
16 necessary to cover the standard design or the
17 rulemaking process for design certification.

18 So, these up-front approval activities
19 would resolve many technical and other issues
20 generically and then would be able to be referenced in
21 the Nth-of-a-kind review.

22 The last bullet here is the time frames
23 for these different pathways for achieving the
24 standardized design. It can be varied.

25 We have generic milestones published for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 how long these processes take and these -- the route
2 that's chosen for approval of a standard design can
3 also affect the time frames for Nth-of-a-kind
4 licensing. We'll touch on that a little bit more
5 later.

6 So, Phase 2 of the process is the actual
7 Nth-of-a-kind licensing which would leverage the up-
8 front approvals.

9 Because these reactor -- the reactor
10 design would be essentially approved up front, we
11 think there's an opportunity to take advantage from
12 streamlined administrative processes. I'll touch on
13 that a little bit later.

14 There would also need to be safety and
15 security reviews that focus on confirmation of site
16 suitability.

17 So, the level of standardization achieved
18 in Phase 1 will determine the effort that's necessary
19 to do these reviews for confirming site suitability.

20 There will also be site-specific
21 environmental reviews, confirmatory inspections at the
22 place of fabrication and also at the deployment site.

23 And, again, this will depend on a
24 developer's deployment model and whether they're
25 taking advantage of manufacturing the reactor at a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 manufacturing facility or how much onsite construction
2 is necessary to -- for the reactor design.

3 Then for Part 52, licensing there would be
4 a verification of completion of the inspections, tests
5 and analyses and satisfying the acceptance criteria,
6 ITAAC.

7 And then for Part 50, there will also be
8 readiness inspections for operations and verification
9 that the reactor has been -- construction has been
10 substantially completed.

11 And then both Part 52 and Part 50 include
12 site-specific hearings that are mandatory hearings as
13 well as opportunities for contested hearings.

14 VICE CHAIR HALNON: Duke, this is Greg
15 Halnon. One of the things that at least I'm
16 struggling with, and I think a few of the members may
17 be, I understand that security is not in the purview
18 here; however, the effects of a security event could
19 very much affect what we decide and talk about around
20 this table relative to source terms and effect on the
21 public and other things.

22 In addition, I get that the environmental
23 review you say is not in our -- necessarily part of
24 this meeting, but the effects on the environment are.
25 So, when we try to exclude those from our discussion,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 we're incomplete in some things.

2 So, bear with us if we talk about those
3 things, maybe not how we protect, but what happens if
4 something from a security event, if you will, occurs
5 because that's a big piece of the discussion when
6 you're transporting and fueling and operating these
7 things all across our land.

8 So, I just wanted to make that comment at
9 this point so that if we don't come back and put our
10 hand on this thing, we can't talk about that, we may.

11 MEMBER PALMTAG: This is Scott Palmtag. I
12 just want to follow. I agree with what Greg said.
13 Environmental review is not part of this review.

14 Is it going to be? Are we going to see
15 this in the future? Is there a plan to hear about the
16 environmental review?

17 (Pause.)

18 MEMBER PALMTAG: I'm going to take that as
19 a no, but I do agree. I'm very curious how that's
20 going to work out. So, I'd like to hear something
21 about the environmental review when it is ready.

22 MEMBER MARTIN: This is Bob.
23 Environmental is kind of outside the scope of ACRS,
24 typically, right?

25 VICE CHAIR HALNON: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 MEMBER MARTIN: Yeah. So, we --

2 (Simultaneous speaking.)

3 MEMBER PALMTAG: It's part of the
4 licensing, though.

5 MEMBER MARTIN: Yes, it's part of the
6 licensing, but I don't think it's part of ACRS --

7 (Simultaneous speaking.)

8 VICE CHAIR HALNON: Maybe our staff can
9 help us, nor does it exclude us from looking at
10 environmental --

11 MR. WIDMAYER: So, hey, you guys. This is
12 Derek Widmayer. What we're excluded from doing is the
13 NEPA review, the mandated NEPA review.

14 So, that -- and that's basically what they
15 are addressing in Enclosure 2 is how they want to do
16 that.

17 You're not excluded from talking about
18 appropriate environmental impacts as they relate to
19 safety, but we're talking about the mandated legal
20 review as something that you guys don't have to get
21 involved in or are not supposed to get involved in.

22 CHAIR KIRCHNER: Right. So, we don't weigh
23 in in the NEPA process directly, but certainly the
24 safety review that the staff performs for any concept
25 informs the environmental review in many different

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 ways. And so, it's part of our statutory
2 responsibility in reviewing safety issues.

3 Indirectly, we will look at environmental
4 impact, but we do not participate formally in the NEPA
5 process.

6 MEMBER PALMTAG: Thank you. This is Scott
7 Palmtag again. I understand that. The one area I
8 have is in the schedule in that, my understanding, you
9 still have to go through the environmental review.

10 And if the environmental review is still
11 going to take something, I mean we're at a year or
12 more, it seems like unrealistic expectations to try to
13 get our licensing approval done in six months.

14 So, specifically I have questions about
15 it. I don't want to do oversight of the environmental
16 review, but I'm curious how they plan on getting the
17 time frame for the environmental review down to six
18 months like we're expected to.

19 MR. LYNCH: This is Steve Lynch, Chief of
20 the Advanced Reactor Policy Branch, just to speak
21 briefly on the environmental review piece of this.

22 So, the NRC does have parallel actions
23 that it is taking right now looking at how we are
24 conducting environmental reviews particularly in
25 response to the Fiscal Responsibility Act that does

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 direct the NRC to look at streamlining activities that
2 we could take to improve our efficiency in conducting
3 environmental reviews.

4 So, we do expect that there will be
5 continued efficiencies identified in some of our
6 parallel actions that we will coordinate with our
7 micro-reactor efforts.

8 MEMBER PALMTAG: Thank you.

9 MEMBER ROBERTS: Yes. Tom Roberts.
10 Following up with what Greg and Derek said, part of
11 the environmental assessment is the Severe Accident
12 and Management Alternative -- the Severe Accident
13 Mitigation Design Alternatives and that's an area that
14 I would think we would want to look at that just
15 generically is that that's where that type of
16 assessment shows up.

17 Maybe everybody has a different view on
18 that, but that's one area it seems that we should
19 just, you know, inherently review.

20 MR. LYNCH: Steve Lynch again just to speak
21 on severe accidents. In the guidance that the NRC has
22 developed for advanced reactor environmental reviews
23 to include micro-reactors, that is a topic that we
24 have agressed in looking in making sure that the
25 staff is aware of differences and how we may look at

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 SAMDAs compared to previously licensed large light-
2 water reactors. So, there are efforts looking at
3 that.

4 For the current paper that we're working
5 on, you know, looking at the operational programs and
6 more on that administrative side, that is exciting to
7 hear.

8 But as we continue to implement strategies
9 moving forward consistent with legislative direction,
10 whether that be NEIMA, the Fiscal Responsibility Act,
11 or the ADVANCE Act, the NRC staff will continue to
12 look at the hazards associated with the operation and
13 siting of these micro-reactors.

14 And to the extent that we have issues that
15 come up that we are looking to address that are unique
16 to these facilities, we will bring them to the ACRS to
17 discuss. So, thank you.

18 MR. KENNEDY: Okay. Thank you. I will
19 just also mention that the regulations for
20 manufacturing licenses and design certifications
21 require the NRC to prepare an environmental assessment
22 that directly address SAMDA.

23 That's one environmental issue that is
24 reviewed as part of proceeding for a manufacturing
25 license or a design certification.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 I think I'll also offer with respect to
2 the question on the timing of the entire process, we
3 have laid that out in the White Paper, some
4 illustrative time frames for what we think could be
5 sort of minimal overall process time frames for parts
6 of the licensing process that are directly under NRC
7 control, as well as -- I don't want to say "maximum"
8 time frames, but longer time frames.

9 And in developing those illustrative time
10 frames, when you get to the lower ends, you're talking
11 about situation where reactors are fully standardized.
12 They're being produced without any departures from the
13 approved design.

14 And then, also, the environmental review
15 has been pared down to a streamlined environmental
16 assessment or even a categorical exclusion.

17 So, those are the options that are
18 discussed in the paper that would help to achieve the
19 shortest time frames, but, if you read Enclosure 2,
20 you'll see a fulsome discussion of the staff's overall
21 strategy for conducting its NEPA reviews and how it
22 might be phased over time to take advantage of gaining
23 experience with licensing a particular design.

24 So, I'll just say that we have considered
25 how the environmental review can be streamlined and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 the overall time frame shortened would be aligned with
2 the time frame that we think would be necessary to
3 conduct the safety portion of the review. So, we've
4 considered both in our illustrative time frames.

5 Okay. So, now I'm moving into approaches
6 for review of standardized operational programs. So,
7 this is the first vote topic that would be presented
8 in the SECY paper and that's discussed in the White
9 Paper.

10 There are two options the staff has
11 considered and the first option -- let's go here to
12 the next page -- the first option is the status quo
13 that's currently applicants can submit operational
14 programs as topical reports or they could also
15 reference operational programs that have already been
16 approved in a previous reactor licensing review. So,
17 those are available at this time.

18 The second option the staff has been
19 considering is the review and approval of operational
20 programs in parallel or as part of a design
21 certification or -- sorry, as part of the design
22 certification or manufacturing license application.

23 So, this would allow applicants to propose
24 standardized operational programs in the ML or DC
25 application for the NRC staff to review and approve

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 those at the design stage, which would essentially
2 allow applicants for Nth-of-a-kind reactors to
3 reference those programs and not have them have to be
4 part of the extensive review of a COL application.

5 So, the thinking here is that by having
6 those programs pre-approved as part of the ML or DC,
7 that the time frame for Nth-of-a-kind licensing can be
8 reduced by saving the time needed to review those
9 programs with a review of each combined license or
10 construction permit and operating license application.

11 VICE CHAIR HALNON: So, did you envision
12 change process for customization similar to the 5059-
13 type process later down the road? The company buys
14 one of these and then they make a small change to
15 these standardized programs?

16 MR. KENNEDY: So, there are change control
17 processes specified in the regulations and as part of
18 the design certification rulemaking. One of the
19 appendices usually includes a discussion of the
20 processes needed for change control.

21 I don't know, Jackie. Did you want to add
22 anything here?

23 MS. HARVEY: Yes. This is Jackie Harvey.
24 So, that is something that we are going to explore, if
25 directed by the Commission, to pursue Option 2.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 VICE CHAIR HALNON: But we saw recently in
2 a discussion we had on SMR that the degree of
3 standardization during the approval process sometimes
4 was left up to the COL applicant where it put into
5 question what the definition of "standard" was,
6 basically, and we struggled a little bit with how deep
7 to go with that.

8 So, on this will you have a list of at
9 least the minimum set of programs required to be
10 standardized or is it going to be left up to -- is
11 that just nebulous at this point?

12 MS. HARVEY: Yeah, this is Jackie Harvey
13 again. So, there are a lot of different deployment
14 models that are being discussed right now.

15 So, we're trying, at least at this point
16 in time, to allow staff the flexibility to make that
17 decision in the future to see what developers are
18 going to do.

19 VICE CHAIR HALNON: So, it could be
20 reactor-specific?

21 MS. HARVEY: Exactly.

22 VICE CHAIR HALNON: Okay. Thanks.

23 MR. KENNEDY: Thank you. So, one other
24 thing to mention, and this goes to your question, is
25 that there is some uncertainty about how fully an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 applicant could describe its programs and how much
2 reliance there would actually be on site-specific
3 features.

4 And so, this approach would allow the
5 staff to prove these programs up front if they're
6 fully described.

7 MS. HARVEY: Um-hm.

8 MR. KENNEDY: And if a full program isn't
9 described, there may be the ability to approve some
10 aspects or requirements within that program on a
11 generic basis and then focus the Nth-of-a-kind review
12 of those programs on filling in the site-specific
13 considerations.

14 The idea is that a future applicant, if
15 Option 2 were available, could still choose to do
16 Option 1. It really depends on what's appropriate for
17 their deployment model.

18 And so, this -- the options that we're
19 considering for the paper are really to provide
20 additional flexibility for the staff and for
21 applicants to be able to implement their desired
22 deployment models and we think that there's going to
23 be a wide variety of what applicants end up wanting to
24 do.

25 Okay. So, now moving to the information

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 topics that are presented in the paper, the first is
2 maximum design standardization.

3 And this isn't really anything new;
4 however, micro-reactors having typically simpler
5 designs and smaller site footprints, perhaps much less
6 reliance on site-specific construction activities,
7 really offer kind of a new opportunity to take
8 advantage of design standardization in making Nth-of-
9 a-kind licensing more efficient.

10 So, again, there are various pathways by
11 which a standardized design could be approved. Could
12 be a manufacturing license, which really provides the
13 greatest level of standardization for a reactor that
14 can be fully manufactured in a factory.

15 The regulations for design certifications
16 cover the entire plant. And so, the whole-plant
17 design could be standardized through a design
18 certification which could include things that would be
19 constructed at the site as opposed to just things
20 manufactured in the manufacturing facility.

21 And then there is also standard design
22 approval that can be used for entire portions of a
23 plant; however, that doesn't really achieve the same
24 level of standardization in terms of regulatory
25 stability and finality of the proceeding on the design

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 approval.

2 And then, again, there's also the ability
3 to standardize through first-of-a-kind reactor design
4 that could be referenced in subsequent applications.

5 But when we're talking about maximal
6 design standardization, we're really focusing on
7 manufacturing licenses and design certifications that
8 provide the greatest level of finality and regulatory
9 stability of the design.

10 MEMBER PALMTAG: This is Scott Palmtag
11 again. This is just a follow-on to Craig's comment
12 from before, but there's -- as we discussed yesterday,
13 there's different kinds -- there's standard designs
14 and then there's as-built designs.

15 When you say the standard designs, are you
16 saying the standard designs or something that fully is
17 or another category that's fully built, all the piping
18 diagram concerned, et cetera, et cetera?

19 MR. KENNEDY: Yeah. So, maximal design
20 standardization, in this paper, is what would be
21 needed in order to achieve the shortest time frames.

22 And we're talking about a design that's
23 fully -- a final design that's fully approved and that
24 each individual reactor deployment does not take any
25 departures from that design.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 So, it's not a -- when I hear "as-built,"
2 I think of when you get to the end of construction and
3 you're ensuring that you've followed the design
4 exactly.

5 If there are any departures that require
6 additional analysis, that's not maximal design
7 standardization.

8 MEMBER PALMTAG: This is Scott again. You
9 could have a standard design, but people could still
10 make changes. It's a category below that standard
11 design, for example where the pipes go, et cetera, et
12 cetera.

13 Is there any -- is there a separate
14 category for that? I would think if you're going to
15 do an Nth-of-a-kind, you'd sort of want the same
16 reactor going out the door not changing the small
17 things, is there?

18 MR. KENNEDY: So, there are some
19 flexibilities depending on how the final design is
20 described; however, what we're looking at here is a
21 case where every reactor is essentially identical.

22 If an individual applicant wanted to make
23 changes to that design for some reason to account for
24 some specifics of the site, that would open up that
25 portion to review again as part of the COL review or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 the CBOL review which would necessarily extend the
2 licensing process. So, somewhat compared to if the
3 design fit the criteria of maximal design
4 standardization.

5 MEMBER PALMTAG: My concern is that
6 standard design does not mean identical designs. Just
7 something to think about.

8 MR. KENNEDY: Thank you. And one thing
9 that we've heard from developers, also, is that they
10 may actually have more than one model of a standard
11 design where -- depending on where the reactor -- the
12 characteristics are the same where the reactor could
13 be deployed.

14 They may have different, for example,
15 seismic protection equipment, a model A reactor that
16 goes in lower seismic hazard zones and a model B
17 reactor that could go in higher seismic hazard zones.

18 And so, there are ways that a single
19 reactor design, the basic design, could be -- could
20 have variants approved ahead of time so that we get to
21 the site-specific licensing and you, again, you don't
22 have to go back and review that aspect if the correct
23 model and reactor is chosen for the site that part is
24 going to be deployed. So, that's one strategy that
25 we've heard from stakeholders.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 Okay. The next topic is grading the level
2 of site characterization. So, the thought behind
3 this, and it's being presented at a conceptual level
4 in the paper, there would need to be -- or likely be
5 guidance developed on how to implement this and that
6 would be something coordinated with stakeholders, but
7 the idea -- the conceptual idea presented is that for
8 micro-reactors and considering their design
9 characteristics, it may be possible based on a
10 comparison of the bounding design parameters of the
11 reactor and the actual site characteristics and the
12 margin between those, the design parameters and the
13 site characteristics, and also considering the margin
14 between the actual consequences of potential accidents
15 and the regulatory criteria for doses, that
16 considering those margins it may be possible to do the
17 site characterization in a way that's different from
18 how we do it now and integrate it based on considering
19 those margins.

20 So, for example, if the consequences of a
21 potential accident are very low and the margin between
22 the design limit and the site characteristics is very
23 low, may be possible just to rely on existing data
24 that's available in vetted public sources, USGS maps,
25 instead of doing detailed onsite investigations.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 That's one illustrative example.

2 This would have to be done on a
3 characteristic-by-characteristic basis. So, each site
4 characteristic would be evaluated with respect to the
5 margin between that characteristic and the design
6 value. Also, consider the consequences of accidents
7 that could potentially result from site-specific
8 hazards and then determine if there was a -- if there
9 was enough reliable data that already existed or if
10 there needed to be some site characterization
11 activities to supplement that.

12 And you may find that, in the end, you
13 need to do the same level of site characterization as
14 we're currently doing.

15 MEMBER MARTIN: This is Member Martin. I
16 appreciate of course the amount of high level of what
17 you've written down, but I'd like to emphasize the
18 point that's been made a couple times about novel
19 deployment.

20 I can't help but believe that kind of a
21 business case for micro-reactors is all about the
22 novel and we're still thinking kind of in the old way
23 with site characterizations and operations and what
24 have you, you know.

25 I, you know, events like, you know,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 Hurricane Helene or, you know, any natural disaster,
2 you know, brings up the thought that you might want a
3 micro-reactor, transportable reactor, to respond to
4 national emergencies, novel deployment situations
5 where you wouldn't have time to do, you know, a
6 thorough site characterization in the sense that we
7 normally would do.

8 When do we address those novel situations,
9 because I think they're going to be more common with
10 these things particularly considering, you know,
11 micro-reactors are a more expensive option.

12 So, when is that option the right option?
13 And certainly we can think of, you know, emergency
14 situations, quote situations, what have you, but
15 transportation is a big part of it.

16 And, you know, there isn't, you know, a
17 lot in the white paper on novel, but I know it has to
18 be on your minds.

19 When does that come in? We've just been
20 trying to tweak regulations that we have now with an
21 eye towards the future and then expecting other
22 incremental changes as we get more clarity or is there
23 some activity to really focus on some of these novel
24 deployment scenarios?

25 MR. KENNEDY: Thank you for your question.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 So, this paper focuses on fixed site deployment and
2 really where the reactor would be reviewed and
3 licensed at a single fixed site, but that doesn't
4 preclude a single reactor from actually being licensed
5 at other sites as well, but that is not the focus of
6 this paper.

7 There is legislation that was signed
8 earlier this year of the accelerating deployment of
9 advanced nuclear -- versatile advanced nuclear for
10 clean energy or ADVANCE Act, and that has a section,
11 Section 208, and that covers micro-reactor licensing
12 and regulation.

13 Section 208 has eight topics. One of the
14 topics is siting and the siting has three subtopics.
15 Those are considering the population density criteria
16 that was described in a staff paper to the Commission
17 in 2020, and also to consider siting in relation to
18 licensing mobile deployment of micro-reactors, and
19 siting in relation to environmental reviews.

20 And so, the ADVANCE Act directs the NRC to
21 develop risk-informed, performance-based strategies
22 and guidance in these areas that are called out in
23 Section 208. And so, mobile -- licensing mobile
24 deployment is one of those areas.

25 And so, those strategies and guidance are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 to be developed within 18 months of signature of the
2 law, which was in July. So, that would be January
3 2026.

4 And then to have those strategies and
5 guidance implemented by -- within three years, which
6 would be July of 2027. So, that is coming.

7 MEMBER MARTIN: So, what will we expect in
8 18 months? I mean, a white paper or is there more
9 there?

10 MR. KENNEDY: So, I think it's too early
11 to say specifically on that topic.

12 MEMBER MARTIN: All right. Thank you.

13 MR. LYNCH: Real quick. This is Steve
14 Lynch, Chief Advanced Reactor Policy Branch. When it
15 comes to implementation of specific strategies under
16 the ADVANCE Act method of transportation, the NRC
17 staff has taken a coordinated approach as an agency in
18 working methodically to develop reports and
19 implementation strategies acquired.

20 At this time, the NRC staff is still
21 assessing what the strategies are that we would like
22 to implement.

23 We intend by early 2025, as directed by
24 the legislation, to have identified the areas and
25 strategies that we will be working towards to support

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 micro-reactor licensing and in line with the Act we
2 have three years to work toward implementation.

3 So, as we have those implementation
4 strategies identified, we do expect additional
5 engagement of the ADVANCE Act.

6 CHAIR KIRCHNER: I would just interject at
7 this point that I requested our staff to arrange with
8 my teams leading that effort to respond to the ADVANCE
9 Act, as Steve just outlined, and we'll have a
10 presentation at the ACRS in February time frame.

11 And that will go into detail on -- well,
12 as they formulate their strategies and timelines,
13 they'll share what's available then in February.

14 MEMBER ROBERTS: Yes. This is Tom
15 Roberts. I think the answer to Bob's question is the
16 comment that Greg had made at the subcommittee, which
17 is there are a lot of topics that need to be reviewed
18 and some of them were described as future in the
19 earlier this year SECY paper.

20 To get them all resolved in the next 18 --
21 well, 14 months, right? We've already got four
22 months, you know, behind us.

23 There's been a lot of interaction, I
24 think, with us to try to make sure we're up to speed
25 on what it is you're doing in a way that doesn't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 interfere with the schedule.

2 I'm sure you're working that out in terms
3 of how you guys interact with us as part of the
4 overall timeline.

5 It's a very aggressive timeline. There's
6 a lot of topics in there. I don't envy you at all
7 for, you know, great challenge, I guess, I was going
8 to say for you to come through that, but just we want
9 to be caught at the appropriate time so we're not
10 limited at the end.

11 VICE CHAIR HALNON: Yeah, and there's a
12 double reason for that. One, that Tom just said. The
13 other reason is we need to establish, in parallel,
14 what our process of review is going to be for Nth-of-
15 a-kind reactors as well.

16 So, we want to complement what you're
17 doing to make sure that our -- down the road our
18 reviews are as efficient as your review is going to
19 be.

20 So, it's -- there's a double reason there
21 for our process as well, not just the topical aspects.

22 MR. KENNEDY: Okay. Thank you. The next
23 topic is deployment site emergency preparedness. So,
24 there's information in Enclosure 1 that talks about
25 standardization in emergency preparedness programs for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 micro-reactors.

2 But in Enclosure 3 in the information
3 topic it provides some additional information related
4 to what emergency preparedness looks like for Nth-of-
5 a-kind micro-reactors at the deployment site.

6 And so, the regulations in -- the existing
7 regulations in 10 CFR Part 50 and 10 CFR Part 52 apply
8 to micro-reactors of a common design.

9 And the NRC staff is exploring approaches
10 for streamlining the review of emergency preparedness
11 for licensing Nth-of-a-kind micro-reactors based on
12 several considerations. And these include the
13 possibility that potential accidents would result in
14 low doses at the site boundary and, under certain
15 circumstances, might not require extensive offsite
16 response.

17 So, the particular characteristics of
18 micro-reactors come into play here as well as the
19 level of reliance onsite or interfaces with the site
20 and what site-specific factors might need to be
21 considered under emergency preparedness depending on
22 the specific design of the reactor and what can be
23 approved ahead of time in the manufacturing license or
24 design certification or result in a first-of-a-kind
25 licensing proceeding.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 VICE CHAIR HALNON: So, just one followup
2 on this because I don't think there's any concern
3 about the classic emergency preparedness.

4 We know it's going to be a lot less
5 impactful than obviously what we used to with the
6 light-water reactors and whatnot. So, that's not a
7 problem.

8 But I would hope that in the conversation
9 that you guys have about emergency preparedness, you
10 talk about maybe the non-classic stuff. I mean, stuff
11 like, you know, we've lost RT sources. People have
12 put them in their pocket and had problems and things
13 like that.

14 I'm not saying that you're going to get a
15 micro -- even though it says "micro," you're not going
16 to put a micro-reactor in your pocket, but there may
17 be some things from an offsite preparedness
18 perspective that may need to be done even though an
19 offsite response is not required.

20 For example, at least some training and
21 other things. You look at those things that are not
22 just licensed-based events, I mean, that's very small,
23 it's not going to be a problem from a dose
24 perspective, but there may be some other things based
25 on reactor-specific issues that could affect at least

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 the offsite locale.

2 So, it may be just a legal discussion from
3 that vantage to make sure that there's nothing that
4 we're introducing that could be harmful to the public,
5 I mean, not deadly or could cause impairment or a
6 response or something to that affect, but still
7 something that may be there that we need to prepare
8 for.

9 MR. KENNEDY: Thank you for your comment.
10 The next topic is streamlined processing of license
11 applications and licensing documents.

12 I won't go into this in depth, but the
13 basic idea is that when you're getting to Nth-of-a-
14 kind in licensing the same reactor over and over,
15 you're generating very similar documentation both on
16 the applicant side and the NRC side and there's an
17 opportunity there using additional electronic tools to
18 reduce the processing time frame for these documents.

19 So, unless there are questions, I'll just
20 move on.

21 (Pause.)

22 MR. KENNEDY: Okay. Next is construction
23 inspection. So, as I showed in the deployment model,
24 there is a category or type of designs where the
25 reactor is essentially self-contained and that it's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 fully manufactured in a factory or manufacturing
2 facility and then it's transported in one or several
3 containers that are placed at the site and maybe
4 interconnected and then connected to a load and
5 started up.

6 And then there is the other model where
7 the core and perhaps the vessel and some internals are
8 fabricated in the factory and then essentially plugged
9 into permanent structures and systems that are
10 constructed onsite.

11 So, this creates a situation where there
12 will be a need for some inspection activities at a
13 manufacturing facility or where the reactor is
14 manufactured as well as the site.

15 And so, the staff's goal in implementing
16 such an inspection program is to ensure that these
17 inspections can be conducted within the deployment
18 time frames that developers are looking at and that
19 these programs can be put into place in a way that
20 they would take advantage of experience that's gained
21 as the same reactor is manufactured and constructed
22 repeatedly.

23 And so, there are requirements, of course,
24 that I mentioned earlier in Part 52 that before a
25 reactor is placed into operation, the NRC verifies

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 that the ITAAC have been completed or that the reactor
2 is substantially -- sorry, construction of the reactor
3 is substantially complete and ready for operation.

4 And so, these -- so, there's a site-
5 specific component as well as a component that would
6 take place at a manufacturing facility.

7 So, there was a SECY paper that was issued
8 last year that was the vision for the Nuclear
9 Regulatory Commission's Advanced Reactor Construction
10 Oversight Program.

11 And so, that considers risk-informed and
12 performance-based approaches. And so, that will be
13 leveraged in developing appropriate inspections for
14 these different types of deployment models.

15 Okay. Finally, consistent with what we
16 did for the SECY paper provided to the Commission in
17 January of this year, we had numerous meetings with
18 stakeholders and the public to discuss the topics that
19 we are considering putting in this paper and then to
20 follow up with information about the potential
21 strategies that we were looking at.

22 And through these meetings we received
23 favorable feedback from stakeholders on the scope of
24 the paper and the options that were being developed.

25 And, again, we anticipate there will be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 additional engagement then as the staff implements
2 Commission direction on the paper.

3 We also received a letter from the Nuclear
4 Energy Institute on "Regulations of Rapid High-Volume
5 Deployable Reactors in Remote Applications and Other
6 Advanced Reactors" and there was a presentation by NEI
7 at the subcommittee meeting on their paper.

8 As mentioned, this afternoon we'll be
9 having a public meeting to -- dedicated to discussion
10 of this paper with stakeholders.

11 Then finally, next steps. We're
12 developing a Commission paper based on this draft
13 white paper and we'll be requesting Commission
14 direction on two policy issues.

15 One is the approval of standardized
16 operational programs. The other is options for
17 alternative environmental reviews.

18 And we will include the -- Enclosure 3 on
19 the information topics that support efficient Nth-of-
20 a-kind licensing. Several of which include strategies
21 and information that would be useful for enhancing
22 clarity for developers as they continue to work on
23 their designs, licensing strategies and deployment
24 models.

25 So, thank you very much for your time and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 for your comments and that concludes the staff's
2 presentation.

3 MEMBER BIER: Okay. Thank you very much.
4 This is Vicki Bier again, subcommittee chair. I
5 wanted to make a couple of quick comments mainly for
6 members of the public who may not have tuned into the
7 subcommittee meeting.

8 The reason that the subcommittee
9 recommended not writing a letter is not because we
10 don't appreciate the importance of Nth-of-a-kind
11 reactors and not because we don't think there could be
12 important safety implications in how that's done, but
13 simply because in the current stage of development
14 where the main choice is between Option 1 and Option
15 2 or whether to allow both options, we didn't see a
16 safety implication at that level that our sense was
17 that either Option 1 or Option 2 could be implemented
18 in a way that protects public health and safety and
19 that the situations where ACRS might have more
20 detailed substantive comments would come later as
21 those approaches are developed in more detail and
22 finalized.

23 So, that's just kind of to lay the land
24 that this is -- looks fine for now, I think, in my
25 personal opinion, but ACRS may obviously have comments

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 later on as the process evolves.

2 We had quite a bit of lively discussion
3 already. So, if there is further discussion now by
4 members of the Committee or consultants, I am happy to
5 take that.

6 CHAIR KIRCHNER: Vicki, this is Walt.

7 MEMBER BIER: Great.

8 CHAIR KIRCHNER: I'd like to just make some
9 observations, not questions of the staff.

10 MEMBER BIER: Super.

11 CHAIR KIRCHNER: So, going back to, I
12 think, earlier discussion, Greg and Scott, what I
13 would just note here is that there's a nexus between
14 safety, safeguard, security, and environment. And for
15 the deployment considerations, that's a pretty tight
16 coupling.

17 So, the first-of-a-kind licensing in this
18 instance is the most important because you're going to
19 look at the robustness of the technology that's
20 proposed for deployment. And that's -- the deployment
21 is actually a big challenge for this concept of using
22 micro-reactors. So, let me provide some context and
23 background.

24 40 years ago I led a design team that was
25 tasked with designing a reactor to power radar sites

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 on the arctic circle called the North Warning System.

2 There was a proposal to power 13 sites
3 that strung from Alaska to Greenland with small -- not
4 called micro-reactors then, but small reactors for the
5 radar stations.

6 The biggest challenge that we saw right
7 off was the robustness of the technology for the
8 deployment concept.

9 It included the transportation of the
10 modules, the safe transportation. The presumption was
11 they would be fueled and essentially intact.

12 They had to operate in a very harsh
13 environment and they had to withstand the external
14 hazards that we expect in any reactor deployed to
15 accommodate.

16 So, at the time, just to -- without making
17 a technology recommendation, I'll just say what we
18 consider in the prototype that we built was a TRISO-
19 fueled graphite-moderated reactor using heat pipes for
20 the power conversion and thermoelectric. So,
21 essentially a very passive design.

22 We partnered with the AECL. Most of the
23 sites were on Canadian territory and the environmental
24 impact was a major consideration.

25 So, we wanted the minim footprint in terms

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 of when you're done with the deployment, any residual
2 contamination, and of course there was the concern
3 about leakage of radionuclides during operation. So,
4 effluents, et cetera.

5 Those were all drivers and considerations,
6 but it turned out the deployment considerations were
7 the biggest.

8 So, when we leave that behind, we did not
9 deploy those reactors at 13 sites. The North Warning
10 System Project was cancelled because technology
11 advanced and we went to satellites instead of fixed
12 radar installations.

13 But, I mean, forward to today, what I
14 would point out is unlike large reactors, including
15 SMRs that are being considered, fixed installations,
16 to first order they're naturally hardened by design
17 and the external hazards and other considerations,
18 manmade hazards and sabotage, are much more of a
19 challenge for a micro-reactor than for a large reactor
20 with large fixed containment shielding and such.

21 So -- and let me give you some examples of
22 considerations and why I feel the first-of-a-kind
23 licensing activity is the most important in going
24 forward with deployment.

25 Small reactors, for example -- I'll just

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 give you a few examples for consideration. Small
2 reactors tend to be leaky because they're small. They
3 are leaking neutronically.

4 So, if you immerse a small reactor, this
5 is a big consideration with small reactors that face
6 applications, they actually -- you add reactivity. If
7 you flood the internals in one of these reactors, you
8 add reactivity in most designs that are being
9 considered.

10 So, flooding in a large LWR, yes, is a
11 concern. You worry about loss of equipment,
12 auxiliaries, and so on, but it doesn't add a
13 reactivity component to the reactor. So, that's just
14 one example.

15 Another example that I point to is that
16 the external hazards like tornado-driven missiles,
17 telephone poles, cars and such are a much bigger
18 hazard for a small reactor that isn't encapsulated in
19 a hard containment like an LWR, et cetera.

20 So, what I would point you to is that the
21 technology selection up front is very critical. You
22 need a very robust design and that robustness should
23 also take into account safeguards and security
24 considerations as well.

25 Fixed fuel, for example, is much

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 preferable through a liquid fuel system when it comes
2 to safeguards and other related issues.

3 So, all those things, I think, are very
4 important considerations up front. So, I think the
5 first-of-a-kind licensing is the bigger challenge than
6 the Nth-of-a-kind.

7 I think the Nth-of-a-kind becomes a
8 challenge when you look at the individual sites that
9 are considered.

10 So, if the developer, for example, to
11 maximize the opportunity for deployment has to be
12 thinking about things like environmental
13 qualifications.

14 Most -- if you think about a large LWR,
15 most of the equipment is protected within the
16 containment.

17 It's in a hot environment, but it's
18 shielded. So, the environmental qualifications aren't
19 as demanding as they will be for deployment of these
20 small reactors.

21 I'll give you a few examples. Temperature
22 becomes a big issue especially in the Arctic. We had
23 to worry about the reliability and functionality of
24 things like control systems.

25 These systems have similar considerations

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 because they're not -- well, we'll see. We'll see
2 what the developers propose in terms of building fixed
3 installation versus something that's very -- be
4 transported with a modest amount of protection. So,
5 that -- I just want to highlight some of those issues
6 that will be critical.

7 So, in my opinion, again, the first-of-a-
8 kind activity, the robustness of the technology given
9 all these considerations, external hazards,
10 environmental qualification, diversion of materials,
11 et cetera, are really critical for the success --
12 potential success and deployment at scale.

13 And then the other thing that the agency
14 needs to be considering is the proliferation of risk
15 if there's a large-scale deployment of these -- of
16 this technology and how it's going to protect that.

17 With a large LWR you have -- again, you've
18 got the containment. You've got a large exclusionary
19 or boundary. You have a large guard pro force.

20 I think many of the proponents of these
21 technologies are thinking minimal manning, if not
22 unmanned. We were looking at unmanned operation of
23 those Arctic sites. So, those are the considerations.

24 So, I see the deployment aspects are the
25 harder challenge for the agency than the actual

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 technology itself.

2 Getting to Nth-of-a-kind is -- if the
3 proponents stick to a standard design, as Scott was
4 pointing out, I don't think the Nth-of-a-kind
5 licensing is the issue. The issue is going to be the
6 deployment, the site, and the environmental aspects
7 that go with it presuming you really have a robust
8 technology going forward. So, with that, I'll wind up
9 my comments.

10 MEMBER BIER: Thanks for the comment,
11 Walt. One followup, especially kind of in regards to
12 Bob Martin's comment, is that I think one of the
13 things we see in this whole process is the agency
14 trying to adapt regulations that were developed for
15 large fixed reactors to a totally different context.

16 And if we had started out with
17 manufactured micro-reactors back, you know, several
18 decades ago, the entire regulatory system might look
19 very different.

20 And, you know, we're kind of playing
21 catchup for not having designed this -- the regulatory
22 system with this in mind. So, that's where I think
23 some of the complexities are going to come from.

24 I see that Dennis has his hand raised.

25 DR. BLEY: He does. Hi. A couple things

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 have been eating at me and they don't really apply to
2 the current white paper and whether the Committee
3 decides to write a letter or not -- well, you're not
4 writing one.

5 Walt and Greg kind of read my mind
6 yesterday. Walt talked a little bit about the fact
7 that the reviews of TMI -- well, if you haven't read
8 the Rogovin report and the Kemeny report ever or in
9 the last 20 or 30 years, it's worth going back and
10 reading them.

11 I did a couple years ago and they hit a
12 lot of interesting things, but both pointed to the
13 creation of some problems because there wasn't
14 standardization in the industry.

15 I understand under the law and the rules
16 the staff has to look at any application that comes to
17 them. So, there's no way for the staff to force
18 standardization, but, you know, in a few other
19 meetings it's really become clear that standardization
20 is kind of hard to get to because everybody wants to
21 make some changes and yet everybody, individual
22 applicants, aren't really thinking about -- aren't
23 being controlled by thoughts about how this affects
24 the overall process of licensing.

25 Now, Greg pointed out there's a strong

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 connection between standardization and safety. And I
2 think that's true and the link is, for me, unintended
3 consequences.

4 In the individual members and the
5 chairman's discussions with the commissioners, this
6 might be something to discuss.

7 Somehow making it clear publicly that the
8 lack of standardization involves additional review and
9 complicates the review process, but needs to come
10 across and be understood because there's lots of
11 forces trying to push us to standardization and I
12 suppose economic forces taking us away from that.

13 Maybe it will be different with micro-
14 reactors, and Vicki made some really good points
15 there, but I think this is something the Committee
16 needs to think about and think about how they interact
17 with the NRC.

18 They're a statutory committee, which means
19 Congress made you very special compared to all the
20 other committees around the government, and they're
21 really creatures of the legislature, too.

22 So, somehow getting the word out about how
23 this problem -- how this might create problems in the
24 future is important.

25 I don't have an answer for you, but I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 think it's worthy of thought in the future as you go
2 forward. It doesn't have anything really to do with
3 what you're doing today. That's all.

4 MEMBER BIER: Thank you, Dennis. And one
5 other thing that I've been thinking kind of just in
6 the last 24 hours since our discussion yesterday, if
7 you look at the manufacturing industry across the
8 board, we started off with, you know, you could get
9 any color Ford you want as long as it's black, and you
10 now have mass customization for cars or other consumer
11 product, but it tends to be along very limited lines.

12 You don't get to redesign the chassis when
13 you go buy a Ford. You get to choose the upholstery
14 and the sound system and whatever and it took, I
15 think, quite a long time for industry to develop the
16 management capabilities to manage that mass
17 customization cost effectively.

18 And, you know, it's well beyond our
19 purview as a committee, but I think, you know,
20 industry needs to think about how much customization
21 do they want to allow and can it be kind of pre-
22 standardized where you can customize certain things
23 that don't affect the safety and regulation of the
24 plant in a major way, et cetera.

25 So, anyway, that's kind of random comments

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 from my last 24 hours. But since I'm not in the room,
2 I'm not aware if there are other people wanting to
3 make comments or ask questions right now.

4 CHAIR KIRCHNER: Thank you, Vicki. I'm
5 just looking across the table.

6 Any further comments from the members?

7 MEMBER PETTI: I'll just add to some of
8 yours, Walt. The fact that it's leaky does other
9 things.

10 There's Argon-41 activation that has to be
11 considered, but there's also activation of the
12 surrounding -

13 (Simultaneous speaking.)

14 MEMBER PETTI: -- and the dirt, you know,
15 that you put it on.

16 I mean, that's not a problem with the
17 current fleet, you know. There's plenty of shielding.
18 So, there are these unique -- and that should come up
19 in the environmental stuff, I would think, but, again,
20 it's not something that we standardly think about.
21 So, you have to think about they systems a little
22 differently.

23 CHAIR KIRCHNER: Occupational exposure
24 becomes a challenge --

25 MEMBER PETTI: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 CHAIR KIRCHNER: -- because you get a fair
2 amount of shine from the designs that are being
3 considered vis-a-vis a large LWR system.

4 Obviously, a much larger LWR system has a
5 significant shielding challenge and they deal with
6 that, but it's a fixed installation, so to speak.

7 But from what we've seen to date of the
8 concepts being considered, that will be something that
9 you'll have to look at, occupational exposure and, as
10 Dave pointed out, the activation of the environment as
11 well.

12 These are all manageable things, by the
13 way, so -- but the -- it goes back to the point I was
14 making about having a robust design and looking at all
15 these considerations and it goes beyond just having a
16 mass manufactured module.

17 The deployment is going to be, I think,
18 more of a challenge for the agency than once you get
19 by the first-of-a-kind if the -- if the vendor or the
20 proponent sticks to the standard design, then the
21 attention will quickly shift to the siting issues.

22 MEMBER BIER: Okay. Walt, are there
23 additional questions or comments in the room?

24 CHAIR KIRCHNER: I do not see any at this
25 point. So, Vicki, maybe we should turn to public

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 comment.

2 MEMBER BIER: Yes. I would be happy to
3 take public comments. And, again, I guess if you're
4 online, you should be able to raise your hand. If
5 not, on the phone press *6 and just unmute yourself.
6 Also, please identify yourself before any comment.

7 Yes, Spencer. Go ahead.

8 MS. TOOHILL: Hi, there. Good morning.
9 Can you all hear me?

10 MEMBER BIER: Yes.

11 MS. TOOHILL: Hi. My name is Spencer
12 Toohill. Thank you so much for such a thoughtful
13 discussion so far today.

14 I am an analyst with the Breakthrough
15 Institute and my comment is for efficiency and
16 regulatory stability. We -- I and the Breakthrough
17 Institute are urging consideration of how this effort
18 meshes in context and in timing to the ADVANCE Act
19 requirements related to micro-reactors, as well as the
20 Part 53 development, to avoid creating a situation in
21 the near term that creates new impediments for Nth-of-
22 a-kind licensing efficiency in the medium and long-
23 term.

24 And just -- well, that was my first
25 comment and then just a brief addition to that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 comment.

2 We believe that a generally standardized
3 design, more appropriately referred to as a core
4 design that's not identical, but that still meets the
5 threshold for a note design, is definitely preferable
6 to us and we'd definitely like to see that in the
7 future.

8 We would love to hear any thoughts and any
9 -- share any thinking on these topics would be great.
10 Thank you so much.

11 MEMBER BIER: Thank you for the comment.
12 Any additional public comments?

13 (Pause.)

14 MEMBER BIER: If not, then I think we can
15 be ready to close this session. So, I will hand it
16 back to you, Walt.

17 CHAIR KIRCHNER: Thank you, Vicki. One
18 thing that occurs to me while the staff is still here
19 is, Steve, when does the -- you sent that paper up in
20 January to the Commission.

21 What's the status currently of that?

22 MR. LYNCH: So, at this time the
23 Commission is still reviewing that paper. That is all
24 the status that we have from them.

25 CHAIR KIRCHNER: And do you expect an SRM

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 out of that?

2 MR. LYNCH: Yes, we are expecting -- we
3 provided options to the Commission. We are expecting
4 direction from the Commission when they have completed
5 their review, on how to proceed with factory
6 fabrication considerations and factory testing of
7 micro-reactors.

8 CHAIR KIRCHNER: Thank you.

9 VICE CHAIR HALNON: So, will that be a SECY
10 paper after that? I mean, it seems like they're doing
11 a lot of things in sequence that isn't normal in
12 sequence.

13 I mean, normally they don't give an SRM on
14 a white paper, do they?

15 MR. LYNCH: So, the current paper that is
16 with the Commission is a SECY paper and the strategies
17 that were proposed and recommended to the Commission
18 the staff can implement under its existing regulatory
19 frameworks without needing to go through rulemaking at
20 this time.

21 The white paper that was discussed today,
22 the staff is in the process of converting this into a
23 SECY paper to deliver to the Commission with the
24 recommendations on how to address these items.

25 VICE CHAIR HALNON: And the other items

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 that you have in your last bullet was we're thinking
2 about other steps, too. I assume that it's all in
3 play.

4 When do you anticipate that we might be
5 able to get reengaged to having a further discussion
6 on this?

7 MR. LYNCH: So, I think, and I'll also
8 give my staff an opportunity to weigh in, I think at
9 this point our next stage is looking at how we move
10 forward taking into consideration the direction that's
11 been provided in the ADVANCE Act, because that has
12 introduced some direction on specific topics that the
13 staff had not been focused on such as mobile reactors
14 as they have primarily been in the military space.

15 So, we are currently in the process of
16 assessing how we want to prioritize the next set of
17 topics that we'll be moving forward with. And once
18 we've got that prioritization identified, we can
19 engage with the ACRS and provide some timelines on
20 when we may be engaging on those next topics.

21 VICE CHAIR HALNON: Okay. I'm fairly
22 interested in how the public meeting comes out this
23 afternoon on the NEI white paper, which was quite
24 extensive, known as a real white paper. It's 300
25 pages or so.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 So, our next engagement I'd like to see
2 where we're -- maybe a summary of where we're at with
3 that white paper where we deviate from the industry,
4 you know, if we're at any kind of disagreement or
5 maybe strong agreements, so that we stay in line with
6 the manufacturers so that we understand, you know,
7 both the direction of the construction part of the
8 deployment, development and regulatory process because
9 we're beginning 53 -- Part 53 discussions coming up,
10 too, and all these are significant changes to
11 regulations. And we want to make sure that we don't
12 -- we don't collide down the road with something that
13 is doable, but now unconventional.

14 In other words, someone may be on the
15 verge of maybe it's not a micro, maybe it's a small
16 modular, but it's transportable.

17 The more options we give, the less
18 regulatory certainty we're going to have, especially
19 from the timeline of six months or less trying to get
20 these things licensed.

21 So, what I'm concerned about is that we're
22 going to have so many different options that every
23 first-of-a-kind is going to come in with a different
24 pathway.

25 And much like, you know, we put 52 into

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 the new reactors, but many are going back to Part 50
2 because it's more familiar to the customer.

3 With Part 53 coming up, maybe someone will
4 want to go under Part 50. So, we're going to continue
5 to give them regulatory paths to licensing and it's
6 going to get confusing, which is what we're in,
7 because right now I think we have Part 52, Part 50,
8 we've got research, test reactors, we have NUREG 1537,
9 all different types of valid pathways.

10 And then we're talking about manufacturing
11 licenses for the micro, we're talking a lot of
12 different things that we're streamlining into existing
13 regulations or writing new ones and just want to make
14 sure that we're not providing this landscape of
15 confusion about where we need to go for this.

16 So, that's why I wanted to stay in tune
17 with where the industry is going. What is their
18 preferred path? Why is it preferred? How is the
19 agency dealing with that and make sure that we don't
20 get into sort of a logjam because we have so many
21 different options.

22 MR. MOORE: Chair Bier, this is Scott
23 Moore, the Executive Director of the ACRS. Just so
24 all the members understand and, Steve, correct me if
25 I'm wrong, I think the staff -- the NRC staff's plan

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 is to send up discrete white papers on specific issues
2 regarding the kind of micro-reactors as they come up.

3 The January paper was the first of those.
4 This would turn into another paper and they're being
5 presented to the Committee's white papers, but they
6 will be turned into SECY papers when they go to the
7 Commission.

8 MR. LYNCH: That is correct.

9 VICE CHAIR HALNON: That makes more sense.

10 CHAIR KIRCHNER: Go ahead.

11 MR. KENNEDY: This is Duke Kennedy. I
12 think maybe in my haste to try to get through this
13 presentation I overlooked one important point, and
14 that is the staff has been working on micro-reactor
15 issues for a number of years.

16 And just over the past two years we've
17 developed and provided the Commission this SECY paper
18 in January that had three policy topics and ten
19 information topics.

20 And now we have this paper under
21 development that has two policy issues and six
22 information topics, but we have another group of
23 topics that we've identified and prioritized.

24 And so, our strategy has always been to
25 look at the -- holistically what are all the micro-

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 reactor topics that we know about and work on as
2 industry continues to develop their deployment models
3 and designs.

4 We've been looking holistically what are
5 all the micro-reactor topics that we know about and
6 where do we see the most benefit in getting policy
7 direction at this time with the information that we
8 know?

9 And because there are so many topics,
10 we've had to, as Scott mentioned, bundle them in a way
11 that makes sense so that we're not getting ahead of
12 the state of our knowledge and we're not presenting
13 too many different issues at once to confuse, you
14 know, create additional confusion.

15 So, we're really trying to take a
16 deliberate approach in how we're going about
17 addressing these topics to try to provide clarity to
18 the developers, enhance the reliability of our
19 regulatory processes in a way that meets the immediate
20 needs and the emerging needs and also takes a longer
21 look at, you know, where are we going to be down the
22 road as the landscape continues to change.

23 And so, there are a lot of topics on the
24 table. We've been engaging with the industry and
25 stakeholders frequently on this matter.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 In a subcommittee meeting, one point that
2 came up is that although the list of topics that was
3 identified by the industry in its letter is fairly
4 consistent with the list of all topics the NRC staff
5 has also developed and that the NRC staff priorities
6 have aligned well with what the industry priorities
7 are.

8 There's more engagement to be had, of
9 course, and we will continue to do that, but I just
10 want to state clearly that we have a very broad
11 landscape of topics that are taking a deliberate
12 approach to addressing them in a way that doesn't
13 cause more internal conflicts.

14 For example, the SECY that went up in
15 January, those topics and how the Commission decides
16 to vote on them doesn't directly affect the policy
17 topics we're presenting here because we don't -- we
18 want to avoid those conflicts, right?

19 And we also have Part 53 going on and
20 we're making sure we stay consistent with what's
21 happening there as well. So, I just want to be --

22 VICE CHAIR HALNON: Yeah, I appreciate
23 that. That makes me more confident we're not in
24 silos. That was the real point, to make sure we're
25 not in silos.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 CHAIR KIRCHNER: Okay. Any further
2 comments?

3 MEMBER HARRINGTON: One quick question.
4 This is Craig Harrington. Do you get the sense from
5 the -- your prior public engagements and maybe from
6 the one this afternoon, that this concept of six
7 months has become -- that industry will become fixated
8 around that and expect that kind of turnaround
9 regardless of how standardized they actually go with
10 the plethora of different paths and is it exactly
11 fixed so that everyone is the same, very cookie
12 cutter, or somebody wants it blue, somebody else wants
13 it green?

14 Do they understand that standardization
15 might get them to six months, but any deviation is
16 going to realistically extend that window? Have you
17 gotten any sense for that? Probably an impossible
18 question to answer.

19 MR. KENNEDY: Obviously, I can't speak for
20 the industry, but in our paper we've tried to be clear
21 that in order to achieve the shortest time frames,
22 that it's going to need to be standardized. There
23 won't be room for departures.

24 I think we've been clear that departures
25 are going to extend time frames and require additional

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 resources for individual reviews, but, again, we're
2 trying to lay out in this paper what are the
3 assumptions, what are the expectations to provide
4 clarity to the industry and what is really needed to
5 achieve these aggressive time frames.

6 And we're not committing to the time
7 frames in the papers -- in the paper. We're laying
8 out thoughts about what types of time frames might be
9 achievable under different circumstances.

10 And so, the goal is to be clear in that
11 communication to industry on what are the assumptions
12 so that they can use that as they develop their
13 licensing strategies and deployment models.

14 MEMBER HARRINGTON: Thanks.

15 CHAIR KIRCHNER: Okay. We've just come to
16 ten o'clock where we would normally take a break, but
17 at this point we will recess until this afternoon and
18 at one o'clock Eastern Time we'll take up our
19 Triennial Review and Evaluation of the NRC Safety
20 Research Program.

21 So, with that, we're in recess until one
22 o'clock and I thank you, NRC staff, for your
23 presentation today, Steve, and your team. Thank you
24 very much.

25 And with that, we are recessed.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 (Whereupon, the above-entitled matter went
2 off the record at 10:01 a.m. and resumed at 1:01 p.m.)

3 CHAIR KIRCHNER: Okay. We are back in
4 session. This is the afternoon session of the 720th
5 meeting of the Advisory Committee on Reactor
6 Safeguards.

7 I'm Walt Kirchner, Chair of the ACRS.
8 ACRS members in attendance in person are Ron
9 Ballinger, Greg Halnon, Craig Harrington, Bob Martin,
10 Scott Palmtag, Dave Petti and Tom Roberts.

11 ACRS members in attendance virtually via
12 Teams are Vesna Dimitrijevic and Vicki Bier. And I
13 believe our consultants, Dennis Bley and Steve
14 Schultz, are all with us this afternoon.

15 If I missed anyone, please speak up at
16 this time.

17 (Pause.)

18 CHAIR KIRCHNER: Hearing none, the hearing
19 may proceed. Hossein Nourbakhsh of the ACRS staff is
20 the designated federal officer for this afternoon's
21 opening meeting.

22 Again, a reminder that all member comments
23 should be regarded as only the individual opinion of
24 that member, not a Committee decision.

25 All relevant information related to ACRS

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 activities such as letters, rules for meeting
2 participation and transcripts are located on the NRC
3 public website and can be easily found by typing
4 "About Us ACRS" in the search field on that NRC home
5 page.

6 I'd like to turn to Member-at-Large Dave
7 Petti who has been leading our review of the safety
8 research program at NRC. And with that, Dave, I'll
9 turn the floor over to you.

10 MEMBER PETTI: Thank you, Walt. So, I do
11 have a letter. But before that, I thought I wanted to
12 thank the members that provided the appendices that
13 will be attached to the letter which is really where
14 all the meat is.

15 It's a good, at least, 25 pages, I think,
16 when all is said and done. As we say, it was 11 R&D
17 topics, six different research meetings over the last
18 couple of years.

19 Before I go to the letter, I just wanted
20 to; A, thank Hossein. He was the person that kind of
21 made sure that the appendices have common format, have
22 a common theme and structure. That was a big effort
23 and I wanted to thank Hossein for all of that.

24 Do any of the members who wrote anything
25 on their appendices want to say something about what

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 they've done?

2 (Pause.)

3 MEMBER PETTI: Okay. If not, let's get
4 into the letter.

5 Dear Chair Hanson, During the 720th
6 meeting of the Advisory Committee on Reactor
7 Safeguards, November 6th through 8th, 2024, we
8 completed our triennial review and evaluation of the
9 NRC safety research program, which is primarily
10 conducted by the NRC Office of Nuclear Reactor
11 Research, RES. Our review also considered deep dives
12 on 11 R&D topics across RES in 16 separate meetings.
13 A summary of each of these deep dives is provided in
14 Appendices to the letter. Our high-level observations
15 are provided in this letter.

16 Executive Summary. The depth, breadth,
17 and scope of the ongoing safety research program
18 continues to meet the Agency's current needs for
19 anticipated regulatory decisions. The research
20 program enables staff to maintain core competencies
21 and prepare for reviews of anticipated submittals. We
22 note that RES has evolved from what was a static
23 reactive organization over a decade ago to a more
24 dynamic forward-looking one. RES uses a systematic
25 approach to prioritize research emphasizing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 "enterprise risk" in project selection, evaluation,
2 and termination. The use of the future focused
3 research program, the establishment and implementation
4 of integrated action plans, and the recent RES
5 leadership of agency-wide initiatives, are enabling
6 the Agency to become agile and more proactive in
7 preparing for emerging technologies associated with
8 future licensing submittals. The result is an
9 organization that is having greater impact on agency
10 priorities. These activities are all signs of a
11 healthy research organization and should support the
12 Agency's broader efforts to transform itself into a
13 modern, efficient risk-informed regulator.

14 Background. Our research reviews consider
15 the 1997 Commission direction to examine the need,
16 scope, and balance of the safety research program. We
17 also considered how well RES anticipates research
18 needs and how it positions the Agency to understand
19 the regulatory implications of new technologies being
20 developed by industry. In this letter report, we
21 focused our efforts on (a) determining if the RES
22 research portfolio is meeting current and can meet
23 future agency needs and (b) on evaluating the impact
24 that the portfolio is having on the NRC mission.

25 NRC research activities include conducting

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 confirmatory analyses, developing technical bases to
2 support safety decisions, and preparing the agency to
3 evaluate the safety aspects for new technologies.
4 Through this process, staff competencies are improved,
5 and agency transformation is facilitated.

6 Discussion. The research report -- of the
7 report highlights selected high-level findings from
8 our deep dives of the following research projects:
9 Source term-related activities; digital twins;
10 materials harvesting; Level 3 PRA; risk assessment and
11 human factors for non-LWRs; artificial intelligence;
12 fuel fragmentation, relocation, and dispersal;
13 advanced manufacturing technologies; artificial
14 intelligence and machine learning in NDE and ISE;
15 computer code development and validation for non-
16 light-water reactors and high energy arc faults.

17 These deep dives span the three RES
18 divisions: Division of Risk Analysis; the Division of
19 Safety Analysis; and the Division of Engineering.
20 Summaries of our detailed findings, conclusion, and
21 recommendations are provided in the Appendices.

22 Overall, the portfolio looks well-balanced
23 and appropriate in light of the major regulatory
24 challenges facing the Agency over the next three to
25 five years: Subsequent license renewal; higher-burnup

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 higher-enrichment fuels for the current fleet; and
2 advanced non-LWR reactor licensing applications. We
3 note the work on HEAF has been completed resulting in
4 not only improved modeling approaches, but also plant
5 maintenance and design recommendations to enable
6 reducing risk from HEAF events. Beyond these general
7 observations, we provide comments on the following
8 five themes that arose repeatedly during our meetings:
9 focus and communication; engagement; education;
10 impact; and future activities.

11 Focus and Communication. We observed
12 excellent linkage between the NRR staff, focusing on
13 their needs, and the RES staff managing the projects.
14 This linkage enhances communication and allows for
15 focused mission-driven research that will provide the
16 greatest probability of success in terms of
17 actionable/impactful results for regulatory decision
18 making and NRC safety review activities.

19 Engagement. We observed that the research
20 personnel are well-engaged with parallel activities
21 underway in industry (e.g., EPRI, ASME, IEEE). This
22 engagement helps the research team have a more
23 complete understanding of industry plans and allows
24 industry to appreciate the corresponding regulatory
25 needs for any anticipated upcoming licensing actions.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 The engagement also helps the research team not
2 duplicate industry activities, but instead perform the
3 confirmatory research necessary from a regulatory
4 perspective.

5 Education. The research portfolio is
6 helping the NRC staff become better informed about new
7 technologies that industry is considering using,
8 through example, artificial intelligence/machine
9 learning for inspection; digital twins;
10 additive/advanced manufacturing; and new reactor
11 technologies in future applications by industry in a
12 deeper way, building useful experience and expertise
13 for the staff. Other projects such as the Level 3 PRA
14 and the work being done on nonreactor risk
15 applications are providing unique insights and a
16 plethora of risk data that will serve the agency well
17 as it becomes a modern risk-informed regulator and
18 begins to use risk in decision making beyond the realm
19 of power reactors. The development of reference plant
20 models for each of the advanced reactor technologies
21 has been extremely valuable for the staff to
22 understand these systems in advance of licensing
23 applications. Today, the staff is ready to perform
24 confirmatory analysis for anticipated near-term
25 advanced reactor applications. This will require an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 agreement of continued financial commitment from NRC
2 for the codes and DOE for the underlying computational
3 framework to meet current anticipated licensing
4 timelines. Because experience informs judgment,
5 developing this experience is critical in light of the
6 large turnover in the staff, and it supports the
7 agency's overall knowledge transfer. The quality of
8 research staff that we heard from in our deep dives is
9 excellent.

10 Impact. The RES research portfolio is
11 having real impact on regulatory decision making and
12 reducing unnecessary uncertainty in technical areas
13 including: Providing the technical basis for source
14 terms from MELCOR severe accident calculations to
15 support an upcoming revision of Reg Guide 1.183;
16 supporting regulatory decisions by performing scoping
17 calculations using RES developed non-LWR system
18 analysis tools for advanced reactor applications like
19 Hermes; highlighting potential safety issues via
20 synthesis of the existing database associated with
21 FFRD in a timely manner as the industry plans for
22 higher burnups and higher enrichments and as the staff
23 is working on rulemaking language associated with
24 higher enrichment fuels for the current LWR fleet;
25 informing Part 53 operator training requirements

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 through human factors research; leveraging unique
2 irradiated materials samples (a/k/a harvesting) to
3 support vessel embrittlement database and associated
4 regulatory evaluations; developing the technical bases
5 for informing NDE and inspection activities using
6 machine learning and artificial intelligence; and
7 resolving an important safety issue associated with
8 high energy arc faults, a real success story
9 illustrating how research can impact safety decisions.

10 Future Activities. Some projects that are
11 just starting, for example, digital twins, AI,
12 additive manufacturing, appear reasonable and should
13 provide impact in out years. Other projects like the
14 non-LWR code development require additional efforts
15 related to verification and validation and
16 transformation into useful evaluation models to
17 support confirmatory analyses in support of efficient
18 and timely NRC reviews of anticipated non-LWR license
19 applications. Updates to LWR source terms and the
20 impact of FFRD at higher LWR burnups on licensing
21 options are also anticipated as part of the increased
22 enrichment rulemaking. We look forward to additional
23 briefings on these topics as the results become
24 available. Sincerely, Walt.

25 I can see some words need help. When you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 read it out loud, it's never like reading it -- just
2 reading it.

3 CHAIR KIRCHNER: Thank you, Dave.

4 Members, this is a little bit unusual
5 because typically, in the past, we've had
6 presentations from Research and we intentionally chose
7 to forego that and just cut to the bottom line.

8 So, the discussion that was going on in
9 the background is we're going to release the court
10 reporter. So, is there any high-level comments that
11 you want to make before we go to line-by-line review?

12 I think this would be an appropriate time
13 to make those comments, and then I would turn and
14 afford the public an opportunity to make any
15 observations or comments as well.

16 So, members?

17 VICE CHAIR HALNON: The only thing I would
18 -- Dave, is there any of the -- and I didn't go
19 through the appendices in detail. So, I apologize for
20 that, but is there any high-level findings or
21 conclusions that we buried into the -- in the
22 appendices that may warrant raising it up because it's
23 a very glowing, nothing is wrong, everything is cool.
24 And if you start with the letter, it seems like
25 there's -- it's just all rainbows and unicorns.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 MEMBER PETTI: Not of things we haven't
2 written a letter on. So, we don't -- I'd say, what,
3 maybe half of these resulted in a letter and that's in
4 the appendix.

5 VICE CHAIR HALNON: Should we mention that
6 letters have already been written on these then and --

7 MEMBER PETTI: On some of them.

8 VICE CHAIR HALNON: On some of them that
9 highlight our major --

10 MEMBER PETTI: Maybe that would be --

11 CHAIR KIRCHNER: Are there references that
12 -- for example, Bob wrote a letter on the code
13 development work. Is that referenced here in the
14 references and should we highlight that one? That's
15 one that comes to mind, Greg, in terms of --

16 MEMBER MARTIN: Conclusions,
17 recommendations and stuff that may look like a normal
18 format of our letters.

19 CHAIR KIRCHNER: Microphone.

20 MEMBER MARTIN: Sorry. I think just that
21 the letter had a traditional form of conclusions,
22 recommendations, to kind of address Greg's point
23 there.

24 VICE CHAIR HALNON: Maybe not anything
25 specific, but we can say throughout this process we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 wrote letters on our more significant interactions or
2 something to that effect.

3 MEMBER PETTI: Yeah, yeah, yeah.

4 VICE CHAIR HALNON: Okay.

5 CHAIR KIRCHNER: I know that Dave
6 highlighted that HEAF and -- I would just observe that
7 when I joined the Committee now eight years ago, we
8 were -- we had presentations from Research. They were
9 more -- they were informative about the problem.

10 It looked like a topic that, from a
11 research standpoint, was almost intractable. And what
12 was done by Research, I think, is just -- just first-
13 rate piece of work to address that.

14 There was a lot of concern, I think, from
15 the industry and other stakeholders that the Agency
16 would go off on some tangent and I think Research
17 actually did an excellent job in coming up with
18 methods to address this in a practical way.

19 So, that's one that Dave already cited in
20 the letter and you did put in a note about the
21 continued support for the code development.

22 And as they go through V&V, are there any
23 others, in light of Greg's comment, that we should
24 highlight further? Anything that comes to mind from
25 your perspective?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 MEMBER BALLINGER: I was -- the FFRD thing
2 I thought worked out pretty well. I actually made a
3 few changes today because of my initial thoughts on
4 what they were going to do with the increased
5 enrichment.

6 Now, they're going to choose Option 2.
7 So, I went and changed it so that it wasn't -- I'm
8 saying I think you made --

9 (Simultaneous speaking.)

10 MEMBER BALLINGER: I wasn't that
11 enthusiastic about the NDE and the AI stuff and I said
12 so in the letter in my response because I think that
13 nowadays -- and I actually confirmed this last week.

14 I was at the EPRI NDE center. I talked to
15 Greg Selby, but we're down to the point now where
16 everything is controlled by the microstructure.

17 We have enough resolution so that the
18 microstructure pretty much defines it and we're
19 basically in the soup over CAS materials. We can't
20 really do much with CAS materials.

21 And so, I was kind of hoping that they
22 would say something about if you make false-positive
23 calls, that costs you money. If you make false-
24 negative calls, that costs you downtime because you
25 can get a failure of that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 And so, they didn't say too much about
2 that in there, but I don't know that they were
3 supposed to. So, I kind of went off on a bit of a
4 tangent when I wrote --

5 MEMBER PETTI: You know, I didn't take it
6 as a negative. You highlighted, you know, some
7 concerns that --

8 MEMBER BALLINGER: Yeah. Okay.

9 MEMBER PETTI: -- they'll have to be aware
10 of.

11 MEMBER BALLINGER: Yeah.

12 MEMBER PETTI: Because, again, this was
13 still pretty early in their research. It's --

14 MEMBER BALLINGER: The AI and the NDE stuff
15 was just a survey. They hired PNNL, I guess, to just
16 go out and survey what's been done and what commercial
17 packages are available.

18 And then they did some evaluations and
19 there was no real research part of it, I don't think,
20 other than doing the survey.

21 VICE CHAIR HALNON: The other comment that
22 I had, just a question, do you think that we gave
23 enough press to maintaining the funding as necessary?

24 That was -- seemed to be a theme of the
25 supervisors and branch chiefs, whatnot, that the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 amount of funding needs to continue flowing to us to
2 keep --

3 MEMBER PETTI: It's said twice now.

4 VICE CHAIR HALNON: Is it?

5 MEMBER PETTI: It says, in the future
6 activities, acquire additional efforts, but then the
7 funding I mentioned earlier that it required a
8 continued commitment or something.

9 VICE CHAIR HALNON: Okay. I was looking
10 and I couldn't find it.

11 CHAIR KIRCHNER: Do we have --

12 MEMBER PETTI: I added that right before we
13 started lunch. So, depending on --

14 (Simultaneous speaking.)

15 MEMBER BALLINGER: By the way, I'm not sure
16 what kind of research they could do in the area of
17 NDE. That's being done by industry.

18 MEMBER PETTI: Right. Well, I mean --

19 MEMBER BALLINGER: So, other than doing
20 another survey and evaluating things, I'm not sure
21 what they can do.

22 MEMBER PETTI: I think it was just to get
23 smarter about what's out there --

24 MEMBER BALLINGER: Yeah, okay.

25 MEMBER PETTI: -- to know what industry is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 doing. I mean, you know, we didn't see anybody
2 duplicating what industry was doing.

3 MEMBER BALLINGER: Yeah.

4 MEMBER PETTI: I mean, they're very well-
5 aligned, you know.

6 MEMBER BALLINGER: Yeah.

7 MEMBER PETTI: These items that I
8 highlighted was just at one of the meetings. I kept
9 jotting the same sort of comments down. Boy, these
10 guys, they're well-linked. They, you know, they --
11 remember we had people -- they had brought in -- they
12 had industry colleagues in sometimes, you know.

13 From a pure research perspective, someone
14 who's read a lot at the R&D organization, I mean,
15 these are the things you want to look at, you know.
16 You're not duplicating it, you know what the issue is,
17 that you're focused, and it's not just research for
18 research's sake, you know. It supports the mission.

19 I mean, all those things, I just kept
20 seeing them over and over again and that's what made
21 me think that this is sort of a letter. And then if
22 people are interested, they can go onto each of the
23 appendices for the specifics.

24 We have changed how we've done this letter
25 substantially, you know.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 CHAIR KIRCHNER: Yeah. For the newer
2 members, we previously would do, candidly, just like
3 a repeat and it was voluminous.

4 MEMBER PETTI: 80 pages was not uncommon.

5 CHAIR KIRCHNER: Yeah. Repeat of a
6 summary of all the research that is being conducted
7 without any really critical assessment of -- we did
8 identify, in the past, things that we thought should
9 be terminated, that -- where a continued investment
10 wasn't going to be a payoff for the Agency, but what
11 Dave has done here, I think, is a marked improvement
12 in focusing into the future and addressing relevance
13 and need for the Agency to be prepared.

14 I mean, one of the large words that we had
15 from the research presentations was, you know,
16 "readiness" particularly in the areas like code
17 development so that they would have the tools on hand
18 to be able to do the kind of confirmatory analysis
19 necessary. And to that extent, they've done quite
20 well, I think.

21 MEMBER PETTI: I mean, to me, that, the
22 HEAF work and the FFRD and source term, I mean, you
23 know, they've done quite a bit of work and those are
24 major initiatives.

25 MEMBER BALLINGER: You know, we didn't say

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 it, but that FFRD stuff is resulting and will result
2 in a sea-change in the way industry approaches
3 accident analysis because of the new burst and all
4 that kind of stuff.

5 It really has made a huge impact on the
6 way people have -- especially with increased
7 enrichment. So, that's a -- that may have been an
8 unintended consequence of pointing out FFRD, but it
9 sure is making a difference.

10 MEMBER MARTIN: I think the unintended
11 consequences apply to HEAF also. That EPRI wanted to
12 develop maintenance improvements make HEAF less likely
13 because the problems were shown to be a big deal.

14 MEMBER BALLINGER: Yeah.

15 MEMBER MARTIN: Not necessarily because of
16 the research, but it's tied to the research.

17 MEMBER PETTI: Vicki?

18 VICE CHAIR HALNON: Dennis was up first.

19 MEMBER BIER: You can let Dennis go first
20 if he wants. That's fine.

21 MEMBER PETTI: Okay.

22 DR. BLEY: I don't particularly want, but
23 I will. You've touched on something that, you know,
24 the Commission often addressed us about where can we
25 -- where is the research finished, in your opinion,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 and where should we stop spending money and it seems
2 we just touched on that lightly.

3 I don't know if you found anything else,
4 but that would have been something to elevate up into
5 the main report if, in fact --

6 MEMBER PETTI: So, I did have something in
7 there in Matt's area, the material harvesting. Not
8 that it's not adding value, but a cost benefit.

9 It's expensive to do and given all the
10 data we have on vessel embrittlement, you know, in
11 that broad effect, is it worth spending money there?

12 MEMBER BALLINGER: I'm glad I didn't -- you
13 didn't ask me to write something -- you didn't ask me
14 to write something on that because it would not have
15 been complementary, especially with the new
16 correlations that are --

17 MEMBER PETTI: Yeah.

18 (Simultaneous speaking.)

19 MEMBER BALLINGER: The old correlations,
20 that 1.99 stuff, that correlation was going to go
21 south on us and have influence, but the new one
22 doesn't and it's way past eight years. So, we're --
23 I don't know why we need to take more samples.

24 MEMBER PETTI: So, I mean, if you think
25 about, I mean, if people feel that way, I can put the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 sentence back in. I had it in an earlier version.

2 MEMBER BALLINGER: Yeah, these are
3 extremely expensive.

4 MEMBER PETTI: Yeah, for sure.

5 MEMBER HARRINGTON: I wasn't here to
6 participate in that discussion, but was the harvesting
7 presentation from Research directly focused on vessel
8 integrity or was it much broader than vessel integrity
9 because the industry regulatory collaborative
10 activities worldwide on harvesting are much broader
11 than just vessel integrity.

12 A continuing effort very broadly to look
13 at the full range of materials issued and any time a
14 plant is being decommissioned it's looked at. Is
15 there something here of value?

16 And so, those are highly-leveraged
17 projects across a number of organizations.

18 MEMBER PETTI: I'm just looking at the
19 writeup. I don't know that Matt's on it. There was
20 some cable, electrical cable, which is a big deal.
21 And we had a comment about availability of splices.

22 Staff reported that in some cases
23 documentation for the harvested materials is
24 nonexistent, difficult to retrieve or has no longer
25 been retained by the owner. Loss of the pedigree

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 diminishes its value, you know.

2 And it says research conducted using
3 harvested materials continues to be a relatively
4 expensive, opportunistic endeavor, not necessarily
5 systematic regarding strategic needs or priorities;
6 however, RES has been able to participate in a few
7 projects.

8 Research on harvested unique rated
9 materials can be leveraged to improve industry
10 initiatives such as vessel embrittlement and other
11 life limited components.

12 So, maybe I don't want to say anything
13 because materials harvesting is too broad and this is
14 a subset of that. But if questioned, we could bring
15 up the embrittlement example, but another area that's
16 still very valuable. Depends on what the problem is,
17 I guess.

18 DR. BLEY: This is Dennis. I have one
19 other comment. I like Dave's letter and I like the
20 emphasis on high-energy arc faults, but I just wanted
21 to mention that some years ago after we had then
22 enthusiastically supported the staff's work on HEAF,
23 NRC cut it out of the budget for a number of years
24 before it came back in -- NRC -- the Commission cut it
25 out of the budget for a few years.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 CHAIR KIRCHNER: Vicki?

2 MEMBER BIER: Thanks. I wanted to get back
3 to Greg's question about is this really like unicorns
4 and candy and if -- looking at the first sentence on
5 line 148, I don't have any expertise on additive
6 manufacturing.

7 With regard to both digital twins and AI,
8 I don't disagree with the sentence that we have, but
9 I would describe it as polite. And that if you look
10 at the actual situation especially in the AI area, the
11 staff is very limited by personnel and budget.

12 And, yes, they are doing reasonable things
13 that may have impact, but they are very incremental
14 and very dependent on work done by other agencies or
15 the national labs or whatever that have bigger budgets
16 to address it.

17 And so, I don't know if it's worth
18 revising to make that sentence more critical because
19 I don't know that I would necessarily argue for huge
20 budgets in those areas, that there's a reason the
21 staff is constrained by budget, but it's just
22 something to think about that, you know, given the
23 limitations of budget and personnel, there may not be
24 huge impact and the agency is going to kind of
25 continue being dependent on other actors with greater

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 resources.

2 CHAIR KIRCHNER: Vicki, this is Walt. I
3 would concur with you. I mean, let's pick one.
4 Digital twins. I mean, this is something that the
5 private sector actually has made large investments in,
6 but was even as far back as 10 or 15 years ago called
7 "big data" and ties into AI and machine learning.

8 So, maybe some of the words you just used
9 are appropriate there to, you know, Research often can
10 do a number of things and Dave, in earlier sections of
11 the letter, touches on this.

12 Sometimes it's maybe a modest investment
13 in these areas, is just necessary for educational
14 purposes and keeping the staff informed and, you know,
15 up to speed with what's going on in the private sector
16 or in the labs and universities.

17 So, maybe we can temper that sentence with
18 some of the words that you just used.

19 MEMBER BALLINGER: I took notes.

20 MEMBER BIER: Yeah.

21 MEMBER BALLINGER: In all of those areas,
22 they're only going to be able to keep up with what's
23 going on, what's educational, so that they understand
24 the lingo when somebody comes in and says, here's what
25 we're doing.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 CHAIR KIRCHNER: Right, and the state of
2 the art and so on, but not necessarily doing --

3 MEMBER PETTI: A watch and review, but they
4 should -- gosh. They should have enough knowledge to
5 be able to ask questions that are probing enough to
6 get an answer that's meaningful.

7 They should, you know, not super -- they
8 shouldn't be just superficial, but they should be a
9 little bit better than that so that they can
10 understand what's going on and ask probing questions.

11 MEMBER BIER: Yeah. And I think, from that
12 perspective, what the staff is doing is reasonable for
13 that purpose.

14 They are getting their feet wet. They're
15 playing around. They're learning about what's going
16 on elsewhere. They're trying things out and, you
17 know, getting to a position where they can evaluate
18 those kinds of issues, but it's not going to be
19 impactful compared to what the labs are doing or
20 industry or other groups. So --

21 MEMBER PETTI: We can deal with that line
22 by line.

23 CHAIR KIRCHNER: Thank you, Vicki. Other
24 comments? Dennis, I think your hand is still up or
25 it's back up.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 DR. BLEY: It's back up and I had trouble
2 getting my mic open. There's one area and, Dave, I
3 might have missed it.

4 Back just before Obama left office, he
5 issued an executive order requiring all the agencies
6 to look at geomagnetic storms and figure out the
7 impact on the things they regulate.

8 The last we heard on that there was some
9 kind of interagency research work looking at
10 geomagnetic storms that -- did you talk about that at
11 all or should that be something that the Committee
12 might prod the staff on where they stand now on what
13 kind of things could be significant to the industry?

14 MEMBER PETTI: Yeah. We didn't hear
15 anything about that. So, it's worth putting on the
16 list, I guess.

17 MEMBER BALLINGER: If you get aviation
18 fleet like I do, you'll discover that there was a lot
19 of work going on in that and all of a sudden it got
20 classified --

21 MR. MOORE: This is Scott Moore.

22 (Simultaneous speaking.)

23 MEMBER BALLINGER: Gone.

24 MR. MOORE: So, yeah, you make a good
25 point. My understanding is that the Office of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 Research wasn't doing that kind of work. I think
2 Office of Nuclear Security Incident Response has
3 followed up on that topic.

4 CHAIR KIRCHNER: Okay. At this point,
5 let's turn to see if there is any members of the
6 public who wish to make a comment.

7 If so, please unmute your mic and state
8 your name and affiliation as appropriate and make your
9 comment.

10 (Pause.)

11 CHAIR KIRCHNER: Hearing none, then,
12 James, our court reporter, I think we are finished
13 with you for this afternoon and we'll look forward to
14 you joining tomorrow morning at 8:30 Eastern Time.
15 Thank you.

16 (Whereupon, the above-entitled matter went
17 off the record at 1:37 p.m.)

18

19

20

21

22

23

24

25

Licensing and Deployment Considerations for Nth-of-a-Kind Micro-Reactors

Advisory Committee on Reactor Safeguards

November 6, 2024



Steve Lynch, Chief, Advanced Reactor Policy Branch

William Kennedy, Sr. Project Manager, Advanced Reactor Policy Branch

Jackie Harvey, Sr. Project Manager, Advanced Reactor Policy Branch

<https://www.nrc.gov/reactors/new-reactors/advanced.html>

Opening Remarks and Introduction

Contents

- Motivation for the paper
- Background
- Conceptual deployment model for transportable micro-reactors
- Licensing strategy for Nth-of-a-Kind (NOAK) micro-reactors
- Options for standardization of operational programs
- Other topics related to NOAK micro-reactor licensing and deployment
 - Maximal design standardization
 - Graded approach to site characterization
 - Deployment site emergency preparedness
 - Streamlined licensing process
 - Construction inspection
- Stakeholder engagement
- Next steps

Motivation for this Paper

- Stakeholders have expressed interest in rapid, widespread deployment of micro-reactors of a standard design on timeframes that are significantly shorter than current licensing timeframes.
- The NRC staff is currently in pre-application engagements with micro-reactor developers that are considering a wide range of deployment models with novel aspects such as standardization of operational programs and alternative site characterization.
- The NRC staff is prioritizing development of strategies to provide for the predictable and efficient licensing and regulation of these designs and operational models, and the identification and resolution of associated policy issues.

Background


- For licensing purposes, micro-reactors are commercial power reactors licensed under Section 103 of the Atomic Energy Act of 1954, as amended (AEA).
- Micro-reactors typically use non-light-water reactor technologies, are anticipated to have power levels on the order of several tens of megawatts thermal, small site footprints, low potential consequences in terms of radiological releases, and may have increased reliance on passive systems and inherent characteristics to control power and heat removal.
- Factory-fabricated transportable micro-reactors are a subset of micro-reactors that would rely heavily on standardization and mass production to simplify licensing and deployment.*

* See SECY-24-0008, “Micro-Reactor Licensing and Deployment Considerations: Fuel Loading and Operational Testing at a Factory,” dated January 24, 2024 (ML23207A252).

Background

- For the purposes of this presentation, the term “NOAK micro-reactor” generally means a micro-reactor of a standard design that has been previously approved by the NRC through a design certification (DC), manufacturing license (ML), or final safety analysis report for a first-of-a-kind (FOAK) combined license (COL) or construction permit and operating license (CP/OL).
- NOAK micro-reactor licensing refers to licensing micro-reactors of a standard design for operation as power reactors at fixed sites.

Conceptual Deployment Model for Transportable Micro-Reactors



NRC Staff Draft White Paper

- Describes regulatory approaches the NRC staff is developing for consideration by the Commission related to two topics:
 1. Approval of standardized operational programs
 2. Alternative approaches for environmental reviews*
- Includes Enclosure 3 with information on other topics related to licensing and deployment of NOAK micro-reactors
- The draft white paper and enclosures are available at:
 - [Draft White Paper on Nth-of-a-Kind Micro-Reactor Licensing and Deployment Considerations \(ML24268A310\)](#)
 - [Draft White Paper on Nth-of-a-Kind Micro-Reactor Licensing and Deployment Considerations - Enclosure 1 \(ML24268A314\)](#)
“Standardization of Operational Programs for Nth-of-a-Kind Micro-Reactors”
 - [Draft White Paper on Nth-of-a-Kind Micro-Reactor Licensing and Deployment Considerations - Enclosure 2 \(ML24302A292\)](#)
“Environmental Reviews for Nth-of-a-Kind Micro-Reactors”
 - [Draft White Paper on Nth-of-a-Kind Micro-Reactor Licensing and Deployment Considerations - Enclosure 3 \(ML24268A317\)](#)
“Technical, Licensing, and Policy Considerations for Nth-of-a-Kind Micro-Reactors”

*Environmental reviews are not within the scope of this meeting but are mentioned here for completeness. Enclosure 2 will discuss in detail approaches for environmental reviews.

Anticipated Licensing Strategy

- Phase 1: Robust upfront approval of a standard design
 - Approval of a maximally standardized design in a DC, ML, COL, or CP/OL
 - Approval of standardized operational programs, to the extent practicable
 - Completion of a generic environmental review, to the extent practicable*
 - Completion of hearings covering the standard design
- Timeframes will vary based on the licensing pathway and reactor design and are bounded by the generic milestone schedules established by the NRC in response to the Nuclear Energy Innovation and Modernization Act of 2019 (NEIMA).

*Environmental reviews are not within the scope of this meeting but are mentioned here for completeness.

Anticipated Licensing Strategy

- Phase 2: NOAK licensing leveraging the upfront approvals
 - Streamlined administrative processes
 - NRC staff safety and security* reviews focusing on confirmation of site suitability
 - NRC staff site-specific environmental review that applies the upfront generic environmental review, as appropriate*
 - Confirmatory inspections at the place of fabrication and deployment site, as appropriate
 - Verification of completion of inspections, tests, analyses and acceptance criteria (ITAAC) for a COL or confirmation of compliance with license conditions for a CP/OL and conduct of readiness for operation inspections
 - Completion of site-specific hearings

*Security and environmental reviews are not within the scope of this meeting but are mentioned here for completeness.

Regulatory Approaches for Review of Standardized Operational Programs

- Current Commission policy does not support review and approval of the operational requirements (i.e., parts or aspects of operational programs) in the context of DC or ML application review beyond those that are material to the finding on the safety of the design.
 - Advanced Boiling Water Reactor (Volume 62 of the FR, page 25806 (62 FR 25806)) discusses that the operational requirements were not accorded finality because the operational matters were not comprehensively reviewed and finalized for the DC.
- The NRC staff anticipates that most operational programs for a specific micro-reactor design could be standardized by an applicant for a DC or ML to support NRC review and approval.
- This would support a streamlined review of a COL or CP/OL application that referenced the approved operational programs.

Regulatory Approaches for Review of Standardized Operational Programs

- The NRC staff is exploring approaches to review operational matters at the design approval stage (ML or DC) for a standard micro-reactor design
 - Option 1 (O1): Status quo
 - Currently staff can review and approve operational programs through topical reports or the design-centered review approach
 - Option 2 (O2): Review and approval of operational programs proposed in a DC or ML application
 - An applicant would have the option to provide proposed measures to satisfy operational programs as part of a DC or ML application
 - Assuming the proposed measures are fully described and constitute an essentially complete program such that staff could make a safety finding, and that the staff comprehensively reviewed the proposed measures, this would provide additional regulatory stability for those programs when referenced by COL or CP/OL applicants

Maximal Design Standardization

- The regulations in 10 CFR Part 52, “Licenses, Certifications, and Approvals for Nuclear Power Plants,” provide several regulatory pathways for design standardization, including manufacturing licenses, design certifications, and standard design approvals, under which most safety issues would be resolved.
- Maximal standardization would involve approval of a standardized micro-reactor design and subsequent deployment under a COL or CP/OL without any significant departures from the standardized design.
- Maximal design standardization could allow micro-reactors of a standard design to be deployed to most sites in the U.S. with minimal need for site-specific features or the associated additional NRC reviews and approvals.

Grading the Level of Site Characterization

- A standardized design for a micro-reactor could establish bounding parameters for site characteristics that are important to the safety review so that micro-reactors of the standard design could be deployed at suitable sites throughout most of the U.S.
- The NRC staff is considering approaches for grading the level of site characterization for micro-reactors of a standard design (and potentially other reactors) based on the applicable hazards for the specific micro-reactor design, the amount of margin included in the design for each bounding site parameter, and the amount of margin to appropriate dose reference values.
- A graded approach could focus on how a construction permit or combined license applicant can provide the required site characterization information and demonstrate that the bounding parameters are met for the candidate site.

Deployment Site Emergency Preparedness

- The existing regulations for emergency preparedness in 10 CFR Part 50, “Domestic licensing of production and utilization facilities,” and 10 CFR Part 52 apply to licensing micro-reactors of a common design.
- The NRC staff is exploring approaches for streamlining the review of emergency preparedness for licensing NOAK micro-reactors based on considerations such as the possibility that potential accidents would result in low doses at the site boundary and, under certain circumstances, might not require extensive off-site response.

Streamlined Processing of License Applications and Licensing Documents

- Licensing applications referencing an approved micro-reactor design that leverages maximal design standardization will likely be nearly identical, with some possible minor variations related to licensee-specific or site-specific information.
- NRC-generated licensing documents, such as the NRC staff safety evaluation, license, and required Federal Register notices, will likely be very similar for licensing each individual micro-reactor of a standard design.
- The NRC staff is considering approaches for using electronic licensing forms, licensing document templates, and automation to streamline processing and review of micro-reactor applications to reduce the timeframes for acceptance review, docketing, safety review, concurrence, license issuance, and other steps.

Construction Inspection

- Micro-reactors of a common design might be “self-contained” in that they would be almost entirely fabricated at a factory and require minimal site preparation or construction activities at the deployment site, or they might consist of a “core module” that is fabricated in a factory and then incorporated into or connected to permanent structures and systems constructed at the deployment site, such as a reactor building and power conversion equipment.
- In either case, it will be necessary for the NRC staff to verify completion of ITAAC in support of a finding for authorization to operate under 10 CFR 52.103(g) or to verify substantial completion of construction for issuance of an operating license under 10 CFR 50.56 and 50.57(a)(1).
- As discussed in SECY-23-0048*, the NRC staff is considering approaches for risk-informed and performance-based inspections at both the fabrication facility and deployment site that can be completed within the expected timeframes for licensing and deployment of NOAK micro-reactors.

*SECY-23-0048, "Vision for the Nuclear Regulatory Commission's Advanced Reactor Construction Oversight Program" (ML23061A086)

Stakeholder Engagement

- Public advanced reactor stakeholder meetings in December 2023 and March and July 2024
 - Favorable feedback from stakeholders on the scope of the paper and the options developed by staff
 - Anticipated engagement on guidance for implementation of Commission direction
- Public meetings with various micro-reactor developers and stakeholders
- Nuclear Energy Institute (NEI) proposal paper, “Regulations of Rapid High-Volume Deployable Reactors in Remote Applications (RHDR) and Other Advanced Reactors” (ML24213A337) dated July 31, 2024
- Planned public meeting November 6, 2024, on the NRC staff’s draft white paper

Next Steps

- Develop a Commission paper on NOAK micro-reactor licensing and deployment considerations:
 - Request Commission direction on regulatory approaches for standardizing operational programs
 - Request Commission direction on options for alternative environmental reviews*
 - Provide information on other topics related to NOAK micro-reactor licensing

*Environmental reviews are not within the scope of this meeting but are mentioned here for completeness.