

# **Official Transcript of Proceedings**

## **NUCLEAR REGULATORY COMMISSION**

Title: Advisory Committee on Reactor Safeguards  
Digital I&C Subcommittee

Docket Number: (n/a)

Location: teleconference

Date: Wednesday, February 19, 2025

Work Order No.: NRC-0228

Pages 1-82

**NEAL R. GROSS AND CO., INC.**  
**Court Reporters and Transcribers**  
1716 14th Street, N.W.  
Washington, D.C. 20009  
(202) 234-4433

DISCLAIMER

UNITED STATES NUCLEAR REGULATORY COMMISSION'S  
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

The contents of this transcript of the proceeding of the United States Nuclear Regulatory Commission Advisory Committee on Reactor Safeguards, as reported herein, is a record of the discussions recorded at the meeting.

This transcript has not been reviewed, corrected, and edited, and it may contain inaccuracies.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION  
  
+ + + + +  
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS  
  
(ACRS)  
  
+ + + + +  
DIGITAL I&C SUBCOMMITTEE

+ + + + +

WEDNESDAY

FEBRUARY 19, 2025

+ + + + +

The Subcommittee met via Video/  
Teleconference, at 1:00 p.m. EST, Thomas E. Roberts,  
Chair, presiding.

SUBCOMMITTEE MEMBERS:

THOMAS E. ROBERTS, Chair  
RONALD G. BALLINGER  
VICKI M. BIER  
VESNA B. DIMITRIJEVIC  
GREGORY H. HALNON  
CRAIG D. HARRINGTON  
WALTER L. KIRCHNER  
ROBERT P. MARTIN  
MATTHEW W. SUNSERI

ACRS CONSULTANTS:

DENNIS C. BLEY

CHARLES H. BROWN, JR.

DESIGNATED FEDERAL OFFICIAL:

CHRISTINA ANTONESCU

ALSO PRESENT:

GILBERTO BLAS, NRR/DEX/EICB

CALVIN H. CHEUNG, RES/DE/ICEEB

SAMIR X. DARBALI, NRR/DEX/EICB

TANIA MARTINEZ NAVEDO, NRR/DEX

JASON C. PAIGE, NRR/DEX

WILLIAM A. ROGGENBRODT III, NRR/DEX/EICB

## CONTENTS

Opening Remarks by Chairman . . . . .	4
Introductory Remarks . . . . .	8
Overview of Proposed Rulemaking Efforts . . . . .	14
Public Comments . . . . .	72
Adjourn	

P-R-O-C-E-E-D-I-N-G-S

1:00 p.m.

CHAIR ROBERTS: This meeting will now come to order. This is a meeting of the Digital I&C Subcommittee of the Advisory Committee on Reactor Safeguards. I am Tom Roberts, chairman of today's subcommittee meeting.

ACRS members in person are Ron Ballinger. Craig Harrington will be back shortly. He was here and will be back. ACRS members in attendance virtually via Teams are Greg Halnon, Vesna Dimitrijevic, Walt Kirchner, Matt Sunseri, and Vicki Bier.

Also in attendance is our consultant, Dennis Bley, who is connected via Teams. And we expect Charlie Brown to be here in person when he finishes getting his new computer set up. Did I miss anybody, either ACRS members or consultants? Please speak up now.

MEMBER MARTIN: Tom, this is Bob. I'm here.

CHAIR ROBERTS: Okay. I'm sorry. And Bob Martin, who is here virtually. Christina Antonescu of the ACRS staff is the Designated Federal Officer for this meeting. No members with a conflict of interest were identified for today's meeting, and we have a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 quorum.

2 During today's meeting, the subcommittee  
3 will receive a briefing on the proposed rulemaking to  
4 incorporate by reference the requirements of the 2018  
5 version of IEEE Standard 603 into regulation. IEEE  
6 Standard 603 is entitled IEEE Standard Criteria for  
7 Safety Systems for Nuclear Power Generating Stations.  
8 Title 10 of the Code of Federal Regulations, Part 50,  
9 Subsection 55a(h) currently incorporates by reference  
10 the 1991 version of IEEE Standard 603, as well as two  
11 versions of an earlier IEEE Standard 279. Which of  
12 these standards and versions apply to which plants is  
13 somewhat complex, as folks will find out during this  
14 briefing.

15 While this rulemaking may seem  
16 straightforward, there are several issues important to  
17 safety that the staff will address during this  
18 meeting. For one, the 2018 version of the IEEE  
19 standard includes guidance for mitigating common cause  
20 failures within a protection or safety system. In the  
21 proposed rulemaking, it has to exclude off of the  
22 first sentence of this guidance. I think we'll have  
23 a good discussion of why the staff intends to exclude  
24 much of the IEEE guidance and the adequacy of the  
25 guidance that remains.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1           Also, there was an earlier attempt in 2015  
2           to incorporate the latest version of IEEE 603 into  
3           regulation, and this attempt resulted in several NRC  
4           staff non-concurrences, three suggestions from this  
5           committee, and disapproval from the Commission to  
6           proceed with the rulemaking. The staff will cover  
7           that history during this briefing, including how each  
8           of the previous issues was resolved in this relatively  
9           straightforward proposed rulemaking.

10           The ACRS was established by statute and is  
11           governed by the Federal Advisory Committee Act, or  
12           FACA. The NRC implements FACA in accordance with its  
13           regulations found in Title 10, Part 7 of the Code of  
14           Federal Regulations. Per these regulations and the  
15           committee's bylaws, the ACRS speaks only through its  
16           published letter reports. All member comments should  
17           be regarded as only the opinion of that member, not a  
18           committee position.

19           All relevant information related to ACRS  
20           activities, such as letters, rules for meeting  
21           participation, and transcripts are located on the  
22           NRC's public website and can easily be found by typing  
23           about us ACRS in the search field on NRC's homepage.

24           The ACRS, consistent with the agency's  
25           value of public transparency and regulation of nuclear



1 facilities, provides opportunities for public input  
2 and comment during our proceedings. We've received no  
3 written statements or requests to make an oral  
4 statement from the public. We've set aside time at  
5 the end of this meeting for public comments.

6 The ACRS will gather information, analyze  
7 relevant issues and facts, and formulate proposed  
8 conclusions and recommendations, as appropriate, for  
9 deliberation by the full committee. A transcript of  
10 this meeting is being kept and will be posted on our  
11 website.

12 When addressing the subcommittee, the  
13 participant should first identify themselves and speak  
14 with sufficient clarity and volume so that they may be  
15 readily heard. If you're not speaking, please mute  
16 your computer on Teams or by pressing \*6 if you're on  
17 a phone.

18 Please do not use the Teams chat feature  
19 to conduct sidebar discussions related to the  
20 presentations. Rather, limit us of the meeting chat  
21 function to report IT problems.

22 Everyone in the room, please put all your  
23 electronic devices in silent mode and mute your laptop  
24 microphones and speakers. In addition, please keep  
25 sidebar discussions to a minimum since the ceiling

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 microphones are live. For the presenters, your tail  
2 microphones are unidirectional, and you'll need to  
3 speak into the front of the microphone to be heard.

4 If you have any feedback for the ACRS  
5 about today's meeting, we encourage you to fill out  
6 the public meeting feedback form on the NRC's website.

7 We'll now proceed with the meeting, and  
8 I'll ask Ms. Tania Martinez Navedo, the acting  
9 Director of the Division of Engineering and External  
10 Hazards in the Office of Nuclear Reactor Regulation to  
11 make any introductory remarks she'd like to make  
12 before we begin the presentations. Tania.

13 MS. MARTINEZ NAVEDO: Thank you, Member  
14 Roberts. And good afternoon, everyone. Our purpose  
15 today is to brief the committee on IEEE Standard 603-  
16 2018, which will provide stakeholders the regulatory  
17 confidence to use the latest version of the standard  
18 in the development of safety-related instrumentation  
19 and control systems and be applicable to licensing of  
20 existing new and advanced reactors. This rulemaking  
21 effort would enhance efficiency for the stakeholders  
22 without affecting safety. This is in alignment with  
23 the ADVANCE Act's requirements and NRC's mission to  
24 enable the safe and secure use and deployment of  
25 civilian nuclear energy through efficient and reliable

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1       licensing, oversight, and regulation.

2               At this moment, I will turn it over to  
3       Gilberto Blas, who will be starting the presentation  
4       for the NRC staff.

5               MR. BLAS:     Good afternoon, everybody.  
6       Thank you, Tania. My name is Gilberto Blas. I'm an  
7       instrumentation and controls engineer as part of the  
8       EICB supporting this rulemaking. And also my  
9       colleague Calvin Cheung, also part of I&C doing our  
10      rotation and research.

11              So to start, I'm going to kick it off  
12      stating here that the presentation being shown here,  
13      being shown today is draft information regarding the  
14      proposed rulemaking and accompanying draft regulatory  
15      guidance and is subject to change, and we will issue  
16      these with an opportunity for comment.

17              So let's begin with the outline, as you  
18      can see, for the presentation. We're going to be  
19      going over proposed rulemaking efforts with background  
20      information regarding the Commission direction on IEEE  
21      603, leading to the activities done as part of this  
22      current rulemaking effort. In addition, we're going  
23      to be going over the comparison made between the 1991  
24      and the 2018 version of the standards.

25              We're going to spend some additional time

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 on Clause 5.16 on common cause failure, going over the  
2 staff evaluation. And, afterwards, we are going to  
3 discuss how the proposed rulemaking will handle  
4 information that is found in the 2018 version of the  
5 standard, including protection and safety systems and  
6 reference standards.

7 So as was pointed out, we're also going to  
8 be going over the ACRS letter recommendations from the  
9 2009 previous rulemaking and the NRC staff non-  
10 concurrences that have been evaluated as part of this  
11 effort. We're going to wrap up with a summary of the  
12 proposed incorporation by reference of IEEE 603-2018.

13 Okay. So some background on where we're  
14 at and how we got here. Currently, Chapter 10 of the  
15 Code of Federal Regulations in Section 55a(h) has the  
16 1991 version of the IEEE 603 standard for safety  
17 systems for nuclear power generating stations that is  
18 incorporated into the code. This version of the  
19 regulation is not up to date and multiple versions  
20 haven't been published since.

21 Back in 2015, the staff attempted to  
22 incorporate by reference the 2009 standard. However,  
23 that attempt was disapproved by the Commission, and  
24 the reason for that disapproval was due to an  
25 imposition of additional conditions and requirements

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 that were added beyond those in the standard that were  
2 inconsistent for new and operating reactors. With its  
3 response to the staff in SRM-SECY-15-0106, the  
4 Commission directed staff to develop a plan to  
5 modernize the NRC's digital instrumentations and  
6 controls for regulatory infrastructure, including how  
7 to address IEEE 603.

8 In the response that the staff provided to  
9 the Commission in SECY-16-0070, as part of the  
10 activities laid out on how to modernize the NRC's  
11 digital I&C regulatory infrastructure, they would be  
12 coordinating with the IEEE standards committee to  
13 address issues related to 603 through the 2018 output.

14 So moving ahead to 2023, the staff held a  
15 public meeting to solicit early feedback on the  
16 proposed path forward for IEEE 603-2018. In that  
17 meeting, staff discussed various options available on  
18 the path forward to utilize the latest standard with  
19 initial feedback received from stakeholders supporting  
20 incorporation by reference as that approach, as it  
21 provides regulatory certainty for licensees and  
22 applicants to utilize the latest version of the  
23 standard.

24 CHAIR ROBERTS: On the background, I  
25 wonder if you can go back a little before this time

1 frame. The 55a(h) was at least two versions before  
2 the version you're changing now. One was to adopt  
3 IEEE 279-1968 and then again for IEEE 279-1971. Can  
4 you talk about why that regulation was written at all?  
5 Because I've heard an argument that the general design  
6 criteria provides sufficient requirements, and what  
7 these IEEE standards are is more akin to guidance.  
8 Can you talk about why they were added in the  
9 regulation?

10 MR. ROGGENBRODT: Good afternoon. Bill  
11 Roggenbrodt, Office of Nuclear Reactor Regulation also  
12 in the Division of Engineering and External Hazards.

13 So in looking over the documentation in  
14 1968 for IEEE 279, those were the proposed criteria  
15 for protection systems, and then they were accepted  
16 and approved in the 1971 version. Simultaneously with  
17 that, you had the general design criteria which went  
18 over those criteria, but, again, that was at a plant  
19 level or, again, general design criteria.

20 So the specificity, at least from my  
21 reading and research, shows that when you're talking  
22 about the details and intricacies of an  
23 instrumentation and control safety system that you  
24 would have that additional criteria that is system  
25 specific rather than plant specific.

1 CHAIR ROBERTS: Okay. Thank you. That  
2 makes sense. So this was actually the same time frame  
3 as the GDCs were being provided. So it appeared, at  
4 the time, folks thought that the GDCs were great. But  
5 for the protection systems, a little bit more was  
6 needed than regulation. You have one version, and  
7 then, you know, IEEE 603 a couple of decades later.  
8 Okay. Thanks. That's very helpful.

9 MR. ROGGENBRODT: Yes, sir.

10 MR. BLAS: Thank you, Bill. So as a side  
11 note, after we initiated this rulemaking in early  
12 2024, the ADVANCE Act was issued. In response to the  
13 ADVANCE Act, NEI did provide a recommendation related  
14 to 10 CFR 50.55a, and staff is currently evaluating  
15 that recommendation as a separate activity from this  
16 rulemaking.

17 CHAIR ROBERTS: All right. So to clarify,  
18 your intent is to proceed with this rulemaking and  
19 that evaluation would go on a parallel, and you don't  
20 expect, at this point, that that would change the  
21 rulemaking finding or is there some potential that it  
22 would?

23 MR. BLAS: Not at this time that we're  
24 aware of, no.

25 CHAIR ROBERTS: Thank you.

1 MR. BLAS: So next slide. Okay. So  
2 moving on from the background to the current  
3 rulemaking effort, so in 2024, the staff formed an  
4 interoffice working group to formally issue activities  
5 on developing a path forward for the industry's use of  
6 IEEE 603-2018. Staff evaluated options for the use of  
7 the standard in concert with stakeholder input before  
8 deciding to proceed with this rulemaking option to  
9 incorporate by reference.

10 As mentioned, staff did a comparative  
11 analysis between 603-91, which is currently in  
12 regulations, and the standard to be incorporated,  
13 which is 2018. In addition, this proposed IBR does  
14 not raise significant policy issues and also would not  
15 impose additional requirements on the standards. And  
16 then, upon its incorporation, the 2018 would be  
17 incorporated in a similar fashion to 1991 where the  
18 standard would be required for new applicants and it  
19 would be optional for current licensees.

20 CHAIR ROBERTS: Can you clarify what  
21 optional for current licensees means? If somebody  
22 were to propose a major retrofit of their I&C system,  
23 go into digital technology for the first time at their  
24 plant, would they be permitted to use IEEE 279 as the  
25 basis for that because their plant was licensed under



1 IEEE 279, or would they be strongly encouraged or  
2 required to use the 603-2018?

3 MR. BLAS: So it depends. It depends on  
4 where their licensing basis is at. So if you look at  
5 55a(h), what their licensing basis falls under,  
6 whether it be 603 or 279, has a lot to do when either  
7 a construction permit or design license was issued.  
8 So let's say the example you provided, a 279 plant,  
9 wants to use 603-91 or 2018 for an update that they're  
10 doing to their nuclear power plant, they have that  
11 option available to utilize that standard for that  
12 upgrade.

13 CHAIR ROBERTS: I think I'm asking the  
14 opposite question, which is if they said we're going  
15 to use 279-1968 because that's what we're licensed to  
16 to support a digital I&C retrofit, would you be okay  
17 with that or would you have, you know, concerns with  
18 that.

19 MR. BLAS: Let me just make sure I  
20 understood the question. So you're saying if a 279  
21 plant wants to use the 279 criteria to do an update,  
22 given that it is to their licensing basis, yes, they  
23 would be able to do that.

24 CHAIR ROBERTS: So there are no missing  
25 criteria that would, again, concern you in terms of

1       how they would be designing their retrofit?

2               MR. DARBALI: This is Samir Darbali, I&C.  
3       So Gilberto is right. A plant only has to meet what  
4       their licensing basis criteria is. The guidance that  
5       we do have, for example, for licensing in ISG-06, it  
6       does tie to the 603 requirements right now in 1991, so  
7       the staff would have to do an evaluation to ensure  
8       that the licensee is meeting their licensing basis but  
9       also that the staff is following the Commission policy  
10      when it comes to a particular application.

11             CHAIR ROBERTS: Does that mean, in  
12      practice, they would have to follow 603?

13             MR. DARBALI: What we have found, because,  
14      again, sometimes, an applicant will -- an application  
15      is going to be supported by a vendor and, typically,  
16      vendors support 603 criteria. And so that application  
17      package is crafted in a way that meets the 603  
18      criteria.

19             So what we do when we perform our  
20      licensing review is make sure that 603 criteria  
21      matches with the licensing basis. So it could be IEEE  
22      279-1971. So, in a way, what we have found in  
23      practice is that they do match. Language may be  
24      somewhat different, but, in essence, they do meet the  
25      criteria.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 CHAIR ROBERTS: Okay. Thanks, Samir.

2 MR. BLAS: Okay. I think we covered  
3 everything in this slide, so I'll just move on to the  
4 next slide.

5 Okay. So, in addition to this rulemaking,  
6 the staff is planning to develop accompanying draft  
7 regulatory guidance with the proposed incorporation by  
8 reference with IEEE 603-2018. Right now, the staff is  
9 currently evaluating which document would be revised  
10 or developed to provide that accompanying draft  
11 guidance.

12 Any questions here? Okay.

13 MR. BROWN: Yes. What do you mean by  
14 that, draft guidance? Is it going to be a new reg  
15 guide, is it going to be an existing reg guide, or  
16 what?

17 MR. BLAS: So it would be a regulatory  
18 guidance. It would not be staff guidance. And right  
19 now, given that we're developing it, it would be draft  
20 guidance.

21 MR. BROWN: We've got reg guides right now  
22 that cover a number of items. So this IBR has no  
23 clarifications. You're effectively accepting 2018 for  
24 the most part. I didn't see anything new in it. It  
25 didn't even incorporate stuff that we tried to do back

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 in 2014. There was a lot of nuances to that one that  
2 you all especially left it alone. 2018 is going to be  
3 what it is, not a whole lot of differences from the  
4 1993 or 1991, whichever date you're about old enough  
5 to remember.

6 So now the effort is going to be, instead  
7 of the panoply of other reg guides like, you know, the  
8 computer use and BTPs, et cetera, et cetera, you're  
9 going to develop another reg guide that provides  
10 clarifying guidance relative to 2018 itself and  
11 separate from the IBR, as opposed to melding it into  
12 the IBR.

13 MR. BLAS: Correct, yes.

14 CHAIR ROBERTS: There was some discussion  
15 of the rulemaking document 1.153. It has basically  
16 the same title as IEEE 603, and it's relatively old.

17 MR. BROWN: I thought we had revised that  
18 at one time. We revised a lot of the reg guides, and  
19 I can remember some of them and I can't remember the  
20 rest. All right. Just was curious as to what -- so  
21 it will not be a 1.53 plus change?

22 MR. BLAS: Well, we're still evaluating.  
23 We would repurpose Reg Guide 1.53, or it would be a  
24 new document.

25 MR. BROWN: Well, 1.53 still is in play.

1 I mean, it's still there. If you don't do anything  
2 else, it's still there.

3 MR. BLAS: Correct, yes.

4 MR. BROWN: Thank you.

5 MR. BLAS: No problem. Okay. Let's talk  
6 about the comparison that was made for IEEE 603-91 and  
7 2018. So for the comparison that was made, the staff  
8 came --

9 MR. BROWN: Let me backtrack for one  
10 minute. I'm sorry to interrupt. So the sole real  
11 purpose of this IBR, put all the other language and  
12 all the other questions aside, is to really do no more  
13 than, say, use 2018 vice 1991.

14 MR. BLAS: Yes.

15 MR. BROWN: Okay. Make sure I fully  
16 understood that. Thank you.

17 MR. BLAS: We got to make sure that's  
18 understood.

19 MR. BROWN: It's the reg guide type stuff  
20 for if you want clarifications.

21 MR. BLAS: Yes.

22 MR. BROWN: So if we want to attack,  
23 that's where we'd have to attack. If we had comments.  
24 Just ask Samir. He'll know. Thank you.

25 MR. BLAS: Thank you. Okay. In the

1 comparison that was made, staff developed this  
2 approach where clauses and subclauses were divided  
3 into items to facilitate a comparison. These items  
4 were binned into four categories, as you can see on  
5 the screen: identical, which means no changes in the  
6 wording between the two; equivalent, which can include  
7 items such as formatting changes or updated standard  
8 revisions, updated wording, restructured numbering, or  
9 something similar to that; enhancements, which would  
10 be improved by the clarifications; or an additional  
11 text modifying items on existing topics being  
12 addressed by existing clauses, and then we're talking  
13 brand new added items addressing new topics. So we  
14 will present examples in the next following slides on  
15 going over the equivalent and enhancement to help  
16 demonstrate that categorization.

17 Also, in the following slides, we're going  
18 to be discussing the new clauses added to the  
19 document. And something to note, as you can see on  
20 the pie chart, for that comparison, the majority of  
21 the changes from the revision were mostly categorized  
22 into equivalent or identical. That was the majority  
23 of the changes. And then the four items that you can  
24 see which are new are all associated with Clause 5.16  
25 on common cause failure, which we're going to be

1 covering in more detail in the next topic section.

2 So let's present some examples. So here  
3 this is what we mean for representing what would be an  
4 equivalent clause. Over here, the criterion is  
5 identical and provides the clause -- I'm sorry. It's  
6 identical. However, the parenthetical examples were  
7 changed from using the word example to the Latin  
8 *exempli gratia*, which means for example. And also the  
9 generic term regulatory agency, providing specific  
10 examples in the updated standard. So for the staff  
11 evaluation standpoint, this would be considered an  
12 equivalent clause.

13 So for the enhancement clause here, this  
14 clause provides additional improvements and  
15 clarifications to an existing clause with the  
16 additional text addressing the need to have  
17 deterministic behavior for safety functions and, in  
18 addition, the refrain back to Clause 4 dealing with  
19 topics related to hazard analysis and environmental  
20 conditions. For staff, given that this is for an  
21 existing topic and clause, this is considered an  
22 enhancement.

23 So here, to summarize, the staff did go  
24 through both of the standards. We did that  
25 comparative analysis. The results were what was shown

1 on the pie chart, and we concluded that the only new  
2 clause is Clause 5.16 on common cause failure, which  
3 we're going to be elaborating in the next following  
4 slides.

5 So for Clause 5.16 on common cause  
6 failure, the first sentence states: The safety system  
7 design and development shall address common cause  
8 failures that create a potential to degrade or defeat  
9 the safety-significant function. The NRC staff, as  
10 part of their evaluation, is in full agreement with  
11 this first sentence.

12 The remaining statements within Clause  
13 5.16 describe guidance on how the CCF should be  
14 addressed with some methods within that are provided.  
15 So two things regarding this guidance is that the NRC  
16 is not taking a position on the suitability of these  
17 methods for addressing common cause failure, as they  
18 are described in Clause 5.16; and they may be  
19 appropriate for the use by applicants or licensees and  
20 would be reviewed by the NRC on a case-by-case basis.  
21 In addition, while these methods may be acceptable to  
22 address common cause failure in appropriate  
23 circumstances, the provided list is not comprehensive  
24 and does not include flexibilities that the Commission  
25 directed to staff in SRM-SECY-2276.



1 CHAIR ROBERTS: Now, when I look at this  
2 first sentence, which is what you propose to keep in  
3 regulation, it does not say digital. The SRM that you  
4 cite at the bottom is about digital common cause  
5 failures. The proposed draft rulemaking also  
6 references BTP 719, which is a staff guidance document  
7 that's also specific to common cause failures in the  
8 digital portions of the I&C system.

9 So it occurs to me that first sentence is  
10 more general than the guidance that's cited in the  
11 rulemaking document, and the guidance that you're not  
12 endorsing basically is pretty high level. It says  
13 assess the likelihood and consequence of common cause  
14 failures and then look at the likelihood and  
15 consequence and make a judgment. That's basically  
16 what it says in quite a few more words. And so I'm  
17 not really seeing how that's contradicted by the SRM  
18 that's cited there, although I do agree that there's  
19 more options in the SRM but they seem to, you know,  
20 fit within that realm of assess likelihood, assess  
21 consequences and make a judgment.

22 So it just seemed to me as an area where,  
23 if you don't consider the IEEE guidance to be  
24 comprehensive, then you're kind of putting it on  
25 yourselves to go write the guidance that would be more

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 comprehensive. That's why that's what you intended --  
2 or did you intend just to say that the SRM covers it,  
3 and so go follow the SRM instead of the IEEE guidance?

4 MR. BLAS: So, I mean, the thought process  
5 was, given that it's not comprehensive, we didn't want  
6 to limit the flexibilities the Commission provided.  
7 That was the thought process behind this. That was  
8 the intent and the reason why we're going this route.

9 CHAIR ROBERTS: There's a number of areas  
10 you can look at there. One is common cause failures  
11 in the non-digital portions of the system, things like  
12 power supplies, effects of the common environment,  
13 design errors, part substitution errors, operator  
14 errors, maintenance errors. There's a whole venue  
15 that's documented in other IEEE standards that would  
16 not fall strictly in the category of digital common  
17 cause failures, and the IEEE has guidance and  
18 documents like 352 that gives some wisdom of how you  
19 might assess those. And I don't know, if they don't  
20 consider those complete, that complete, or whether  
21 that also needs to be supplemented by some of the  
22 flexibilities that's in the SRM.

23 So it ends up being a rather complex  
24 subject in terms of what will constitute an adequate  
25 set of guidance. Again, all I was trying to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 understand is the rulemaking the intent to start the  
2 process of writing that guidance or is the intent to  
3 adopt the SRM guidance as sufficient?

4 MR. DARBALI: This is Samir Darbali again.  
5 So you're right. For non-digital common cause  
6 failure, it's different. I think, for the most part,  
7 a single cause that would affect multiple channels'  
8 performative safety in our hardware base. Existing  
9 guidance for equipment environment qualification,  
10 EMI/RFI, even consideration for flooding or  
11 environmental issues that would take multiple  
12 channels. There is guidance that applies to covering  
13 that.

14 So you're not expected, typically, for a  
15 hardware-based system or hardware component to be  
16 affected at the same time, you know, multiple channels  
17 at the same time just by random failure. Again,  
18 common cause failure would be addressed by existing  
19 guidance and, again, EMI/RFI equipment qualification.

20 The approach here is to provide a way to  
21 endorse the criteria as generic, not just for digital  
22 I&C. And that's the first step is always looking at  
23 ways in which there's a gap in the guidance that we  
24 can consider adding. But, at this point, there is no  
25 specific plan to start developing non-developed CCF

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 guidance.

2 CHAIR ROBERTS: One example is the ATWS  
3 rule, 10 CFR 50.62, that predates digital I&C, and  
4 that was, you know, probably a decade-plus long  
5 evaluation process that ended up with, essentially, a  
6 probabilistic risk assessment approach to determining  
7 whether or not the risk to ATWS was adequately  
8 mitigated. And that analysis used a fixed-point  
9 reliability of the reactor protection system based on  
10 a large amount of uncertainty and probably a lot of  
11 conservatism coming up with the number you would  
12 assume.

13 So it wasn't a matter of, you know, you  
14 did the design and, there, you're good enough. It was  
15 you did the design, there was the potential for common  
16 cause failures. So if the consequence was severe  
17 enough, there still was a perceived need to do more.  
18 It's not clear to me how that applies today because  
19 that rulemaking was done 40-plus years ago, and the  
20 rule itself appears deterministic because the  
21 conclusion was made to take the results of that risk  
22 assessment and put the design changes that would be  
23 required into the rule directly. So now, 40-plus  
24 years later, exactly how that applies to a plant  
25 wasn't considered back then, and that seems like an

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 area where that's not strictly a digital question,  
2 right, because they got the same concerns that had  
3 people concerned 20-plus years ago, which is not so  
4 much the potential for digital systems to cause  
5 problems but for the reliability of the overall system  
6 to be very uncertain based on the concern of common  
7 cause failures.

8 So one aspect of this question is so what  
9 are folks supposed to do today both from the staff  
10 guidance perspective and a regulatory guidance for  
11 applicants to assess the ATWS concern from 40 years  
12 ago? So when I look at this common cause failure,  
13 that's one aspect of it that occurs to me. I don't  
14 know the answer to that question. We had some  
15 discussion during the NuScale SAR review, and I read  
16 a memo that kind of questions whether the diversity  
17 within the digital portions of the system is  
18 sufficient to meet the intent of the ATWS rule. In  
19 their case the consequences weren't that bad, so the  
20 ATWS thought process would say there's no need to do  
21 anymore because the consequences. If the consequence  
22 is considered unacceptable, then you're back into the  
23 same question people were looking at 40-plus years  
24 ago.

25 So, again, how this fits in with the 2022

1 SRM and the focus on digital common cause failures  
2 isn't clear to me. That seems like an area that's  
3 worth looking at. Am I missing something?

4 MR. DARBALI: Yes. It does a little bit  
5 more than that. I think the first sentence that it's  
6 being endorsed is a bit of a clarification of the  
7 language in the introduction to the GDCs. That does  
8 say that consideration of possible systematic non-  
9 random concurrent failures for redundant elements in  
10 the design of protection systems and reactivity  
11 control systems, that needs to be considered. So I  
12 think that just provides some clarification on that  
13 existing criteria.

14 Again, the rest of the language, it's more  
15 guidance. Yes. When you look at it for the digital  
16 I&C side, it's unclear whether or not there might be  
17 a conflict or maybe an over-reliance in that guidance  
18 on likelihood over consequence. And so we're trying  
19 to ensure that whatever -- I mean, again, from the  
20 point of view of this rulemaking effort, that language  
21 is not going to be included in the IPR because it's  
22 not a criterion.

23 From the point of view of guidance, again,  
24 at this point, what we have is guidance for the staff  
25 in the BTP on digital I&C. We are still considering,

1 as part of the committee's comments on that revision  
2 of the BTP, we're looking at the broader regulatory  
3 infrastructure and the need for guidance to  
4 applicants. That's something we can consider at that  
5 point.

6 CHAIR ROBERTS: Okay. So the question of  
7 whether the guidance that you're asking for in this  
8 rulemaking would include guidance on common cause  
9 failure and how to assess that first sentence of 5.16,  
10 that's within the scope of what you're thinking in  
11 this rulemaking, as well as the BTP 7-19 comments that  
12 we made last year; is that fair?

13 MR. DARBALI: Could you rephrase the  
14 question?

15 CHAIR ROBERTS: You are looking at the  
16 potential for additional guidance on common cause  
17 failure mitigation as part of this rulemaking.

18 MR. DARBALI: Well, not as part of this  
19 rulemaking. So the rulemaking is going to be the  
20 rulemaking part and then developing accompanying  
21 guidance. We'll determine what the appropriate level  
22 of guidance can be provided in a timely manner.

23 But we are considering long-term how this  
24 rulemaking, as well as application of existing  
25 guidance, so BTP 7-19 Revision 9. We're looking to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 see how that is applied by applicants and staff.  
2 There's also NEI-2007, which staff is looking to  
3 review. So there are a lot of ongoing efforts that,  
4 at some point, we do want to harmonize industry  
5 guidance that can accommodate all the staff.

6 CHAIR ROBERTS: To clarify my question, I  
7 wasn't asking about the rule itself. I was asking  
8 about the accompanying guidance, which, right now, is  
9 kind of all TBD in the way the rulemaking is written.  
10 If we got a question from the public asking for the  
11 scope of the guidance, what their recommendation would  
12 be. I was just asking for that guidance that you're  
13 still trying to determine the scope of, were you  
14 thinking that you would need to add something to  
15 explain how to implement that first sentence of Clause  
16 5.16?

17 MR. DARBALI: So, right now, staff is  
18 currently working on that draft guidance. And, you  
19 know, when it is complete, we are going to be  
20 providing these draft guides and coordinating with the  
21 ACRS to schedule another meeting to discuss it.

22 CHAIR ROBERTS: Okay. I think that  
23 answered my question. Before we leave the subject of  
24 common cause failure, the other thing that I wanted to  
25 talk about is what Samir mentioned, the BTP 7-19 open



1 comment that we are still interested in understanding  
2 what replaced the echelons of defense that were  
3 defined in NUREG/CR-6303, which was previously  
4 endorsed in the Branch Technical Position until Rev.  
5 9.

6 And the concern is you have a failure that  
7 affects multiple layers of defense-in-depth. And so  
8 the single failure, because of integration of the  
9 systems that's enabled by digital I&C, you could have,  
10 you know, a common cause failure that would cause  
11 impact on many layers of defense-in-depth from the  
12 prevention of events to the mitigation of AOOs, to the  
13 mitigation of accidents, to the mitigation of public  
14 consequences.

15 As you integrate the systems, you get more  
16 and more scenarios where you might have that broader  
17 impact. And the NUREG/CR-6303 covered that, but now  
18 that's not endorsed without something that replaces  
19 it. So that's something I know you're still looking  
20 at, and that's something we'll visit again. Charlie.

21 MR. BROWN: I was going to let you finish.  
22 I wanted to backtrack to the common cause failure  
23 thing, if I can find my notes. I hate computers.  
24 You're not making any fundamental clarifications;  
25 that's the statement that you confirmed a minute ago.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 And independence is one of channels, and divisions is  
2 one of the keystones for analog systems, particularly  
3 with protecting you from common cause failures. You  
4 can do whatever risk-informed analysis you want to do,  
5 but it's fairly unlikely that a single chip, a single  
6 doohickus from one division do not fail in two or  
7 three of the things all at the same time. That's my  
8 version of risk analysis.

9 But that totally changes when you go to  
10 digital systems. Right now, when you look at the  
11 independence discussion in 603, it's fundamentally  
12 established by electrical isolation. You just isolate  
13 everything. You don't connect any electrical signals  
14 between various divisions. The exception to that is,  
15 obviously, when you get to a voting unit. You have to  
16 send -- each division has to go to all the voting  
17 units. Even there, a failure in one, either a 1 or a  
18 0 not showing up or an average signal would take, you  
19 know, it's not going to destroy the voting units.  
20 It's just the nature of the 1s and 0s, contact,  
21 closures, et cetera.

22 But with digital systems, that totally  
23 disappears. Digital in one particular channel can  
24 have a software data transmission that could literally  
25 lock up all four voting units. If it will do it to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 one, it will do it to all of them more than likely;  
2 I'm making that as a declarative statement. And  
3 you've added nothing. It doesn't even address --  
4 electrical isolation doesn't even suffice to approach  
5 to deal with that particular situation. And, yet,  
6 nothing was done in the rulemaking, in your IBR, to  
7 try to focus on the difference between analog -- and  
8 now we've added another way of having independence  
9 destroyed via the software applications.

10 That was a little bit bothersome. I don't  
11 know how having it in the rule, as opposed to in a  
12 guidance, gives it more credence and more legal  
13 leverage when you're doing system reviews in terms of  
14 what you can do. But, now, if you go try to put more  
15 explanation to the guidance, oh, but we really don't  
16 need that, and they'll go through a dog-and-pony show  
17 to tell you why you're wrong if you insist on  
18 something other than what they've provided.

19 So that would disturb me a little bit in  
20 terms of how we don't seem to be recognizing in the  
21 new IBR that digital systems provide a different  
22 concept totally different from analog approaches. And  
23 you all didn't do anything, so that's the decision  
24 you've made to go, so that's liable to be a subject of  
25 considerable discussion once you get to guidance and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1       how, I don't want to say deterministic it may sound or  
2       how non-guidance it may sound, but something is going  
3       to have to be done to make sure those distinctions are  
4       made from the application of digital systems.

5               I'm just passing that on. Obviously, you  
6       don't have to do anything with that. And you will not  
7       argue me out of my consideration since I dealt with  
8       this for dozens of years in my own systems back in the  
9       naval program, and we did that in all the plant  
10      designs that have come up before us to date and there  
11      have been no provision made for that.

12             Anyway, I'm just throwing that on the  
13      table for something you to bear in mind that we'll add  
14      that into the discussion process if something doesn't  
15      show up in the guidance that takes advantage of fixing  
16      that or at least addressing it.

17             MR. DARBALI: Okay. So just to reiterate,  
18      you know, the first sentence makes it so that, you  
19      know, there's a need to identify and address common  
20      cause failure, and it doesn't specify where that is.  
21      It's on the licensee to make sure that they address  
22      common cause failure, and this would be part of the  
23      regulations.

24             MR. BROWN: I understand that. But there  
25      are certain things that stand out in the application

1 of digital systems that don't even get -- they're  
2 totally foreign from what we do with analog systems;  
3 that's all. It didn't seem to recognize that there's  
4 a different world, and the purpose here was to bring  
5 this up into 2018, which also I was very surprised the  
6 2018 did not provide any digital system guidance per  
7 se.

8 MR. CHEUNG: Part of the approach is to  
9 support, you know, Commission direction for  
10 performance-based technology-inclusive rulemaking. So  
11 then, you know, keeping at this high level, it was  
12 8710 but deferring --

13 MR. BROWN: I understand performance based  
14 and technology inclusive. I mean, I ended having  
15 designed the first digital systems we used with analog  
16 specs and no software standards and a Zilog Z80 2.3  
17 megahertz microprocessor. Try that.

18 CHAIR ROBERTS: I think I have a slide on  
19 this subject, slide 21. So I think we probably --

20 MR. BROWN: Oh, okay. I forgot that.

21 (Simultaneous speaking.)

22 MR. BROWN: My point being is everything  
23 we've ever built has been performance-based. Nothing  
24 has changed. You can put all the words into the  
25 standards you want to, they're meaningless.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 Technology inclusive is meaningless. We've always  
2 been technology inclusive. But that's good because  
3 that's what we have to do politically, but there's  
4 specifics that you really need to get away from those  
5 words and think about what you're really doing.  
6 That's all I'm trying to emphasize. Sorry. I forgot  
7 about the slide.

8 MR. BLAS: All right. Moving on to the  
9 next slide, which is related to 5.16. So we are  
10 proposing, the staff is proposing to update, you know,  
11 proposing to incorporate Clause 5.16, specifically the  
12 first sentence containing the shall statement. In the  
13 first bullet, this would make Clause 5.16 part of --

14 (Audio interference.)

15 MR. BLAS: Given what was discussed, we're  
16 proposing to update 50.55a to incorporate by reference  
17 IEEE 603-2018 but not require conformance to IEEE 603-  
18 2018 Clause 5.16 except that the safety system design  
19 and development shall address common cause failure  
20 that create a potential to degrade or defeat the  
21 safety system function that is described in the first  
22 sentence of the clause.

23 CHAIR ROBERTS: Maybe now I'd ask two  
24 questions about the language that's in the direct  
25 rulemaking. I recognize that's something that you're

1 still evolving.

2 But one thing is the rule says you don't  
3 need to comply with the rest of 5.16, but the  
4 rationale is you would evaluate it on a case basis  
5 whether it's acceptable to comply with the rest of  
6 that? That seems to be -- if your rationale is you're  
7 not sure you would agree with the design that complies  
8 with just the guidance, but then you say you don't  
9 require compliance with the guidance. That implies  
10 it. So I would go above and beyond your expectations  
11 by complying with the guidance. It's not clear. It  
12 seems like you're really saying that you're already  
13 endorsing the first sentence and the rest of it you're  
14 not passing judgment on it at all.

15 I was just wondering if you look at it  
16 that way or whether I was just reading what you wrote.  
17 Not required to comply with is different than you're  
18 not even sure you'd accept it, somebody that complied  
19 with it.

20 MR. BLAS: So with regards to the portion  
21 that's not being incorporated, again, just restating  
22 it. It would be evaluated on a case-by-case basis,  
23 and it could be an acceptable way of meeting that  
24 criterion. Again, just to reiterate, it would have to  
25 be evaluated by the NRC staff --

1 CHAIR ROBERTS: I understand that. That's  
2 not what the words say to me. Just something to  
3 consider. Take a look at the words. If you think I'm  
4 out to lunch, that's fine, too. But, in my opinion,  
5 saying you don't need to comply with something kind of  
6 implies that, if you did comply with it, you would be  
7 better, as opposed to it may not be sufficient, which  
8 is what you're really saying.

9 MR. BLAS: But the intent here on how we  
10 are incorporating it into the regulations is the fact  
11 that you are required to address the first sentence in  
12 the clause, and it's going to be in the regulations.  
13 That's the intent, yes.

14 CHAIR ROBERTS: Okay. Yes. The second  
15 point I wanted to make is the preamble due to the roll  
16 up, when it talks about common cause failure, it  
17 implies that the BTP 7-19 and the SRM are the guidance  
18 that the NRC applies. Again, the word the, I might be  
19 over-reading, but, when I read the, that implied to me  
20 that that was the exclusive guidance that I don't  
21 think that's the case. I think, as we talked about at  
22 some length earlier in this meeting, there were some  
23 evaluation ongoing whether or not there needs to be  
24 more guidance for common cause failure.

25 So you might want to look at the word the



1 to see if that's really what you meant, as opposed to  
2 the guidance includes these documents and not that  
3 these are the exclusive guidance. So again, somewhat  
4 detail points, worth looking at.

5 MR. BLAS: Thanks. Any other questions on  
6 this slide before we proceed? Okay. Given that, I'm  
7 going to pass it over to my colleague, Calvin Cheung,  
8 for the rest of the presentation. Thank you for your  
9 time.

10 MR. CHEUNG: Now we're transitioning to  
11 the regulatory history to give some additional  
12 perspective into the rulemaking. There are four broad  
13 topics, the first being the protection and safety  
14 systems. Then I'll go into the treatment of  
15 referenced standards, which you've also maybe heard  
16 referred to as normative references or secondary  
17 references. I'll cover that there. Then we'll  
18 discuss the ACRS recommendations from the previous  
19 rulemaking. And, finally, I'll talk about the non-  
20 concurrences from that previous rulemaking effort.

21 So the term protection system was first  
22 defined in IEEE 279-1968, and this standard predates  
23 603 and it was incorporated or is incorporated --  
24 sorry -- into 50.55a(h). And it states in the scope  
25 that the protection system encompasses all electric

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 and mechanical devices and circuitry from sensor to  
2 actuation device input terminals involved in  
3 generating those signals associated with protective  
4 function.

5 And in IEEE 279-1971, which is also  
6 incorporated, the standard clarifies the term to  
7 include the actuator system so that it, I quote,  
8 consists of the protection signal system and the  
9 actuator system.

10 In IEEE Standard 603-1991, a safety system  
11 is defined as a system that is relied upon to remain  
12 functional during and following design basis events to  
13 ensure: 1) the integrity of the reactor coolant  
14 pressure boundary; 2) the capability to shut down a  
15 reactor and then keep it in a safe shutdown condition;  
16 and 3) the capability to prevent and mitigate the  
17 consequences of accidents that could result in  
18 potential off-site exposures comparable to the 10 CFR  
19 Part 100 guidelines.

20 Next slide. So in terms of the  
21 relationship between these two terms, this first  
22 bullet here is from the preamble to the 1991  
23 rulemaking. And it states the NRC recognizes that  
24 protection systems are a subset of safety systems.  
25 Safety system is a broad-based and all-encompassing

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 term embracing the protection system, in addition to  
2 other electrical systems. Thus, the term protection  
3 system is not synonymous with the term safety system,  
4 and the final rule is not intended to change the scope  
5 of systems covered in the final safety analysis report  
6 for current operating nuclear power plants.

7 With the 2018 rulemaking, we will follow  
8 the same approach and utilize the same language in our  
9 preamble. And the definition of protection systems  
10 and safety systems will be unchanged, and the preamble  
11 will be restated consistent with what's showing here.

12 MR. BROWN: In other words, you're saying  
13 they're synonymous? I reread the first slide again  
14 after I went through this. Are you saying protection  
15 and safety are now to be defined as synonymous with  
16 each other or you've got a distinction?

17 MR. CHEUNG: No.

18 MR. BROWN: I don't understand the  
19 distinction as well as I should have probably.

20 MR. CHEUNG: This is meant to be a bar  
21 term, so that is --

22 MR. BROWN: I've never done that, that's  
23 why I ask. They've always been synonymous to me.

24 CHAIR ROBERTS: There may be some  
25 background useful to explain why they were talking

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 about protective systems and safety systems.

2 MR. BROWN: Yes, but I understand the  
3 nuance.

4 CHAIR ROBERTS: The rulemaking applies to  
5 protection systems, applies to licenses before? Was  
6 it 1999?

7 MR. BROWN: Yes.

8 CHAIR ROBERTS: And then the rule applies  
9 to safety systems for plants licensed after 1999.  
10 It's kind of a head-scratcher because they all can use  
11 IEEE 603-2018 or 1991, but they can use them for  
12 protection systems for the earlier licensed plants and  
13 for safety systems for the later plants. It's a  
14 little confusing, and my understanding is it's  
15 somewhat historic that you've got, you know -- once  
16 you put something in regulation, it's very, very  
17 difficult to change it, and so you're kind of stuck  
18 with the legacy of this is what the rule language said  
19 before 1999, so you're kind of stuck with that, and  
20 this is what the rule language was allowed to say once  
21 they changed it after 1999.

22 So you sort of have to recognize when you  
23 read that 55a(h) you're reading kind of a mess in  
24 terms of parsing. You almost need a Venn diagram or  
25 a matrix to figure out exactly what it means. But it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 is what it is, so I think it's a good explanation.

2 CHAIR ROBERTS: I just never worried about  
3 it. To me, a safety system is there's a broad  
4 category of safety: the reactor protection systems,  
5 then there's the fluid systems, there are other  
6 systems you use that are also safety systems but they  
7 pump water in or whatever.

8 CHAIR ROBERTS: And I think also it  
9 practically ties what Samir was saying earlier: once  
10 you do a retrofit and you're into this kind of mess .  
11 You've got a IEEE 279-1971 plant developing a digital  
12 I&C system that wasn't envisioned for an IEEE 279 if  
13 it was written in 1971. There's still a way for the  
14 staff to work through the appropriate guidance, so  
15 it's, basically, it is what it is, I think, is the  
16 simple explanation.

17 MR. ROGGENBRODT: Chairman Roberts, Bill  
18 Roggenbrodt, I&C. Also, in preparing for this  
19 meeting, looking over those terms as they were  
20 defined, going through starting with IEEE Standard  
21 279-1968 and continuing on into 1971 as was stated,  
22 that the protection system was the term that was  
23 utilized and include both the protection or the sense  
24 of command features, as well as the actuator or the  
25 execute features.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1                   What evolved over the years was 279  
2                   changed into IEEE 603. It was a trial-use standard in  
3                   1977 and then was actually adopted as a regular  
4                   standard in 1980. In looking at the information when  
5                   1991 updated the 1980 standard, it said that,  
6                   actually, at the request of the NRC, that the safety  
7                   system term was utilized to align with the term of a  
8                   safety system in accordance with 10 CFR 50.49 and so  
9                   that they match each other.

10                   So from that, you're quite correct.  
11                   Historically, when we define protection system, it  
12                   includes the entirety of the protection system from  
13                   and including the sensor all the way through the final  
14                   actuation device. What changed over the years was  
15                   actually the definition of the broader term safety  
16                   system. I believe, in the forward, it says, you know,  
17                   to accommodate this, we're actually referring to the  
18                   term safety-related system as is defined in 50.49.

19                   So to your point, it is a head-scratcher  
20                   until you do the research to see how we got here.

21                   CHAIR ROBERTS: Okay. Thanks.

22                   MR. CHEUNG: Thank you for the addition,  
23                   Bill. Next slide.

24                   So as previously mentioned, I want to talk  
25                   about how we are addressing referenced standards. As

1 you're aware, sometimes they are also called normative  
2 references and secondary references; but, regardless,  
3 we're going to be treating them the same way and they  
4 will not become requirements simply by the fact that  
5 they are listed in the standard. So we are  
6 incorporating IEEE 603-2018, but that does not  
7 encompass or include any other references that may be  
8 found in the document.

9 In some cases, these reference standards  
10 can be endorsed by the NRC and have been endorsed  
11 through reg guides, so that is still an option  
12 available. But those are handled separately and  
13 independently. And this treatment of reference  
14 standards is consistent with how the 1991 rulemaking  
15 handled them.

16 Any questions?

17 CHAIR ROBERTS: I mean, there is a  
18 precedent for this. The word normative wasn't used in  
19 the 1991 version, but their references are pretty  
20 integrally involved with the standard. When you read  
21 the IEEE standard, I'm just reading from the section  
22 two, normative references, it says applying reference  
23 documents are indispensable for the application of  
24 this document, i.e. it must be understood and used.  
25 Each reference document is cited that has a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 relationship to this document is explained.

2 So it kind of leads me to wonder are you  
3 really using a consensus standard when the consensus  
4 standard says you must use the references? I  
5 recognize that the NRC staff typically clarifies  
6 references in reg guides. This is a regulation, so  
7 you've got kind of a mess with how you would clarify,  
8 you know, a regulatory reference in a regulatory  
9 guide. It doesn't necessarily make a lot of sense.  
10 I understand why you're doing.

11 I was wondering do you have any  
12 perspective on a statement that you're not really  
13 using the consensus standard because the standard says  
14 you must use references and you're saying you're not  
15 adding the references.

16 DR. BLEY: Tom, this is Dennis. The point  
17 you just made I really agree with. It seems to me if  
18 you incorporate this standard by reference and it says  
19 you must use these others, either you must use them or  
20 the staff ought to have their own guidance that  
21 replaces them. And the fact that nobody has decided  
22 that yet seems like a gap.

23 CHAIR ROBERTS: So, again, other than the  
24 language was strengthened in the IEEE standard, those  
25 words were not in the 1991 version, but I think people



1 are going to argue that's what they meant, which they  
2 didn't use those exact words. So I'm not sure there's  
3 an answer to that question because it is a historic,  
4 you know, it's what you've been doing since at least  
5 1991 and probably before then. But it's just  
6 something to think about.

7 The suggestion from the NEI that IEEE 603  
8 should be a regulatory guidance, as opposed to  
9 requirement, that might be a reason to think about  
10 that because at least that allows it to be in your  
11 regular regulatory guidance structure where you, you  
12 know, specifically endorse each reference with  
13 whatever caveats you think you need. I'm not a  
14 lawyer, I don't know how you would use a regulatory  
15 guide to clarify a reference that's in a regulation,  
16 so it seems like you're kind of stuck.

17 Again, it's just a thought. It's not new.

18 MR. ROGGENBRODT: Bill Roggenbrodt, I&C.  
19 So from that vantage point, you've got what's in the  
20 incorporate by reference rule itself; and then those  
21 other items that are not included, they become a  
22 secondary reference. And by being a secondary  
23 reference, they may be utilized, but they do not have  
24 the same enforcement level as a rule would. So it's  
25 not that they won't be examined and evaluated. It's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 just that it's referred to as a secondary reference,  
2 if I understood your question correctly, sir.

3 CHAIR ROBERTS: Just one random example.  
4 In the standard, Section 5.6, independence test, IEEE  
5 Standard 384 provides detailed criteria with the  
6 independence of Class I equipment. So you have a reg  
7 guide, I believe, IEEE 384, so that's been endorsed by  
8 the NRC staff and not as a requirement. But this now  
9 says it is a requirement, except you're not endorsing  
10 the references, and so the requirement, basically,  
11 doesn't exist. Again, it's a bit confusing.

12 I think, getting back to what Samir said,  
13 at the end of the day, you end up assessing  
14 independence by that IEEE standard with other parts of  
15 your regulatory rules. But it's, you know, it's hard  
16 to say it's a requirement of IEEE 603 when the  
17 requirement does follow the reference and the  
18 reference is not endorsed.

19 MR. DARBALI: This is Samir. The standard  
20 uses past references, it uses sort of different  
21 language. So it says provides detailed criteria or  
22 see the standard for additional guidance or this  
23 standard provides guidance, those sentences are pretty  
24 clear that it's not mandatory. So unless there was a  
25 clause in the standard that says the DRMs following

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 this standard shall be implemented or, yes, you shall  
2 follow this other IEEE standard, that, I understand,  
3 would be problematic, but I believe that's not typical  
4 language in the standard.

5 DR. BLEY: Well, there are several  
6 examples of it. If you just search for the word must,  
7 you'll find them.

8 MR. DARBALI: Understood.

9 CHAIR ROBERTS: Yes, just a random search.  
10 Safety systems shall be designed for periodic testing  
11 in accordance with IEEE Standard 338 is one example.

12 MR. DARBALI: I stand corrected.

13 CHAIR ROBERTS: This may be a longer-term  
14 question. I know you had a meeting this morning to  
15 talk about the potential of moving this whole  
16 regulation into guidance and just something to maybe  
17 consider as part of that.

18 MR. CHEUNG: Next slide. Now we'll move  
19 on to the ACRS recommendations from the 2009  
20 rulemaking efforts. And before going to the  
21 recommendations, to provide a little background, just  
22 to make sure we're all on the same page, in 2014,  
23 there was a rulemaking effort to incorporate by  
24 reference IEEE 603-2009 version. It was presented to  
25 the Commission and it was not approved. The

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 rulemaking had expanded scope. It created additional  
2 conditions and requirements, some of which were  
3 specific to operating new reactors beyond what was  
4 included in the actual standard language.

5 With the 2014 rulemaking, the ACRS made  
6 several recommendations and there were also several  
7 staff non-concurrences that I will also discuss.  
8 Before we kick off this 2018 rulemaking effort, one of  
9 our primary objectives was to review all these  
10 recommendations and non-concurrences to see if they've  
11 all been addressed and are still applicable.

12 So this first recommendation, this was  
13 marked as Recommendation 2. I'll add Recommendation  
14 1 was to develop guidance incorporating all of the  
15 other recommendations, so, you know, I won't really  
16 specifically address that one. But Recommendation 2,  
17 this one is dealing with specifying the rule, the use  
18 of an independent hardware-based diverse means to  
19 produce a diverse trip, the effective redundant  
20 portion of the digital safety system if the common  
21 processing unit ceases to operate or locks up.

22 In the staff response to the ACRS letter,  
23 the second source shown at the bottom here, the staff  
24 concluded that existing regulatory requirements  
25 address the scenario described above and some of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 requirements included GDC 20 for protection system  
2 functions and GDC 23 for protection system failure  
3 modes. And shown in the second bullet, staff is  
4 evaluating the development of accompanying guidance  
5 and what to include with that in the rulemaking to  
6 provide any clarification to go with this rulemaking.

7 We started this conversation earlier. I  
8 don't know if there's more to add to that.

9 MR. BROWN: My comment earlier was just  
10 the fact that we made no illusion that there's a whole  
11 different world of development of I&C systems in the  
12 digital world than there are in the existing rule  
13 guidance, not guidance but the rule effectively  
14 focuses on independence with electrical isolation, and  
15 that's not the case now. Forget the details. It  
16 doesn't say it's not the same, and there are other  
17 modes or there are other failures that can result as  
18 a result of digital systems, not just electrical  
19 connections. I thought that was a mistake. Wrong  
20 words. Not a mistake. Something that should have  
21 been included to recognize that digital systems  
22 provide another venue and world of failure modes that  
23 have to be considered, not specifics or specific  
24 solutions.

25 If you really sit back and look at the

1 most likely one, this is the one if you don't have  
2 hardware, as opposed to software. I have never heard  
3 in the last 16 years a single comment that had any  
4 proposal other than that for solving the lockup of  
5 voting units. It's too specific. Nobody ever  
6 proposed anything to do the same thing in all of  
7 those. In every one of the applicants that came in,  
8 three of them resisted it, the committee objected, and  
9 they incorporated it into their design. And I'm not  
10 saying that's perfect; it's just, for this purpose, I  
11 thought the recognition of the difference in  
12 independence for software systems is different than  
13 that for analog where electrical isolation provides a  
14 pretty good basis for having good independence between  
15 the channels or divisions of the protection systems.

16 So that's my point here. I won't  
17 elaborate. I just want to differentiate it from the  
18 specific to the more general basis.

19 MR. CHEUNG: Thank you.

20 CHAIR ROBERTS: Charlie, what I think  
21 you're saying is they were looking at in guidance to  
22 make sure that people look at that as a potential  
23 common cause failure because, clearly, we have a  
24 voting unit and that's where all the channels come  
25 together. And no matter what the technology is, you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1       need to look very carefully. It doesn't matter what  
2       the technology is -

3                       (Simultaneous speaking.)

4               MR. BROWN: Well, the hardware, we had  
5       decades and decades and decades of multichannel voting  
6       units, and all I know is, in my entire career of 35  
7       years, I never saw any report where we had common  
8       failure hardware-wise that was separated with the  
9       software basis for cause of the nature of the  
10      interrupt-driven systems and all the other type stuff  
11      you have. You can come up with software failures or  
12      data, stream of data, that can lock them all up; and,  
13      once it goes to all of them, they're gone. And I just  
14      think that fundamental difference ought to be  
15      reflected in the rule, not as a specific or how-to but  
16      it's different and you need to address that and tell  
17      us how, that's all, because we do, from the analog  
18      standpoint, we say electrical independence. Here, we  
19      say nothing, totally silent; and that's where the IBR,  
20      not specifics but addressing the software computer-  
21      based issue, to me, was an important thing that you  
22      should have included in that particular -- which  
23      section was it? 5.16. Yes, 5.16. Yes. So that's  
24      why I mentioned it three times now.

25                    I really think you ought to reconsider

1 that because it doesn't add requirements, it just says  
2 it's a different world and you need to address the  
3 differences, but 2018 does not cover that. I was  
4 totally surprised that the IEEE didn't cover any  
5 digital type systems. I mean, that's so current, I  
6 can't believe they blew that out their stack. I'm  
7 sorry for my strong words and sorry for my strong  
8 opinions. No, I'm not sorry. I take that back.

9 MR. CHEUNG: Thank you. This slide  
10 addresses Recommendation No. 3. It relates to 10 CFR  
11 50.55a(h)(4) for the proposed rule. It recommends  
12 clarification for both predictable and repeatable,  
13 which means processing from the safety data input to  
14 safety control device actuation and independent of the  
15 redundant portions of the safety system or other  
16 external input.

17 In the 2018 version of 603, Clause 5.5,  
18 system integrity, includes the following requirement  
19 which we feel meets the intent of the ACRS comment  
20 that safety functions shall be designed to have  
21 deterministic behavior and timing. And this was  
22 something that was an enhancement from the 2009  
23 language.

24 MR. BROWN: I like the deterministic word  
25 you added. That's the only real difference based on



1     what you've said here. You've added that word in in  
2     front of the predictable and repeatable, if I'm  
3     comparing the two paragraphs. I don't have it open in  
4     front of me, so I'm extrapolating that that's what  
5     you're saying.

6             The problem, even with the earlier  
7     recommendation that we made, and I'll only address  
8     this back in terms of one specific project we looked  
9     at when we asked about the time response, predictable  
10    and repeatable, the answers we got back only addressed  
11    the controller, the computer-based unit. It did not  
12    include sensor to actuation. And what we should have  
13    said back in 2014, we should have added in from sensor  
14    to actuation device because the computer-based stuff  
15    is in the middle and there are other things that it  
16    may go through from any particular point before it  
17    gets there. So, to me, that's the only other wrinkle  
18    I would have thrown into this if I was making a  
19    suggestion on this one.

20            Deterministic is a nice way to phrase  
21    that. It's not as fuzzy as just predictable and  
22    repeatable. Some people would argue that computer-  
23    based systems are predictable and repeatable. Well,  
24    it depends on how you program them. If you program  
25    them with lots of interrupts, you never have any idea.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 When we asked the question on one particular  
2 controller that was used -- I forgot, well, I actually  
3 know, but I don't want to bring up the name of the  
4 project and/or the device, the controller. I asked  
5 the question, well, how much application code can you  
6 load into your timing cycle? 200 milliseconds. How  
7 much of that cycle can you use with application code?  
8 They didn't have an answer. They had no clue. Well,  
9 they came back on another meeting and, oh, only 70  
10 percent because they couldn't predict whether it would  
11 finish or not with all the interrupts. I don't know  
12 how they ever got there, but they ran a bunch of  
13 testing. Whether it was inclusive, at least it was an  
14 answer. And, actually, there was a subsequent project  
15 that used that same controller that then did  
16 additional testing and said, hey, based on the  
17 progress of our software path, we can actually use 75  
18 percent.

19 So that's a nuance in terms of how these  
20 things operate, and that's not deterministic. That's  
21 non-deterministic. Deterministic really means very  
22 straightforward: this is all you've got, and you can  
23 go no farther. But it still ought to be sensor to  
24 actuate, through the actuator. That's the only  
25 suggestion I would have -- I can't believe I didn't

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 say that in 2014, but I didn't.

2 So, anyway, I'm just mentioning that's the  
3 thought process on what you can do.

4 MR. CHEUNG: Thank you. Anymore  
5 questions?

6 This slide addresses Recommendation No. 4.  
7 It states that the proposed rule should specify  
8 additional condition addressing Section 5.9 for  
9 control of access and identifies communications  
10 external to the plant should be accomplished using  
11 one-way hardware-based devices, and these devices  
12 should neither be software configurable nor capable of  
13 alteration by external commands or any surreptitious  
14 means.

15 MR. BROWN: Good words.

16 MR. CHEUNG: End quote. So the staff  
17 agrees that this approach is an acceptable approach,  
18 but including it as part of the rulemaking would be,  
19 I think that I alluded to it before, it would be  
20 prescriptive and not meeting the Commission direction  
21 to support a performance-based and technology-  
22 inclusive approach.

23 That being said, there's also been  
24 revisions to guidance documents in Reg Guide 1.152 and  
25 staff guidance BTP 7-19, which addressed

1 communications, independence, and control of access,  
2 and these have been communicated to the Commission in  
3 that third letter referenced in the sources back in  
4 2021.

5 MR. BROWN: I will comment on that, just  
6 to give you -- since you weren't here, I don't think.  
7 When we started insisting on this, we actually brought  
8 this up back in 2010 on another project that I won't  
9 mention, along with the watchdog timer issue, a  
10 similar type thing. And the applicant strenuously  
11 objected to that because it just wasn't a problem.  
12 There would not be any problem with the unit  
13 directional things, and nobody ever proposed an  
14 alternative that would solve the control-of-access  
15 issue for external access, how they would fix that if  
16 they had bidirectional communications, other than,  
17 quote, the standard virus cybersecurity world, which  
18 it's been obvious over the last 20 years that that  
19 doesn't work.

20 So that was the reason we then wanted to  
21 try to get it -- trying to just put it in the  
22 guidance, I can just hear somebody, well, we risk  
23 informed and evaluated this and we can handle this in  
24 other ways and we're not going to bother to tell you  
25 how, but that's okay. And you're stuck. You've got

1 words that say all you have to do is not have a  
2 problem, but nobody ever presented any alternative  
3 method other than this, not a single one. No software  
4 processes, no other alternatives how you would do it.  
5 The only thing you can do is keep the door closed, and  
6 that's why we were somewhat specific when we made that  
7 proposal.

8 This still leaves it open-ended, and you  
9 will have to fight about it, particularly if they  
10 start integrating these systems more, which is another  
11 issue which is not really brought up in this. We  
12 didn't bring it up in that either. Summed up, one guy  
13 did, way back in 2010 or '11, the project went away,  
14 so we didn't have to deal with it. They really wanted  
15 a more integrated system where they had multiple  
16 functions incorporated in their overall system, which  
17 was not very good. But it died before we had to say  
18 anything.

19 Anyway, the guidance is squishy. The  
20 rulemaking is not law, but it is rule. And nobody in  
21 the last 16 years or 18 years has provided any method  
22 for ensuring external access. It's easy in the analog  
23 world. You just close the doors and put locks on  
24 them. This is the worst of the worst, totally  
25 hackable if you allow -- I mean, you can communicate

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 data into a network in the plant, as long as it's one-  
2 way hardware. It's not like the whole network and  
3 everything else has to be that way, depending on how  
4 they're using it. Personally, I would never put it in  
5 a network before it went to the main control room. It  
6 ought to go directly, but that's another issue in  
7 terms of detailed design that we don't specify.  
8 Normally, we don't even know what the main control  
9 room looks like, other than a couple of network-type  
10 configurations, you know, dual, redundant, whatever  
11 they want to call them.

12 So, anyway, this is fuzzy logic on this  
13 thing.

14 CHAIR ROBERTS: And I think the question  
15 is whether they have the regulatory toolkit they need  
16 to enforce the requirements. There's the security  
17 requirements, the cybersecurity requirements, the  
18 overarching requirement. And then there's  
19 implementation, and it sounds like what you're saying,  
20 in 16 years, nobody has ever done it a different way  
21 and been successful at, you know, enforcing the  
22 standard.

23 MR. BROWN: Well, when did we finally --  
24 Christina, do you remember when we did 5.71?

25 MS. ANTONESCU: When we started, I --

1 MR. BROWN: The final run where we finally  
2 got it into an acceptable approach up in the lead-in  
3 paragraph of 5.71. They originally were told we could  
4 never deal with this because it was a programmatic  
5 issue and could only be dealt with five years after  
6 the equivalent was designed and installed in the  
7 plant. It was a programmatic issue, 73 point, I don't  
8 know, one, two, three, or four, one of those.

9 MS. ANTONESCU: Fifty-four.

10 MR. BROWN: Fifty-four? Okay. I mean, it  
11 was hard for the staff to even recognize that in the  
12 cybersecurity reg guide. We did get it into, I think,  
13 you know, you mentioned it, 1.152 also. So those were  
14 compromises because we couldn't get it into the rule  
15 in 2014. We emphasized getting it into the reg guides  
16 after the fact, so not as backdoor as we would like  
17 but at least it said an acceptable approach is and, if  
18 that doesn't send a message to the applicants, I don't  
19 know what does.

20 Anyway, I just wanted to throw that out  
21 from an educational standpoint to bear in mind. This  
22 is not just an innocuous committee desire to be holier  
23 than thou. That's the worst -- I don't know. I  
24 mentioned it to somebody. Of all the things that have  
25 come on, that's the worst. Any internet connection

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1        anyway is going to be a crusher to attack stuff in the  
2        plant where you don't need it, other than going  
3        directly to the SCRAM system or the safeguards  
4        actuation and/or data up to the main control room.  
5        Anyway, I had to have my soliloquy on my soapbox.

6                CHAIR ROBERTS:    Checking the time, we've  
7        got three slides to go, so we would think about taking  
8        a break around right now, but I think we should plow  
9        ahead --

10              MR. BROWN:    For the hard slides.

11              CHAIR ROBERTS:    So let's keep going.    We  
12        should be able to maybe finish and get into public  
13        comments before we take a break.    Go ahead.

14              MR. CHEUNG:    Sure.    Now we'll move into  
15        the non-concurrences from the previous 2009  
16        rulemaking.    This first slide summarizes non-  
17        concurrence 2014-001 and 2014-003 and concerns the  
18        impact having different communication requirements for  
19        new and operating reactors.

20              MR. BROWN:    Which communication are we  
21        talking about in that one?    The one with the digital  
22        communication?    Software-based?    Because data  
23        communication, to me, means either an analog voltage  
24        signal going to a meter on a panel or a digital signal  
25        that initiates from the monitoring systems: pressure,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1 temperature, flow, level, whatever they are. But the  
2 backfit stuff that we looked at reapplied the same  
3 rules to them or guidance to them that we applied to  
4 the new applicants. If you look at Diablo Canyon, we  
5 talked about the same type of an issue in terms of --  
6 I don't understand the difference, I don't see a  
7 difference between new reactors and old reactors. Is  
8 it the DSRS routine?

9 MR. CHEUNG: It was accompanying with the  
10 2009 rulemaking in the FRN, there was a subpart C that  
11 said, for current reactors, communication signals from  
12 an outside safety division during operation must  
13 support safety and provide a safety benefit. And then  
14 for part D, for new reactors, it goes into a pretty  
15 long list of data communications between safety and  
16 non-safety: must be one-way, accomplished by a  
17 physical mechanism, signals may be shared between  
18 redundant portions, safety system may receive signals  
19 from non-safety in operation only if the received  
20 signal supports diversity and automatic anticipatory  
21 reactor trip functions. Applicants for design certs,  
22 standard designs, and manufacturing licenses who  
23 propose an alternative on this -- paragraph C.

24 MR. BROWN: So that's an FRN from 2009?

25 MR. CHEUNG: So it was saying the staff

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 concerns were with our additions and additional  
2 conditions to the 2009 for having different  
3 requirements for different types of reactors.

4 MR. BROWN: Well, we never thought about  
5 that when we were doing the backfits, as well as the  
6 new applications. I don't remember that. Samir, were  
7 you -- no, you're too young for that. That's not a  
8 negative, by the way. I'd like to have your age back  
9 and a young body to go with it.

10 We've been through both backfits and all  
11 the new applicants, you know, from AP1000 to APR1400  
12 to NuScale and Diablo Canyon, and the only one I know  
13 we didn't get to dabble in was Oconee because we never  
14 reviewed that one, we never got an opportunity.  
15 Whether it's good or bad, the staff decided we didn't  
16 need to do it, and they sent it out. Actually, it  
17 just arrived. Oh, what's that? It showed me a  
18 diagram, and then it was approved. We didn't even  
19 have a meeting.

20 After that, it was obvious and we applied  
21 the same rules. There was one other backfit also that  
22 we looked at.

23 MR. CHEUNG: All right. I mean, I think  
24 it was, you know, at the time, we were new reactors,  
25 operating reactors, so there was a lot of different

1 perspectives.

2 MR. BROWN: I didn't realize there was a  
3 difference. I apologize for being -- I'm not being  
4 obstructive. I just was not aware that it was that  
5 explicit between some new reactor, and that's in an  
6 FRN you said?

7 MR. CHEUNG: That was in the proposed rule  
8 language with the 2009 rulemaking.

9 MR. BROWN: Oh, yes, I wasn't here for the  
10 2009 rulemaking. I mean, I was but wasn't aware well  
11 enough to handle that at the time. Thank you.

12 MR. BROWN: Did you want to add a  
13 question?

14 CHAIR ROBERTS: No. I just wanted to  
15 clarify what they're explaining is that the  
16 rulemaking, the proposed in 2015, was not very clean  
17 like the current one is. And there were some  
18 different approaches to new reactors and existing  
19 reactors, and there was also, you know, several  
20 additional requirements were supposed to be added and  
21 had led to, I think it was four staff non-concurrences  
22 that went up with that rulemaking. And the committee  
23 said, basically -- the Commission, rather, basically  
24 said go figure this out with the IEEE folks and work  
25 amongst yourselves and come up with a more common

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 position, if you can.

2 Why they're talking about this now is  
3 there are no additional requirements, and there is no  
4 non-concurrence this time. So it's just a matter of  
5 --

6 MR. BROWN: Well, it doesn't do anything,  
7 though. I mean, it's easy to not have any non-  
8 concurrences --

9 (Simultaneous speaking.)

10 CHAIR ROBERTS: It's also a perceived  
11 desire to add that stuff that's not there anymore, so  
12 that's also important. Calvin.

13 MR. CHEUNG: I guess the point was we were  
14 trying to make sure that, whatever the concern was,  
15 that it was not still an issue. So our approach is  
16 different, like you mentioned. It does not have those  
17 additional conditions, so this is no longer an issue.

18 This slide covers non-concurrence 2014-004  
19 and also 2015-001 and addresses the lack of  
20 requirements for an independent and diverse  
21 architecture for highly safety-significant digital  
22 system support of the implementation of a defense-in-  
23 depth approach. So the staff recognizes there's been  
24 potential changes in policy -- sorry -- recent policy:  
25 in SECY-SRM-2276 which provides digital I&C CCF policy

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 and allows for the use of risk-informed approaches to  
2 demonstrate defense-in-depth and establishes the  
3 agency position and IEEE 603-2018 does not include  
4 specific diversity requirements and staff did not see  
5 it necessary to include or expand on that as part of  
6 the rulemaking.

7 MR. BROWN: Is this the last slide or next  
8 to last?

9 MR. CHEUNG: The summary is after that.

10 MR. BROWN: What's a risk-informed design?  
11 You turn a switch and something may or may not actuate  
12 if you've made a risk-informed design? I mean, the  
13 software may or may not complete its cycles when it's  
14 supposed to maybe? Yes. Samir, you were going to say  
15 something. I've never seen a risk-informed design.  
16 To me, you can have three channels or four channels;  
17 that's risk informed. There's a lot of plants with  
18 three channels.

19 MR. DARBALI: You're referring to the last  
20 bullet.

21 MR. BROWN: Yes.

22 MR. DARBALI: So that refers to, in SRM --

23 MR. BROWN: I'm well aware of that SECY.

24 MR. DARBALI: So before it was a  
25 deterministic approach, use your best-estimate

1 methods, and so we expanded policy to allow the use of  
2 risk-informed approaches. But it's not risk-informed,  
3 a risk-informed architecture design. It's just the  
4 approach to determine that a CCF is addressed or it's  
5 out of consideration.

6 MEMBER KIRCHNER: Charlie, this is Walt.  
7 It's rather a misnomer. You're right, and so is  
8 Samir. It's more of a consequence analysis using  
9 risk, you know, PRA-like techniques than it is a  
10 design approach. I mean, they can iterate and improve  
11 their design based on the consequence analysis of a  
12 common cause failure somewhere in one of the systems  
13 or components and so on, but it's really not, it's  
14 not, quote, unquote, a risk-informed design. It's  
15 more can you live with the consequences of that common  
16 cause failure or can you not? And then you go back  
17 and redesign, obviously, if you can't, if the  
18 consequences are unacceptable.

19 MR. BROWN: That part of it I can sign up  
20 with. It's the generic use in the instrumentation  
21 control reg guides, et cetera, et cetera. The  
22 electrical instrumentation systems of risk informed  
23 does not say that explicitly. It's more generic and,  
24 quite frankly, I've never -- oh, that would be nice if  
25 I spoke into the microphone. Okay. But the cord is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 not long enough.

2           Anyway, I understand that, Walt. It's  
3 just that not explicitly understood in the context of  
4 how that SRM was written. It's so generic, it covers  
5 the whole panoply of applying digital systems will be  
6 considered in a risk-informed design approach, and  
7 I've never in 35 years ever had a risk-informed design  
8 approach to any piece of equipment we never designed.  
9 You can determine whether you need it or not, that's  
10 a different issue, but not the design of the  
11 equipment. That's why I've always objected to that  
12 very overwhelming risk-informed comment that came back  
13 in the SRM. We couldn't do anything about it because  
14 that's what the Commission wanted to put out. But  
15 just bear in mind, somehow, I think you, as the staff,  
16 are going to have to figure out how to make sure that  
17 does not get misused, and that's going to be difficult  
18 because there's going to be people coming in to tell  
19 you my software is so good that you never have to  
20 worry about it, and I've got a nice bridge I can sell  
21 you that's made out of gold and I'll charge you for  
22 it.

23           Anyway, that's it. I'm done.

24           CHAIR ROBERTS: Yes. And I spent some  
25 time earlier talking about common cause failure

1 mitigation guidance, and the reference to BTP 7-19 and  
2 the SRM as the NRC guidance, I think Charlie just gave  
3 you another example of where you really need to be  
4 careful not to conclude that is a complete set of  
5 guidance as to how you design a system that  
6 emphatically mitigates common cause failure.

7 MR. BROWN: In fact, it's pretty good. I  
8 mean, staff did a decent job, and I think the  
9 committee did a decent job of working on that with  
10 you. We were kind of working together. Oh, I'm  
11 sorry, I turned it off. We worked together on that  
12 pretty well.

13 CHAIR ROBERTS: Well, we might as well let  
14 you go to the summary and then we can --

15 MR. BROWN: One other point about  
16 performance based. You've got to figure what we mean  
17 by performance based. I mean, it's got to respond in  
18 a certain time. It's got to have a certain accuracy.  
19 You've got to meet the ranges of operation that you  
20 have to deal with, and you've got to be able to test  
21 it. In everything we ever build, and I'm back in the  
22 building mode now, okay, is performance based.

23 So, again, those are fuzzy-logic words  
24 that are kind of meaningless in the SRM and every  
25 place else, but they're good buzzwords and they sound



1 good politically. I'm being very unfriendly with that  
2 particular comment.

3 All right. I'm sorry. Anyway, that's  
4 good. Thank you. We're finished? Or the summary.

5 MR. CHEUNG: Next slide is the summary.  
6 So, in summary, the staff is preparing rulemaking as  
7 an immediate solution to meet industry needs, for  
8 providing regulatory confidence, to use the updated  
9 standard in parallel. We are evaluating today's  
10 recommendation on 50.55a(h) and continuing  
11 interactions with industry, along with other ADVANCE  
12 Act activities. And based on the preceding  
13 evaluations, the staff concluded that IEEE 603-2018 is  
14 technically adequate and, therefore, recommends the  
15 incorporation by reference of the entirety of the  
16 standard into 50.55a(h) with only the first sentence  
17 of Clause 5.16. This would align to existing CCF  
18 policies and guidance, and IEEE 603-2018 would be  
19 applicable to new applicants and current licensees, as  
20 we have discussed, should you choose to adopt the new  
21 version.

22 And the regulatory treatment of reference  
23 standards or secondary references will remain the  
24 same, as well as the scope of systems covered in the  
25 FSAR will remain unchanged. Staff is developing

1 accompanying guidance with the rulemaking to provide  
2 additional clarification to industry with this  
3 rulemaking.

4 Questions.

5 CHAIR ROBERTS: Are there any other  
6 questions or comments from the members or consultants?

7 MR. BROWN: I just have one on the -- just  
8 an understanding. 2018 is not very different from the  
9 original. But what I forgot when I went through and  
10 read it, the reg guides are not referenced in that.  
11 Are they referenced in the IEEE standards or not?  
12 They're not, are they?

13 CHAIR ROBERTS: That was the whole point  
14 of the normative references discussion that the  
15 references -- if the IEEE standard were endorsed to  
16 the reg guide and the reg guide would say use the  
17 following other reg guide when interpreting the  
18 reference, but this is the regulation, which makes it  
19 kind of inverted. You can't be referencing regulatory  
20 guides in a regulation. That would be --

21 MR. BROWN: No, I agree with --

22 CHAIR ROBERTS: So you've got kind of a  
23 problem in terms of you think the reference documents  
24 are important more than reg guides, you don't have a  
25 direct way of putting them in the regulation.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 MR. BROWN: I just worry, you know, we've  
2 got the points. We're concerned about -- what the  
3 committee has been concerned about, in the reg guides  
4 and the BTPs and the DSRS is replete with architecture  
5 statements, or at least it used to be when I last  
6 looked at it, as well as references to the issues we  
7 discussed in here. It's just that they're not in a  
8 rule anywhere. Staff reviewed documents, DSRS, design  
9 specific review standard, et cetera, et cetera, which  
10 leaves them open to being argued about and contested.  
11 I'm just trying to communicate that, in the four  
12 projects that we did, the applicants tried to resist  
13 these common-sense approaches to fixing the problems  
14 we talked about.

15 I mean, I'll be dead by then. So will  
16 they come around? Maybe. It's just I think the staff  
17 has to be willing to look at these on a hard basis  
18 when these designs come in -- I'm preaching right now  
19 -- in fact that they're guidance. And when they  
20 object to some of these ones where there is only one  
21 way to go do something and that's deterministic and  
22 it's prescriptive, but you have to grow backbone when  
23 you get to those. We did in four separate  
24 circumstances, and they're trivial. When you look at  
25 it from the overall design of the systems, they are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 trivial. But a uni-directional communication device.  
2 Okay. It's \$29.95 wholesale. I'm kidding. I just  
3 threw that out there.

4 So, I mean, you just have to be -- and the  
5 watchdog timers, that's so common sense that it can't  
6 be built into the software or the processor itself.  
7 That's insane. It has to be a separate monitor to  
8 ensure that it actually completes its whole cycle.

9 And what you do with that is another  
10 issue. It can either reset or it can issue a trip.  
11 It can either SCRAM or it can just be an alarm.  
12 There's all types of an indication. With the  
13 computer-based systems, if you go reset, when we ask  
14 them on this one controller how long, they said, oh,  
15 it just resets when this thing happens. Well, how  
16 long does that take? Eight minutes. So the operator,  
17 he's without any data for eight minutes, that's really  
18 great.

19 I mean, you got to think about it in those  
20 terms. That's all I'm trying to get across. Okay.  
21 I'm finished with my soapbox now.

22 CHAIR ROBERTS: Do we have any other  
23 comments? If nothing in the room --

24 DR. BLEY: Yes, it's Dennis.

25 CHAIR ROBERTS: Go ahead, Dennis.

1                   MEMBER KIRCHNER: Just a clarification,  
2 Tom. This is Walt. For Samir or anyone on the staff,  
3 so I'm assuming, when this rule is implemented, then  
4 the 603-2018 would become under 50.55a(h), the  
5 requirement for all new construction permits and  
6 operating licenses post the date of the rule. Is that  
7 the intent in terms of the formalities of the  
8 regulation, or does it remain optional in some sense?  
9 I understand it for the existing current fleet that  
10 they're accepted and they can choose, but, say we have  
11 a new advanced reactor application, then we would go  
12 against 603-2018.

13                   MR. BLAS: This is Gilberto Blas. Just to  
14 answer that question. So for new applicants, 603-2018  
15 would be a requirement for the new applicant. For  
16 current licensees, given that, you know, they're tied  
17 to whatever they have in the current licensing basis,  
18 it would become optional to do the 2018 standard.

19                   MEMBER KIRCHNER: Right. Okay. Good.  
20 Thank you.

21                   CHAIR ROBERTS: Okay. Dennis.

22                   DR. BLEY: Yes. Three things, one of them  
23 is a question. The first one, Walt's previous  
24 explanation to Charlie about what's a risk-informed  
25 system, I would just comment that we haven't, as a

1 group here, looked at the standards 5.16 and the  
2 things after the first sentence. They're pretty  
3 benign; and, basically, they say, if the consequence  
4 is low, that's probably good enough and, if the  
5 consequence is not low, if the likelihood of it  
6 occurring is sufficiently low, it might be okay, which  
7 is close to what was defined earlier.

8 But those are pretty benign and pretty  
9 wide open, and I still don't understand why it seems  
10 like it would be restricting the flexibility of people  
11 to work within the rule with the standard without  
12 those. It really jumps out at you when you read the  
13 rule of we're only going to take the first sentence  
14 because the rest of this is troublesome. I don't see  
15 the trouble. That's number one.

16 Number two, a little clarification on  
17 Charlie's discussion on the hardware diode for data.  
18 We fought that over and over and over again, it's been  
19 two or three years now and probably more than that.  
20 Some years ago, we wrote a letter, the staff wrote  
21 back and said we were wrong. We responded to that,  
22 and they came back again saying, well, we can't do  
23 anything about it. And we sent a third letter, and  
24 that one we sent to the Commission to try to get  
25 there. So we've really fought this thing to the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 ground many times. In places where the committee has  
2 won has been on specific licence applications, and  
3 maybe that's where it keeps ending up.

4 The final thing is on this last slide.  
5 I'm a little confused because Tom and, I think,  
6 several of the staff members went round and round  
7 about are we going to get guidance to explain things  
8 a little better, and it kept sounding like maybe and  
9 one day we'll look at it. And, here, they're saying  
10 gin that last bullet, yes, there will be accompanying  
11 draft guidance; so I'm a little confused on that. If  
12 anybody would expand on that one, that would be great.  
13 If not, we can live with what we got.

14 MR. BLAS: Hello. This is Gilberto Blas.  
15 With regards to the accompanying draft guidance, you  
16 know, staff did reconsider their approach and we have  
17 decided to move forward with developing draft  
18 regulatory guidance with this proposed rulemaking.  
19 Right now, again, just to reiterate, we're currently  
20 working on that draft guidance, and there will be a  
21 public comment period for this and there will be  
22 engagements with ACRS to --

23 DR. BLEY: That makes me much more  
24 comfortable because it seemed as if you guys were  
25 resisting the idea earlier. So we look forward to

1       that.

2                   CHAIR ROBERTS:  Yes.  Dennis, I think the  
3       question was whether the draft guidance would include  
4       more on common cause failures, and I think we've, and  
5       maybe I'd ask Samir, I think we've done versions of  
6       that, it will be something we should look at, and  
7       pointed out the language in the rulemaking draft needs  
8       to be clarified that that is something you'll look at  
9       or whether it's interpreted as we think this guidance  
10      is sufficient and getting your final 5.16 in there.  
11      It conflicts with 5.16, so we're going to take most of  
12      5.16, and I think that also needs to be re-looked  
13      because I tend to agree with you.  I think, at the end  
14      of the day, whatever guidance they write probably will  
15      be at least consistent with, maybe in addition to or,  
16      you know, tell you more how they assess low likelihood  
17      or low consequence, but I think, at the end of the  
18      day, it's going to be largely aligned with a fair  
19      amount of detail.  And that's just a guess on my part  
20      but, you know.

21                   I     think     the     outcome     of     today's  
22      subcommittee, the outcome of today's subcommittee is  
23      there's a general alignment that this needs more look.  
24      You know, given that this is a draft proposed  
25      rulemaking that's going to go out for public comment

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1 and come back to a final, you know, draft before it  
2 goes back out for final rulemaking, that seems like a  
3 pretty good outcome of today's meeting.

4 So, again, Dennis, I don't think I  
5 disagree with you on the 5.16. When I read that text,  
6 the thing that jumped out at me was the low  
7 likelihood, likelihood, high consequence, and there's  
8 a fair amount in the BTP and the SRM on common cause  
9 failure. It doesn't exactly estimate on likelihood of  
10 a common cause failure, but it says, if you have these  
11 design techniques, you're good enough.

12 (Simultaneous speaking.)

13 DR. BLEY: It pushes around the edges  
14 pretty well on that, I agree with you.

15 CHAIR ROBERTS: So it sounds like it needs  
16 more thought, I think, is probably a fair summary of  
17 it. Anybody else have a comment?

18 MEMBER BALLINGER: I do. This is Ron  
19 Ballinger. Do I assume that we will get -- that the  
20 draft guidance and the proposed rule will come as a  
21 package?

22 CHAIR ROBERTS: I could ask the staff, but  
23 that's my assumption.

24 MEMBER BALLINGER: It doesn't make any  
25 sense to go out, at least to me, with a rule for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 public comment without the guidance that goes with it.  
2 So what is the schedule for that?

3 MR. PAIGE: This is Jason Paige, I&C. So  
4 the accompanying guidance, we do plan on issuing that  
5 for comment with the draft proposal, so they'll both  
6 be available. And our schedule for that is to issue  
7 those for public comment during the June time frame of  
8 summer 2025.

9 MEMBER BALLINGER: Thank you.

10 CHAIR ROBERTS: There will be draft  
11 guidance with the proposed rule? Because I wasn't  
12 aware of that, that the draft that we got just asks  
13 the public what they think the scope of the guidance  
14 would be, but you're actually going to provide your  
15 trial balloon of the guidance in that rulemaking?

16 MR. PAIGE: That's correct. That is  
17 correct.

18 DR. BLEY: Hey, Tom, this is Dennis. I  
19 guess it's a question for the staff. That's really  
20 the way it's supposed to work, right? That's the  
21 direction is they should come out together for all  
22 rules.

23 CHAIR ROBERTS: Now I'm thinking what is  
24 the plan to give this subcommittee a chance to review  
25 the draft guidance. Like I said, I was under the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 impression until now that that wasn't going to be  
2 prepared until you got public feedback.

3 MR. PAIGE: So that package will be  
4 available to everyone to provide comments. I'll  
5 discuss internally with Christina in terms of coming  
6 in front of the committee again and discussing the  
7 draft guidance, if that's desired by the committee.

8 DR. BLEY: But is it not likely that  
9 public comments related to the draft guidance and the  
10 rule would kind of interact with one another?

11 CHAIR ROBERTS: It's kind of the analogy  
12 of the draft reg guide, and we'll have a chance to  
13 look at it before it goes out for public comment and  
14 a chance to look at it after it comes back. Most of  
15 the time, we opt to not look at it until after public  
16 comment. I guess when we get to the subcommittee  
17 deliberations later we can talk about whether or not  
18 we want to see this before it goes out or whether, as  
19 you point out, the public comments will likely change  
20 it significantly and whether we think we've seen  
21 enough today to just -- I guess that's something we'll  
22 talk about when we get to subcommittee deliberations  
23 later.

24 Thanks for the question. I didn't realize  
25 they were planning that in the next three months.

1 Any other comments or questions from  
2 members or consultants? Not hearing any, now is the  
3 time to go out for public comments. I guess we'll  
4 hear from the room first and then - okay. So nobody  
5 in the room wants to make a public comment. Anybody  
6 online who would like to make a comment for the  
7 record, go ahead and raise your hand or unmute  
8 yourself and then state your name and your  
9 affiliation, if appropriate, and state your comment.  
10 Having given that the requisite ten seconds, nobody  
11 made a public comment, so that will end the agenda up  
12 until the point of subcommittee deliberations on next  
13 actions.

14 So with that, the court reporter, we won't  
15 need your services anymore for the subcommittee  
16 meeting. So we'll end the transcribe part.

17 (Whereupon, the above-entitled matter went  
18 off the record at 2:54 p.m.)  
19  
20  
21  
22  
23  
24  
25

# **Proposed Rule: Incorporation by Reference of Institute of Electrical and Electronics Engineers Standard 603-2018**

10 CFR 50.55a(h), IEEE Std 603

**Advisory Committee on Reactor Safeguards**

**Digital I&C Subcommittee Meeting**

February 19, 2025

1:00 PM

---

# Outline

- Overview of Proposed Rulemaking Efforts
  - Background
  - Current Rulemaking Effort
- Comparison of Institute of Electrical and Electronics Engineers (IEEE) Std 603-1991 to IEEE Std 603-2018
  - Examples of requirements that are equivalent or enhanced
- Clause 5.16 “Common-cause failure” (CCF)
- Regulatory History of 10 CFR 50.55a(h)
  - Protection and Safety Systems
  - Referenced Standards
  - ACRS Recommendations from Previous IEEE Std 603-2009 Rulemaking Efforts
  - NRC Staff Non-Concurrences from Previous IEEE Std 603-2009 Rulemaking Efforts
- Summary – Incorporation by Reference (IBR) of IEEE Std 603-2018

# Overview of Proposed Rulemaking Efforts

---

# Background

- **10 CFR Part 50, Section 50.55a Clause (h) currently IEEE Std 603-1991 “IEEE Standard Criteria for Safety Systems for Nuclear Power Generating Stations”.**
  - Current version is not up to date, multiple versions published since (1998, 2009, 2018).
- **In 2015, the staff attempted to Incorporate by Reference (IBR) IEEE Std 603-2009, but the Commission disapproved it, due to the imposition of additional conditions and requirements beyond those in the standard that were inconsistent for new and operating reactors.**
- **The Commission instead directed staff to develop a plan to modernize the NRC’s digital I&C regulatory infrastructure, including how to address IEEE 603.**
  - Staff coordinated with IEEE standards committee to address issues related to 603.
  - To solicit early feedback, staff held a public meeting in September 2023 to discuss the proposed path forward for IEEE 603-2018, discussing various options. Initial feedback supported IBR as it provides regulatory certainty.



---

# Current Rulemaking Effort

- In 2024, staff formed an inter-office working group to formally initiate activities to develop a path forward on industry's use of IEEE 603-2018.
- Staff evaluated options for the use of the latest IEEE standard in concert with stakeholder input, before deciding to proceed with the rulemaking option to IBR.
- Staff performed a comparative analysis between IEEE 603-1991 and IEEE 603-2018.
  - This proposed IBR does not raise significant policy issues, does not impose additional requirements on the standard.
  - The standard would be required for new applicants, and optional for current licensees.

---

# Current Rulemaking Effort (Cont.)

- Staff plans to develop accompanying draft guidance with the proposed IBR of IEEE 603-2018.
- Staff is evaluating which document would be revised or developed to provide the accompanying draft guidance.

# **Comparison of IEEE 603-1991 to IEEE 603-2018**

# Comparison of IEEE 603-1991 and IEEE 603-2018

Clauses and subclauses were divided into items (151) to facilitate the comparison.


**Identical** – No changes in wording between the two standards;

**Equivalent** – Formatting changes, updated standard revisions, updated wording, restructured numbering or similar;

**Enhancement** – Improvements, clarifications, additional text modifying items on existing topics; and

**New** – Added items (clauses, subclauses, or text) addressing new topics.

IEEE 603 1991 to 2018 Changes



# **Examples of requirements that are equivalent or enhanced**

---

# Example 1 (Equivalent Clause)

- IEEE 603-1991, Clause 4.12

Any other special design basis that may be imposed on the system design (example: diversity, interlocks, regulatory agency criteria).

- IEEE 603-2018, Clause 4.12

Any other special design basis that may be imposed on the system design (e.g., to address topics such as diversity or interlocks).

---

## Example 2 (Enhancement Clause)

- IEEE 603-1991, Clause 5.5

The safety systems shall be designed to accomplish their safety functions under the full range of applicable conditions enumerated in the design basis.

- IEEE 603-2018, Clause 5.5

The safety systems shall be designed to accomplish their safety functions under the full range of applicable conditions enumerated in the design basis. See items g) and h) of Clause 4.

Safety functions shall be designed to have deterministic (i.e., predictable and repeatable) behavior and timing.

---

## Comparison Between IEEE 603-1991 and IEEE 603-2018 (Cont.)

- The staff completed a comparative analysis of IEEE 603-1991 and IEEE 603-2018.
- The staff concluded that the only new clause is 5.16 “Common-cause failure”.



## **Clause 5.16 “Common-cause failure”**

---

## Clause 5.16 Common Cause Failure (cont.)

- The first sentence of Clause 5.16 states **“The safety system design and development shall address common-cause failures (CCF) that create a potential to degrade or defeat the safety system function.”**
- The remaining statements within Clause 5.16 describe guidance regarding how CCF should be addressed.
  - The NRC is not taking a position on the suitability of the methods for addressing CCF described in Clause 5.16, which may be appropriate for use by applicants and would be reviewed by the NRC on a case-by-case basis.
  - While these methods may be acceptable to address CCF in appropriate circumstances, **this list is not comprehensive and does not include flexibilities the Commission directed to staff, in SRM-SECY-22-0076.**

---

## Clause 5.16 Common Cause Failure

- Staff is proposing to update § 50.55a to IBR IEEE Std 603-2018 but not require conformance to IEEE Std 603-2018 Clause 5.16, “Common Cause Failure,” except that **the safety system design and development shall address CCF that create a potential to degrade or defeat the safety system function**, as described in the first sentence of this clause.

# **Regulatory History of 10 CFR 50.55a(h)**

---

# Protection and Safety Systems

- 10 CFR 50.55a(h) uses the terms “protection systems” and “safety systems”.
- IEEE Std 279 uses the term “protection systems” to define its scope.
- IEEE Std 603 uses the term “safety systems” to define its scope.

---

# Protection and Safety Systems (Cont.)

- “The NRC recognizes that “protection systems” are a subset of “safety systems.” Safety system is a broad-based and all-encompassing term, embracing the protection system in addition to other electrical systems. Thus, the term “protection system” is not synonymous with the term “safety system.” The final rule is not intended to change the scope of the systems covered in the final safety analysis report (FSAR) for currently operating nuclear power plants.” (64 FR 17944; April 13, 1999)
- The proposed IEEE Std 603-2018 rule would not change the scope of the systems covered in the final safety analysis report for currently operating nuclear power plants.

---

# Referenced Standards

- IEEE Std 603-2018 references several industry codes and standards.
- These referenced standards are not proposed for incorporation by reference in this rulemaking.
  - Not mandatory NRC requirements.
  - If a referenced standard has been endorsed in a regulatory guide, the standard constitutes a method acceptable to the NRC for meeting a regulatory requirement.
- This approach is consistent with the Commission statement in the IEEE Std 603-1991 final rulemaking.

---

# ACRS Recommendations from Previous IEEE Std 603-2009 Rulemaking Efforts



---

# ACRS Recommendations (2014)

- ACRS Recommendation: Add requirement in 10 CFR 50.55a(h)(5)i for an independent hardware-based, diverse means that monitors and produces a diverse trip in the affected redundant portion of the digital safety systems if the common processing unit ceases operation or “locks-up”.
- Staff Resolution (2025): Evaluate the potential inclusion of this recommendation in draft guidance as an example of diversity that would provide adequate protection.

---

# ACRS Recommendations (2014; Cont.)

- ACRS Recommendation: Clarify 10 CFR 50.55a(h)(4) to state that “both predictable and repeatable” means processing from sensor data input to safety control device actuation and independent of any redundant portions of the safety system or other external input.
- Staff Resolution (2025): IEEE 603-2018 includes the following requirement: "Safety functions shall be designed to have deterministic (i.e., predictable and repeatable) behavior and timing“.

---

# ACRS Recommendations (2014; Cont.)

- ACRS Recommendation: Add an additional condition regarding “Control of Access” that identifies communications external to the plant should be accomplished using one-way, hardware-based (transmit only) devices.
- Staff Resolution (2025): Recommendation addressed in regulatory (RG 1.152) and staff guidance (BTP 7-19):
  - Use of a hardware-based unidirectional device is one approach the NRC staff would consider acceptable to ensure that safety-related I&C systems do not present an electronic path that could enable unauthorized access to the plant’s safety-related systems.

---

Sources: ACRS Letter dated August 5, 2014, <https://www.nrc.gov/docs/ML1419/ML14196A137.pdf>  
NRC Staff letter dated October 16, 2014, <https://www.nrc.gov/docs/ML1426/ML14260A342.pdf>  
NRC Staff letter dated, July 14, 2021, <https://www.nrc.gov/docs/ML2118/ML21187A291.pdf>

---

# NRC Staff Non-Concurrences from Previous IEEE Std 603-2009 Rulemaking Efforts

---

# NRC Staff Non-Concurrence (2015)

- Staff Position: Concerns about the impact of having different data communication requirements for new reactors and operating reactors.
- Staff Resolution (2025):
  - Data communications implementation is addressed in IEEE 7-4.3.2-2016 (as endorsed by RG 1.152, Rev. 4).
  - A technology-inclusive rule is being pursued via IBR of IEEE 603-2018.

---

# NRC Staff Non-Concurrence (2015; Cont.)

- Staff Position: Concerns about the lack of requirements for an independent/diverse architecture for highly safety-significant digital systems in support of the implementation of a defense-in-depth approach.
- Staff Resolution (2025):
  - IEEE 603-2018 does not include diversity requirements.
  - Current policy (e.g., SRM-SECY-22-0076) for Digital I&C CCFs allow the use of risk-informed approaches to demonstrate the appropriate level of defense-in-depth.

---

# Summary – IBR of IEEE Std 603-2018

- Incorporate the entirety of IEEE Std 603-2018 into 50.55a(h), with only the first sentence of Clause 5.16.
  - Aligned with existing CCF policies.
  - Applicable to new applicants, optional for current licensees.
  - Regulatory treatment of referenced standards (i.e. secondary references) would remain unchanged - treated as guidance.
  - “The final rule is not intended to change the scope of the systems covered in the final safety analysis report (FSAR) for currently operating nuclear power plants.”
- Accompanying Draft Guidance for IEEE 603-2018.

---

# Acronyms

- ACRS – Advisory Committee Reactor Safeguards
- BTP – Branch Technical Position
- CCF – Common-cause Failure
- DG – Draft Guidance
- FR – Federal Register
- FSAR – Final Safety Analysis Report
- I&C – Instrumentation and Controls
- IBR – Incorporation by Reference
- IEEE – Institute of Electrical and Electronics Engineer
- NRC - Nuclear Regulatory Commission
- RG – Regulatory Guidance