

UNITED STATES
NUCLEAR REGULATORY COMMISSION

+ + + + +

MICRO-REACTORS: CURRENT STATUS AND MOVING FORWARD

+ + + + +

THURSDAY,
APRIL 10, 2025

+ + + + +

The Commission met in the Commissioners' Hearing Room,
at 9:00 a.m. EDT, David A. Wright, Chairman, presiding.

COMMISSION MEMBERS:

DAVID A. WRIGHT, Chairman

CHRISTOPHER T. HANSON, Commissioner

ANNIE CAPUTO, Commissioner

BRADLEY R. CROWELL, Commissioner

MATTHEW J. MARZANO, Commissioner

ALSO PRESENT:

CARRIE SAFFORD, Secretary of the Commission

BROOKE CLARK, General Counsel

EXTERNAL PANEL:

BILL JESSUP, Director of Nuclear Technology,

Shepherd Power

ANTHONY SCHOEDEL, Manager, Advanced Reactors

Licensing Engineering, Westinghouse Electric

Company

DIANA LI, Program Manager, Micro-reactor Program,

Department of Energy

MARC NICHOL, Executive Director of New Nuclear,

Nuclear Energy Institute

MOHAMMED (MO) BADAL, Program Director, Installation

Nuclear Energy, Office of the Deputy Assistant

Secretary of the Army for Energy and

Sustainability

NRC STAFF:

MIRELA GAVRILAS, Executive Director for Operations

JEREMY BOWEN, Director, Division of Advanced

Reactors and Non-Power Production and

Utilization Facilities, Office of Nuclear

Reactor Regulation

WILLIAM (DUKE) KENNEDY, Senior Project Manager,

Advanced Reactor Policy Branch, Division of

Advanced Reactors and Non-Power Production and

Utilization Facilities, Office of Nuclear

Reactor Regulation

CINTHYA ROMAN, Deputy Director, Division of Fuel

Management, Office of Nuclear Material Safety
and Safeguards

DAN BARNHURST, Chief, Environmental Project

Management Branch 3, Division of Rulemaking,
Environmental, and Financial Support, Office
of Nuclear Material Safety and Safeguards

JESSIE QUICHOCHO, Chief, Reactor Licensing Branch,

Division of Preparedness and Response, Office
of Nuclear Security and Incident Response

1 P-R-O-C-E-E-D-I-N-G-S

2 9:00 a.m.

3 CHAIRMAN WRIGHT: Good morning, everyone, and we're
4 going to call this meeting to order. At today's public meeting of the Nuclear
5 Regulatory Commission, we're going to hear from two panels.

6 The first will be an external panel that's going to provide us
7 their perspectives on the deployment and use of micro-reactors, and the second
8 is a staff panel that's going to discuss the actions the Agency is taking to
9 prepare for the licensing of micro-reactors.

10 In between the two panels, we're going to take a short break,
11 and as is our custom, we're going to hold questions from the Commission until
12 the end of each panel. So, I look forward to a good dialogue today, I really do.
13 And before we start, as is our custom, I want to ask my colleagues if they have
14 any questions before we start? Any comments?

15 Okay, since there are none, with that, we're going to get
16 started with our external panel. We're going to begin with Bill Jessup this
17 morning, who is the Director of Nuclear Technology at Shepherd Power. It's
18 good to see you again, Bill. And with that, the floor is yours.

19 MR. JESSUP: All right, yeah, thank you, Mr. Chairman, and
20 thanks to the Commission for having us here today to talk about micro-reactors.
21 Before I get into details, I wanted to give a brief introduction to Shepherd
22 Power and our parent company, NOV. I think that will provide some good
23 context for the bulk of my presentation, so next slide, please?

24 So, Shepherd Power is a wholly-owned subsidiary of NOV.
25 NOV is an oil field equipment supplier and service provider to the oil and gas

1 industry primarily, but fundamentally what NOV does is it solves the global
2 energy industry's challenges, and so that ultimately led us to Shepherd Power.
3 So, if you go to the next slide, please?

4 In 2020, a large oil and gas exploration and production
5 company brought a challenge to NOV and said we like micro-reactors. We
6 think micro-reactors have a place in our operations. Can you figure out how to
7 deploy these to support our remote power needs? NOV took
8 that challenge on and ultimately formed Shepherd Power to take on a developer
9 role in micro-reactor deployment. And so, Shepherd Power's intent is to buy
10 reactors from reactor technology vendors and own and operate those reactors
11 on behalf of energy off-takers. So, I'll give a use case from the oil and gas
12 industry on the next slide, if you go to the next slide?

13 So, one of the areas where we see a lot of potential interest in
14 micro-reactor deployment is the Permian Basin you see here in west Texas and
15 New Mexico on the slide. The Permian Basin is one of the largest hydrocarbon
16 producing basins in the world. This map shows some of the general features of
17 the basin, including the wide distribution of oil and gas production activities.

18 From a regional demand standpoint, we can glean a lot from
19 a recent S&P Global report that did a deep dive into the basin's increasing
20 demand profile, a lot of which is being driven by the increase in electrification of
21 oil field activities like artificial lift and gas compression. That report found that
22 we can expect several gigawatts worth of additional demand from oil and gas
23 production activities alone over the next 10 to 20 years.

24 And I think what's notable and relevant here is that a lot of
25 demand is remotely located, and getting those loads connected to the grid has

1 been and will remain challenging for a variety of reasons that aren't necessarily
2 unique to the Permian Basin.

3 And at the end of the day, when you look at this map, what
4 we're ending up with are pockets of demand on the order of five to 50
5 megawatts electric. They're remotely located. They require reliable power for a
6 period of several years, perhaps decades, and they require a very low
7 operations and maintenance burden.

8 Micro-reactors align well with a lot of these requirements, but
9 the distributed nature of these loads and the need for commercially viable
10 deployment approaches, it going to require a different operating model than that
11 which we're accustomed to in the nuclear industry. Next slide, please?

12 So, what enables that operating model and how do we deploy
13 these technologies at scale? And to address those questions, I've outlined a
14 couple of considerations here.

15 And the first consideration kind of in the middle of this
16 diagram is safety focus, and it relies on some of the basic characteristics of
17 micro-reactors that we're familiar with, inherent safety, passive safety features,
18 smaller radionuclide inventories, and standardization, among others.

19 These characteristics, they suggest that, you know, micro-
20 reactors are going to convey lower accident consequences should an event
21 occur, and that correspondingly, they should pose a very low risk to public
22 health and safety.

23 We need to validate these assumptions through design and
24 analysis activities, of course, but ultimately what this does is it allows us to
25 consider a different way of operating and maintaining these technologies. And

1 so, with that lower risk profile validated, we can move outward on that diagram
2 and start to look at the key enablers of these operating models and what can
3 help drive commercial viability here.

4 And what you see on this outer ring are some of what we
5 consider to be the key enablers, remote operations where we can pull some of
6 the operating duties out of the field and centralize them into one or more
7 facilities, centralized programs that are pre-approved and standardized, and
8 primarily that's the streamline and downstream licensing activities, using a
9 multi-skilled workforce where perhaps the same individual is performing
10 maintenance, health physics surveys, sampling. That's got some clear
11 implications from an accreditation, initial training, and continuing training
12 perspective, ensuring that facility staffing levels are commensurate with the
13 relatively low risk profile of micro-reactors, and this extends to support facilities
14 like remote operation centers.

15 Operation staffing is a significant interest here because of the
16 existing regulations related to those positions, and then physical security
17 profiles and postures that are also commensurate with that same low risk
18 profile.

19 And then last but not least, we've got to have efficient
20 licensing pathways that treat micro-reactors as products and not projects, and
21 this is where Shepherd Power has probably been the most engaged with the
22 NRC over the last year or so. Because at the end of the day, the questions we
23 have to answer for target customers are how much is this going to cost and
24 when can we get it?

25 That's it, and so viability really rests on being able to answer

1 those questions, and having a streamlined, predictable licensing pathway,
2 particularly for the nth-of-a-kind micro-reactors. We really see that as essential
3 to answering those questions.

4 And I think the last thing I'll add here is this is just a subset of
5 all the enablers that we think need to be addressed for commercial deployment
6 and viability, but these are top of mind for us right now, and fortunately, we see
7 a lot of overlap between what the staff's working on and what other
8 stakeholders are working on here in the policy arena. Next slide, please?

9 So, I'll wrap up with a quick discussion on how we're
10 approaching regulatory engagement with the NRC. Our initial interactions with
11 the NRC were focused on trying to understand the level of commercial risks
12 associated with micro-reactor licensing and regulation while also explaining to
13 the Agency what our commercial constraints are, again, you know, what drives
14 commercial viability here.

15 To the NRC's credit, I think the Agency has really rolled up its
16 sleeves. You know, the fact that we're sitting here today talking about this is
17 just one example, but you look at things like the staff's integrated plan and all
18 the policy work that's going on.

19 And there's a lot more work to do on everybody's part, our
20 part, NRC's part, but it's, you know, it's given us enough confidence to move
21 into more of an execution mode here where we're starting -- we submitted a
22 regulatory engagement plan. We submitted two white papers, the first of many,
23 and topical reports, and we also continue to engage with the NEI and others on
24 the policy development work that's going on.

25 And to the point I made earlier about validating the safety

1 case of these technologies, I think we're going to be reliant on specific analyses
2 and other evaluations to justify the implementation of some of those enablers,
3 so a lot of our subsequent white papers, topical reports, things like that, they're
4 going to become more site specific, technology specific, and all of that is in
5 anticipation of submitting our first round of license applications.

6 So, next slide, please? With that, that's my presentation.
7 Again, thanks for having us today and I look forward to the questions you all
8 have after the panel.

9 CHAIRMAN WRIGHT: Thank you so much. So, next we're
10 going to go to Anthony Schoedel, who is the Manager of Advanced Reactor
11 Licensing at Westinghouse. Mr. Schoedel, the floor is yours.

12 MR. SCHOEDEL: Thank you, Chairman. Congratulations on
13 the appointment, and Commissioner Hanson, thank you for your leadership
14 these past years, and to all of the commissioners, it's a pleasure to be here with
15 you today and to have the opportunity to speak with you on the eVinci micro-
16 reactor.

17 So, I've got about four slides we'll go through here pretty
18 quickly, but the theme today, I want to talk to you about a brief overview of what
19 the eVinci micro-reactor is, technology overview highlights, share some of our
20 experiences from pre-application engagement and how we've been conducting
21 that for the last couple of years here with the NRC staff, and then leave you
22 with, you know, where we see additional areas of licensing policy issues, that
23 many of them have been noted already through various SECYs where we think
24 we still need to see continued progress to move the needle for first-of-a-kind
25 and nth-of-a-kind deployments. So, with that, next slide, please?

1 All right, so the eVinci micro-reactor, it's a TRISO-fueled heat
2 pipe micro-reactor. It operates with an open-air Brayton power system that's
3 capable of producing five megawatts electric in an eight effective full-power
4 year core design lifetime. It's a graphite-moderated reactor with
5 hexagonal core blocks that house both the TRISO fuel compacts as well as the
6 heat pipes, you know, you start to see these differences between your
7 familiarity with SMRs and large light water reactors and some of the physical
8 characteristics as you go around this graphic.

9 The predominant means of reactivity control for this is a
10 series of banked control drums around the perimeter of the reactor. It's all
11 encapsulated in a canister in an inerted environment, very low pressure,
12 approximately one atmosphere. That helps, you know, safety case analyses
13 and risk consequences for this type of reactor profile.

14 The overall site is approximately three acres or less when we
15 consider total impact to site footprint, and I think that's really key as we get into
16 some of the other technical discussions through EPZ and siting, keeping that
17 small site footprint.

18 And eVinci is, you know, being a micro-reactor, one of the
19 things I expect we'll talk about a fair amount today is the deployment model for
20 what these reactors revolve around, and that's really being factory
21 manufactured, fueled in a factory, maybe some limited testing at the factory
22 before it gets to the operating site, transporting a fueled reactor to the intended
23 operating location and back following eight years of operation before
24 dismantlement, or refurbishment, or reuse. So, if we can, we'll go to the next
25 slide, please?

1 All right, so pre-application engagement, we've been working
2 very closely with the NRC staff since 2021. A series of technical white papers
3 have been going through following the advanced reactor road map for licensing
4 from the staff. We have had, I'd say, overwhelmingly positive meetings and
5 engagement, and thanks to the NRC staff for facilitating, I would say, on time
6 reviews, on budget reviews, and I think that's reciprocal.

7 So, Westinghouse has committed through our pre-app
8 engagements to deliver what we say we're going to deliver through our
9 regulatory engagement plan, that way the staff can plan accordingly, and I think
10 we have seen that reciprocity from the on-time staff reviews for these technical
11 white papers.

12 What's the significance of the white papers? Really important
13 for, you know, a design vendor like Westinghouse with a new first-of-a-kind type
14 of technology to understand where there are potential policy issues or hurdles
15 that we are going to experience as we move through future licensing or as
16 potential future customers look to license this technology.

17 So, the de-risking in licensing space that happens through
18 feedback through those white papers has been very important for us. How are
19 we acting on that? So, we are taking that to the next step through what we view
20 as really key for starting to get approvals and de-risking some of these more
21 formally through topical reports.

22 So, 31 white papers in various areas, that's transitioned now
23 into three topical reports now approved. Two of them are I&C platform, one of
24 them on principal design criteria, another three topical reports currently under
25 review. Those technical reviews are ongoing, but all very positive to date,

1 utilizing the audit process and being very open and transparent.

2 I think it's very important from the Westinghouse perspective
3 that when something comes to the NRC staff in the form of a topical report in a
4 future application, that it's not going to be a surprise to the staff.

5 It should not be a surprise to the staff because of what we're
6 put forward in our technical white papers, and that's leading to some of the
7 efficiencies that I think we need to continue to build upon as we look towards
8 first-of-a-kind delivery and ultimately nth-of-a-kind delivery.

9 In parallel with topical reports and the white papers, we have
10 a robust testing program. So, we're a big proponent of the design, build, and
11 test philosophy at Westinghouse for this technology.

12 You can see on the bottom bullet there a special callout to our
13 nuclear test reactor we envision in operation in the near future at the DOME
14 complex at Idaho National Lab. That's an integrated nuclear test working
15 through, you know, our friends and partners at Idaho National Lab to get it
16 authorized with the U.S. Department of Energy for future operation.

17 So, that's an area as well that, while it's not specifically being
18 put forward in front of the NRC staff for their technical review, it's an area where
19 we're collaborating and sharing with them, you know, what we've been doing,
20 so that way they understand where we're going with those tests and how that's
21 going to potentially inform future commercial license activities.

22 So, I would say also thank you to the U.S. DOE. Recently,
23 yesterday, I think a lot of us have seen the announcement on the HALEU
24 conditional commitment. Westinghouse is lucky enough to be one of those
25 parties for the eVinci micro-reactor, and that supply is going to directly support

1 the nuclear test reactor for eVinci, which is a tremendous accomplishment, so
2 thank you to the DOE colleagues here.

3 As well, you know, the success is building in pre-application
4 engagement over these past years, and the confidence that that instills in future
5 potential customers and off-takers of this technology, I think, is most recently
6 envisioned by as recent as February, Penn State University has put forward a
7 letter of intent to the NRC for a research reactor, selecting the eVinci micro-
8 reactor technology as an advanced reactor technology for their campus to
9 foster both continued learning and building their engineering program.

10 So, you know, these results are both important to
11 Westinghouse, but they are also equally as important to potential off-takers and
12 then users of this technology to see the licensing progress. Next slide, please?

13 All right, so I'll wrap it up here in the next two, but I want to
14 share some of these very impressive graphics. This is an array of different
15 components that we're manufacturing across various Westinghouse facilities in
16 the U.S. and Canada, and we're taking that design, build, test philosophy and
17 building off of the lessons learned in pre-application engagement to show
18 confidence in the de-risking that's happening in licensing to be able to turn this
19 design into a reality.

20 The bottom right graphic is our manufacturing demonstration
21 unit. It's a representative core section of the eVinci micro-reactor that was built
22 at our Newington facility, and it now resides in that top right building that you
23 see in this graphic.

24 That's our eVinci headquarters outside of Pittsburgh,
25 Pennsylvania where we're going to be manufacturing heat pipes. So, a lot of

1 great work there, an 87,000 square foot facility stood up just for this technology.

2 Next slide?

3 And then I'll close with this, and I expect that we'll have a fair
4 number of questions as we get into the Q&A portion, but critically important to
5 Westinghouse is, you know, these bulleted items on the left.

6 These are key enablers for future areas that we need to
7 continue to work with the NRC staff, with you all at the Commission to drive
8 surety in the licensing process for a first-of-a-kind and ultimately nth-of-a-kind
9 deployment of micro-reactor technologies.

10 All of these were communicated to the NRC from
11 Westinghouse in writing back as recently as 2023 in form SECY-24-0008. The
12 fuel load and manufacturing facility is the number one licensing policy item from
13 the Westinghouse eVinci perspective, and I would encourage that the staff, they
14 put that SECY in front of you all for notation vote.

15 So, I would encourage the Commission to make a vote on
16 that if we can. That would help us move forward with planning on not just first-
17 of-a-kind, but ultimately nth-of-a-kind. So, I'll leave it there. I think I've eaten up
18 a little of your time, Diana, but again, thank you all for the opportunity and I look
19 forward to the Q&A.

20 CHAIRMAN WRIGHT: Thank you very much, Anthony. I got
21 a lot of questions, so I look forward to questions with you all. Next, we're going
22 to hear from Diana Li, who is the Micro-reactor Program Manager at the
23 Department of Energy.

24 MS. LI: Thank you, Chairman Wright, and thank you,
25 Commissioners, for this opportunity to speak about DOE's Office of Nuclear

1 Energy's efforts to demonstrate and deploy micro-reactors. Can I get the next
2 slide, please? Yes, thank you.

3 The administration has a bold and ambitious agenda to
4 unleash American energy at home and abroad to restore our nation's energy
5 dominance. In alignment with Secretary Wright's priorities, the Office of
6 Nuclear Energy is working to grow the supply of affordable, secure, and reliable
7 American energy across the entire spectrum, from R&D, to demonstration, to
8 deployment. Next slide, please?

9 The Micro-reactor Program is leveraging cross-cutting
10 research and development activities in collaboration with our national
11 laboratories and universities to achieve technological breakthroughs for key
12 features of micro-reactors, which would reduce risks and timeline to deploy
13 advanced nuclear technology, improve economic viability and licensing
14 readiness, and enable successful demonstration of multiple domestic
15 commercial micro-reactors.

16 Our R&D program is focused on four technical areas. The
17 first is system integration and analyses in which we identify the needs,
18 applications, and functional requirements for micro-reactors through market
19 analyses. This technical area also includes investigation of micro-reactor
20 supporting concepts such as modeling capabilities and research to help
21 develop the regulatory basis for micro-reactor deployment.

22 Recent work includes development of a heat pipe micro-
23 reactor model for code comparison, identifying micro-reactor transportation
24 emergency response planning challenges, identifying manufacturing license
25 and factory fueling regulatory challenges, and a process to develop a bottom-up

1 cost estimate of a micro-reactor.

2 The second technical area is technology maturation, which
3 includes research into advanced materials such as yttrium hydride and
4 zirconium hydride for high-temperature moderators, investigation of heat
5 removal technologies such as heat pipes, heat exchangers, and deployment of
6 sensors. This year, the program is investigating methods for detecting damage
7 in graphite, which could be used as a structural material for micro-reactor cores.

8 The program also plans to demonstrate a micro-reactor start
9 sequence using MACS, the Micro-reactor Automated Control System, to adapt
10 and apply technologies for monitoring and controlling micro-reactors.

11 The third technical area is demonstration of support
12 capabilities and includes non-nuclear testing capabilities. SPHERE, or Single
13 Primary Heat Extraction and Removal Emulator, is a small, separate effects
14 testing capability primarily used to support heat pipe testing.

15 It allows us to observe the thermal performance of heat pipes
16 under a range of operating temperatures and transients. In the last year,
17 SPHERE performed transient testing of heat pipes to support verification and
18 validation of the Sockeye code.

19 We also have MAGNET, which stands for Micro-reactor AGile
20 Non-nuclear Experimental Test Bed, which allows us to simulate core thermal
21 behavior, heat pipe and primary heat exchanger performance, and decay heat
22 removal. This year, MAGNET is working to integrate a gas Brayton cycle power
23 conversion unit, as well as a graphite test article with heat pipes.

24 And the fourth technical area is micro-reactor application, and
25 the main focus in this area is our Micro-reactor Applications, Research,

1 Validation, and Evaluation, or MARVEL reactor. Next slide, please?

2 So, MARVEL is a very small micro-reactor that will produce
3 both electricity and process heat. It is designed to use natural convection of
4 sodium-potassium to remove heat from the core, and the fuel will be comprised
5 of uranium zirconium hydride with high-assay LAU, similar to TRIGA fuel, which
6 is known to have a high pedigree of safety.

7 This reactor will be located in the storage pit of the transient
8 reactor test facility at Idaho National Laboratory, and we will co-locate the
9 controls for the MARVEL reactor in the TREAT control room.

10 Fabrication of the guard vessel is complete and contracts
11 have been issued for fabrication of the primary coolant system and fuel. As a
12 result of the development of MARVEL, the micro-reactor industry could benefit
13 from demonstrated use of environmental assessment, which took approximately
14 six months to develop, as opposed to environmental impact statement, which
15 could take as long as two years.

16 They will also benefit from reestablishment of reactor design,
17 fabrication, and demonstration capability at Idaho National Laboratory, and
18 demonstration of a micro-reactor with a microgrid for a range of end-user
19 applications. Next slide, please?

20 The National Reactor Innovation Center or NRIC is funding
21 the establishment of demonstration test beds, and this includes support for
22 micro-reactor development by repurposing the old, experimental Breeder
23 Reactor-II facility to make the Demonstration of Micro-reactor Experiments or
24 DOME facility. Most recently, NRIC awarded \$5 million to Radiant Industries
25 and Westinghouse to progress their micro-reactor designs for testing in DOME.

1

2 The funds will support the detailed engineering and
3 experiment planning process, which is the next phase of a larger, multi-phased
4 approach to support nuclear developers in planning for the design, fabrication,
5 construction, and testing of fueled reactor experiments. Next slide, please?

6 So, recognizing the importance of advanced reactors to
7 meeting the nation's energy security goals, NE has focused over the last
8 decade towards private-public partnerships to develop domestic advanced
9 reactor designs.

10 Since 2018, NE invested more than \$400 million into more
11 than 50 projects through various industry funding opportunity awards, and
12 awardees included micro-reactor developers like Westinghouse, X-energy, and
13 BWXT.

14 Additionally, we have the Gateway for Accelerated Innovation
15 in Nuclear funds, which, sorry, GAIN, which funds micro-reactor developers in
16 the voucher program to access technical, regulatory, and financial support
17 needed to accelerate commercialization.

18 Many developers are building upon decades of R&D from
19 DOE for advanced technologies like TRISO fuel and materials, as evidenced in
20 their designs, and due to these investments, we now see industry taking the
21 lead.

22 To be competitive though, an order book of micro-reactors is
23 necessary, and DOE is looking at what is needed to achieve that, including the
24 potential to leverage federal lands to demonstration the technology or support
25 critical end users. One example already underway is the work being done at

1 Idaho National Laboratory to identify sites and issue site leases for reactor
2 developers.

3 DOE also recently released an RFI that looked across the
4 DOE complex and identified 16 sites that could support rapid data-centered
5 construction with innovative energy generation sources like nuclear. Next slide,
6 please?

7 So, many reactor vendors plan to demonstrate their
8 technologies by the end of this decade and will need HALEU. Currently, there
9 is no domestic commercial HALEU supply, so NE's near-term strategy is to
10 provide recovered HALEU to vendors for reactor demonstration, and our long-
11 term strategy is to incentivize domestic HALEU market development.

12 As with all activities, this is subject to congressional
13 appropriations and administration support, but as mentioned yesterday, DOE
14 issued its first round of conditional commitments to five U.S. nuclear developers
15 to meet their near-term fuel needs.

16 So, in closing, we are working diligently to enable the rapid
17 deployment and export of next generation nuclear technology, and we're
18 focused on reducing barriers and bringing down costs to start building
19 advanced nuclear projects here in the United States. Thank you.

20 CHAIRMAN WRIGHT: Thank you so much. So, next is Marc
21 Nichol, who is the Executive Director of New Nuclear at the Nuclear Energy
22 Institute. Marc?

23 MR. NICHOL: Thank you, Chairman and commissioners for
24 being able to speak to you today. So, going onto my first slide, I want to start
25 with the projects that are being planned and considered in the United States.

1 The U.S. map, next slide, please, shows over 60 here. Key
2 things to note from this, this is double what we saw this time last year. Some of
3 these points represent more than one reactor or more than one site, like the
4 Permian Basin, and so this is indicating a wave of applications that we're
5 projecting, and the demand is expected to increase over time.

6 That led us to realize we need to have a more efficient and
7 effective way for these advanced technologies if we're going to be able to
8 respond to the demand and lean into the differences in the business models
9 and the technologies. Next slide, please?

10 So, as we looked at that, there were a couple of things we
11 tried to focus on. One is the safety aspects of these advanced technologies,
12 particularly micro-reactors, and so this shows relative potential consequences
13 of the different reactors, and it shows that micro-reactors, which was the
14 starting point of our proposal from July of last year, are much more similar to
15 research test reactors than they are to the large light water reactors. Next slide,
16 please?

17 And so, as we looked at that, we asked ourselves well, why
18 then are we continuing to try to adapt the large light water reactor regulatory
19 framework for these technologies? Wouldn't a better place be to start from the
20 research test reactor regulatory framework?

21 And as we went through that, we actually found we had many
22 more creative ideas and being able to develop alternatives, and the reason is
23 because you're tethered to your starting point, and so you're not going to get
24 very far from where you start. So, if you start from something that looks much
25 more similar to these technologies, you'll actually end up in a better spot. Next

1 slide?

2 And so, the other thing we looked at is, well, how can we take
3 -- this will advance a little bit, so advance? How do we take the current scope
4 of what the NRC reviews for a reactor and site, and this is represented by what
5 the NRC would review traditionally, how can we break that up such that we can
6 cover the same amount of scope, have the same amount of regulatory clarity
7 and predictability, certainty, but do it in a more efficient way? And we really
8 leaned into the idea of standardization, so advance one? Actually, advance a
9 few until you get a full rectangle on the right side. Thank you.

10 And so, we broke it up into several different areas. One,
11 there are things that the NRC could do generically across the board through
12 things like rulemaking. The new nuclear GEIS is a great example of that.
13 There are things that you can do within a particular design, whether it's a
14 standardized design approval, design certification, or manufacturing license,
15 and do it once for the design. In fact, as we looked at this, we thought to
16 lean into that and go even beyond what was imagined before in order to
17 incorporate site aspects into that approval of the design, and if you can do that,
18 then what's left is just confirming that the site conforms to what the NRC has
19 already approved and determined is acceptable from site considerations.

20 And so, there would be two more pieces to that. One is that
21 there are many, especially programs, related to the owner-operator that the
22 NRC needs to approve. Well, the owner-operator would implement those
23 programs for a particular design the same way whether it's Site A or Site B, and
24 so those could be approved generically.

25 And that leaves us with that small little box which is particular

1 to the site, and as I mentioned, the scope of that is really confirming that it
2 conforms to what the NRC has already approved as acceptable. You're within
3 the bounds, sort of a site perimeter envelope type of concept.

4 And if we can do that, then the repetition over and over and
5 over for each site, for using that reactor that's already been approved, becomes
6 much smaller, much more efficient, and we can get to higher volumes of
7 deployment. Next slide, please?

8 And so, it has an effect. The size of the application and the
9 amount of information the NRC has to review has an effect on the schedule.
10 Now, there's important things to keep in mind, that there's the NRC's direct
11 review schedule, but there are also NRC requirements that impact the overall
12 deployment schedule and we know that we need to shrink all of that.

13 And so, if you look at this schedule, this is particularly for a
14 micro-reactor, what we might expect today, and it's important from an industry
15 perspective that we look at from when a site is identified to when it's in
16 operation, not just the NRC's portion of the review, but look at the whole life
17 cycle.

18 That's how you're going to look at it from a business aspect.
19 And so, it's about 49 months today for that entire process, which we know from
20 some business models, that's way too long. Next slide, please?

21 So, if we apply some of the concepts that were in our rapid
22 high-volume deployable reactor or RHDRA paper from July, we think that that
23 schedule can actually collapse to about five months, and the NRC would still
24 have the same level of review, same level of confidence because it's just been
25 done in a different, more efficient way. Next slide, please?

1 We do address other topics in our RHDRA paper like
2 operations, staffing, and this is just a high-level concept. We have several
3 different operational concepts in there and one is a site that might only have
4 one staff member on site to do operations plus other things.

5 Another is you might not have anybody, but you could have
6 remote operations. And then maybe long term, you know, we should ask the
7 question, could you get to a place where you don't have a human operator at
8 all? That's autonomous operations.

9 And so, we've proposed a methodological way where you
10 actually evaluate -- it's based on the design. You evaluate the design. How
11 many functions need operator actions? How many can be taken care of by
12 automatic features?

13 How many can be outsourced to a different site and how
14 many remain onsite? So, it would be dependent on the design. It's not a, you
15 know, a preapproval for designs. They have to demonstrate that they can meet
16 it. Next slide, please?

17 Within our RHDRA proposal, we have 31 topics. This is a
18 prioritization that we had laid out in terms of urgency and what is most impactful
19 to business planning, and we overlaid it with the NRC's more recent work on
20 what they call the NOAK white paper that's still being updated, and so there
21 was a lot of good overlap with that. There were also some of the other items
22 that were in prior NRC papers as well. Next slide, please?

23 So, from here, what are the next steps? Well, we want to
24 coordinate with the NRC and other stakeholders on developing the details. We
25 received the NRC's response in December to our proposal. We're very pleased

1 with the response. It laid out that there were no showstoppers identified, that
2 they all looked feasible.

3 There was agreement that these concepts, although they
4 originated for micro-reactors, could be applied to other larger advanced
5 reactors, SMRs, some exactly the same way and some in graded approaches
6 depending on the performance standard that needed to be met, and so the
7 NRC has been moving and you'll hear from them later.

8 We want to make sure that they're developed in performance-
9 based ways. We want to avoid developing things that have an artificial power
10 level that determines whether you can or can't use these. We want them in
11 performance-based ways.

12 One of the performance-based ways that we leaned into was
13 a site boundary emergency planning zone, because it's been well-established
14 and understood, and it actually defines a level of public health protection that is
15 very stringent that could enable alternative approaches.

16 Some don't necessarily need that. So, for example,
17 meteorology, we think it's more based on the pedigree of the alternative data
18 that is the justification, and that could be used even for large reactors.

19 And then finally, there are some additional topics we're
20 looking into and we may propose those as we go along. Thirty-one is
21 comprehensive, but it may not be all-exhaustive. Thank you.

22 CHAIRMAN WRIGHT: Thank you, Marc. So, finally, we're
23 going to end the first panel with Mo Badal, who I remember seeing at the RIC
24 and we did talk, who is the Program Director for Installation Nuclear Energy in
25 the Office of the Deputy Assistant Secretary of the Army for Energy and

1 Sustainability. Mr. Badal?

2 MR. BADAL: Thank you, Chairman Wright. Commissioners,
3 good morning. It is my pleasure to be here and talk about Army's project,
4 Advanced Nuclear Power for Installations.

5 As you know, the U.S. Army led the nuclear power technology
6 between 1954 and '77. Since, it has been five decades that we have not talked
7 nuclear energy, but here really we are here to talk about today and in the future,
8 so next slide, please?

9 I just want to say this first, that we cannot do this alone. So,
10 what we did, we began the planning for this project July of 2023. What we did,
11 we integrated some of the lessons learned from the Air Force's Eielson project,
12 Project Pele, early learning and exploring advanced reactors.

13 And so, what we learned is that it's going to take an entire
14 village to deliver micro-reactors for installations. So, we began initial planning.
15 We formed early partnership with the Department of Energy, the Department of
16 Energy's national labs.

17 Currently, we have a partnership with six different labs where
18 we can access their expertise. We also worked with, Jeremy is in the room
19 here, John is here also, with early engagement with the Nuclear Regulatory
20 Commission to make sure we understand the need and how to deliver this
21 technology for our installations. Next slide, please?

22 The program scope is basically, it is a commercially-owned
23 and operated technology we are driving for, and of course, it will be regulated
24 by the NRC.

25 The reason I'm mentioning that, early on the planning stage,

1 we did look into our 91b military purposes authorization ability to permit our
2 installation nuclear projects, but after a thorough analysis, we have concluded
3 that the NRC has the right expertise to help us deliver this technology.

4 We are really seeking a full lifecycle nuclear power plant, from
5 design, construction, and operation, deconstruction and returning it to the
6 unrestricted release state, so it's a full cycle nuclear power plant we are striving
7 for.

8 What we were trying to do, achieve, is that we achieve
9 mission readiness through this with additional sorts of energy, and then beyond
10 what is available today, and also we want to make sure it's onsite, so it's
11 protected from some of the physical and natural disruptions that is happening
12 today.

13 Again, of course, we were looking for the safe, secure, and
14 reliable technology, and then simultaneously, we want to really help to stimulate
15 the nuclear reactor deployment in the United States. Next slide, please?

16 Our application and concepts that we want to employ micro-
17 reactors are twofold. One, the micro at the scale from three to ten megawatt
18 electric that is behind the meters specific for our critical facilities, and then the
19 beyond critical facilities for whole installations. That's the partnership with the
20 utility providers, or we're discussing data centers that provide that additional
21 power capacity for the installation and the DOD.

22 So, in this case, I want to highlight a couple of things, our
23 partnership with the Defense Innovation Unit that is enabling us to pursue this
24 with their other transaction authority, and then with this approach, what we have
25 been able to do is talk to multiple vendors at the same time.

1 And I just want to make an announcement. Today, you will
2 hear Defense Innovation will announce the down selection of the vendors that
3 will proceed into the phase three. Next slide?

4 I really especially wanted to highlight our relationship with the
5 Nuclear Regulatory Commission Chairman. So, when Commissioner Hanson
6 was the chairman, we did meet with our senior leadership with the DOD to
7 discuss this, and he has told us about the NRC's support for our program. We
8 have been holding biweekly meetings.

9 Currently, we have an MOU we are working on for NEPA
10 activities in conjunction with the DOD, and then we have an existing MOU with
11 the Army Reactor Office that is strengthening up our partnership. And then, of
12 course, NRC's involvement in our acquisition process in the OTA has been
13 helpful as we look to the down selection of our vendors. Next slide, please?

14 This is my last slide, Chairman. This is really highlighting
15 some of the things that we are thinking through. How do we identify a
16 technology readiness level that can meet our timeline and mission, and also,
17 how do we match that with the regulatory path? That's been key conversations
18 we're having.

19 The other one is the cost burden for the first-of-a-kind. I know
20 we have been talking with the vendors. They're trying to come up with creative
21 financial models to deliver the first-of-a-kind and overcome that burden.

22 And one of the things that you will hear within the DOD
23 community, the regulatory path uncertainty. There is no, I would say, clear
24 published documentation identifying the micro-reactor licensing path yet. It's
25 still a work in progress, so we want to get some clarity on that in terms of how

1 we go forward.

2 On the fuel, we're working with our DOE, you know, partners
3 with the fuel, but there is not really unobligated fuel for commercial space yet,
4 so we understand those challenges, and then also the fuel form that we want to
5 pursue for safety for our installations, so there are some challenges there.

6 And then, of course, as we went through our vendor down
7 selection process, we learned the limited ability to manufacture the proposed
8 design and there's the challenges that exist. With that, Chairman, I conclude
9 my briefing pending your questions.

10 CHAIRMAN WRIGHT: Thank you so much, Mr. Badal, and
11 thank you all for your presentations this morning. So, we'll now go into
12 questions, and first up today is Commissioner Crowell.

13 COMMISSIONER CROWELL: Thank you, Mr. Chairman, and
14 thank you to all of our panelists. That was all very informative and
15 complementary presentations. The scope of micro-reactors is, you know, an
16 area where, in my short time, a couple of years on the Commission, I did not
17 see us being this far along, so these are positive developments, and it requires
18 the NRC to keep up and establish a safe regulatory pathway to commercialize
19 these technologies.

20 I'm going to try to get through a couple of questions, and Mr.
21 Nichol, I'm going to start with you. From a technical perspective, what's the
22 difference between a micro-reactor and an SMR?

23 MR. NICHOL: So, there's no firm definition of a micro-reactor.
24 Generally, people divide it at 50 megawatts electric and less. A lot of the
25 characteristics of a micro-reactor is its very small size and its ability to be

1 transported as a complete reactor with or without fuel.

2 And so, that small, small size and ability to locate it in remote
3 areas is really more the defining feature of a micro-reactor. In terms of safety, it
4 would have much fewer potential for accidents. The consequences would be
5 much, much lower than an SMR.

6 COMMISSIONER CROWELL: And Ms. Li, I was going to ask
7 you the same question, but I saw you nodding your head yes. Would you agree
8 with that distinction?

9 MS. LI: I do. I think the emphasis on ability for micro-reactors
10 to be deployed in remote locations is one of the defining features that separate
11 a micro-reactor from an SMR. They all have passive safety systems, but yes,
12 being more factory fabricated and being more transportable, I think, is the
13 correct response.

14 COMMISSIONER CROWELL: Okay, and then, Mr. Nichol,
15 back to you, now from a regulatory perspective, what is the difference between
16 a micro-reactor and an SMR in terms of how it should be treated from a
17 regulatory perspective?

18 MR. NICHOL: So, there's a couple different ways to look at
19 that. If you look at it from a potential consequence, and if they both have a site
20 boundary EPZ, whether it's a micro-reactor or an SMR, there's a lot of things
21 that you can do similarly in terms of that.

22 There are things that micro-reactors will be able to do that
23 SMRs likely won't be able to do. So, if you look at fully remote operations, that
24 may be very difficult for an SMR to do. If you look at the ability to transport with
25 fuel, that's something an SMR is probably never going to be able to do. So,

1 there are certain things that, in regulatory space, micro-reactors enable that
2 won't be available for SMRs, but there are many that are going to be shared.

3 COMMISSIONER CROWELL: Thank you, and I asked that
4 question just for the sake of the audience who may be listening in and people
5 who aren't as familiar with this to understand these distinctions and the different
6 applicability.

7 Mr. Schoedel, let me turn to you for a second and go to your
8 last slide, which begged lots of questions, but I'm most interested if you could
9 give a little bit more background and insight on disposal and decommissioning?
10 This is a topic related to both SMRs and micro-reactors that doesn't get
11 enough attention, so I'd love to hear what Westinghouse, how Westinghouse
12 sees this dynamic.

13 MR. SCHOEDEL: Thanks, Commissioner. So, I think it's
14 going to play off of the responses to your previous question as well. It's going
15 to come down to the deployment model for a micro-reactor. Westinghouse,
16 with eVinci, is looking at the full gamut, right?

17 So, we're looking at the beginning where you're factory
18 manufacturing, we're looking at the transportation to and from the operating
19 site, and then what happens post-operation when it comes back to a facility for
20 refurbishment or refueling, or ultimately decommissioning.

21 You know, from our view, one of the sentiments I'd like you all
22 to take away from these last couple of bullets on decommissioning is that under
23 the current regulatory regime, we perceive there are multiple licenses that are
24 required to enact such a deployment model where, as we transition beyond
25 first-of-a-kind to nth-of-a-kind licensing, we need to find a way to make it much

1 more efficient.

2 Get down to one license application. Can we do this under a
3 Part 70 like we're contemplating with receiving fresh fuel at the facility on the
4 front end and ultimately loading in the reactor, coupled with a manufacturing
5 license.

6 Can I do it under a Part 72 license at that type of a facility
7 instead of, right now, I would appear to have to have some type of an operating
8 license, as well as a spent fuel license, as well as a Part 70 license? So, how
9 do we simplify this as we navigate first-of-a-kind to nth-of-a-kind deployments?

10 The name of the game from my perspective on first-of-a-kind
11 is finding a path for those first few, right, eVinci micro-reactors that do not
12 require regulatory policy change or rulemaking, but that might be something
13 that we consider or contemplate through you all as we look to really enabling
14 efficient, high-volume deployments for nth-of-a-kind.

15 COMMISSIONER CROWELL: So, when we think specifically
16 about the back end of the life cycle of a micro-reactor, you know, once the unit
17 needs to go for refurbishment and it's used all of its fuel, what happens? Does
18 the unit with the irradiated fuel stay onsite for a period of time? Does it go back
19 immediately to the manufacturing site? And how is that spent fuel treated either
20 at the operational site or at the manufacturing site?

21 MR. SCHOEDEL: Yeah, great question, and thanks for it.
22 So, let me elaborate a little bit more specifically on the eVinci micro-reactor
23 deployment model, and I think this will shed some light.

24 So, eVinci, and I didn't mention this in my opening
25 presentation, but in addition to the facility that you see outside Pittsburgh for

1 heat pipe manufacturing, we're also going to be looking to announce the
2 establishment of a manufacturing campus where we envision at least a
3 manufacturing license like we coupled with Part 70 following the staff's risk-
4 informed recommendations for SECY-24-0008.

5 That complex, we envision to have a series of multiple
6 buildings, a heat pipe building, a final assembly building where you're going to
7 be integrating all of the piece parts into a reactor module. It will have also a
8 refurbishment building, and we envision it to have an ISFSI.

9 COMMISSIONER CROWELL: So, how long will the
10 irradiated fuel or spent fuel remain onsite before it goes back to the
11 refurbishment facility?

12 MR. SCHOEDEL: Right, so there will be a cool-down period
13 of upwards of, you know, as much as a year of cool down, but that's also being
14 considered in the upfront design of what we consider a standard eVinci
15 deployment.

16 So, eVinci, when it's sited at an intended operating site, it will
17 be a two-bay standard model where reactor bay one will house the reactor
18 module one that operates for eight effective full-power years, a power
19 conversion system in the middle between the two bays, and there's a spare
20 bay.

21 So, this gets a bit also into maybe the middle of this slide with
22 licensing of replacement reactor modules where the vision is not to do onsite
23 fuel handling, minimize that impact to the site to help keep dose consequences
24 small.

25 So, to enable that, we have to be able to transport back to a

1 facility the fully-fueled, but now irradiated micro-reactor at the end of life. So, to
2 accomplish this, it would be the spare bay.

3 We would transport a fresh eVinci off of the assembly line, put
4 it in the new spare bay for, say, cycle two. It will do a power conversion switch
5 over, and that first operating reactor will cool down in place in its reactor bay for
6 upwards of a year until it's safe to transport.

7 And part of that transportation story, which, you know, I'll
8 mention now, is we are also designing and seek to license through Part 71 a
9 specialized transportation cask that would house the entire reactor and be
10 designed for the limiting case with end-of-life transport.

11 COMMISSIONER CROWELL: So, for the Westinghouse
12 model, do you anticipate needing an ISFSI license both at the operational site
13 and at the refurbishment facility or where do you see the licensing connection
14 for spent fuel?

15 MR. SCHOEDEL: Another great question. So, I'd love to
16 minimize the number of licenses on both the vendor as well as the end user.
17 The deployment model envisions bringing the reactor back for interim spent fuel
18 storage on an ISFSI.

19 We perceive that as a license under Part 72 that the
20 Westinghouse manufacturing campus would have, and while the reactor is still
21 onsite in its reactor operating bay, it's just, call it in no mode, right? You've
22 done a power conversion switch over and it's resting idle in its location, but we
23 would pursue not having a Part 72 license in addition at that operating site to
24 minimize the churn.

25 COMMISSIONER CROWELL: Thank you. With the little time

1 I have left, Mr. Jessup, I'm going to turn to you. You know, I asked the
2 irradiated fuel question intentionally because it's an important thing to figure out,
3 but Shepherd Power has talked about deploying micro-reactor technology in the
4 Permian Basin, and that could potentially be lots of small micro-reactors, and
5 therefore maybe lots of units with irradiated fuel at those sites. This is in the
6 same area that there's been a proposal for an interim waste storage facility.
7 How do you square those two things?

8 MR. JESSUP: Thanks, Commissioner Crowell. That's a
9 good question. I think I would play off of what Anthony was just talking about
10 here, is we wouldn't necessarily -- I wouldn't consider each of these facilities to
11 be its own interim storage facility.

12 If you have a shutdown micro-reactor, it is, in effect, shut
13 down. I would expect that through a license condition, technical specification,
14 LCO, something to that effect, that would control the number of reactors you
15 have onsite in operation at one time.

16 So, that takes care of the operational piece, but we also
17 envision an operating model where we're not storing spent fuel. You're
18 effectively storing a shut down module that then gets transported to a vendor's
19 location where they would hold some form of a Part 72 fuel storage license.

20 So, I don't think -- it's a good question, but we wouldn't
21 envision that each one of these is an interim storage facility, so I don't think
22 there would be a conflict with the ongoing litigation related to that matter.

23 COMMISSIONER CROWELL: Okay, appreciate it, and Mr.
24 Chairman, I appreciate the extra time. Thank you.

25 CHAIRMAN WRIGHT: Thank you, Commissioner Crowell,

1 and good questions. Commissioner Marzano?

2 COMMISSIONER MARZANO: Thank you, Mr. Chairman.

3 Good morning, everyone. This is a great crowd that we have in the room today,
4 and I just want to start by saying that I am incredibly excited for this
5 conversation, this topic.

6 I've been chomping at the bit to get my questions out, and I
7 can probably spend, you know, triple, maybe five times the amount of time
8 discussing all of these topics, but I do want to just thank the staff for their work
9 to prepare and execute important meetings like this one.

10 Also, I want to thank the panel for their presentations and for
11 being an essential part of this discussion on the future of nuclear energy in the
12 United States, and the work that you do and the people in this room do on a
13 daily basis to advance the safe deployment of this versatile technology
14 contributes to our nation's energy, national, and economic security.

15 As this panel has acknowledged, the deployment of micro-
16 reactors represents an evolution in the way that we utilize nuclear energy
17 systems, and they have the potential to not only provide clean electricity, to
18 meet increasing demands, excuse me, but they also offer a potential solution to
19 achieve deep decarbonization of our larger energy system that powers our
20 industries and our manufacturers.

21 Proposed micro-reactor designs are far simpler, incorporate
22 passive inherent safety features, and present reduced radiological risks through
23 lower source terms compared to their larger counterparts. These may lead to
24 significant cost savings, reducing manufacturing and construction time, and
25 leveraging economies of scale.

1 I appreciate your ongoing interactions, coordination, and
2 collaboration with the NRC staff, and your bold visions for the rapid deployment
3 of micro-reactors. This engagement is crucial to the NRC's ability to respond
4 effectively to these novel deployment models in a timely manner.

5 The deployment and operating models for micro-reactors from
6 factory fabrication, operational testing, to transportation for operation at multiple
7 sites, are a drastic departure, as I mentioned, from the large light water
8 reactors.

9 So, we must look at new ways of doing business, especially
10 when access to this power provided by these systems can vastly improve lives,
11 and I think about remote rural communities that currently rely on things like
12 diesel generators to supply their energy needs.

13 Your continued input and sharing of ideas are fundamental to
14 the modernization of NRC's regulatory frameworks, and will help the
15 Commission fulfill its mission of enabling the safe and secure use and
16 deployment of civilian nuclear energy technologies through efficient and reliable
17 licensing, oversight, and regulation.

18 All right, now that we're through that, I can get to the fun part.
19 Mr. Jessup, we had a conversation yesterday, and it wouldn't be me if I was
20 not having a discussion about the operational side of these things, right?

21 So, you mentioned kind of this multi-skilled workforce to
22 support operation. What kind of specific challenges do you anticipate to the
23 management of the training, the qualification, and accreditation for individuals
24 that kind of serve in these cross-functional roles?

25 MR. JESSUP: Yep. No, thanks, Commissioner Marzano, it's

1 a good question. Let me start from a practical place.

2 If you look at just basic functional requirements, analysis,
3 function allocation, the makeup of some of these micro-reactor technologies, I
4 don't think we can envision there being teams of INC technicians, mechanical
5 maintenance techs, electricians, like you see at a current plant.

6 You have full departments for kind of each of those things. It
7 just doesn't make sense just from a practical perspective.

8 And so, you come back to a point of, okay, well it makes
9 sense for these folks to, you know, be multi-skilled, be able to do a lot of things.

10 But, then you do have to look at what do the regulations
11 require, particularly 10 CFR 51.20, the training rule. Put aside Part 55, operator
12 licensing stuff for now.

13 But, you look at what the training rule requires, how would
14 you get a program like that accredited for a jack of all trades? You know, what
15 you might have there.

16 And so, we wonder, initial training, how long does it take this
17 person, you know, to go through a training qualification program?

18 Continuing training too, does this person spend eight out of
19 their 12 hour days, taking CBTs to re-qualify, computer-based training to re-
20 qualify and keep their skills up?

21 This is an area where we've had a lot of good engagement
22 with INPO. They perform a, you know, their goal of promoting excellence, you
23 know, all the things that they do under that umbrella, I think, the biggest overlap
24 with the NRC's accreditation. And, they've leaned in here.

25 And so, maybe that's, that's the feedback I'd give you is,

1 INPO is trying to help us a lot with this to figure out what does accreditation for
2 these, you know, multi-skilled folks look like?

3 COMMISSIONER MARZANO: Well, you must be reading my
4 mind, because my follow up to that question was, the fact that the Institute of
5 Nuclear Power Operations, you know, provides these vital services to the
6 existing fleet, the management of OPEX, the training accreditation, kind of a
7 standard bearer for the industry in that kind of self-policing environment there.

8 So, I mean, we already, you kind mentioned a little bit of
9 INPO's involvement. But, how do you see it, their involvement kind of
10 progressing into the advanced reactor space?

11 And, what kind of challenges do you see for the specific
12 operational needs of micro-reactors?

13 MR. JESSUP: Yeah, no. Again, it's a good follow up. And
14 so, they've been very proactive. Let me say that.

15 They want to understand what the new nuclear industry is
16 doing, micro-reactors in particular, because there are so many different
17 operating models, business models.

18 And so, we've been engaged through their new nuclear
19 accreditation working group, where we're talking about these issues. Not just
20 the multi-skilled workforce, but also the centralization piece I talked about.

21 It looks a lot different to go and accredit the training programs
22 that are done from a central location versus going to every plant, you know,
23 where kind of INPO typically operates.

24 So, those are the two areas we're working with on them of,
25 what does accreditation look like from a central delivery standpoint?

1 And, you know, just from a general accreditation standpoint,
2 you know, INPO accredits 12 programs at the current sites. Does that make
3 sense for the new fleet? Not just micro-reactors but otherwise.

4 So, a lot of work going on there. INPO's been very proactive.
5 I mean, my personal experience, you know, from the operating fleet, you know,
6 their promotion of excellence and everything that comes along with that, you
7 know, I think, the new nuclear fleet is going to benefit from that.

8 COMMISSIONER MARZANO: Well, thank you. Yeah, it's
9 certainly a lot of work to be done there. A lot to consider about vastly different
10 operational models for these micro- reactors.

11 Now, I want to turn to Ms. Li and Mr. Schoedel, Schoedel?
12 Sorry, how do you pronounce your name?

13 MR. SCHOEDEL: Schoedel like yodel.

14 COMMISSIONER MARZANO: Schoedel, there we go.

15 MR. SCHOEDEL: It's really easy.

16 COMMISSIONER MARZANO: Yeah, nice and easy. All
17 right. Well, this is going to be kind of a little bit, I want to feed a little bit about
18 the interaction between DOE, INL, eVinci, the DOME, and the NRC's
19 involvement.

20 So, Ms. Li, thank you for your remarks. And, I am certainly
21 appreciative of DOE's continued collaboration with the NRC to enable the
22 deployment of micro-reactors.

23 Can you kind of share a little bit of your thoughts on how we
24 can enhance our engagement, especially considering the existing MOUs
25 between the NRC and DOE that were established under the Nuclear Energy

1 Innovation Capabilities Act, and kind of expanded under the ADVANCE Act?

2 And, how, you know, DOE envisions the cooperation through
3 the National Reactor Innovation Center Program?

4 And, you know, in part of your answer, and Mr. Schoedel,
5 would like you to kind of comment specifically on your experiences with the
6 NRC related to the DOME.

7 But, you know, are there other kinds of practices from
8 previous collaborations in our MOUs that we can expand this work?

9 MS. LI: Thank you, Commissioner Marzano, that's a good
10 question. And, we do also appreciate the continued collaboration with NRC.

11 I think, I can think of several possibilities. For example, with
12 the MARVEL micro-reactor that is in development, we could potentially have
13 details from NRC that's similar to what's being done with NRIC.

14 I believe, there's two details from NRC for NRIC, and we can,
15 through that relationship share more details.

16 We've had recent meetings sharing our thought basis for how
17 we documented our preliminary documented safety analysis for MARVEL, and,
18 what the thinking was for that and how we could simplify that process.

19 This is all, again, based on whatever support we have
20 Congressionally. But, we are always open to more conversations and we look
21 forward to whatever we can do through the ADVANCE Act.

22 MR. SCHOEDEL: Yeah, thanks Commissioner, for the
23 question. So, I think, this plays very nicely into, you know, some of the
24 sentiments I had during my opening presentation.

25 So, Westinghouse very eagerly seeks to keep open,

1 transparent, clear communication between us, our partners at Idaho National
2 Lab, BEA, U.S. DOE, and Idaho office, and headquarters on our progress on
3 authorizing the eVinci nuclear test reactor for eventual operation and test in the
4 DOME.

5 How are we doing that specifically? To date, it's been through
6 one, you know, contractually organizing this through our safety design strategy
7 with INL and the DOE, to acknowledge that we fully intend to cross-
8 communicate and collaborate with NRC as well as CNSC in Canada.

9 Because, we recognize the importance of the results and
10 outcome of this test reactor application for eventually validating, you know, and
11 verifying the safety analysis codes we seek to use for commercial license
12 applications in the U.S. and abroad.

13 So, contractually, it's built into our licensing authorization
14 package paperwork. More practically, how do you disseminate this good
15 information, and the knowledge, and the lessons learned as we go through
16 exercising the licensing modernization project process for our application
17 framework, not just for future eVinci commercial licensing, but, as well for our
18 nuclear test reactor authorization with DOE?

19 We're doing that through presently a series of technical
20 exchange workshops where we'll host NRC staff, CNSC staff, DOE
21 representatives, INL representatives. You know, most recently, we held one
22 last summer at our facility outside Pittsburgh.

23 We intend to host another one later this year as we continue
24 to make progress in the next authorization submissions on that test reactor.

25 COMMISSIONER MARZANO: Excellent. Thank you. And,

1 I'm well over my time. But, I do want to say that, you know, I leave with this,
2 that this cooperation is essential for the NRC, not just for, you know, this near
3 term work, but also as we look to adopt a more forward looking approach.

4 And, I'll kind of just leave with a little bit of looking for
5 opportunities for us, and right-sizing at what technical readiness level, you
6 know, the NRC should be stepping in and engaging to support our licensing
7 mission.

8 So, thank you, Mr. Chairman. Apologies for going over. And,
9 I appreciate the panel's presentations. Thank you.

10 CHAIRMAN WRIGHT: Thank you, Commissioner Marzano.
11 Yes, so, before I get to my questions, I had like to address a little bit about how
12 the NRC's work on micro-reactors fits within our new mission statement.

13 You know, our new mission statement, and the guidance that
14 will follow that implements it, is going to refocus our entire staff. And, it's
15 already beginning to do that.

16 As part of the refocusing and doing our part to move forward
17 the nation's goals for nuclear, by enabling, by advancing, deploying safely,
18 we're working to try to do our work a little differently, because, we're going to
19 have to.

20 And, more efficiently as well, so that we can get things
21 through the regulatory process and out the door, right?

22 They've heard me say this before here, and I've said it at the
23 RIC as well, this isn't about safety, right?

24 Because, safety is and is always going to be, our strike zone
25 of our home plate. It's the north star that we're chasing. But, it's about process

1 and about adapting.

2 So, as we've heard this morning, there's a desire to
3 manufacture reactors in a factory, and pre-load them with fuel. And,
4 transporting them to site and then moving them back to another facility after
5 they've gone through their life.

6 You know, by themselves, the desire of the oil and gas sector
7 to deploy hundreds of units, may require a regulatory paradigm shift just by
8 itself.

9 But, there's also industrial users, there's data centers, floating
10 reactors, commercial shipping, you name it, they're out there. And, they're all
11 active right now.

12 So, they're looking to us at the NRC, not just to meet their
13 needs, but to anticipate where they've got to be, and be ready for them when
14 they come.

15 Which means we've got to have a lot of communication, and a
16 lot of collaboration, right? And, coordination, which I've heard. On top of that,
17 all of these applicants want to go today.

18 So, I mean, we're really behind even when we talk about it
19 now. I know that we can deliver here. The NRC can do it. I know it. I believe,
20 it.

21 In fact, I've already heard you say here in this panel this
22 morning, words like flexible, the NRC staffs leaning in to be flexible. Timely, the
23 comments are beneficial, and there's been good cooperation. Right?

24 And, those are really good words to hear. Because, we're not
25 who we are being accused of being sometimes, right?

1 Because, we have made mistakes in the past. I will sit here
2 and acknowledge that we've been slow in some areas and we've been our own
3 roadblocks at times.

4 But, that's not happening today. All right. And, I think, it's
5 important for us to speak to that.

6 So, with that, thanking you for your presentations and stuff, I
7 want to get to a couple of questions.

8 Bill, good morning to you again. One thing that I haven't
9 heard, and maybe you and Anthony, and maybe even Mo, could address is, so,
10 first let me say we're not going to be this long pole in the tent.

11 The NRC is not going to be that. Okay? But, what I haven't
12 heard is supply chain. Right? Can you talk a little bit about supply chain?

13 And, are you ready for, if we were to grant a license in, like, I
14 mean, five months or six months, if we had to have an EA, I saw that Marc, and
15 the goal that you would have and suggest to us, would you be ready if we were
16 able to meet that deadline?

17 MR. JESSUP: I'll take that first. So, it's a good thought
18 exercise. If we had a license today, could you do it?

19 And, I think, my perspective is that's going to be a function of
20 the technology, in particular, maybe the fuel type. Because, if you look at the
21 front end of the fuel cycle, I break it into five steps, right?

22 The concentrates, the conversion services, enrichment
23 services, deconversion, fuel fabrication. There's a lot of discourse that gets you
24 up too typically the enrichment. It was good to see that the INL had, you know,
25 deconversion as kind of a long-term strategy.

1 But, where we are today, particularly for some of the HALEU-
2 based fuels, and then fabrication of the fuel itself, the commercial scale of that
3 just, it's limited.

4 I don't want to say it doesn't exist, because, you know, it is
5 being made. But, that is where I see probably the biggest risk from a supply
6 chain perspective.

7 I would say we're in a unique position, because, NOV parent
8 company, we make lots of things. We make lots of heavy machinery.

9 And so, you know, we also engage with the vendors on that
10 front as well when they call us and say, hey, you know, does NOV have the
11 capability of making X, Y, and Z?

12 And so, we have a window into that. But, I would still say that
13 fuel likely remains the long pole in the tent, at least from where we sit.

14 MR. SCHOEDEL: Yeah. Thanks Chairman. And so, I
15 strongly echo what Bill is saying on fuel.

16 Maybe I'll give a flavor of other things that, you know, we see
17 as obstacles that we're actively working through, notably around areas of
18 materials that are intended for, you know, high temperature applications for
19 these types of reactors where, you know, we are today, maybe not fully covered
20 within existing code cases. Right?

21 So, that's an area that we've been, you know, doing I think,
22 meaningful pre-application engagements around, you know, metallics,
23 composites, and the like.

24 So, I think, one of the things though that Westinghouse has
25 as a value, as an established technology vendor, is we have a large supply

1 chain, you know, established already.

2 Many of the vendors for some of these, maybe more or less
3 groundbreaking, first of a kind, type of applications in code space, that's pretty
4 well established already on our end, people on our qualified supplier list or our
5 approved supplier list. So, I think, working through those issues
6 on our materials qualifications, as we communicated to you all in our White
7 papers, as we intend to communicate to you all on our methods for qualifying
8 these types of things in future topical reports, that's all in the details in our
9 regulatory engagement plan. Known areas where we're going to work through
10 it with you all.

11 MR. BADAL: Thank you, Chairman. So, I just want to say
12 from an end-user perspective, just going through engaging at least ten leading
13 micro-reactor vendors in the nation, I want to echo with you is that there is no
14 clear pathway right now for multiple areas that can build a reactor.

15 The fuel, the factory assembly for major components,
16 materials, data points, the code you had just mentioned for safety basis for a
17 new novel solution or idea, because the temperature parameters are different
18 than existing data points.

19 So, those are the challenges that we are considering as we
20 pick our next winner, I would say. Who will be our first, you know, technology
21 that built a reactor on our installation?

22 And then, of course, I think, I must mention our relationship
23 with NRC, it's critical in this area, because a vendor without a regulatory path
24 will not be doing business with the DOD.

25 So, I just want to be very clear about that. So, as we identify

1 the technology, we have to figure out those challenges.

2 CHAIRMAN WRIGHT: Thank you. I've got a couple of
3 minutes left. I'm going to come to you, Ms. Li.

4 So, first off, please tell Secretary Wright that his cousin from
5 the Southeast said hello. And, I look forward to meeting him. I think, I'm
6 meeting with him in May. Hopefully I'll get to see him earlier than that.

7 And then, Ted Garrish, I know you probably know him over
8 there as well. So, please tell him hello.

9 You were talking a little bit with Commissioner Marzano,
10 about relationships and how we can work better together and things like that. I
11 want to take that a little deeper maybe.

12 As you sit here today, right now, are there any regulatory
13 changes you would maybe suggest or are looking at that could aid, you know,
14 in the advancement of the rapid and safe deployment of micro-reactors?

15 Stuff that we could work together on, or you talked about that
16 collaboration and stuff?

17 MS. LI: Thank you, Chairman. I think, I would recommend
18 we could have additional conversations about that since I'm not the expert. But,
19 we have many technical experts in that area.

20 We continue to work on identifying, you know, the regulatory
21 basis for supporting micro-reactors. We have put together a couple of reports
22 about, you know, what kind of challenges to consider.

23 But, I am not of a position today to recommend specific
24 changes to regulations.

25 CHAIRMAN WRIGHT: Yeah. Well, I'm confident that we're

1 already working together on this over there already.

2 But, I didn't know if there was something that had been
3 through the, just the relationship and engagement that we've had so far. Is
4 there anything that we need to be looking forward at?

5 Because, you know, we're looking at the micro-reactor letter
6 that you sent in last June, and, I think, we responded to. And, I think, there's
7 something else coming maybe this June.

8 So, you know, maybe we can, I know this is a hugely
9 important area for everybody, from the President on down. And, we need to be
10 ready to move, right?

11 So, look forward to working with you.

12 MS. LI: Yeah. We have, we are very much appreciative. We,
13 just for example, for Part 53, we have seen that NRC has been open to input
14 from industry.

15 And, as that is aligned with DOE's efforts to deploy micro-
16 reactors and advanced reactors in general, we see that that is very helpful for
17 us.

18 CHAIRMAN WRIGHT: Yeah. Thank you so much. And,
19 thank you for taking my questions. And, for now, I'm going to turn it over now to
20 Commissioner Caputo.

21 COMMISSIONER CAPUTO: Thank you all for being here,
22 and for contributing to the conversation. I also want to note that all of you
23 complimented the NRC staff on their work that they're doing in this area.

24 And, I just want to thank you for those compliments and that
25 recognition. There is a lot of work that is underway and a lot that remains. And

1 so, I just thank you for, on their behalf, for recognizing their progress.

2 I also want to say that a lot of great questions from my
3 colleagues this morning. I'm going to come at this from a little different
4 direction.

5 People of a certain generation may remember a commercial
6 from years ago where a child hands a Tootsie pop to an owl and says, how
7 many licks does it take to get to the center of a Tootsie pop?

8 So, I'm just going to take a leap here and give a little pop quiz
9 to you speakers. How many licks does this take?

10 How many different regulatory approvals do you see before
11 we get to that first unit?

12 MR. JESSUP: I will take a first stab, Commissioner Caputo.
13 For the first unit, likely on the order of six to eight regulatory approvals.

14 And, I would say that excludes some of the materials, specific
15 approvals, Part 30, Part 40, and maybe Part 70, since those typically get
16 bundled with kind of the primary application.

17 And, that would be what I suspect when you include
18 manufacturing licenses. If you want to do in factory testing, site licenses,
19 transportation certificates of compliance, and interim storage facility.

20 So, and, that's probably a function of what the deployment
21 cycle looks like as well, do you want to do in factory testing?

22 And, I'm excluding throughout the life cycle at the site as well,
23 because, that's going to come along with more regulatory approvals, at least
24 the way we're envisioning right now.

25 Depending on whether you go the part 52 route, or the two-

1 step Part 50 route, that will determine what regulatory approval you need at the
2 site every time you want to replace that module, so.

3 MR. SCHOEDEL: Yeah, thanks. I'm smiling here, because I
4 think, you're really hitting the nail on the head, or addressing the elephant in the
5 room, from my perspective on the stark contrast between us, you know, with
6 eVinci trying to get first of a kind available to market.

7 But, acknowledging what efficiencies, we may want to try to
8 drive for future, nth-of-a-kind solutions along the way.

9 I think, we're going to learn a lot going through the first
10 application process for delivering this technology beyond just our nuclear test
11 reactor. To answer your question specifically, I would just walk around the
12 eVinci deployment model from my last slide.

13 You know, so, if we look to assemble in a factory, and these
14 are all things that we're contemplating now as we go through, how do you bring
15 this new technology to market, you know, by 2030, for what our customers or
16 potential customers are looking to see?

17 And, by the way, they are no longer operating on a five to ten-
18 year window of business planning. They're operating on a 48-month business
19 window planning in many cases, where the best I can show right now is a
20 CPOL under Part 50, or, a COL, you know, extending out to beyond those
21 timelines for their planning.

22 So, Commissioner, or Chairman Wright, as you
23 acknowledged, won't be the bottleneck here. This is exactly where I think, we
24 need to start focusing on how to use shrink it effectively?

25 But, stepping around the deployment model, assembly in a

1 factory would require, from our perspective, a manufacturing license as
2 postulated in the SECY in front of you, while for votes.

3 Maybe you couple that with a Part 70 to allow fuel load.
4 Without that, I still need some type of an operating license if I want to load fuel
5 as it is today, either a CPOL or a COL.

6 So, I'm already up to three licenses just to enable the first
7 step in that deployment process. Short of some type of risk informed, you
8 know, type of a process that is envisioned in 24-0008.

9 That also includes other things like byproducts, et cetera, that
10 I'm lumping in, but not specifically naming.

11 Transportation, as Bill mentioned, would require a Part 71
12 CoC, as well as some route-specific licenses through states and different
13 territories and localities.

14 You tend to go through the customer, or end user,
15 owner/operator is going to require their own CPOL or COL, based off of the
16 technology design that I would have approved through my ML. So, that's
17 another set of an entire licensing process to that intended operating location.

18 The transport license would, under our paradigm, support
19 back-end transportation. But then, as we talked earlier from your question, you
20 know, I would need a Part 72 type of a license application for my refurbishment
21 or storage activities, you know, whether it's at my manufacturing facility or
22 somewhere else.

23 So, you know, just hitting the highlights, all of those are right
24 now perceived as necessary. But, I think, the challenge first-of-a-kind, nth-of-a-
25 kind, is going to be minimizing the replication on all of those.

1 I don't want an operating license at my manufacturing facility,
2 in addition to my manufacturing license, and have every customer have an
3 operating license for every module that comes off that assembly line.

4 I need to start getting this into like, a Ford assembly line
5 mentality where you call, you place an order for a vehicle, it takes a few months
6 to come off the assembly line, and you are limited by your manufacturing time
7 and the delivery time, not necessarily the licensing time and needing duplicate,
8 or in my view, duplicative licenses, just to accommodate regulation.

9 COMMISSIONER CAPUTO: Marc, I'm going to get to you in
10 just a minute. I think, both of you have mentioned a lot of items.

11 I have my own list. I think, some of us overlap. I probably
12 have a couple here that weren't mentioned.

13 But, I'll just start at the beginning. Reactor design approval,
14 manufacturing facility license, which Mr. Schoedel discussed, verification that
15 the unit was built according to requirements, transportation canister, but also,
16 transportation of the unit with fresh fuel.

17 Operation on location, sighting approval, transportation
18 canister and transportation with used fuel, license for a refurbishment refueling
19 facility, license for storage and disposal, decommissioning at the end of life.

20 And, that is in addition to what was just mentioned in terms of
21 fuel qualification and fuel manufacturing.

22 So, as Mr. Schoedel was saying, not all of these steps are
23 going to be repeated for each unit. Most of them are probably necessary for the
24 first unit.

25 Several of these steps involve ACRS reviews, environmental

1 reviews, and hearing opportunities. So, this is a rather torturous path for the
2 first unit, but also for, nth-of-a-kind, and, as you were just saying, whether it's
3 for one or 20.

4 So, recognizing that, you know, the way to eat an elephant is
5 one bite at a time, what I'm -- I'm raising this, because as the Chairman just
6 mentioned, you know, a paradigm shift, I believe, we need a paradigm shift
7 here.

8 Because, our principle of efficiency states, regulatory activity
9 should be consistent with a degree of risk reduction they achieve. And, for
10 micro-reactors, the risk profile is dramatically lower than what this agency has
11 typically licensed.

12 And, the nature of micro-reactors is very, very different from
13 what would have been envisioned in the Atomic Energy Act 60 years ago.

14 So, at a basic level, we need to ensure the manufacturer of a
15 safe reactor, safe operation and maintenance, safe transportation, safe storage
16 and disposal.

17 The NRC staff has identified 36 issues that need to be
18 addressed. I'm searching for a strategic approach that's going to effectively
19 navigate the necessary issues, but also ensure that the regulatory burden is
20 aligned to micro-reactor size and risk profile.

21 So, Marc, I'll start with you. Do you have suggestions as to
22 how we could go about workshops, or structuring workshops, to sort of get at a
23 strategic approach?

24 I know you mentioned earlier in your remarks, how the
25 approach that we take is going to be tethered to our starting point. And, I agree

1 with you that that starting point, based on the risk profile of a micro-reactor, is --
2 should be a lot closer to starting point for a research reactor or a non-power
3 facility.

4 But, even if we all agree that that's a starting point, how do
5 you work your way through these issues in a strategic manner?

6 Not necessarily what's most urgent and swatting the nearest
7 snake, but, go through this in a strategic manner that's going to sort of create
8 the predictable licensing path that Mo is highlighting as needed here?

9 MR. NICHOL: Yeah. That's a great question. I think, in your
10 question you had the answer, which is workshops.

11 This is, that's the fastest path to getting to some regulatory
12 conclusions. And, one of the points I made, is focusing on the regulatory basis
13 for these topics.

14 Because, what the regulatory basis affords, is an NRC
15 conclusion that this approach is safe.

16 Now, steps after that, we'll identify how do you implement that
17 under Part 50 and 52 today and in the future, exemptions and rulemaking?

18 How do you do it in part 53? Is it enabled now? Do you need
19 additional changes? Those things can be worked out.

20 But, if we don't have the foundation, which is the NRC
21 concluding that that approach is safe, you can go off and do that approach.
22 Until we have that, there's a lot of business risk and uncertainty.

23 And so, getting to that regulatory basis is key. And, how we
24 get to that is through workshops. Now, the NRC is embarking on a lot of work.

25 Industry and other stakeholders can embark on a lot of work

1 as well. Some of those topics, we've already submitted papers on,
2 meteorology, fire brigade, we have others coming.

3 And so, we can contribute to that. All the work doesn't have
4 to fall on the staff. The NRC ultimately has final decision making on that. But,
5 we can provide a lot of the details and input to help move this forward faster.

6 COMMISSIONER CAPUTO: Okay. Thank you. I just want to
7 note that clearly given what we've heard this morning, given the investment
8 that's underway, that's a clear demand signal here for micro-reactors.

9 So, I appreciate everything you're doing, all of you, to
10 advance the ball and make progress here. Because, I do think, this is going to
11 be a technology that's important to meeting the country's energy needs.

12 So, thank you.

13 CHAIRMAN WRIGHT: Thank you, Commissioner Caputo.
14 That was very good.

15 Commissioner Hanson?

16 COMMISSIONER HANSON: Thank you, Mr. Chairman.
17 Thanks for everybody for being here.

18 Mr. Schoedel, I really appreciated your kind of, breaking down
19 the various regulatory touch points, right?

20 And, Mr. Nichol, I appreciated your presentation too, about
21 what's the starting point and how do we kind of move out from that, right?

22 But, even in the case of like, RTRs, I think, that's a really, I
23 think it's a great insight, right?

24 But, they're kind of things that don't quite necessarily line up
25 and match, and the analogs aren't entirely the same. And, yet, I completely

1 agree with the principle that how do we kind of adjust or change the regulatory
2 touch points that we have, right?

3 So, maybe we're touching that manufacturing license and we
4 don't have to touch everything that comes off the assembly line. I love the, as a
5 Michigan guy, I love the Ford metaphor, okay?

6 Right, I mean, you know, if we're comparing, you know, micro-
7 reactors to F-150s, you know, there's something to that, right?

8 Because each F-150 is, you know, there's a quality assurance
9 program that that manufacturer has. Each thing gets a VIN number. You can
10 trace that VIN number. You can trace the whatever kind of quality things that
11 go along with that.

12 I think, Caterpillar is another really great example for all of
13 their machines. Their machines basically talk to their headquarters in Peoria,
14 from all over the world.

15 They've got 1.5 million machines out there that, as a friend of
16 mine said, tweet like teenagers. You know, like basically text headquarters like
17 teenagers on everything that they're doing.

18 There's a lot of advancements in other manufacturing and
19 heavy equipment industries that I think, really have a lot of comparisons here
20 that we can also kind of draw on while we're, as the Chairman quite rightly said,
21 focused on our mission, keeping the safety piece of that front and center while
22 we're thinking about what the right regulatory footprint is.

23 And, I think, as we think about the chicken and egg problems,
24 right, that the Chairman also mentioned. I know chickens and eggs are a very
25 sensitive topic these days.

1 But, the regulatory kind of clarity and efficiency, is really one
2 of those. And, that's clarifying that, and getting that under wraps, is going to be
3 really important for the NRC, not only from an efficient standpoint, which I think,
4 you know, Bill, you emphasized. But, also from kind of a reliability thing.

5 And, I think, what I'd just like each of you to kind of touch on
6 is, I completely agree, Mr. Schoedel, with your thing about, you know, what are
7 the policy things?

8 What can we do by exemption? How do we get that first of a
9 kind thing? But then, how do we establish the reliability and predictability about
10 that pathway?

11 And, where does, if it needs to rulemaking or even potentially,
12 heaven forbid, statutory changes to the AA, where do those come in?

13 Because of, Mr. Nichol, as you pointed out, that there are a lot
14 of good analogies here. But, there are some also things that don't quite fit.

15 MR. NICHOL: I'll start off, in terms of how do we get to that
16 basis. I think, it's in that regulatory basis that I was talking about.

17 So, that would be the NRC's conclusion decision that this
18 approach, if done this way, is safe.

19 Now, it's not saying that it's currently allowed under the
20 regulations. It may not be currently allowed under the regulations.

21 But, we have the approach of taking exemptions if the NRC
22 determines it's safe. So, it's determining ahead of time that this particular
23 approach is safe, recognizing that exemptions may be needed near term,
24 rulemaking longer term.

25 That gives the ability for industry to come with those

1 approaches, with predictability that the NRC would accept them.

2 COMMISSIONER HANSON: Okay. Thanks. Anyone else?

3 MR. SCHOEDEL: Yeah, thanks Commissioner. So, a bunch
4 of thoughts. And, I'll try to keep them coherent here for the sake of time.

5 And so, I think, your emphasis on both safety and reliability,
6 so again, that's probably something I glossed over at the end of my
7 presentation. But, my last slide, that's the vision, right?

8 It's incumbent upon, you know, us as a technology vendor, as
9 we go through our design development test programs and processes, that we
10 address both safety and reliability in our design.

11 And, we make that apparent to you all and to your staff,
12 through things like pre-application engagement, White papers, through topical
13 report, piecemeal approvals, and ultimately in these first of a kind applications.

14 The affordability is the other piece of this, right? And, that's
15 where some of the licensing efficiencies we're talking about here are going to
16 have a direct play for not just first of a kind, but specifically our nth-of-a-kind.

17 Where we drive licensing efficiency to really help keep nth-of-
18 a-kind affordability specifics, right?

19 So, I think, my opinion, SECY-24-0008, again, I'm a broken
20 record on that, it was partly informed by input that Westinghouse wrote to NRC
21 staff.

22 But, in there, as you contemplate those three topic areas, the
23 risk-informed options one, two, and three Bravo, I think, the staff did a nice job
24 at highlighting areas where implementation would have both risks and
25 disadvantages for long-term rulemaking concerns.

1 I think, you see similar aspects around that on the nth-of-a-
2 kind white paper that was developed last year, when we talk about operational
3 programs or environmental review efficiencies.

4 But, those are good areas where we have examples in front
5 of you now, or soon come to you, on these areas, where it seems like, you
6 know, we could be making progress on putting out, you know, guidance, you
7 know, assuming, you know, favorable outcome from your votes, through the
8 staff to industry on some of these areas.

9 The consequence of piecemeal approvals and guidance, is
10 just that. That you don't see the big picture. And, there may be long-term
11 implications or rework or churn on that guidance, because you don't see the
12 entire thing at once.

13 But, you know, the more we can do to not handcuff the
14 industry, having to consider the entire elephant now, and give us some
15 piecemeal progress on items that I've been communicating through the eVinci
16 team since 2021, would unlock, just continued de-risking, and start, I think, to
17 yield more progress.

18 COMMISSIONER HANSON: Yeah. Super helpful. Yeah,
19 go ahead, Bill.

20 MR. JESSUP: Yeah, I would just add, I think, the way to
21 increase reliability, and drive down uncertainty in kind of the licensing approach
22 here, is just to start exercising the process.

23 There's clearly a willingness on the part of the NRC to explore
24 these areas, all these enablers we're talking about.

25 But, I think, we're going to have to start exercising the process

1 to see, to drive -- because, there's kind of an uncertainty band on all of them.

2 Some of them, it's like, okay, we feel pretty good about this.

3 But, collectively, we're going to have to start exercising the process.

4 It's going to take some incremental implementation, I think. I

5 think, you know, the operating model is going to have to evolve.

6 And then, the technology is going to iterate as well. I think,

7 we're going to learn things.

8 And, you know, by the end of it, I expect that the licensing

9 process will have evolved with it and, you know, we can get there.

10 COMMISSIONER HANSON: Yeah. No, I think, that's a really

11 great point. There's a great opportunity for learning on kind of both sides of the

12 table here as we move forward.

13 So, thank you all for your questions. I'm going to try and

14 squeeze in one more here. Obviously, because Mr. Schoedel was here, and

15 you guys presented your concept around Westinghouse, that was really helpful,

16 right?

17 Because, it was a specific thing that we could kind of drill

18 down into. But, there are other concepts for micro-reactors too, right?

19 We're going to have a focus on the transportable ones this

20 morning, just kind by nature of the panel that we have.

21 But, there are others where it's kind of modular construction,

22 or -- and fueling onsite. And, a lot of other things.

23 And, I guess, as we think about both the strategic, as well as

24 getting down into the details on some of these things, how much difference

25 does that make in regulatory space?

1 And, Marc, maybe I'll just start with you. And --

2 MR. NICHOL: Yeah. So, we can look in two directions. We
3 can look at maybe larger ones that are more constructed onsite.

4 And so, those would, in comparison to the micro-reactors we
5 have been focusing on, would have a smaller subset of issues that they would
6 look at.

7 Many of them would be able to implement the exact same
8 strategies. Some might have a different performance level that would only be
9 able to implement parts of the strategies.

10 If we look at the other direction, which would be much more
11 transportable, these might be things that you would want to deploy within days
12 or weeks rather than months.

13 The RHDRA paper that we proposed, isn't enough for them.
14 They need additional considerations. They need -- because, we got what we
15 think is the NRC's site license process down as small as we think is feasible,
16 that's about four to five months.

17 To get down to days or even a few weeks, that's going to
18 require something like a general license, where the NRC doesn't need to pre-
19 approve a site. You could just go wherever you want, as long as you can
20 confirm that that site is acceptable.

21 And, this may be very important for emergency response
22 activities, for example.

23 COMMISSIONER HANSON: Thank you. Anyone else?
24 Yeah, Bill?

25 MR. JESSUP: I'll share a perspective. It relates to the very

1 last bullet I had on my slide deck, not the thank you slide, but the other one.

2 Which is, I think, across especially advanced reactor
3 technologies, a lot of those characteristics, inherent safety features, passive
4 safety systems, they're shared.

5 But, certainly for us, we do feel like we are quickly getting to a
6 point to where you do need to pick a technology to get regulatory certainty.

7 Remote operations may be a good one. I wouldn't expect the
8 agency to approve that as an operating philosophy, absent some rigorous
9 human factors engineering that demonstrates, yes, this is what your function
10 allocation looks like, you know, for this specific technology perhaps on this
11 specific site.

12 I think, you could do it at a technology level. You know, you
13 are going to have to do the work. And, we would expect that, you know, for the
14 NRC to actually approve something.

15 So, that's how we see the regulatory nexus here.

16 COMMISSIONER HANSON: Yeah, sure.

17 MR. BADAL: So, I was going to make a comment about like,
18 larger modular fueled onsite. For end-user perspective, we would be interested
19 in what's the timeline look like, mobilizing or, you know, deploying something
20 like that over time.

21 And then, like onsite fueling, what are some of the risk factors
22 maybe involved if we're deploying something like a military installation, right?

23 So, those considerations also may have to be thought
24 through.

25 COMMISSIONER HANSON: Okay, good. Thank you.

1 Thank you, Mr. Chairman.

2 CHAIRMAN WRIGHT: Thank you, Commissioner Hanson.

3 And, thank you again. This has been a great conversation. We could probably
4 go a lot longer too. I know that.

5 So, we're going to take a break. We're going to endeavor to
6 try to be back and set up for the second panel in about a quarter till.

7 So, with that, we will recess and come back, and convene in a
8 few minutes.

9 (Whereupon, the above-entitled matter went off the record at
10 10:39 a.m. and resumed at 10:47 a.m.)

11 CHAIRMAN WRIGHT: Welcome back, and good morning
12 again. Our next panel is going to be kicked off by the NRC's Executive Director
13 of Operations Mirela Gavrilas. Mirela, good morning. The floor is yours.

14 MS. GAVRILAS: Good morning, Chairman, Commissioners.
15 The topic of micro-reactors is very dear for me on a profoundly personal level. I
16 decided to be a nuclear engineer because as an undergrad, I started working at
17 the University of Maryland Research Reactor.

18 I became an SRO for that reactor in my sophomore year to
19 get to Commissioner Marzano's question about the level of training. And I
20 found small scale reactors, research reactors fascinating throughout my career.
21 I actually started my career as an executive in research reactors and the first
22 manifestations of micro-reactors of which SHINE is certainly a lead.

23 But I don't think at any point throughout my career have
24 micro-reactors have the strategic significance that they have today since the
25 very early times of our industry. And with that, I'm going to pass the baton to

1 Jeremy who is going to introduce the panel and lead our conversation. Jeremy.

2 MR. BOWEN: Thanks, Mirela. Good morning, Chairman.

3 Good morning, Commissioners. Thanks for the opportunity to present to you
4 this morning. So my name is Jeremy Bowen. I'm the Director of the Division of
5 Advanced Reactors and Non-Power Production and Utilization Facilities.

6 As you've already heard this morning, over the past few
7 years, there's been an increasing interest in the licensing and large-scale
8 deployment of micro-reactors. Their simplicity and scalability have the potential
9 to greatly expand the use of nuclear power. Whether they will operate as part
10 of the electric grid, serve as an independent power source, or provide thermal
11 energy for industrial applications, the NRC is engaged with the micro-reactor
12 community to enable their safe, secure, and timely deployment. Next slide,
13 please.

14 Staff has worked closely with micro-reactor developers and
15 potential end users to better understand the various technologies and planned
16 deployment models. These interactions led to the identification of potential
17 policy issues, infrastructure enhancements, and communication tools that would
18 further facilitate reliable licensing and oversight of micro-reactors. Pre-
19 application engagements resulted in development of several Commission policy
20 papers with the first one in October 2020 where staff provided an early outline
21 of potential regulatory considerations and an initial licensing approach.

22 Further, stakeholder interactions indicated widespread
23 alignment that the regulatory issue of highest importance for developers was
24 the ability to load fuel and perform operational testing in a factory. In January
25 2024, the staff provided the Commission with policy options and

1 recommendations to enable that business model. A related information topic in
2 that paper dealt with transportation considerations.

3 Cinthya Roman, Deputy Director for the Division of Fuel
4 Management, will touch on this unique aspect of micro-reactors in a few
5 moments. Further interactions reinforce the timeline from application to
6 deployment is a vital area and needed creative thought, particularly for high
7 volume licensing. Staff is currently finalizing a paper that identifies policy and
8 process changes that would better support licensing subsequent or nth-of-a-
9 kind micro-reactors. Duke Kennedy, a senior project manager in Division of
10 Advanced Reactors, will tell you more about that shortly.

11 The staff is coordinating these efforts for the development of
12 Part 53 to support micro-reactor licensing. The stakeholder interactions also
13 identified the need for further enhancements beyond policy and regulation
14 changes. Additional clarity was requested around how various processes
15 would apply to micro-reactors.

16 So to support those discussions and track progress on a large
17 scale of regulatory topics, the staff recently developed a micro-reactor public
18 website and an integrated micro-reactor activities plan. The website and plan
19 can be accessed by scanning the QR codes on the bottom right-hand corner of
20 the current and the next slide. The plan also supports the staff's response to
21 direction in the Accelerating Deployment of Versatile, Advanced Nuclear for
22 Clean Energy or the ADVANCE Act. Next slide, please.

23 Section 208 of the ADVANCE Act directs the NRC to develop
24 and implement risk informed strategies and guidance to license and regulate
25 micro-reactors in eight topical areas. These are annotated on the left-hand side

1 of the screen. Dan Barnhurst, an environmental projects branch chief, and
2 Jessie Quichocho, a branch chief in the Division of Preparedness and
3 Response, will discuss two examples of the staff's approach for these areas.

4 Overlapping and extending beyond the ADVANCE Act are the
5 suite of the regulatory topics identified by the staff and the micro-reactor
6 community. The staff's integrated plan provides a mechanism to facilitate a
7 systematic approach to ensuring common understanding of the various issues,
8 identifying actions to achieve the desired objectives, and tracking progress of all
9 the activities. An initial workshop was set on February 20th to obtain feedback,
10 and stakeholders expressed appreciation for the staff's efforts in development
11 of the plan and support for the proposed list of actions and their prioritization.

12 The staff will continue to engage with the micro-reactor
13 community through a series of future workshops to address these topics and
14 others outlined in the plan. Adjustments will be made as needed, and progress
15 will be communicated through the NRC's public website and public meetings.
16 The staff is excited to license micro-reactor designs in various deployment
17 models, and we are committed to further innovation in a manner that provides
18 additional flexibilities without inhibiting future evolution by the micro-reactor
19 community. I'll now turn it over to my colleagues to elaborate on these topics.
20 Next slide, please.

21 MR. KENNEDY: Good morning. I'm going to discuss the
22 NRC staff's recent policy recommendations and strategies for licensing and
23 regulation of micro-reactors, Section 208 of the ADVANCE Act, and the staff's
24 integrated micro-reactor activities plan. The NRC staff's focus in these activities
25 is on increasing the flexibility of NRC's regulatory framework to enable

1 deployment of developer's diverse micro-reactor technologies. Next slide,
2 please.

3 In SECY-24-0008, the NRC staff developed three policy
4 recommendations related to high priority topics for factory fabricated micro-
5 reactors and provided information and near-term strategies related to ten
6 additional topics. The first policy recommendation is an approach in which a
7 micro-reactor that includes features to preclude criticality would not be in
8 operation and loaded with fuel. An operation would begin with the removal of
9 those features.

10 Under this approach, an operating license would not be
11 required just because the reactor is loaded with fuel. Because the reactor
12 would not be in operation and an operating license would not be required, this
13 would enable the staff's near-term strategy to use the existing transportation
14 regulations for fueled micro-reactors which Cinthya will cover next. The second
15 policy recommendation is an approach for authorizing only fuel loading into a
16 micro-reactor that includes features to preclude criticality.

17 Instead of requiring an operating license to load fuel, the
18 licensee would possess the reactor under a manufacturing license and possess
19 and load the fuel under a special nuclear material license. The requirements for
20 special nuclear material licenses better match the technical and safety aspects
21 of loading fuel into a micro-reactor with features to preclude criticality. And this
22 approach will reduce administrative requirements and improve timeliness of
23 licensing just fuel loading.

24 The third policy recommendation is to apply most of the safety
25 regulations for non-power reactors to authorize fuel loading and operational

1 testing in a factory. The NRC staff recognizes that the operational
2 characteristics and safety considerations for micro-reactors operated only for
3 testing would be like those for currently licensed non-power reactors. The
4 safety regulations for non-power reactors are well established and will reduce
5 the need to tailor power reactor safety regulations on a case-by-case basis for
6 operational testing. Next slide, please.

7 So this slide shows the staff's strategy for reducing the
8 schedule and cost of licensing nth-of-a-kind micro-reactors. It includes a policy
9 recommendation to enable the staff to review and afford technical and
10 regulatory finality to standardize operational programs at the design phase in
11 connection with the review of the standard design. The strategy also includes
12 alternative approaches for environmental reviews which Dan will discuss soon
13 and the staff's near-term strategies for other topics related to nth-of-a-kind
14 licensing.

15 The main drivers for the schedule and cost productions are
16 standardization and regulatory process enhancements. Standardization of the
17 design, operational programs, including security and emergency preparedness,
18 and generic environmental reviews will allow the NRC staff to focus its review of
19 an application for an nth-of-a-kind reactor on site-specific factors and simple
20 verification that the design is identical to one already reviewed by the NRC.
21 This will result in streamlined license applications and NRC licensing
22 documents that can be processed through an online portal to automate many
23 administrative processes.

24 The staff is also pursuing approaches for grading the level of
25 site characterization and scaling construction inspections based on experience

1 to focus on areas most important to safety and the environment. However,
2 departures from the standard design, selection of sites with significant
3 environmental impacts, and activities outside of the NRC staff's control could
4 limit the effectiveness of the staff's strategy. In the case where an applicant
5 makes a modification, the staff will perform a delta review as was recently done
6 for the Kairos Hermes 2 application.

7 The NRC staff anticipates that the first few deployments of a
8 standard design will take longer but still much less than recent first-of-a-kind
9 reviews. The benefits of nth-of-a-kind licensing for applicants and the NRC will
10 be realized and accumulate with success of deployments of the standard
11 design. The staff's policy recommendations and strategies described in this
12 slide and the previous one provide the regulatory flexibility to enable early
13 deployment of transportable first-of-a-kind and nth-of-a-kind micro-reactors.

14 The NRC staff chose to pursue options and strategies that
15 use the existing regulations to provide near term clarity on foundational aspects
16 of micro-reactor deployment models. However, as developer's designs and
17 deployment models mature, the staff will consider additional policy
18 recommendations and rulemaking to reach an optimal regulatory framework for
19 micro-reactors. Next slide, please.

20 Section 208 of the ADVANCE Act covers eight topical areas
21 related to regulation of micro-reactors and directs the staff to -- the NRC to
22 consider unique characteristics of micro-reactors and opportunities to address
23 redundancies and inefficiencies.

24 The staff are already addressing the ADVANCE Act through
25 completed and ongoing activities. To name a few, the Part 53 proposed rule

1 addresses topics such as staffing, operational programs, and decommissioning
2 funding assurance. The staff has also communicated to the Commission its
3 path forward to develop the Advanced Reactor Construction Oversight Program
4 and the proposed rule on alternative physical security requirements for
5 advanced reactors would apply to micro-reactors.

6 Ongoing work on transportation, environmental reviews, and
7 emergency preparedness that will address the ADVANCE Act will be covered
8 by Cinthya, Dan, and Jessie. The staff is taking many additional actions to fully
9 address the ADVANCE Act. Notable focus areas are remote operation and
10 autonomous operation, oversight and inspection during an operation, siting in
11 relation to licensing mobile micro-reactors and the population density criteria,
12 and alternative licensing approaches for deployment of fleets of micro-reactors.

13 As directed by the ADVANCE Act, the staff is consulting with
14 the Department of Energy, other federal agencies, technology developers, and
15 other stakeholders. This includes through public meetings and workshops on
16 specific topics, pre-application engagement, and memoranda of understanding
17 in cooperation with other federal agencies. As examples, public workshops and
18 licensing mobile deployment and alternative approaches for fleet licensing are
19 scheduled later in April and May. Next slide.

20 This slide shows the depiction of the prioritization of topics
21 included in the staff's integrated micro-reactor activities plan. The plan provides
22 a comprehensive view of current micro-reactor topics and their integration to
23 support internal and external communication and engagement on priorities and
24 actions to address them. The plan considers feedback from interested and
25 affected parties such as industry stakeholders and the public, direction in the

1 ADVANCE Act, ongoing rulemakings and guidance development, and
2 engagement with developers and prospective applicants.

3 Since 2020, the staff have updated and prioritized micro-
4 reactor topics considering stakeholder feedback. And this guided the decisions
5 on the policy recommendations and information topics to include in the papers
6 that I discussed earlier. Finally, at the bottom of the slide is a list of micro-
7 reactor policy topics.

8 The four on the left have already been or very shortly will be
9 addressed in policy papers. The staff are developing policy recommendations
10 for the two on the right largely in response to the ADVANCE Act. And what
11 aren't shown here are the policy topics that are already being addressed in
12 ongoing rulemaking activity such as staffing, security, decommissioning funding
13 assurance, and others.

14 As micro-reactor technologies and deployment models
15 continue to evolve and mature, topics being covered under the existing
16 regulatory framework in the near term, such as transportation of fueled reactors,
17 may in the longer-term benefit from policy decisions. And new topics may arise
18 that involve policy matters. The staff will engage with the Commission as
19 appropriate as it adjusts its priorities and takes actions to enable the
20 deployment of diverse micro-reactor technologies. With that, I thank you for
21 your time and turn the presentation over to Cinthya.

22 MS. ROMAN: Good morning, Chairman Wright and
23 Commissioners. Today, I'll cover transportation considerations for micro-
24 reactors. Next slide.

25 The current regulatory framework for the transportation of

1 radioactive materials supports the licensing needs for the near term micro-
2 reactor applications.

3 At this time, we have not identified the need for policy
4 changes for the transportation framework. So how it works, a vendor can
5 request a certification of a transportation package for a micro-reactor under 10
6 CFR Part 71. And if safety is demonstrated, the NRC will issue a certificate of
7 compliance.

8 There is no rulemaking involving the process like we do for
9 storage cask systems. Once the package is certified, it can be manufactured
10 multiple times and used by the general licensees at no additional cost because
11 no additional approvals are needed as long as the general licensee follow the
12 conditions of the certificate of compliance for each shipment. Also, since there
13 is no additional wait time for regulatory approval, this supports the rapid high
14 deployment of micro-reactors.

15 While the focus of my presentation is on the transportation
16 package, as you can see in the picture, there are many other aspects of
17 transportation, including effects of the environment, physical protection, and
18 emergency planning. Also, it is important to note that the NRC is not alone in
19 regulating the transportation of radioactive materials. It is a coordinated effort
20 across multiple agencies, including the Department of Transportation, the
21 Department of Energy, and Homeland Security.

22 Outside of the federal agencies, Tribal Nations, state and
23 local governments are also involved in the spent nuclear fuel transportation.
24 NRC along with all these organizations have enabled the safe and secure
25 transportation of radioactive materials for decades. And the same structure will

1 apply for micro-reactors. Next slide.

2 So there are some key differences in the transportation
3 approach for every micro-reactor design because micro-reactors can vary in
4 size, fuel type, deployment model, and transportation method. So let's break
5 down some of these key differences. Transportable versus mobile micro-
6 reactors, transportable micro-reactors are built in a factory.

7 They are shipped to a specific site where they will operate.
8 Once in installed, they stay in place until decommissioning. Mobile micro-
9 reactors are designed to move between multiple locations as needed.

10 It could be deployed for disaster relief, military operations, or
11 remote communities that need temporary power. Please note that mobile
12 doesn't mean that the reactor will operating during transportation. In fact, the
13 reactor must remain subcritical during transportation to meet existing
14 requirements.

15 There are different transportation modes, weights, and size.
16 Some micro-reactors might be small enough to fit into a standard shipping
17 container and travel by road. However, larger designs might require rail
18 transport due to size and weight constraints.

19 In some cases, transport might involve maritime shipping and
20 requiring additional considerations for port security and specific maritime
21 regulations. The chosen transportation method, weight and size will impact the
22 regulatory approvals, route planning, and package certification needs. There's
23 also new fuels.

24 Micro-reactors will use a range of different HALEU fuel
25 designs which might include TRISO and metallic fuels. And then the end-of-life

1 transportation micro-reactors might not store spent fuel at their site of operation.
2 Instead, they might be transported back to a manufacturing facility as we heard
3 this morning. Next slide.

4 So fueled micro-reactors will likely need to meet Type B
5 transportation package standards. As shown in this slide, Type B packages
6 must pass impact, puncture, fire, and water immersion test in sequence. The
7 test sequence encompasses more than 99 percent of possible vehicle
8 accidents. Computational models are allowed to simulate these accident
9 conditions. Next slide.

10 Some micro-reactors might need to employ novel packaging
11 strategies and approaches such as the package or portions of the package
12 being integral parts of the reactors versus the package surrounding the entire
13 reactor. Transportation regulations will work for different designs, including self-
14 contained designs for the entire reactor as support systems feed into a single
15 container and other designs where the core module is manufactured and
16 shipped to a different site to support systems are constructed in place.

17 While some micro-reactor vendors have indicated that they
18 can meet the same test and conditions that I showed you before, for some of
19 them demonstrated that they can pass similar tests can be challenging.
20 However, Part 71 requirements allow for exemptions, alternative test method,
21 and special package authorizations when compliance with the standard
22 regulations is impractical. In fact, we have been implementing this requirement,
23 and I want to provide some first-of-a-kind examples. Next slide.

24 So the first example is the NAC OPTIMUS-L package for
25 TRISO fuel. This is the first NRC certified transportation package for fresh

1 TRISO fuel with HALEU up to 20 percent for Uranium-235. We demonstrated
2 that NRC can certify packages for new fuel types under the existing framework.

3 For this example, engagement and pre-application discussions help to ensure
4 a high-quality application, and their review was completed in 13 months and
5 using 40 percent of estimated resources.

6 Most recently, Project Pele, a micro-reactor from the
7 Department of Defense, needed an exemption from some of the provisions in
8 Part 71. The NRC review and endorse risk methodology that demonstrated that
9 the exemption would not compromise public safety. This methodology is
10 adaptable and could potentially be integrated into future transportation
11 certification applications. Next slide.

12 NRC also has experience approving special package
13 authorization for complex shipments involving large, contaminated objects. For
14 example, in 2015, we authorized a special package for a large vitrification
15 melter used for nuclear waste processing at West Valley. And more recently in
16 2023, NRC certified a package to enable the transportation of a large reactor
17 component from the Crystal River Unit 3 nuclear power plant.

18 So why do these examples matter? Some micro-reactors
19 might need similar special authorizations, particularly if they are transported as
20 a whole unit rather than disassembled. End-of-life transport might involve
21 moving an entire micro-reactor for disposal, requiring an approach similar to the
22 examples for Crystal River or West Valley. Next slide.

23 In closing, while our regulatory framework is well established,
24 we can always improve. Collaboration with developers, international
25 stakeholders, and other federal agencies allow us to share research insights

1 and prepare for the future. We're also focusing on knowledge management
2 programs to ensure our reviewers can continue to meet our important mission.
3 Thank you for your time, and I'll turn now the presentation over to Dan
4 Barnhurst.

5 MR. BARNHURST: Thank you, and good morning, Chairman
6 and Commissioners. Today, I'll present the steps the staff have taken to
7 develop a micro-reactor-specific environmental review approach to support
8 efficient, timely, and predictable licensing of micro-reactors. I'll provide an
9 overview of considerations that inform these efforts, outline the environmental
10 review alternatives developed by the staff, and present the staff's next steps for
11 development and implementation.

12 The staff developed a flexible approach that allows applicants
13 to select one of four review alternatives that best aligns with the design,
14 deployment model, and degree of anticipated impacts of the proposed project.
15 Staff began by assessing how previously identified and implemented efficiency
16 gains developed through a comprehensive evaluation of the entire
17 environmental review program could support efficient micro-reactor
18 environmental reviews. These gains stem from actions taken before and in
19 response to the Fiscal Responsibility Act and the ADVANCE Act, many of which
20 are still ongoing.

21 They include maximizing incorporation by reference and
22 tiering prior environmental studies, integrating requirements from recent acts
23 related to timeliness, page limits, optimized consultation, and enhanced
24 coordination with other agencies, expanding the use of environmental
25 assessments where actions where a finding of no significant impact can be

1 reached, and leveraging the new reactor generic environmental impact
2 statement or NRGES which if finalized could yield resource savings from
3 micro-reactor reviews when combined with other process improvements. Staff
4 then tailored the environmental review approach to reflect the reduced scale
5 and environmental footprint of micro-reactors and consider factors such as
6 variability and design types, reactor size, deployment models, and siting
7 characteristics, all of which ultimately influence the extent of the environmental
8 impacts in review.

9 The figures on the slide illustrate some of those variables.
10 Current designs range in size with deployment models including factory
11 manufactured transportable systems and stationary modular designs. Siting
12 approaches also vary from single reactors with minimal footprint and
13 disturbance that may be used to replace a diesel generator to multiple units at a
14 single site that may be used to support a grid.

15 This variability introduces a range of factors to be considered
16 during the NEPA review. Staff is continuing to develop planning resource
17 models for micro-reactors that incorporate efficiencies and account for this
18 variability. This effort will guide more efficient resourcing and management of
19 micro-reactor reviews and will be refined over time.

20 While we expect cost and time savings for each of the
21 approaches, use of environmental assessments and categorical exclusions if
22 applicable and approved would provide the highest efficiencies. Staff are
23 developing an online portal to streamline the process and enhance
24 communication. Next slide.

25 On the left is the first environmental review alternative which

1 continues the use of the current streamline process scaled for micro-reactor-
2 specific reviews. Alternative 1 may appeal to applicants submitting an
3 application for a single unit at a complex site or multiple units at a proposed
4 site. This approach involves no additional development or implementation cost,
5 and resource needs are expected to decline annually as current and future
6 efficiencies take effect. Reviews may tier from the new reactor GEIS if
7 approved and could result in either an environmental impact statement or an
8 environmental assessment if a finding of no significant impact or FONSI is
9 reached and an exemption granted. This process is available now.

10 Under Alternative 2 on the right, the staff would develop a
11 design-specific generic environmental impact statement for each new standard
12 micro-reactor design at the applicant's request. This approach may suit
13 applicants planning to deploy a standard design at multiple successive sites.
14 For example, an applicant might use the same design to power data centers,
15 remote communities, work sites, military bases, or similar locations.

16 The initial review would include a design-specific GEIS
17 analyzing general environmental topics and resource impacts along with a
18 supplement addressing site-specific issues and demonstrating compliance with
19 the plant and site criteria. Subsequent applications would be significantly
20 streamlined requiring only a supplemental environmental impact statement or
21 environmental assessment tiered from the initial review and focused on issues
22 not previously addressed. Staff are ready to implement this approach upon
23 receiving a design-specific application. Next slide.

24 Alternative 3 presented on the left allows an applicant to
25 demonstrate minimal environmental impacts by meeting a bounding set of plant

1 and site criteria, developed specifically to envelope micro-reactor designs. This
2 is potentially the most flexible approach, enabling the streamlined review of any
3 micro-reactor and site combination that falls within those bounding values. It
4 may be especially attractive to applicants planning deployment across many
5 sites for the purposes listed earlier but who have not selected a design or
6 considering multiple designs or are working with a design that is not yet fully
7 mature.

8 This approach supports banking of sites and is modeled after
9 the general permit process used by other regulatory agencies such as the U.S.
10 Army Corps of Engineers. At both the initial and nth-of-a-kind stages,
11 applicants would submit information through an online portal to demonstrate
12 compliance with the bounding values. Staff will use this information along with
13 a template to develop a streamlined NEPA document which may be an
14 environmental assessment if bounding criteria are met. Reviews of subsequent
15 submittals would be further streamlined by tiering from the initial NEPA review.

16 Finally, Alternative 4 presented on the right would allow for
17 the use of categorical exclusions. This option would be viable once review
18 experience demonstrates that certain categories or combinations of designs
19 and deployment models constructed and operated on specific types of sites
20 results in no significant environmental impact.

21 From this experience, bounding plant and site criteria would
22 be developed. A categorical exclusion would be available to any applicant
23 whose project meets these criteria, offering the fastest and least resource
24 intensive review option. However, implementation would require rulemaking
25 under NRC regulations.

1 It's important to note that while Alternatives 2 through 4
2 involve initial development costs, these are expected to be quickly offset as
3 additional applications are received. Next slide.

4 Staff have already begun developing and implementing new
5 review alternatives and will prioritize and resource these efforts. In the near
6 term, staff will continue NEPA streamlining efforts and utilize the NRC EIS once
7 finalized, complete development of the online micro-reactor portal, collaborate
8 stakeholders to develop bounding sets of values for use with Alternatives 3 and
9 4, and develop templates and environmental screening worksheets to support
10 the streamline process.

11 When an initial design-specific application is submitted, staff
12 will refine the template and tailor the portal for submission of design-specific
13 information. Staff will further assess use of categorical exclusions and develop
14 the necessary infrastructure and, when feasible, initiate rulemaking to support
15 this approach. In closing, staff have consistently completed environmental
16 reviews within established project time frames and more recently have done so
17 on or ahead of deadlines set by the Fiscal Responsibility Act.

18 We expect this strong performance to continue. First-of-a-
19 kind reviews will meet or beat NEPA time frames, 12 months for an
20 environmental assessments, 24 months for an environmental impact statement.

21 As relevant criteria and assumptions are developed and then met, nth-of-a-kind
22 reviews could be completed in as little as 180 days, benefitting from the
23 efficiencies built into each alternative.

24 The NRC's optimized environmental review approach for
25 micro-reactors will result in environmental reviews that are efficient, timely, and

1 predictable and enable the scalable and streamlined deployment of micro-
2 reactors across a wide range of uses and sites. With that, I'll turn the time to
3 our next speaker, Jessie. Thank you.

4 MR. QUICHOCHO: Thank you, Dan. Good morning,
5 Chairman and Commissioners. I welcome this opportunity to describe to you
6 what the NRC staff is doing in emergency preparedness.

7 The staff has been working on emergency planning for new
8 reactors for some time now, and I look forward to describing specific actions we
9 have taken and will take for micro-reactor licensing. Next slide, please.

10 As Jeremy have pointed out earlier, the emergency
11 preparedness staff is ready to conduct reviews of micro-reactor applications
12 under current regulations. With Commission approval of the new rule for small
13 modular reactors, non-light water reactors, and other technologies, our
14 regulatory framework provides a flexible graded approach for applicants to
15 develop emergency plans commensurate to their facility risk and hazards.

16 The staff looked ahead during the development of the rule
17 and took into consideration the characteristics of new design, including those of
18 micro-reactors. The new framework establishes a performance-based
19 approach which goes beyond a review of written plans and focuses on
20 demonstration of responsive capabilities to performance necessary functions.
21 The rule is also technology inclusive and scalable in recognition of the low
22 radiological risk these micro-reactors inherently have based on smaller source
23 terms and advanced safety features.

24 Applicants may choose to comply with 50.47 and Appendix E
25 instead of 50.160 and seek exemption from certain requirements based on

1 differences in design characteristics and low radiological risk. If potential
2 applicants indicate that they intend to take this approach, the staff would
3 evaluate whether there is a need to develop guidance to allow for more efficient
4 exemption request reviews. Such guidance could be analogous to the use for
5 emergency planning exemption request for decommissioning nuclear power
6 plants which was issued to collect the staff experiential review and exemption
7 request for emergency preparedness for decommissioning plants and thereby
8 enhance the efficiency and consistency of future reviews. Next slide, please.

9 I'd like to discuss the activities the staff has been working on
10 that supports licensing of micro-reactor technologies. First, I want to point out
11 that the staff issued regulatory guidance in 2023 that describes the acceptable
12 methods for how applicants can meet the 50.160 rule. And staff are now
13 working to update this guidance to add clarity in support of licensing of micro-
14 reactors in particular.

15 Additionally, the staff is currently developing interim guidance
16 for conducting technical reviews for new applications which will ultimately be
17 added to the standard review plan. A public meeting is expected in the near
18 term to facilitate external stakeholder feedback as far as developing this
19 guidance. The staff is also working on new inspection procedures to support
20 the 50.160 rule which will be scaled to the radiological risk of the facility and
21 focus on performance-based results.

22 In addition to these near-term guidance updates, the staff
23 continues to take a holistic look at readiness for micro-reactor licensing within
24 emergency preparedness to identify potential streamlining opportunities. For
25 example, staff is pursuing templates that applicants can use to standardize

1 emergency preparedness plans. Our staff is also working with the Office of
2 Nuclear Regulatory Research in the performance of analyses to support
3 simplified emergency planning zone determinations and use of existing
4 emergency plan organizations and planning for micro-reactors.

5 Finally, NRC continues to engage our partners at FEMA to
6 develop federal guidance for offsite preparedness that is right sized the
7 emergency hazards. Next slide, please.

8 Now I want to take a moment here to describe what we mean
9 by standardizing emergency planning. The staff has evaluated past technical
10 reviews and identified key functional areas in emergency preparedness that are
11 common across multiple sites.

12 Examples of common functions that could be standardized
13 include emergency response organization staffing, emergency action levels,
14 and emergency response facilities. Standardized functions that are the same
15 from site to site would facilitate nth-of-a-kind licensing that Duke described
16 earlier. In addition, based on previous licensing experience and industry
17 engagement, the NRC staff believes that the use of bounding assumptions for
18 information such meteorological data or seismic parameters can provide
19 predictability of licensing emergency preparedness at various sites.

20 Another commonly used regulatory tool is a topical report
21 process where applicants can submit for NRC review and approval the
22 methodologies that may be applied across similar reactor designs. We have
23 seen success in approving emergency preparedness topicals to support
24 efficient licensing and will continue to encourage these approaches. To
25 summarize, the staff are considering many options to support deployment of

1 approved technologies. Next slide, please.

2 Similar to what Jeremy mentioned earlier, stakeholder
3 interactions are key to identifying enhancements or clarity needed in the
4 regulatory processes for micro-reactors. This is an important component to
5 ensure emergency preparedness is effective and contributes to a safe and
6 secure use of civilian nuclear energy with micro-reactors. The staff has met
7 with applicants to discuss the regulatory framework and processes for
8 conducting emergency preparedness reviews.

9 These meetings are of great value because they provide
10 applicants with necessary technical information needed to address and meet
11 emergency preparedness regulations. These engagements also build public
12 trust in our regulator processes. The NRC and FEMA have worked together for
13 decades to maintain reasonable assurance in emergency preparedness
14 planning for the operating fleet.

15 For micro-reactors, the NRC and FEMA stand ready to work
16 together in effective planning for future facilities and its surrounding
17 communities. The NRC staff is committed to hearing from stakeholders and to
18 discuss any proposal to facilitate micro-reactor emergency preparedness.
19 Thank you for your time, and I'd like to turn over the presentation to our
20 executive director for operations.

21 MS. GAVRILAS: This concludes the staff's remarks. We're
22 ready for your questions.

23 CHAIRMAN WRIGHT: Thank you, Mirela. And panel, thank
24 you for your presentations. And for those people, thank them as well that backs
25 you up to get you ready. And with that, we will start questions, and we'll begin

1 with Commissioner Crowell.

2 COMMISSIONER CROWELL: Thank you, Mr. Chairman.
3 Thank you to all the presenters. I think it was very complementary to the first
4 panel, and I think we're all getting a better appreciation for the big picture here
5 in some of the stickier issues that need to be resolved and timelines associated
6 with that.

7 Mirela, I'm going to start with you. And first, I'll say I enjoyed
8 my recent visit to the test reactor at the University of Maryland mostly because I
9 got to see a photo of you in your sophomore year operating that reactor. And I
10 know it's true, your story.

11 But given your long experience in this area and your current
12 position, I'm going to ask you kind of a big picture question here. As we look at
13 micro-reactors and the whole life cycle from front end manufacturing,
14 transportation, operation, the back end of fuel management and transportation
15 decommissioning, in your view, where do you have the most concern for
16 protection of public health and safety? What is the most acute public health
17 and safety element of micro-reactors that we should be focused on?

18 MS. GAVRILAS: Tough question, but I'm going to be -- I think
19 we need to pay attention to security. They're small. They're going to be every
20 place. And while the consequences are modest, we still need to pay attention
21 to security aspects.

22 COMMISSIONER CROWELL: I appreciate that, and I did not
23 know what your answer is going to be. But it leads nicely into the question I
24 was going to ask Jessie next on security. For emergency planning zones, how
25 are you looking differently at a micro-reactor located in a very rural setting like

1 out in an oil field versus in a more urban setting? And what does that distinction
2 mean for EPZ requirements?

3 MR. QUICHOCHO: So for micro-reactors, we expect that the
4 majority of the EPZ would be at the site boundary. And with that, no necessary
5 impact to the external community, the local communities. And we will continue
6 to work with FEMA on communicating the applications of micro-reactors. The --

7 COMMISSIONER CROWELL: So you see no distinction from
8 a security or safety perspective between a 49 megawatt reactor in a dense
9 urban area, Manhattan, versus out in the Permian Basin? I mean, why is there
10 no difference there? Seems like it's an obvious thing that there'd be a different
11 parameter or at least a different response plan.

12 MR. QUICHOCHO: Yeah, so these micro-reactors, as
13 mentioned earlier, reduce radiological risk. They're smaller in megawatt and
14 power level. I worked at the University of Missouri research reactor. It's a 10-
15 megawatt reactor, probably a little size higher than what was mentioned earlier
16 with the eVinci. And the response from the community and the local areas are
17 just like a normal hazard. So that's the -- it's not necessarily based on the local
18 population, whether it's urban or rural but more on the radiological risk that are
19 associated with these facilities.

20 COMMISSIONER CROWELL: I think for the average person,
21 it's hard to get their head around that idea that there is no distinction. So I would
22 just in our public engagement really encourage you to articulate why that is an
23 applicable safety -- why that parameter is applicable in both scenarios and that
24 we're thinking about it holistically. Duke, I'm going to turn to you next here.

25 In the slides, you say that, quote, the NRC staff anticipates

1 that the first few deployments of a standard design will take longer but still much
2 less than recent first-of-a-kind reviews. Can you tell me a little bit more about
3 what you mean by first few deployments? Is that, like, Reactors 2 and 3 of a
4 standard design? Or is it the first model? What are you getting at there?

5 MR. KENNEDY: Yeah, thanks for the question. So this is a
6 topic that we discussed a lot amongst the staff is when do you actually get to
7 nth-of-a-kind in the deployment cycle. And I think it's going to depend on a few
8 things first, the method for the review and approval of the standard design,
9 whether it's through a manufacturing license or a design certification or the first-
10 of-a-kind application review. And then how do the actual developers or the
11 licensees that are deploying the reactor take any departures from that?

12 And what we've seen in the past is that the first-of-a-kind
13 takes some departures from the standard design. So I think looking at the
14 historical context, there's a chance that if there's some departures, those would
15 have to be reviewed again because they would be different than the standard
16 design that was reviewed. And then those departures could be incorporated
17 the standard design through the normal change control processes for
18 manufacturing licenses or design certifications.

19 Or additional applicants for operating licenses or combined
20 licenses could choose the same -- take the same departures. And we would
21 have a precedent for the review of those. So I think there's just a little
22 uncertainty about how quickly -- how many reactors exactly, I can't say. But
23 we're just anticipating that there's the possibility that it could take a few reactors
24 before we really reach steady state.

25 COMMISSIONER CROWELL: But the moral of the story is

1 that the more standardized you can be, the less of a time frame -- a shorter time
2 frame you're going to have. And so resist the temptation on Reactors 5 and
3 beyond to keep tinkering with things that will undermine the efficiencies of
4 having a standard design. Is that fair to say? Okay.

5 Cinthya, I want to come to you with my last question. I'm
6 going to read it because it's a little bit challenging and you may want to phone a
7 friend. So I'm obviously concerned about the full life cycle here of micro-
8 reactors as I am about all of our reactor technologies.

9 And there's many people working on how to safely build, test,
10 and deploy a very large number of micro-reactors. But it may not be clear yet
11 what we'll do with the hundreds or even more than that of used up micro-
12 reactors. So for example, if a vendor offers refueling services at a factory, then
13 micro-reactors containing spent fuel will be transported back to the factory.

14 There was a paper delivered to the Commission in August of
15 last year that was explaining a recent risk assessment by the Pacific Northwest
16 National Lab supporting the idea that the NRC could grant the necessary
17 exemptions from the current NRC transportation requirements in such a
18 scenario. But it's notable that they limited this endorsement to just one
19 transport per year, one away from and then one back to a specified location.
20 So you or anyone else on this panel, would you be willing to speculate on the
21 risk associated with transporting more than one? And should a large number of
22 reactors eventually to be deployed, would micro-reactors would have to remain
23 in place for extended periods of time to reduce overall transportation risk to an
24 acceptable level? So could you comment on that?

25 MS. ROMAN: So I'm pretty sure that all the risk experts in the

1 back are not going to want me to speculate. But what I can say is that, yes, for
2 Project Pele, we did consider one-time shipment. We think that methodology
3 could be adapted for used for multiple shipments. But additional information
4 would be needed.

5 Definitely, it's not the same to look at the risk of one shipment
6 versus having 20 reactors transported five times a year. We would have to look
7 at the cumulative impact of transporting the material during that time. So we
8 will also have to look at the dose.

9 We would have to look at if the transportable micro-reactor is
10 passing the same area multiple times. What would be the dose? So yes, there
11 is additional analysis that can be used and we could expand that methodology
12 for Project Pele. But I cannot say that we have looked at that level of detail,
13 like, why would we if we have multiple shipments.

14 COMMISSIONER CROWELL: So I know you mentioned a
15 little bit. But what additional kind of data would you need to make those
16 assessments? Is it just dose and routes, or is it performance under accident
17 scenarios? I mean, what kind of stuff do you need to give some assurance of
18 having more frequent transportation, particularly of irradiated fuel back to the
19 factory?

20 MS. ROMAN: I think it would be expanding our risk
21 assessment, kind of PRA information in terms of what type of information. We
22 would have to look at honestly dose and look at the --

23 COMMISSIONER CROWELL: Is NRC doing any of this
24 research themselves and should we be doing any of it if we're not?

25 MS. ROMAN: Can consider it.

1 COMMISSIONER CROWELL: Seems valuable. Thank you.
2 I appreciate it. Thank you, Mr. Chairman.

3 CHAIRMAN WRIGHT: Thank you, Commissioner Crowell.
4 Commissioner Marzano.

5 COMMISSIONER MARZANO: Thank you, Mr. Chairman.
6 And staff, thank you for your presentations today. Your discussions kind of
7 demonstrate how the NRC is adapting to the changes in technology and its
8 development in fabrication, testing, transportation, operation in real time.

9 So as the industry looks beyond the tradition fixed site
10 construction of large reactors and identifies opportunities to factory fabricate,
11 load fuel, and to perform operational testing at manufacturing facilities as an
12 imperative for the NRC to ensure that its regulatory framework is responsive to
13 this evolution. I commend the staff and appreciate your efforts to explore these
14 specific flexibilities that we're considering here, among many others to facilitate
15 novel licensing approaches demanded by these micro-reactor deployment
16 models. That said, in my view, I think this mindset exemplifies the model
17 through which we will achieve the shift in our culture toward accomplishing our
18 updated mission statement.

19 I encourage the staff to continue to embrace being more
20 proactive and agile to make us a more proactive and agile regulator in all of our
21 work to be responsive to the needs of the 21st century and embody the spirit of
22 the ADVANCE Act. Along those lines, let me turn a little bit to the ADVANCE
23 Act and some of the mechanics that are going on here. Jeremy, as you
24 mentioned, Section 208 of the ADVANCE Act specified several issue areas for
25 the NRC to address.

1 I'm glad that the NRC staff has incorporated and prioritized
2 these activities into its integrated plan for micro-reactors. So I want to ask a
3 couple of questions along these lines here. First, just kind of briefly and feel
4 free to weigh in and other folks here. Has that direction of the ADVANCE Act
5 changed staff priorities or focus areas for continued micro-reactor regulatory
6 framework development? And if so, do you see any resource challenges as a
7 result?

8 MR. BOWEN: So thank you for the question. I think the short
9 answer to your question is it's helped us focus to make sure that we've captured
10 the suite of activities that are necessary, helped us engage with stakeholders to
11 prioritize to make sure that we're capturing everything and kind of reinforced
12 that this is an urgent issue that we need to address now.

13 COMMISSIONER MARZANO: Okay. And then maybe kind
14 of turn to -- we'll go back and forth with some of the language in Section 208
15 specifically. But I understand this integrated plan that's being developed, and
16 this is kind of discussed a little bit at the external panel just before. And we
17 have this wealth of issue areas that we need to address.

18 Addressing them individually over a longer period of time is in
19 my view not really supportive of what the need is today. And so you look at
20 what we're doing right now, the integrated plan, these issue areas. We have
21 the elephant, and now we have to discuss how to eat it and the particulars of
22 that.

23 I won't extend this analogy any further. But can you speak a
24 little bit to the staff's plan to kind of hit those important topics to give this sense
25 to the developers and that folks are going to be deploying this technology?

1 What can we look to today that's going to inform how we move forward,
2 especially with some of the -- instead of serializing a lot of this work, how can
3 we take the most advantage of what's being done to kind of show where our
4 thinking is and we want to proceed?

5 MR. BOWEN: Thank you for the question, Commissioner
6 Marzano. That's exactly what we're trying to do. I think hopefully you took that
7 away from the panel this morning is we've got approached by stakeholders with
8 specific questions, specific concerns, specific need for certainty in the
9 regulatory process.

10 So our desire was to provide that certainty now so that they
11 can move forward with their business models, so that they can continue to
12 advance the technology, and that the regulatory is not the impediment. All of
13 these individual questions and issues that are coming up as you rightly point out
14 and I think as some of your colleagues have mentioned as well in their
15 questions to the other panel. It necessitates a paradigm shift.

16 It necessitates a what do we do next. We can address these
17 individual issues. We can provide some certainty and help them move forward.

18 But that doesn't mean we should stop there. And so I think we all recognize
19 from a safety standpoint, from a security standpoint, emergency planning,
20 everything you're hearing from this panel is this is a different technology. We
21 can address the individual questions, but then we have to think more broadly
22 about, okay, what's the next step? And we're trying to do those two things in
23 parallel to make sure that we're given that certainty but also trying to enable a
24 future that's a little bit easier.

25 COMMISSIONER MARZANO: Duke, do you want to

1 comment on that at all?

2 MR. KENNEDY: I'll just add that we're looking to provide
3 solutions now and also recognizing that as developers' deployment models
4 change, as new technologies come up, there will be more work to do in the
5 future to get to that optimal state. And so that's why we're trying to engage with
6 stakeholders as often as we do and provide as much -- lean as forward as we
7 can as to what it is we think that we can accomplish so that we have that
8 dialogue immediately. And we keep it ongoing to make sure that we're focusing
9 in the right places.

10 COMMISSIONER MARZANO: That's great. Thank you. And
11 so that's a good segue to my next line of questioning here. So Part 53
12 proposed rulemaking closed -- their comment period closed the end of
13 February. Can you comment on whether or not we have received any
14 comments specific to the micro-reactor regulation? And if so, do any of these
15 comments impact kind of the near-term approaches or recommendations to the
16 Commission on how to best license these facilities?

17 MR. BOWEN: So yes, we did receive some comments
18 related to micro-reactors. There were some specific questions that were
19 provided in the Federal Register specifically around micro-reactors. The short
20 answer to your question is, no, the staff is working to make sure that there is no
21 delay in licensing, providing Part 53, and making that a viable licensing path.

22 We're trying to do as much as we can to enable the language
23 that will be in Part 53 and to develop complementary guidance to support micro-
24 reactors just as the previous question that we talked about, providing that
25 pathway now. But also recognizing there might be something in the future that

1 could make it the next iteration a little bit more clean, a little bit simpler, the
2 process a little bit more easy to navigate. But the short answer to your
3 question, no, we have no plans whatsoever to delay Part 53.

4 COMMISSIONER MARZANO: Okay. Well, that's where I
5 was going with at next. So thank you. Cinthya, I want to turn to transportation
6 topics. And I just want to set the scene here a little bit.

7 Last week, I had a chance to visit Sandia National
8 Laboratories. Those researchers out there have access to world class test
9 facilities to characterize these transport packages and the capability to perform
10 substantial research related to all of this, transportation issues surrounding fuel
11 irradiated micro-reactors, including the drop scenarios, severe accidents, et
12 cetera, that are going to inform our safety decision on those. So can you talk a
13 little bit about how we are coordinating with the Department of Energy utilizing
14 National Lab resources on some of these things that may otherwise require kind
15 of a special exemption or whatever the term? I might be getting it wrong here,
16 so yeah.

17 MS. ROMAN: Yes, so we spend a lot of time coordinating
18 with DOE. We have periodic meetings with them. We have technical
19 exchanges to try to understand the work that they are doing, especially working
20 with the National Labs. We also work with the Office of Research. They spend
21 a lot of time working with the National Labs, making sure that the research that
22 they are doing help us to get the information that we need.

23 I know that recently, DOE has been working on the
24 performance package demonstration. Maybe I changed the name. But I know
25 that that's going to be looking at potential accidents or kind of the regulations

1 that we have for spent fuel and transportation and seeing -- they have reached
2 out to see how that project could provide beneficial guidance for NRC like
3 validating codes and things like that. So we do leverage the relationship that
4 we have with DOE and the National Labs.

5 COMMISSIONER MARZANO: Excellent. It's quite
6 impressive, the facilities out there. I'll say that. Jessie, I want to turn to you last
7 here. I kind of want to just make a general statement and acknowledge the
8 difference between looking a large light water reactor kind of regulatory
9 envelope, especially with NRC planning, and then kind of scaling down from
10 there versus the kind of mindset of going from non-power reactor regulation and
11 scaling up to the needs of the system.

12 So I just want to kind of keep that as a focus of how to
13 potentially move forward as these things are evaluated. But my question for
14 you is, why 50 megawatts? When we're thinking about consequence, source
15 term, et cetera, all these kind of risk calculations, in general, I get the
16 understanding that we're moving away from just determining, well, this power
17 level means this, right? So maybe a little bit of back story on that value itself or
18 kind of the concept in how you're thinking about it.

19 MR. QUICHOCHO: I appreciate the question. It's a starting
20 point, right? Fifty megawatts is a starting point. And as we conduct the
21 research on the 50-megawatt thermal power level, we'll adjust. Keep in mind
22 that for, like, NPUF regulations and the EPA regulations, they both use the
23 same threshold of 1 rem.

24 The difference is that for NPUF, it's less than 1 rem. And for
25 the EPA regulations, it's greater than 1 rem to consider as part of the spectrum

1 of accidents. So this is kind of why we're looking at some research on seeing
2 how we can do what you've heard with expert panelists and today here is
3 bounding conditions so that we can provide additional flexibility to applicants
4 and vendors.

5 COMMISSIONER MARZANO: Thank you very much for that,
6 Jessie. And again, I could probably go on and on and on, on this. But I will
7 give it time back -- well, time I've already taken. Thank you, Mr. Chairman.

8 CHAIRMAN WRIGHT: Thank you, Commissioner Marzano.
9 It's been a good day. This is a great meeting. So Mirela, I've got a couple of
10 questions and maybe Jeremy might chime in too if you want to. We heard in
11 the first panel from Mr. Schoedel and from Mr. Jessup in a way near the end of
12 that panel when Commissioner Caputo was talking to them. Did you hear
13 anything in the first panel that was new information for you or something you
14 and staff were not aware of?

15 MS. GAVRILAS: From my perspective, I have not. I wouldn't
16 be surprised if Jeremy has, however. But that's an indication not of necessarily
17 that information develops quickly. But the fact that we have the connections
18 within the community to actually get the information pretty much live as people
19 think of it. Jeremy.

20 MR. BOWEN: Thanks, Mirela. No, no, sir. We didn't hear
21 anything new to Mirela's point. This has been a good dialogue. It's been a
22 quick dialogue with our stakeholders, but it's been a very good dialogue. And
23 it's helping -- I think it's helping with the paradigm shift that you talked about.
24 So every time we have another topic, another conversation, it's, okay, how can
25 we move this whole project and community and thinking forward?

1 CHAIRMAN WRIGHT: I'm going to stay with you and
2 primarily for the next few minutes here. What is our strategy going forward to
3 handle what appears like it's going to be many more applications coming in? I
4 know there's several policy and technical issues, either in front of the
5 Commission or on their way as well. So I mean, how can we assure ourselves
6 that our proposed solution for one issue doesn't conflict or interfere with
7 something else?

8 MS. GAVRILAS: Let me take it first. The question that I ask
9 because there are so many issues, technical and policy issues that we have to
10 consider. My first question is, let me know if the interface between these issues
11 becomes strong at one point.

12 Right now, we look at the issues and they're pretty much
13 standing on their own. In other words, they're very loose if any ties to any
14 adjacent issues, which means they can be handled individually. So we're all
15 paying attention when that's not going to be the case so that we can raise the
16 flag. Jeremy.

17 MR. BOWEN: Yeah, and I could go on. This is a topic I could
18 go on for days. So I'll try and keep it brief. But I think it's a combination of what
19 Mirela said about making sure we're looking at topics. Are they standalone or
20 how can we leverage it?

21 It's also looking at process and technical decisions and
22 learning from all of those. And how can we leverage that to make the next one
23 better, make the next one quicker, make the next one more efficient, making
24 sure we have the right staff in the right place at the right time? How do we fulfill
25 the principles of good regulations in the best way that we possibly can?

1 We're looking at staffing for our core teams for all the
2 activities that are coming in place. We're looking at budget models, and we're
3 constantly refining all those things and then trying to figure out, is there a new
4 and different and better way of doing everything that we're doing? So I think as
5 long as we're asking those questions, as long as we're willing to challenge
6 ourselves, we're moving in the right direction.

7 I don't know if we'll ever be perfect. But that's, I think, kind of
8 a weird answer to your question. But I think our desire to always be evolving is
9 what's making sure that we're going to be ready.

10 CHAIRMAN WRIGHT: Right. I'm going to stay with you for a
11 second, Jeremy. Earlier, I brought up the updated mission statement, how that
12 -- what we're looking to try to do. And I know that your team especially has
13 been out front and working to live up to that. You're an example -- a really good
14 example of what can happen inside this agency that can be hopefully -- it's
15 transferrable to other business lines to do it and approach it the same way. And
16 what would you tell people who are saying or who claim that were unwilling or
17 unable to license micro-reactors or other advanced reactors in a timely and
18 efficient manner?

19 MR. BOWEN: Thank you for the question, sir. It's something
20 I think about a lot. I know you're a fan of sports analogies. So I'll say when the
21 game is on the line, we want the ball.

22 I can understand where those comments come from. I
23 acknowledge that the NRC has not always adhered to the principles of good
24 regulation. We have certainly had missteps in our past.

25 We still have missteps today. But that doesn't mean that

1 we're the same agency today as we were 20 years ago. We've not even the
2 same agency as we were five years ago.

3 And we have demonstrated our willingness, our ability to think
4 differently, to change, to move forward. They're not aberrations. They're not
5 anomalies.

6 We have multiple examples of success. I think we are
7 continuing to demonstrate that. And like I said, we have new and different ways
8 of thinking about things.

9 We have examples right now where not just in micro-reactors.
10 We're thinking about recognizing that some regulations are not suited for the
11 designs that we're looking at right now. And the staff is initiating how can we
12 interpret these regulations for these types of designs.

13 How can we either take exemptions or move on? And what
14 can we do in the future? So again, I'll come back to what I said. Give us a
15 chance. Come talk to us.

16 Find out how we can -- tell us your challenges. Present the
17 information that you see as a way to move forward and let us work with you.
18 We have an independent safety mission to accomplish, but there's a lot of ways
19 to achieve safety. And so give us a chance.

20 CHAIRMAN WRIGHT: Thank you for that answer. You like
21 everybody else, you've got a lot on your plate, right? And all of it's important,
22 every bit of it.

23 And there are a lot of -- there's a number of micro-reactor
24 policy issues that you're working on in parallel too. And I recognize that. What
25 I'd like to maybe have you tell me a little bit about and my colleagues here, how

1 are you organizing your work so that staff activities are coordinated across the
2 large number of micro-reactor topics you have before you and making sure that
3 the Commission is properly engaged?

4 MR. BOWEN: Yes, thank you, Chairman. So the Micro-
5 reactor Activities Plan, we came up with a name, but it's so hard to say. I think
6 that was a key for us in trying to make sure that we had a good understanding
7 and a good connection between all the different organizations.

8 As you said, this is touching so many things. And to make
9 sure that we have those relationships and those connections and that ability to
10 track and make sure we're making progress on all those activities. So that was
11 a good step.

12 And we already thought we kind of had a sense of what were
13 policy issues, what were stuff that the staff could take on. We're trying to -- that
14 plan also gave us an opportunity to reflect and make sure, are we identifying all
15 the policy issues? Is the picture clear for everybody?

16 I think Duke in his presentation tried to lay out, like, these are
17 the policy issues that we think are before you. Here's the ones that we know of
18 today that are remaining. So that's our intent with that plan.

19 As I mentioned, it's intended to be a living document. We're
20 already engaging with stakeholders. We just put it up yesterday in a kind of
21 searchable format on our website. We're intending to iterate and make that
22 even a more productive dashboard tool available for everybody to understand.
23 Make sure that you can connect the dots in layman's terms.

24 CHAIRMAN WRIGHT: Thank you so much. I wish you the
25 best of luck as you go forward too. Anything we can do to support. Cinthya,

1 how are you? And I appreciated your discussion with Commissioner Crowell
2 just a few minutes ago on the transportation part of things.

3 And recognizing that, I believe micro-reactors are different as
4 Commissioner Caputo pointed out in the first panel. How do NRC requirements
5 apply to situations that involve different modes of transportation, I mean, for
6 example, road to rail, air, maybe even by sea? And I guess really to drill a little
7 bit, how is the transportation in the micro-reactor space? How is that different
8 than what we do today, or is it?

9 MS. ROMAN: Thank you for the question. It's no different
10 from what do today. So the regulations in Part 71 apply to all the different
11 transportation modes.

12 So for us, it's in the plan. And we really focus on the
13 transportation cask. So on the other hand, DOT regulations, those are the ones
14 they regulate the carriers.

15 So our regulations point to the DOT regulations. And that's
16 how the micro-reactors would decide what method of transportation to use. But
17 our regulations are independent of the transportation mode.

18 CHAIRMAN WRIGHT: Thank you. I've run out of time, and
19 I'm going to turn it over to Commissioner Caputo.

20 COMMISSIONER CAPUTO: Good morning. Thank you all
21 for being here. Thanks for your preparations for today. Clearly, you heard my
22 comments this morning about there are a lot of issues here and a lot of good
23 progress is being made, a lot of hard work by the staff.

24 But I'm concerned about just the need for a strategic
25 approach as to how we're going to navigate that. So I guess my first question

1 would be given everything that you've discussed and given what's underway,
2 what does it take to hit six-month deployment of micro-reactors? What does it
3 take to actually get to the point where NEI is discussing in their RHDRA paper
4 and et cetera? What does it take for us to get to that six-month?

5 MS. GAVRILAS: So I think your question is two-fold and we'll
6 have two answers, one is how can we expedite what the NRC has to do today.
7 And you heard a lot about that. But I just wanted to lean forward a little bit and
8 say that the conversation that we've had about micro-reactors and given the
9 very unique risk profile of micro-reactor have made us think and the directions
10 from the ADVANCE Act have really made us think, is it time for us to look at a
11 cohesive regulation that would deal specifically with the risk profile that's
12 presented by micro-reactors? I think we've tried to, the graded approach, risk-
13 informed because we wanted to be technology neutral. But micro-reactors
14 because they have such limited needs, perhaps make us ask the question,
15 what do we need to assure ourselves of the safe and secure operation of these
16 facilities?

17 And it's an opportunity to think, how can we cater to their
18 needs which are fixed versus mobile, manufactured versus built on site, the
19 number of licenses that they need, and all the questions and issues that came
20 up this morning. Because what we do now is we ask ourselves do they need
21 this. And could we move from do they need this and an exercise in proving a
22 negative to what do they actually need in order for us to become comfortable
23 with their license?

24 So that's becoming front and center in our thinking. And it will
25 build on everything that you heard us talk about today, all the issues that we're

1 walking through carefully. Jeremy.

2 MR. BOWEN: Thanks, Mirela. Commissioner, I loved your
3 analogy of the Tootsie Roll, Tootsie Pop. And I remember the commercial well.
4 And certainly we have to talk the bite. We have to take the advice of the owl
5 and just take the bite. And I think the work -- to Mirela's point, I think the work
6 that we're doing right now is going to provide that technical safety basis for us
7 to say taking the bite is okay and providing the stakeholder confidence to say
8 that's the right approach to get to the center of the Tootsie Roll.

9 COMMISSIONER CAPUTO: Okay. I guess I hear you. But
10 there are so many moving parts. And I think having workshops to address
11 particular issues or even groups of issues is one thing.

12 But I believe the staff should really have a workshop that
13 looks at everything that's underway and takes a strategic view about what does
14 it take to actually achieve a paradigm shift here and to get down to that six-
15 month time frame given the nature of what's involved. So I would very much
16 encourage you to think about that. Yeah, I've mentioned in various
17 presentations just about batch licensing.

18 How do we -- given the framework that we have, given the
19 statutory language on utilization facilities, how do you get to a point where
20 someone has a license to operate a technology not to operate a particular
21 reactor and particular location? How do you get at that from a strategic
22 direction? How do you make that simpler?

23 Whether we can do that under our regulatory framework,
24 whether there might be a need for a legislative change to sort of streamline the
25 nature of how we go about that decision making. But in the end, what can we

1 do to bring our decision making into a time frame that's going to suit
2 deployment while still ensuring the maintenance of safety and security. I also
3 have a particular question, having to do with start of operations and the use of
4 loading of fuel as a proxy for when operations start.

5 That was how the staff went about it in the micro-reactors
6 paper that's pending before the Commission. So staff proposed that we adopt
7 something, sorry, other than loading fuel as the start of operations and features
8 to prevent criticality. Westinghouse is asking us for how we are going to treat
9 refurbishing and refueling of a micro-reactor under a Part 70 license. Under the
10 staff's approach, it kind of puts us in the position where we're going to have to
11 consider a micro-reactor that's been returned to a factory for refueling as not
12 having commenced operation which I'm kind of struggling with.

13 So I feel like we should be able to find a different way to
14 categorize this because it's going to make sense for the first one that leaves the
15 factory when it's got fresh fuel. But the nature of this construct gets pretty
16 difficult after that when it's -- after initial fuel load and the initial operating cycle.
17 So saying that it's commenced operations and then not and then it has I think
18 becomes a difficult approach for us. Are you looking at a different way to
19 categorize operation that is going to make low power testing easier in line with
20 what Westinghouse was talking about but also something that is going to be
21 flexible enough to handle the nature of refueling and refurbishment?

22 MR. BOWEN: I can start and you can jump in. Short answer,
23 yes, Commissioner. You're right. It's a challenge from -- and this is an issue I
24 think that maybe to go back to your previous question.

25 We find when we're able to -- first question we asked

1 ourselves is, what's safe? What's appropriate for safety? What's necessary for
2 safety? And then we find ourselves navigating a regulatory infrastructure of
3 statutory requirements and trying to figure out, okay, if it's safe, if we find it's
4 acceptable from a safety standpoint, how do we make that fit within our
5 structure and the statutory requirements?

6 For this scenario, I think the staff is looking at something
7 where the same deployment where you're introducing features to preclude
8 criticality, to enable physics testing and deployments of the site. Kind of
9 backing -- reversing that to bring it back to the factory, defueling and
10 refurbishing the unit. How that -- now is that another -- is it a new unit at that
11 point or are you testing it to send it back out?

12 Or is it necessary? We've engaged with other -- and
13 Westinghouse talked about their deployment models. There's been others that
14 have talked to us that they want a slightly different version of that model.

15 So trying to make sure they were providing the flexibility to the
16 various different models is another challenge that we're facing. But I think, yes,
17 we're trying to make sure that we're capturing all that and not introducing
18 unnecessary -- additional unnecessary burden or challenges. Duke, do you
19 want to add anything?

20 MR. KENNEDY: Yeah, I'll just add that when we had our
21 workshop in February on the integrated Micro-reactor Activities Plan, one of the
22 topics that came up was the post-operation aspects of micro-reactor
23 deployment models. And we had that prioritized as low. But through the
24 conversations in that workshop, we raised that up. And now we're looking at a
25 specific interaction in the next couple of months to go over those topics or go

1 over that topic because recently this has come up as a more important topic to
2 some of the developers.

3 And so while we didn't have perfect information when we
4 wrote the SECY-24-0008, we were trying to outline generalities for what might
5 be possible. I think now we're at the point where we're getting some more
6 specific details. And we can dig into these issues a little more and like you
7 suggest, try to develop strategies that really make sense for facilitating it.

8 COMMISSIONER CAPUTO: So is there a need for more
9 flexibility beyond the nature of what was proposed in the paper of the
10 Commission?

11 MR. KENNEDY: I don't think there's a need for more flexibility
12 beyond what was proposed in terms of the use of features to preclude criticality
13 to make the reactor not in operation. I think it's a matter of looking at what
14 licensing pathways that we have. And I think there's maybe some lessons to be
15 learned from reactors that have been taken out of operation and then decided
16 to put back into operation recently. And also looking at -- excuse me, looking at
17 ways that we can restructure the license that would be for particular sites to
18 facilitate reactors moving in and out of a site for a placement more easily, for
19 example.

20 COMMISSIONER CAPUTO: Okay. Thank you.

21 MR. KENNEDY: Thank you.

22 CHAIRMAN WRIGHT: Thank you, Commissioner Caputo.
23 Commissioner Hanson.

24 COMMISSIONER HANSON: Thank you, Mr. Chairman.
25 Thank you all for your presentations this morning. This is really a great

1 discussion. And I completely agree that it complements the first panel quite
2 well.

3 I want to just take a couple minutes at the beginning of my
4 remarks to associate myself with some things that the Chairman said during the
5 first panel as well as Commissioner Marzano during this panel about really kind
6 of the remarkable work that the staff have done, right? This has been a
7 methodical and ongoing effort now I think for a couple years. We got SECY-24-
8 0008.

9 Last year, that represented kind of the way I think of the first
10 tier of effort, right? What are those decisions that can be made within our
11 existing authority where we have those flexibilities? We're seeing -- as an
12 enclosure to that paper, we saw the identification of some really -- I don't want
13 to call them thorny, but kind of tough issues around environmental review,
14 around siting, around operations and some other things, right?

15 Already teeing those up for kind of the next steps in that
16 paper. And while the staff have waited for that paper to resolve, you guys
17 haven't let any grass grow under your feet, right? And moving ahead with the
18 nth-of-a-kind white papers that were issued, I think, last fall, the interactions
19 with the staff, the really constructive engagement with NEI through their
20 comments last summer on this subject.

21 And while there are a lot of issues that kind of need to get
22 worked out, I think leaning in and showing how we can be proactive about this
23 and how we can be flexible about this to tackle those tough issues has been
24 really important. And I think like a lot of people these days, I'm glued to
25 business news. Because apart from whatever policy changes are going on out

1 there, I'm really interested in how the markets are reacting.

2 Because the markets represent real actors, serious players
3 with real money-making real investments across a whole range of areas, not
4 just nuclear. But what we've seen today is actually a couple of really -- we had
5 a couple of real data points sitting at the table that represent real investment.
6 One company saying that they've heard enough from the NRC. They're moving
7 into project execution phase.

8 Another company saying they've got major investments in
9 facilities and technology that are going on based on, in part, not just the broader
10 market out there and demand for energy but actually on the work that you all
11 are doing. And so as we move forward and continue to tackle these and
12 whether it's on an individual level for some of these things or as a more broad
13 and cohesive approach on individual regulation, I want you all to kind of hang
14 on to that and to keep going and to keep going further. So thank you all for
15 what you've done.

16 I'm sorry, Cinthya. You've gotten a lot of love today, Dan, not
17 so much, and Jessie, just a little bit. But boy, I want to pick up on
18 Commissioner Crowell because he touched on a lot of things. And of course,
19 he and I share a lot of -- share interest in the spent fuel issue and the analogies
20 there and the kinds of the things that we've learned.

21 Of course, we've got a great track record in this country of
22 moving spent fuel safely and reliably over many, many decades, right?
23 Hundreds and hundreds of shipments on the part of our operating licensees,
24 the Department of Defense, DOE, and others. So we know how to do this.

25 And Cinthya, your point about how there not really being any

1 difference on some of the stuff is really important. And yet on the spent fuel
2 issue, as you noted, right, there are other agencies that are involved in this,
3 right, particularly Department of Transportation. Department of Transportation
4 actually regulates transportation on these things.

5 And while maybe we didn't see the higher volume of spent
6 fuel transportation that may have once upon a time been envisioned, the micro-
7 reactors provide us an opportunity to revisit some of that engagement,
8 particularly that DOE had, the Department of Energy had with DOT and state
9 governments, et cetera. So how much interaction have we had so far? And
10 with, say, DOT or the Federal Railroad Administration or the National Highway
11 Traffic Safety Administration, et cetera, how much engagement have we had
12 with those entities?

13 MS. ROMAN: So we do have periodic meetings with DOT
14 very frequently because we are co-regulators. But I have to admit on the topic
15 of what the actual carrier is going to be, we haven't engaged as much. We
16 have been talking about micro-reactors.

17 But the focus has been more on the transportation package
18 itself. So yeah, so we engage with them. But it hasn't been the topic that we
19 have been discussing often.

20 COMMISSIONER HANSON: Yeah, it almost seems like --
21 we've seen some models here for, say, factory production of a micro. Then we
22 had NOV Shepherd tell us about kind of the infield concept of operations. But
23 there's, like, this middle piece, right, of getting it from the factory to the place
24 where maybe we haven't seen as much proposals to us for concept of
25 operations. Is it useful -- are we kind of waiting for someone to bring us what

1 those concepts might be? Or is it useful to us to kind of have a generic concept
2 that we can kind of evaluate somehow?

3 MS. ROMAN: I would think it would be helpful for people to
4 bring these concepts to us because there is so many possibilities when we talk
5 about micro-reactors that the more we hear from what the plans are from the
6 industry, it help us to prepare. We cannot prepare for every possible scenario.
7 But we want to prepare for the credible ones. And having those engagements
8 and people come along and talking to us will really help us to prepare.

9 COMMISSIONER HANSON: Yeah. Well, the chairman had it
10 right. We were talking about multimodal transportation and the different
11 connections there and so forth. And of course, it is partly about the package.

12 But I wonder if we might as we engage with our interagency
13 counterparts kind of bring in other areas of expertise like security and
14 emergency planning and other kinds of things for that package while it's in
15 transit. Is there a -- Cinthya, I've got a specific question for you on this. And it's
16 something Commissioner Crowell actually brought up.

17 He mentioned you're shipping the reactor from the factory and
18 it's got unirradiated fuel in it. You've got the measures in there to prevent
19 criticality while it's in motion. It goes. It operates for some period of time.

20 And then you're starting to ship it back. Well, now that fuel is
21 irradiated. So on the front end, there's one kind of source term and risk hazard.
22 And on the back end, there's another kind of risk hazard.

23 Is there an opportunity there for flexibility around certificates
24 of compliance for packages? Is that a single package? Are we looking at
25 vendors to propose things to us? How are we kind of starting to get our head

1 around that?

2 MS. ROMAN: So part of the reason why for my presentation I
3 was presenting Type B packages is because our use for spent fuel. And part of
4 the assumption is that they're going to be doing some testing at the facility. And
5 depending on the type of testing they do, they might have to consider the fuel
6 spent fuel by the time they're going to ship for the specific location.

7 There are still possibilities for some licensees to consider the
8 fuel fresh fuel and used a Type AF package. Let's say that they do some
9 testing at low energy levels or that there is a low burn up. Maybe they can still
10 justify a fresh fuel package, AF. But yes, I think right now my assumption would
11 be that the -- many of the applicants would be interested in Type B. And maybe
12 I'll add that the type of testing that -- the video that I showed, the testing is kind
13 of similar for Type B and Type AF. But for Type F, it's a little bit more robust,
14 the type of analysis. So --

15 COMMISSIONER HANSON: Yeah, thank you.

16 MS. ROMAN: -- there is some benefit for transporting fresh
17 fuel --

18 COMMISSIONER HANSON: Yeah.

19 MS. ROMAN: -- versus spent fuel.

20 COMMISSIONER HANSON: But the Type B provides kind of
21 a boundary, right? That kind of provides almost the --

22 MS. ROMAN: Yes.

23 COMMISSIONER HANSON: -- extreme case, right? We
24 know things are safe. We've got a lot of experience with Type B packages, et
25 cetera.

1 MS. ROMAN: Is that F, B, F, yes.

2 COMMISSIONER HANSON: Okay. All right. Fair enough.
3 All right. I'm down to my last 30 seconds. And Dan, I mean, look, man. So I
4 appreciated your presentation, particularly kind of the four alternatives around
5 this.

6 And I guess I just wanted to ask there was the RIC session on
7 high volume licensing and the modernizing of environmental reviews. And so
8 what did you hear from those sessions on what you heard at the RIC? Kind of
9 how has that influenced the way you guys are approaching this?

10 MR. BARNHURST: I appreciate the question. One of the
11 RIC sessions specifically was presented by Dr. Don Palmrose who's here with
12 us today. And it was on this approach.

13 And so we received comments in the session, both of those
14 sessions, and also live polling that we've looked at since then. And so what we
15 heard was this. I think there's general focus of the importance of what we're
16 doing. I think there's general support for how we're doing it which I would hope
17 is no surprise because we've been working with other stakeholders in order to
18 kind of inform this approach.

19 And there are practices that are widely used from outside the
20 agency to do it in a neat and efficient manner. I guess the last thing I would add
21 to that is there's a sense of urgency, and that's no surprise. But a sense of
22 urgency for us to now go from a list of alternatives that we feel like are flexible
23 enough to handle anything that we might see from a design, a deployment site
24 characteristic standpoint to getting that framework pulled together,
25 implementing and developing it.

1 And I would add that we're already in discussions with micro-
2 reactor applicants or potential applicants, pre-application space, where we're
3 running through these different types of alternatives with them, deciding which
4 one we think works best for them. And kind of we'll be developing and
5 implementing as we do in some cases. But this has been done before in other
6 places. We're learning the lessons from that, and I think we're well positioned.

7 COMMISSIONER HANSON: Great, thank you. Really
8 appreciate it. Thank you, Mr. Chairman. I'm sorry for delaying everybody's
9 lunchtime.

10 CHAIRMAN WRIGHT: That's okay. We're okay. Thank you.
11 So it appears that we've come to the end of our time together. I don't know
12 about you, but for some reason, I'm craving a Tootsie Pop.

13 (Laughter.)

14 CHAIRMAN WRIGHT: Seriously, it's been a great first
15 Commission meeting on micro-reactors. And there are going to be more
16 because this is a critical topic. And we're going to have to have more as we go
17 forward focusing on everything micro, including what we need to do, what
18 needs to happen to enable possibly a six-month review as Commissioner
19 Caputo paraphrased from Marc Nichol's presentation from NEI this morning.

20 So I want to thank each of you for your presentations and
21 everybody today for their participation. It was very informative. We got a lot
22 more questions probably now than we did when we came in which is a good
23 thing too. So before we close, I'd like to ask my fellow Commissioners if you
24 have any comments. Okay. With that, hearing none, we will adjourn this
25 meeting.

1 (Whereupon, the above-entitled matter went off the record at

2 12:18 p.m.)