

Official Transcript of Proceedings

NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards,
Digital I&C and Electrical Systems
Open Session

Location: teleconference

Date: Thursday, March 20, 2025

Work Order No.: NRC-0269

Pages 1-73

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1716 14th Street, N.W.
Washington, D.C. 20009
(202) 234-4433

DISCLAIMER

UNITED STATES NUCLEAR REGULATORY COMMISSION'S
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

The contents of this transcript of the proceeding of the United States Nuclear Regulatory Commission Advisory Committee on Reactor Safeguards, as reported herein, is a record of the discussions recorded at the meeting.

This transcript has not been reviewed, corrected, and edited, and it may contain inaccuracies.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 UNITED STATES OF AMERICA

2 NUCLEAR REGULATORY COMMISSION

3 + + + + +

4 ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

5 (ACRS)

6 + + + + +

7 DIGITAL INSTRUMENTATION & CONTROLS AND ELECTRICAL

8 SYSTEMS (DIGITAL I&C) SUBCOMMITTEE

9 OPEN SESSION

10 THURSDAY

11 MARCH 20, 2025

12 The Subcommittee met via Video-
13 Teleconference, at 1:00 p.m. EDT, Thomas E. Roberts,
14 Chair, presiding.

15 COMMITTEE MEMBERS:

16 THOMAS E. ROBERTS, Chair

17 RONALD G. BALLINGER, Member

18 VICKI M. BIER, Member

19 VESNA B. DIMITRIJEVIC, Member

20 CRAIG A. HARRINGTON, Member

21 GREGORY H. HALNON, Member

22 ROBERT P. MARTIN, Member

23 SCOTT P. PALMTAG, Member

24 DAVID A. PETTI, Member

25 MATTHEW W. SUNSERI, Member

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 ACRS CONSULTANTS:

2 DENNIS BLEY

3 CHARLES BROWN, JR.

4

5 DESIGNATED FEDERAL OFFICIAL:

6 CHRISTINA ANTONESCU

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

P-R-O-C-E-E-D-I-N-G-S

1:00 p.m.

CHAIR ROBERTS: Okay. This meeting will now come to order. This is a meeting of the Digital I&C and Electrical Systems Subcommittee. I am Tom Roberts, chairman of today's subcommittee meeting. ACRS members in attendance in person are Ron Ballinger, Craig Harrington, Greg Halnon, Bob Martin, Scott Palmtag, Matt Sunseri, and myself. ACRS consultant present in person is Charlie Brown. ACRS members in attendance virtually via Teams are Vicki Bier, David Petti, and is Vesna on?

MS. ANTONESCU: She's supposed to be.

CHAIR ROBERTS: And Vesna Dimitrijevic. Thank you. And Dennis Bley, our consultant, is also online via Teams. If there's any other ACRS members or consultants that I've left out, please speak up now.

So Christina Antonescu of the ACRS staff is the Designated Federal Officer for today's meeting. No member conflicts of interests have been identified for today's meeting, and we have a quorum.

During today's meeting, the subcommittee will receive information on the staff's electrical power and environmental qualification activities.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 It's worth noting that this subcommittee, which is
2 commonly referred to as the Digital I&C subcommittee,
3 also has to review electrical systems issues. While
4 we periodically hold meetings to review the status of
5 digital I&C issues, we have not retained or been asked
6 to review electrical systems issues. With that, we
7 could not find a record of any such previous meetings.
8 Given the importance of electrical systems and
9 reliability and safety, now is a good time to start
10 such briefings, and we greatly appreciate the staff's
11 efforts to put together today's briefing.

12 The staff will brief us on several current
13 issues, including revised guidelines for environmental
14 qualification of electrical equipment, alignment with
15 the Commission's probabilistic risk assessment, or
16 PRA, policy, and several draft new and updated
17 regulatory guides. Also, the staff will address
18 ongoing coordination with the Federal Energy
19 Regulatory Commission (FERC) and North American
20 Electric Reliability Corporation (NERC) on the state
21 of the grid and international activities.

22 The ACRS was established by statute and is
23 governed by the Federal Advisory Committee Act, or
24 FACA. The NRC implements FACA in accordance with its
25 regulations found in Title 10, Part 7, of the Federal

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 Code of Regulations. Per these regulations and under
2 the Committee's bylaws, the ACRS speaks only through
3 its published letter reports. All member comments
4 will be regarded as only the individual opinion of
5 that member, not a committee position.

6 All relevant information related to ACRS
7 activities, such as letters, rules of meeting
8 participation, and transcripts are located on the NRC
9 public website and can be easily found by typing about
10 us ACRS in the search field on NRC's homepage. The
11 ACRS, consistent with the agency's value of
12 transparency in regulation of nuclear facilities
13 provides opportunities for public input and comment
14 during our proceedings. We have received no written
15 statements, or requests to make an oral statement,
16 from the public. We have set aside time at the end of
17 this meeting for any public comments.

18 The subcommittee will gather information,
19 analyze relevant issues and facts, and formulate
20 proposed conclusions and recommendations, as
21 appropriate, for deliberation by the full committee.
22 I expect today's meeting will be informational only,
23 and there won't be any further deliberations, but
24 we'll decide that at the end of the meeting.

25 A transcript of the meeting is being kept

1 and will be posted on our website. When addressing
2 the committee, the participants should first identify
3 themselves and speak with sufficient clarity and
4 volume so that they can be readily heard. If you are
5 not speaking, please mute your microphone on Teams or
6 by pressing *6 on your phone.

7 Please do not use the Teams chat function
8 to conduct sidebar discussions related to
9 presentations. Rather, limit use of the meeting chat
10 function to report IT problems. For everyone in the
11 room, please put all your electronic devices in silent
12 mode and mute your laptop microphone and speakers. In
13 addition, please keep sidebar discussions in the room
14 to a minimum since the ceiling microphones are live.

15 For the presenters, your microphones are
16 unidirectional and you'll need to speak into the front
17 of the microphone and pull them closer to you to be
18 heard. If you have any feedback for the ACRS about
19 today's meeting, we encourage you to fill out the
20 public meeting feedback form on the NRC's website.

21 With that, we'll now proceed with the
22 meeting and I'll ask Mr. Wendell Morton of the NRR
23 staff to begin opening statements. Wendell.

24 MR. MORTON: We very much appreciate that.
25 So my name is Wendell Morton. I'm the branch chief of

1 Electrical Engineering Discipline in the Division of
2 Engineering and External Hands and also Nuclear
3 Reactor Regulation. I want to say we appreciate the
4 ACRS invitation for this meeting. It's been a first-
5 of-a-kind for us, and we're looking definitely forward
6 to the conversation and giving you an update on the
7 wonderful things the staff is doing in the electrical
8 discipline.

9 Obviously, we deal with a lot of
10 challenging topics and issues, as well, (Audio
11 Interference.) participating in past meetings and had
12 a lot of successes, and this presentation will go a
13 long way to just give you an update on all those great
14 things we're working on to kind of, you know, further
15 the NRC's mission of being a modern risk-informed
16 regulatory. Along with my staff, I want to definitely
17 thank them all for contributing to this presentation
18 and also for the wonderful work that they do to
19 support us and also our management here, as well. Our
20 division director, Tania Martinez Navedo, is right
21 here next to me.

22 So with that being said, we thank you for
23 this invitation and look forward to this conversation
24 and may more come in the future. And after that, I'll
25 kick it to my staff who will be giving this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 presentation, Sheila Ray and Liliana Ramadan.

2 MS. RAMADAN: Good afternoon. My name is
3 Liliana Ramadan, and, as Wendell stated, we are here
4 to present an overview of our electrical engineering
5 activities. And if we can go to the slide for the
6 overview of pertinent regulations. It pretty much
7 gives a depiction of what regulations our activities
8 fall under.

9 Next slide. This slide specifically
10 focuses on how we review complex electrical
11 engineering safety and regulatory issues within the
12 licensing purview. Some of our evaluations include
13 designs that propose electrical tower system
14 modifications to operating reactors, such as license
15 amendments, notice of enforcement discretion
16 allegations and power uprates. We also provide
17 specialized technical assistance and advice to other
18 divisions, regions, and offices. We participate in
19 audits and inspections as technical specialists and
20 team members.

21 Next slide. In the next couple of slides,
22 I will be going over the open-faced condition. And
23 with that, what is open-faced condition, also known as
24 OPC? It's the loss of two of three phases of the off-
25 site power circuit on the high-voltage side of a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 transformer connecting an off-site power circuit to
2 the transmission system. The operating experience and
3 the Byron event demonstrated that OPC may be difficult
4 to detect by the existing plant instrumentation and
5 electrical protection schemes under all operational
6 conditions, and there is a potential for severe
7 voltage unbalance resulting in the degradation or the
8 failure of electrical equipment. In some cases, the
9 inability to detect and disconnect the degraded power
10 source from the safety bus prevents the transfer to a
11 standby off-site power supply and the standby
12 alternating source. OPC is considered not a common
13 event. Next slide.

14 CHAIR ROBERTS: If I could pause you just
15 for a little bit. I had asked for this to be in the
16 presentation because this was a major electrical power
17 issue back in the 2012 to probably 2015 time frame,
18 and there was a lot of activity that took place
19 through the entire fleet to address these issues. And
20 it was almost closed out until the Palisades plant
21 decided to restart. They listed this as one of their
22 major open issues in the presentation they gave us
23 several months ago.

24 So given the time that's passed and the
25 fact that many of us were not involved with the ACRS

1 or NRC activities back 10 - 12 years ago, I thought it
2 worth a little bit of time for the staff to review the
3 issue and bring us up to speed on what the concerns
4 were and what they still are.

5 MR. BROWN: Just one observation on the
6 open phase. AC circuits, basically, are either three-
7 phase Y connected, like the Y, or they're delta. If
8 you have a Y connection and you lose a phase, you go
9 from three to one, which is very difficult to detect.
10 The delta can actually keep operating because you
11 still have two out of three phases, and it presents
12 another set of problems in terms of the currents
13 issue, the size of your tables. So I just want to try
14 to give a little, call it a lecture or an observation
15 on what it really means when they talk about open-
16 phase circuits because it's not necessarily obvious to
17 all those who don't deal with this garbage all the
18 time.

19 Anyway, that was just trying to give
20 people a calibration.

21 MS. RAY: This is Sheila Ray, senior
22 electrical engineer in NRR. I just wanted to mention
23 the bulletin is already closed out, and we'll be
24 discussing a little bit further on that. I just
25 wanted to clarify.

1 MS. RAMADAN: Next slide, please. The NRC
2 addressed OPC through NRC's Bulletin 2012-01 which
3 focused on the design vulnerabilities that require the
4 licensee's response to mitigate potential impacts on
5 safety. To address OPC, the licensee had two options:
6 the auto-detection option and the risk-informed
7 option. As the bulletin noted, approximately 65
8 percent of the operating reactors adopted the risk-
9 informed option. And what the risk-informed option
10 basically allowed the licensees and applicants to
11 demonstrate that operator manual would be sufficient
12 to mitigate the impact in lieu of automatic
13 protection.

14 Next slide. And this slide depicts some
15 of the past actions taken by the staff. As stated
16 earlier, the NRC issued Bulletin 2012-01 to request
17 information about the facility's electrical power
18 system designs in the light of the OPC design
19 vulnerability. In response to the Bulletin 2012-01,
20 the licensee stated that the OPC design vulnerability
21 existed at all operating reactors.

22 In 2013, the industry-wide initiative was
23 submitted of the proposed resolution to the OPC issue.
24 A summary report documented the NRC staff's review of
25 the licensee's response.

1 In 2015, BTP 89 was issued to provide the
2 OPC-related guidance to conduct license amendment
3 reviews. In 2016, the Temporary Instruction 2515/192
4 was developed to provide NRC inspectors guidance to
5 verify interim compensatory measures to the OPC issue.
6 In 2017, the SRM to the SECY-16-0068 established a
7 basis for the OPC evaluations and direction to the
8 staff.

9 Next slide. In 2020, the NRC developed
10 the TI 2515/194 that provided to the inspectors
11 guidance to verify that the licensees appropriately
12 implemented the NEI voluntary industry initiative.
13 Using the TI 2515/194, inspectors conducted
14 inspections at all operating reactors. In 2023, the
15 OPC issue was closed by the bulletin through the FRN
16 with the exceptions for Palisades and the Vogtle new
17 units.

18 MEMBER HALNON: To give you all a little
19 perspective from the licensee perspective or side of
20 the things, a voluntary industry initiative is bubbled
21 up to the CNOs and the committee called in SIAC. It's
22 the Nuclear Strategic Initiatives Advisory Committee
23 of NEI, and they all vote to kind of ratchet each
24 other to do it and to make sure their responses back
25 to the NRC is a commitment basically. And what it

1 does is puts a little bit more control in licensees'
2 hands about whether it's safety-related and non-safety
3 related or whether it's a detection or auto-trip, like
4 the two options that you gave with the different ways
5 that people could do it and also the timing of it
6 because it would usually require some kind of outage
7 to be able to install it. Obviously, locals put that
8 aside. Palisades was shutting down, so they just let
9 it expire basically. They said, we don't need to do
10 it because we're not going to have any power going out
11 on that. So this gave the industry a lot of
12 flexibility.

13 I was going to ask you how did that
14 voluntary initiative go through the bulletin? This is
15 a high-visibility voluntary initiative. There's other
16 ones, like the MRP, another thing we do through the
17 materials folks. Could this go pretty well from your
18 perspective, the standpoint of allowing the industry
19 to kind of design and set the requirements themselves
20 and be able to verify through temporary instruction?

21 MS. RAMADAN: Yes, it did. And there's a
22 subject matter expert online that can speak to that,
23 and I would revert to Vijay to kind of go over a
24 little bit more on the specifics. Vijay, if you don't
25 mind.

1 MR. GOEL: Yes. This is Vijay Goel from
2 electrical engineering branch. Yes, I was very much
3 involved with this. So it went very well actually.
4 Initially, NEI came with their validity initiatives,
5 and we definitely appreciated that. And, initially,
6 they had, like, stripping that came with the risk-
7 informed option, and NRC independently evaluated that.
8 That is optional, legally good. So, basically, all
9 the plants have implemented very satisfactory the open
10 phase, and the NRC is satisfied with their responses
11 and we closed the issues at all the operating plants.
12 Thank you.

13 MEMBER HALNON: Thank you, Vijay. And the
14 other option would have been the backfit plants.
15 That's a very expensive and manpower-intensive on both
16 sides of the table in that respect, so this saved a
17 lot of money and a lot of flexibility on both sides.
18 I'm not going to say they collaborated really well,
19 but the industry offered up an acceptable solution and
20 regulatory structure for that.

21 MR. GOEL: Yes, definitely. Yes, that's
22 good. Thank you.

23 MR. MORTON: This is Wendell Morton, if I
24 could jump in to make an additional point on top of
25 Vijay's. I do think, coming in from a different

1 discipline, I&C, where I spent most of my bread and
2 butter, I think this represents a really good example
3 of a really good collaborative effort between industry
4 and the staff in developing acceptable solutions --

5 MS. ANTONESCU: Can you speak up, please?

6 MR. MORTON: Can you hear me now? Sorry.
7 I thought this really represented an excellent example
8 of collaborative effort between industry and the staff
9 to develop a technically-sufficient solution to
10 address a problem that was identified that we all got
11 mutual benefit from. So I want to point that out,
12 too, and kind of re-emphasize that for the electrical
13 discipline. Thank you.

14 CHAIR ROBERTS: This is a case where an
15 event, and Charlie talked about it, Y versus delta,
16 and the people that work in three-phase powers since,
17 I don't know, a couple hundred years, at least a
18 hundred years. But this is one where operating
19 experience revealed a vulnerability where you had what
20 was essentially an undetectable or undetected failure
21 that could impede the operation of safety -- the
22 cooler is important to safety, so it's important to
23 come up with an approach to, you know, mitigate it.

24 And I guess, before we go back to you,
25 Charlie, I was wondering if Dennis, who is very deeply

1 involved with the issues back when they were working
2 in the, you know, 10 to 12-year time frame, Dennis, I
3 wondered if you would make any more observations.

4 DR. BLEY: No. I think the staff is doing
5 great. There were so many people jumping in. EPRI
6 came and gave us a presentation on a solution that
7 they developed, and some of the vendors were upset
8 that they were competing with EPRI members to some
9 extent. Anyway, they were good solutions.

10 MR. BROWN: One other observation, piece
11 of information rather. If you lose it in a Y,
12 everything goes to a stop. If you're in a delta
13 configuration was the phase, if the transformer is
14 rated properly, you can supply about, I think it's,
15 like, 63 percent -- I haven't got the exact number;
16 it's in the ballpark -- of the rated load. So if your
17 rated load is actually on that transformer or whatever
18 the gear you're coming out of is less than 63 percent,
19 you keep on running. If it's greater than that, you
20 may not see it, but all of your currents, everything
21 is out of balance by then.

22 So you don't detect that by just listening
23 to the plant. It's not particularly obvious. My Navy
24 experience, I never ran into one of these in 35 years,
25 so it's not like they happen all the time. And the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 Navy is fundamentally Y-connected circuits, so, if you
2 lose something, you're going to lose it in a plant
3 pretty quickly just based on plant parameters. Just
4 a calibration thought process on this issue.

5 PARTICIPANT: So there's no protection
6 mechanisms in response --

7 MR. BROWN: It's not readily obvious,
8 depending on the loads and the size. These are big
9 transformers in many cases, so those single-phasing
10 auto Y is more obvious because you rapidly start
11 losing other things because it's feeding a number of
12 different systems.

13 PARTICIPANT: And you would expect this to
14 be something that could occur in lifetime of plant.

15 MR. BROWN: It turns out transformers are
16 pretty darn robust, but, like I say, 35 years working
17 on all the stuff I worked with over because Rickover
18 expected us to be aware of all the electrical stuff,
19 even though we were a downstream user of the power in
20 the submarines, not solely responsible, although I
21 hate to say it, anytime something broke, he told us to
22 make sure it got fixed.

23 MEMBER HALNON: That's pretty good,
24 Charlie. It took you only 20 minutes to get through
25 the right -- other one.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 (Laughter.)

2 PARTICIPANT: It's an honest question,
3 though, if he was you'd think that, because the phase
4 became disconnected at an operating plant, and they
5 initially had trouble detecting it, but they detected
6 all the ancillary effects of the voltage.

7 MEMBER HALNON: I was going to mention,
8 that's the safety issue, especially with the deltas
9 issue. This is the power going back into the plant,
10 the essential services power, not necessarily power
11 going out, although that's a problem, too. But you
12 could be running your equipment and it degraded, and
13 not know it and be messing up the motors in addition
14 so they're not operability. So you lose your ACCS
15 operability pretty quickly.

16 MR. BROWN: An unbalanced day's operation
17 can overheat motors, all types of other items that
18 you've got that are fed by three phase.

19 DR. BLEY: As Charlie says, the unbalanced
20 condition can lead to really high currents, and they
21 go high fast enough that the protective circuits won't
22 protect the equipment. It's possible.

23 MR. BROWN: They can also stay under the
24 -- depending the load on that particular transformer's
25 configuration. They just sit there and sizzle for a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 while.

2 PARTICIPANT: So, Tom, what was the fix?
3 What would that be? Just a detect --

4 CHAIR ROBERTS: I'll have to turn that
5 back to Liliana, but the two-phase would always have
6 some sort of detection circuit, and the other was to
7 do a risk-informed evaluation that you could basically
8 deal with the delay in finding the problem when it
9 happens. I hope I read that right.

10 MR. BROWN: And that's what the Navy did.
11 We never put anything in, at least to my knowledge.

12 MEMBER HALNON: At some points but some
13 phase-to-phase monitoring in with alarms that may have
14 complemented the risk-informed way. Some put
15 automatic systems in. They tried to stay from the
16 automatic systems just because of the maintenance and
17 all the stuff around it, but there was some hardware
18 usually on the --

19 (Simultaneous speaking.)

20 MEMBER HALNON: Detection protection, yes.

21 MEMBER HARRINGTON: The challenge is if it
22 happens on a standby transformer that's extremely
23 lightly loaded, you just can't detect it because
24 there's no --

25 MS. ANTONESCU: Can you please identify

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 yourselves when you speak --

2 MEMBER HALNON: Yes. This is Greg. Part
3 of the problem is the plants would go on their
4 auxiliary power and running off their output of their
5 transformer generator to get the fast transfer to the
6 -- essentially, even when you're getting fast
7 transfer, if you have a lost split one phase out, then
8 you're done because this usually happens out in the
9 switch yard or beyond where you lose that problem, or
10 you lose that phase.

11 MS. RAMADAN: Next slide. As stated in
12 the previous slides, we reviewed complex electrical
13 engineering safety and regulatory issues in the
14 licensee's review, primarily of the combined operating
15 license applications research test reactor amendments
16 and certification reviews for advanced reactors under
17 10 CFR Part 50 and 52. And, currently, we are engaged
18 in pre-decisional application review activities for
19 the Sodium reactor, and we also continue to engage in
20 the review activities for the NuScale US460 standard
21 design approval for the light water technology small
22 modular reactor. On November the 5th, 2024, we
23 presented to the ACRS subcommittee the staff's review
24 of the US460 Design Approval Application Final Safety
25 Analysis Report, revision 1, for Chapter 8, Electrical

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 Power.

2 Next slide. And for this one, we're just
3 currently evaluating electrical systems in support of
4 decommissioning activities.

5 MEMBER HALNON: The Crane Energy Center is
6 working on repowering their -- they sold one of their
7 big transformers to TMI 2 for decommissioning. Are
8 you or will you be involved in making sure, when they
9 repower Unit 1, that they haven't dismantled
10 electrical systems such that they weren't keeping
11 their cable -- a lot of things go down, go away when
12 you're decommissioning and go to cold and dark
13 condition. Will you be doing any kind of interaction
14 with them to make sure that their electrical systems
15 are back up to snuff?

16 MS. RAMADAN: For the decommissioning
17 aspect of the electrical reviews?

18 MEMBER HALNON: No, the repowering of Unit
19 1.

20 MS. RAMADAN: I would refer to Wendell on
21 the specific question.

22 MS. MARTINEZ NAVEDO: This is Tania
23 Martinez Navedo. With respect to that particular
24 restart project, it's very early in the project to
25 have advanced technical discussions, but I do say

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 that, for Palisades, there has been some touchpoints
2 with the electrical staff. So that might be a
3 potential conversation we're going to have with them.

4 MEMBER HALNON: Okay. Yes. It seems
5 like, somehow, you're going to have to be involved,
6 especially when you start looking at the submerged
7 cables in units that have been shut down. You don't
8 worry about the cable balls getting filled with water
9 if you don't have any power going through them back.
10 So it seems like there would be some that we (Audio
11 Interference.)

12 MS. MARTINEZ NAVEDO: Yes. That and, for
13 example, if somebody needs to provide some information
14 on the equipment that held qualification during the
15 time the plant was shut down. So there are
16 conversations of that sort happening at this moment
17 for Palisades, but we will certainly have those
18 further projects.

19 MEMBER HALNON: They have to come in and
20 start talking. Thanks.

21 MS. RAMADAN: Next slide, please. We also
22 review electrical engineering safety and regulatory
23 issues in license renewal and subsequent license
24 renewal reviews under 10 CFR Part 54 where we focus on
25 the license renewal review to ensure that the effects

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 of aging will be adequately managed throughout the
2 period of extended operation. As a background,
3 license renewal is the renewal from 40 to 60 years.
4 A subsequent license renewal is from 60 to 80 years.

5 Our electrical reviews are limited to
6 long-lived passive in-scope components, including SVO
7 recovery path. They're mostly limited to cables, fuse
8 holders, metal and closed bus, connections, switch
9 yard insulators, transmission conductors.

10 The aging management programs are
11 primarily condition monitoring with limited actions.
12 The electrical time-limiting aging analysis is usually
13 covered under the EQ program. High voltage insulators
14 and transmission conductors are covered at site-
15 specific further evaluation.

16 Currently, in-house, we are reviewing
17 Perry, Diablo Canyon, Browns Ferry, Clinton, and
18 Dresden applications. The remainder of the
19 application safety evaluations have been completed.
20 Also in-house, we are currently adjusting to new
21 metrics where we continue to apply process
22 improvements, lessons learned, and engagement with
23 industry to ensure that appropriate credit for
24 operational programs occurs.

25 Next slide. We also collaborate with

1 research on these projects. For the valve-regulated
2 lead-acid battery project, it's basically we are doing
3 a feasibility study to determine how the operational
4 and environmental conditions and failure modes could
5 affect the service life for VRLA batteries, and this
6 project currently has a direct correlation to what we
7 are currently working in-house.

8 The second project, the islanding, is
9 basically a research that would determine the --

10 CHAIR ROBERTS: Liliana, what would be the
11 end result for the VRLA study? Would you rather have
12 a reg guide or add to a reg guide some endorsement of,
13 you know, approaches to refine a VRLA battery?

14 MS. RAMADAN: Yes. And, currently, once
15 that's completed, our intentions are to do a new
16 regulatory guidance on this particular technology.

17 CHAIR ROBERTS: So what are you seeing so
18 far? Are there any hard spots or things that are
19 challenging?

20 MS. RAMADAN: Right now, we're currently
21 in the draft stages of the regulatory guidance, and we
22 have taken some exceptions to it. But we also, for
23 the IEEE standards that we're endorsing, they are
24 currently getting updated and the final publication
25 should be occurring and we will follow pursuit with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 our guidance.

2 CHAIR ROBERTS: Okay. So no technical
3 issues that you know of, just trying to get
4 synchronized with the paper?

5 MS. RAMADAN: Correct. None that we are
6 aware at this point.

7 CHAIR ROBERTS: My understanding is the
8 reason why NuScale EDAS system is not safety related
9 is because there's no, you know, technical bases for
10 the VRLA battery; is that right?

11 MS. RAMADAN: Correct.

12 CHAIR ROBERTS: Okay. Thank you.

13 MS. RAY: We also are involved in the
14 assessment of the NUREG/CR-7153, and we also are
15 involved in the future-focused research, which is a
16 study on novel and innovative cable condition
17 monitoring techniques.

18 CHAIR ROBERTS: Can you talk a little bit
19 more on islanding? I might have missed it. What is
20 islanding and what's the focus of the research there?

21 MS. RAMADAN: Islanding is, basically,
22 we're trying to determine the possible challenges for
23 the nuclear power plants and advanced reactors during
24 the transition, operation, and recovery from islanding
25 mode operation. Just trying to get an understanding

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 of what the mode rejection events would be, what would
2 be the electrical power system responses, and what
3 those challenges would be.

4 MEMBER HALNON: Okay. Islanding would be,
5 like, a microreactor that supplies its own grid, and
6 there's nothing else to support?

7 MS. RAMADAN: Correct.

8 CHAIR ROBERTS: Okay.

9 MS. RAMADAN: Next slide. We provide
10 evaluation for design applications for new reactors,
11 advanced and small modular reactors regarding the EQ
12 program. For the license renewal and subsequent
13 license renewal activities, we engage in the review of
14 electrical components within the EQ program of
15 electrical equipment for managing the effects of aging
16 for applicable components during the period of
17 extended operation.

18 With the proposed rule on increased
19 enrichment of conventional and accident tolerant fuel
20 design for light water reactors, there's a potential
21 request by the licensees to increase the power output
22 of reactors, and we are currently involved in the EQ
23 review to ensure that the structure systems and
24 components are able to accommodate the conditions that
25 would exist at these higher power levels and the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 extension of the refueling frequencies.

2 Some of these conditions can have
3 potential impacts to the EQ design input, such as the
4 radiological dose, pressure, and temperature. So
5 that's currently what we are working on during this
6 program. Next slide.

7 CHAIR ROBERTS: Are you going to talk
8 later about design basis versus beyond design basis
9 environments? Okay. I'll wait until you get there.

10 MS. RAY: Thanks, Lily. I'm going to take
11 over. My name is Sheila Ray. I'm a senior electrical
12 engineer in the Electrical Engineering branch. I've
13 been here 20 years. Also, I'm a licensed professional
14 engineer in the state of Maryland.

15 We're actually going to switch topics to
16 infrastructure, and I'm really excited to share the
17 immense work we do in this area. So both electrical
18 and PRA staff participate in several IEEE groups,
19 provide technical expertise, and to present agency
20 positions for potential inclusion in standards.
21 Specifically, we participate in the IEEE Power and
22 Energy Society in the committees listed on this slide.

23 We developed a successful and cohesive
24 vision and strategy to endorse IEEE standards and
25 regulatory guides. Our strategy is multifaceted and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 results in efficiency and regulatory processes and
2 reduced time frames to complete reg guides. In line
3 with the ADVANCE Act, we endorse standards for future
4 reactors. We focus on the mission and regulatory
5 requirements when determining if a standard should be
6 endorsed in a new reg guide or to revise an existing
7 reg guide. This approach for staff and constituents
8 allows them to navigate and use reg guides, and it
9 prevents an ad hoc approach.

10 Also, as the group gathers and analyzes
11 operating experience, it informs the reg guide
12 process. For example, the timing of a reg guide
13 update may change if there's numerous operating
14 experience events on a particular component.

15 Our strategy includes creating and
16 revising reg guides such that they're applicable to
17 licensees and applicants subject to 50 and 52.
18 Thereby, the reg guides are applicable to operating
19 reactors, new reactors, advanced reactors, SMRs, as
20 well as nuclear facilities in some cases.

21 Slide 21. Oh, sorry. Slide 20. In our
22 strategy, we ensure reg guides are fully aligned with
23 Commission PRA policy and provide risk-informed and
24 performance-based metrics. We particularly focus on
25 combining standards on one technical topic in a reg

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 guide. For example, in Reg Guide 1.9, we focus on
2 emergency on-site power sources, including diesel
3 generators and combustion gas turbines. Another
4 example is Reg Guide 1.204, where we endorse multiple
5 standards on lightning protection.

6 This strategy is beneficial in several
7 ways. It reduces staff hours, reduces costs, creates
8 a one-stop shop for agency policy on the technical
9 topic, and allows for greater efficiency.

10 Slide 21. Given the numerous IEEE
11 standards, a variety of staff working on reg guides,
12 and applicability to 10 CFR Parts 50 and 52, a tool
13 was developed for staff to understand the reg guide
14 process and also increase process efficiency. While
15 research owns the reg guide process, electrical staff
16 are the technical leads and develop the content of the
17 reg guide. The checklist is a living document that
18 outlines actions for staff and incorporates lessons
19 learned.

20 Another example of our commitment to
21 process efficiency is the development of a briefing
22 sheet that highlights risk principles when presenting
23 to management.

24 MEMBER HALNON: Where it says your
25 electrical staff has technical leads, can you just

1 explain how research, since they kind of control the
2 reg guides, how they work with you on that? Plus, I
3 assume that there's committee intendants and
4 membership, as well.

5 MS. RAY: Sure. So many electrical staff
6 attend the IEEE working groups to develop a standard,
7 so we are including the NRC position in the standards
8 for consideration. So many of those staff will write
9 the actual reg guide to endorse the standard, and
10 then, usually, when we write the reg guide, we'll hand
11 it over to research and they take it through the
12 process, meaning through the concurrence process,
13 providing it to ACRS for comment, issuing it for
14 public comment. And then, once the public comments
15 are in, they gather the public comments, and then the
16 technical lead will address the public comments and
17 revise the reg guide. And then research will then
18 finally issue the reg guide. So it's a very much
19 joint hand-in-hand collaboration.

20 DR. BLEY: Sheila, this is Dennis Bley.
21 Kind of how has that been working when the nuclear is
22 not the main actor in all this electrical stuff but
23 we're a significant actor? You get the standards the
24 way you want them pretty well, or do you have to do
25 quite a few exceptions and clarifications?

1 MS. RAY: It depends on the regulatory
2 guide. As you mentioned, there are some IEEE groups
3 that are specific to nuclear and others where the
4 equipment is not specific to nuclear. For example,
5 batteries, vented lead-acid batteries are used in many
6 industries: telecom, military. It's not specific to
7 nuclear. So in those cases, sometimes, we may have to
8 add some clarifications or supplements.

9 For reg guides or standards particular for
10 nuclear, I think it's an easier process to endorse
11 them.

12 DR. BLEY: That makes sense. Thanks.

13 MS. RAY: Sure. Other questions? Moving
14 on to slide 22 regarding Draft Guide 1427. This is
15 Qualification of Fiber-Optic Cables, Connections, and
16 Optical Fiber Splices. The DG was issued in October
17 of 2024. We received public comments, and the staff
18 has addressed them. Final reg guide is in concurrence
19 and expected to be issued in spring 2025.

20 Slide 23. We have seen some --

21 DR. BLEY: Dennis again. On the
22 fiberoptic stuff, is there much of it in the plants
23 now? I'm not aware. I haven't been out there a lot
24 in the last few years. What have we been doing before
25 we get this guidance?

1 MS. RAY: There were two questions in
2 there. What fiberoptic cables are in there, my
3 understanding, it's more for instrumentation than
4 power. It's control systems.

5 CHAIR ROBERTS: They use it for isolation
6 quite often to prevent crosstalk between channels.

7 MS. RAY: I'll also defer to my colleague,
8 Matt McConnell. I think he's on the line.

9 MR. McCONNELL: Yes. Good afternoon.
10 This is Matthew McConnell, senior electrical engineer
11 in the Long-Term Operations and Modernization branch
12 in NRR, and also the agency's EQ SME.

13 So with regard to the question on
14 fiberoptics, we've been seeing that more often in the
15 digital I&C upgrades. And, generally, these
16 fiberoptic cables are installed in locations that
17 would be considered a mild environment, so it would be
18 covered under more the 50.55(a)(h) or the GDC-4
19 criterion for qualification versus 50.49, hopefully,
20 to answer your question.

21 DR. BLEY: Yes, that's good. Thanks.

22 MS. RAY: Member Bley, did that answer
23 your second question, as well?

24 DR. BLEY: It's good enough. Thanks.

25 MS. RAY: Okay. We'll continue. Slide

1 23.

2 CHAIR ROBERTS: Just to clarify, on the
3 previous slide, the plan to issue the final reg guide
4 in spring 2025, the process would have you run it
5 through the ACRS staff first, so when do you expect
6 that to happen?

7 MS. RAY: In the next coming weeks.

8 CHAIR ROBERTS: Great. Thank you.

9 MS. RAY: It's in concurrence. Once we
10 get to a certain point in concurrence, it will be
11 shipped over to you promptly.

12 CHAIR ROBERTS: Great.

13 MS. RAY: So one of the comments from ACRS
14 member -- we really appreciate those comments -- was
15 regarding the qualification of equipment for beyond
16 design basis accidents. Staff added a clarification
17 in the background section related to the 5155
18 equipment relied on for beyond design basis must have
19 sufficient capacity and capability. And to
20 demonstrate that capacity and capability, type testing
21 was used to --

22 CHAIR ROBERTS: Yes. Probably should
23 interrupt you to give a little background, people may
24 not remember from six months ago, but we had a
25 discussion on this draft guide and one of the concerns

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 I had was that the draft guide had several exceptions
2 listed, I think there were six total, all would have
3 said that anything in the IEEE standard that had to
4 deal with beyond design basis conditions. They called
5 it design extension conditions, I think, is the
6 international terminology used, but it's really for
7 severe accident conditions where, basically there's an
8 exception to not meet them, that they weren't invoked
9 as requirements or what do you call it? They weren't
10 invoked as operative guidance. And I was wondering
11 why that would be the case because there are certain
12 requirements in the regulations for beyond design
13 basis conditions, you know, things like -- the
14 complementary design criteria I think they're called
15 in LMP, for example, requires you to have equipment
16 operability in those environments and there was some
17 discussion of non-safety with special treatments for
18 advanced light water reactors.

19 So it wasn't clear to me why those would
20 be excepted, you know, take an exception to in the
21 draft guidance. SO I think Sheila, your -- intent was
22 to answer that question.

23 MS. RAY: Sure. So our regulatory guide
24 focuses more on design basis accidents. So in that
25 case, we are taking an exception that you don't have

1 to use all of the type testing for design basis. You
2 can use type testing to demonstrate the capacity and
3 capability for design basis -- I'm sorry -- severe
4 accident. You do not have to use type testing or
5 severe accident, but it's one method to demonstrate --

6 CHAIR ROBERTS: I think they're agreement
7 is setting to use the term as applicable or some
8 buzzword, so it wasn't a requirement implied in the
9 IEEE standard that you had to meet all the severe
10 accident environmental conditions. It just said you
11 had to look at whether or not it was appropriate.

12 So, again, it wasn't clear to me why there
13 was an exception taken to those types of statements,
14 and it also seemed like the reg guide was, at one
15 point -- was it 89? I probably don't get the numbers
16 right but the one on, overall, the environmental
17 qualification, not specific to fiberoptics, did not
18 take exception to some of the guidelines that were in
19 that IEEE standard.

20 So I was just trying to understand what is
21 the overall theme? You know, what is it you're trying
22 to communicate with these exceptions?

23 MS. RAY: It's more of that, for design
24 basis, we wanted to make it very clear and then
25 separate out beyond design basis. Go ahead.

1 MR. BROWN: This is for fiberoptic cable.

2 MS. RAY: Fiberoptics and --

3 MR. BROWN: That's what we're talking
4 about. I just want to make sure I'm on the right page
5 here.

6 MS. RAY: Yes.

7 MR. BROWN: I don't know about commercial
8 experience, and we haven't had a naval nuclear reactor
9 beyond design basis accidents occur. But in testing
10 of normal cables that you find, electrical cables, and
11 the advances in materials that they've used for
12 insulations and other type stuff, there's some pretty
13 severe steam and other temperature conditions that
14 were beyond what you would design for, and they worked
15 okay.

16 Fiberoptic cable is a totally different
17 material and it sounds like you're using kind of a,
18 well, they ought to maybe perform okay in the beyond
19 design basis world and we're just going to kind of
20 take a chance that they will. That's what I got. I'm
21 not trying to be negative --

22 MS. RAY: Right. We're commenting that
23 type testing is one way to demonstrate --

24 MR. BROWN: But I'm just saying that the
25 type testing is one thing, but real world experience

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 of normal standard cables in environmental conditions
2 that exceed what they are type tested for has
3 generally been that they work. They might not work
4 for three months, but they will work for three weeks
5 or whatever it is, whereas fiberoptic cables are not
6 -- that material that's internal to the cables is far
7 less robust than copper and normal insulation
8 materials.

9 So how do you translate that thought
10 process into the beyond design basis world saying that
11 we're not really worried about -- it sounds like we
12 don't have any basis for making that extension; that's
13 a better way for me to phrase it. So I don't quite
14 understand that.

15 MS. RAY: I will also ask my colleague,
16 Mr. Matt McConnell, to jump in.

17 MR. McCONNELL: Yes. This is Matthew
18 McConnell again, senior electrical engineer with the
19 NRR. It's interesting, speaking specifically to
20 fiberoptics, that my experience with them and in
21 talking with various vendors that have put them
22 through significant testing with radiation,
23 temperature, and whatnot, that, initially, there was
24 concerns about potentially discoloration causing
25 problems with the reflection/refraction properties to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 be able to transmit signals, but they actually found
2 in the end that, when they subjected them to the
3 extremes, that the actual glass material itself had a
4 healing property that would actually improve the
5 actual signal strength. That's something that
6 happened over time. It's almost like scarring where
7 you or even a weld where you maybe are damaging,
8 purposely damaging something, but then it gets
9 improved over time.

10 So I just wanted to throw that in there as
11 far as they are actually been demonstrated, they have
12 been demonstrated to be rather robust, even though,
13 currently, what we've seen is that they're being put
14 into mild environments that would, under pretty much
15 no circumstance, be exposed to what would be
16 considered a severe accident or beyond design basis.
17 Thank you.

18 MR. BROWN: Just one observation on the
19 healing. That implies there's an initial degradation
20 but that the radiation exposure over a longer term
21 heals itself to some extent, and that's what I get out
22 of it. But that sort of says the stuff doesn't work
23 for a while, and then, several weeks later, it maybe
24 works a little bit better after a while. But that
25 doesn't help you again until in the initial parts.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 I'm just trying to get the points across
2 to make sure I understand where you're going with
3 this. I'm not against fiberoptic cables; don't get me
4 wrong. They have to be used in certain circumstances.
5 We definitely don't want to use co-ax if we can use
6 fiber from the normal digital controls and other type
7 stuff because you get some that are performance on
8 their operational capability.

9 But we have to be very careful on how we
10 extrapolate and say everything is okay and then also
11 while it heals later, but is that a month later, is
12 that two weeks? If somebody had something that could
13 tell us is this a matter of a few hours or is it a
14 matter of a few weeks for this healing so that they
15 come back and they work again. We haven't seen
16 anything, we haven't heard anything, at least I
17 haven't seen anything in the stuff provided, that
18 would give us a flavor to what you're talking about in
19 terms of this healing capability. I don't know if
20 you've seen that, Tom, but I haven't, so that's my
21 concern. I don't know whether Tom agrees with that or
22 not totally.

23 CHAIR ROBERTS: I think it's a matter of
24 having equipment that will work in the environment
25 that's it's accredited to work in, which is what that

1 next-to-last sub-bullet, third sub-bullet on that
2 list, says. Where it leaves me is that you're going
3 to send us the latest, you know, graph from prior and
4 the 1427 ready for issue, and we'll take a look at it.
5 You know, certainly, that last major sub-bullet would
6 resolve which it certainly could've had six months ago
7 which is that your draft seemed to preclude using type
8 testing if it says NRC doesn't endorse the position on
9 the beyond design basis conditions, design extension
10 conditions. And so if you're not endorsing, if that's
11 the terminology, then I'm probably fine with it. I
12 just want to make sure I understand where we end up.

13 MS. RAY: Yes. Our reg guide is focused
14 on design basis, and so, in that case, you don't have
15 to do type testing for design extension severe
16 accident. However, you could do type testing to
17 demonstrate the functionality in severe accident
18 situations.

19 CHAIR ROBERTS: Okay.

20 MS. RAY: And the last thing is --

21 CHAIR ROBERTS: I had a comment just on a
22 related topic, you know, the EQ environment is defined
23 in Reg Guide 1.183, it's almost a severe accident
24 environment because it assumes, you know a design
25 release or a beyond design release into containment

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 and then, if the equipment was within a containment,
2 you have to go qualify it in that environment. It's
3 just getting you closer to a severe environment
4 anyway.

5 At least with NuScale, they've gotten, I
6 was calling it an exception, but a different approach
7 to the reg guide. They do not assume a release in the
8 containment for EQ, which kind of leads to another
9 question of, okay, so for equipment that does need to
10 survive that environment, you've lost the margin that
11 you would have by using the more severe environment.

12 I don't know if you're seeing more
13 applicants wanting to go the way of NuScale or whether
14 there was any, you know, generic change you're
15 thinking of making to more explicitly account for the
16 loss of margin in some other guidelines?

17 MS. RAY: I'm going to defer to my
18 colleague, Mr. McConnell.

19 MR. McCONNELL: Yes. Matt McConnell
20 again. Yes, your comment is taken, understood. I
21 wasn't involved with the NuScale review, but I
22 understand what you're saying with regard to the
23 assumed maximum hypothetical accident that need to be
24 considered. And I think, going forward, we apply
25 50.49 as it's written, and we take that to heart as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 far as what accidents need to be considered. We
2 clarified the guidance in Reg Guide 1.89 to what needs
3 to be met and what needs to establish the framework
4 for which needs to be established.

5 If you see 50.49(b)(1)(c), I believe it
6 is, basically, it discusses and says you must assume
7 the maximum hypothetical accident. So under those
8 circumstances, yes, the conditions could be quite
9 severe and, you know, those would need to be
10 considered. Hopefully, that answered your question.

11 CHAIR ROBERTS: Yes. I think that applied
12 design with that maximum hypothetical accident isn't
13 so bad, you know, compared to what's currently defined
14 in the Reg Guide 1.183, then that's justified for that
15 plant design, but that still now leaves, if you did
16 have a beyond design basis kind of event, then you
17 would have to meet the kind of requirements that are
18 on the slide that's displayed right now, the
19 50.155(b)(1) requirements, the requirements for
20 complementary design criteria in LMP, those types of
21 things.

22 It's just something to keep an eye on.
23 You kind of get that margin for free pretty much, but
24 you use a reg guide environment because it's so
25 severe. When folks get not necessarily exceptions to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 the rule but exceptions to the reg guide, obviously,
2 you don't have reg guides and regulations, so you have
3 to, you know, except the approaches that would stay
4 within the regulations.

5 So, again, I was wondering whether you're
6 looking at more globally more than just NuScale used
7 the less severe environment for the EQ environment,
8 whether there was something you would think about
9 putting out to mitigate that or whether what's already
10 there are sufficient.

11 MR. MORTON: This is Wendell Morton. This
12 is a matter of context for your question. Similar to
13 the VRLA reg guide we are going to be producing, as we
14 get more data points, we will be looking if we need to
15 make some adjustments to our guidance, as well. But
16 we do, on each of these designs, on a case-by-case
17 basis, we see a consistent theme as we've been going
18 through and we will adjust course or adjust our paths
19 accordingly, as a general position to follow through,
20 so thank you.

21 CHAIR ROBERTS: Okay. Thank you, Wendell.

22 MS. RAY: Lastly, on this DG, we removed
23 the word exceptions and referred to items as
24 regulatory positions.

25 So we're proud to share some of our

1 upcoming work, and this first one is IEEE 1819 on
2 risk-informed categorization. The standard is being
3 revised, and the standard is expected to be published
4 in late 2026. The staff, including both electrical
5 and PRA, would consider endorsing the new revision of
6 IEEE 1819 in a new regulatory guide.

7 Additionally, on this similar topic, Reg
8 Guide 1.201 is under revision by DRA.

9 MR. BROWN: Can I ask a question? As you
10 said electrical and electric equipment. Is that now
11 springboarding into the reactor instrumentation
12 control and projection system world, or are you
13 talking about -- or is this IEEE standard dealing with
14 other stuff?

15 MS. RAY: I'm going to defer to my
16 colleague, Khoi Nguyen, who is actually on the working
17 group to revise 1819.

18 MR. BROWN: Well, it's really developing
19 the new reg guide, right?

20 MS. RAY: Understand. We have not started
21 the work on the reg guide because --

22 (Simultaneous speaking.)

23 MR. BROWN: Oh, the IEEE standard --

24 MS. RAY: Yes.

25 MR. BROWN: Oh, okay.

1 MS. RAY: Khoi.

2 MR. NGUYEN: This is Khoi Nguyen,
3 Electrical branch in NRR. I'm the member of the
4 working group three program in the 1819. The working
5 group is currently working on the revision of the 1819
6 to include the guidance for electromag equipment
7 beside electrical equipment. There's not much
8 guidance on alternates beside how to characterize the
9 equipment to implement 10 CFR 50.69.

10 Does that answer the question?

11 MR. BROWN: Does it apply to electronic
12 equipment, like the reactor protection systems, or
13 not?

14 MR. NGUYEN: Yes, it does.

15 MR. BROWN: So we're going to risk inform
16 the design of reactor protection equipment, so it
17 doesn't necessarily have to work based on a PRA. I'm
18 being sarcastic a little bit there because when I turn
19 and twist, I expect something to start, stop, or
20 change state. When I tell a reactor to scram, I
21 expect it to scram, not maybe scram. I'm having a
22 little trouble, a little problem with the thought --
23 I'll wait until I guess I get to see the reg guide but
24 --

25 CHAIR ROBERTS: Let's back up with this a

1 little bit. This is a process which already exists in
2 Reg Guide 1.201. There's a process for determining
3 what the risk significance is of various SSCs. A
4 reactor protection system, I think, would be a hard
5 sell, and we had a similar discussion this morning.
6 It will be a hard sell to come to a conclusion
7 anything but, you know, safety related, but you could
8 get there. But the goal with this discussion was
9 there is a Reg Guide 1.201 and I asked this here too,
10 because there was a meeting three years ago where the
11 IEEE spent the effort to kind of tailor the guidance
12 in 1.201 to electrical and electronic equipment, and
13 then industry came back and said we don't want it.
14 And so that's the last I saw when I pulled the thread,
15 so I was kind of curious where that currently is
16 because the IEEE obviously, you know, didn't agree
17 with that and said there was more discussion required
18 as to whether or not there was value added by
19 incorporating some of the thoughts that the IEEE
20 committee came up with into Reg Guide 1.201 or had Reg
21 Guide 1.201 reference it or whatever the right linkage
22 was. But at least at that time, industry didn't want
23 it.

24 And so the question, I want to understand
25 where that was, what the story was.

1 MR. BROWN: I don't recall that the 16
2 years I was on the committee that we ever referenced
3 1.201 when you're designing the safety systems. It
4 was making sure they would work. So if you risk-
5 informed it completely and you say I only need one
6 channel of scram protection and if it fails, that's
7 okay. That's even a little bit extensive. I'm being
8 sarcastic on --

9 CHAIR ROBERTS: So we had some hands up.
10 I think I saw Dennis. I can't see the hands right
11 now, but I think --

12 (Simultaneous speaking.)

13 CHAIR ROBERTS: Dennis, why don't you go
14 first, and then we'll go to the staff.

15 DR. BLEY: Yes. Dennis Bley. Charlie
16 always challenges me to say something. Whether you do
17 a risk analysis or not, your system may or may not
18 work, and there's plenty of history to tell us that,
19 Charlie. But I don't remember 1819 in any detail. Is
20 it consistent with the categorization and treatment
21 discussions in NEI 1804, the LMP? Because if it's
22 not, you're going to put somebody who is designing a
23 plant in a bind. What do they use?

24 MS. RAY: I think I might defer to Mr.
25 McConnell. He has his hand up.

1 MR. McCONNELL: Yes. This is Matt
2 McConnell again. I don't know if I can answer
3 Dennis's question, but the intent, I believe, was to
4 avoid or minimize any potential conflict in guidance
5 that's out there. That's part of the reason why we've
6 kind of delayed the issuance of a reg guide in support
7 of 1819, but that's maybe a topic of another
8 conversation another day.

9 But I just wanted to kind of lay out and
10 build on the concept that 50.69 doesn't have
11 restrictions on what systems, structures, and
12 components could be applicable for the categorization
13 of treatment of equipment. So while it's highly
14 unlikely that a reactor protection system would fall
15 out of scope and allow you to take certain exceptions
16 to be categorized as Risk 3 and 4, I can't say without
17 a doubt that they would be. But that would be on a
18 plant-by-plant PRA basis and based on the 50.69
19 requirements on how the equipment is categorized under
20 their risk. Thank you.

21 DR. BLEY: Okay. Thanks. And I just
22 would, because people can now use 1804, which does
23 give guidance in this area, I hope the revision to the
24 standard and to your reg guide are at least consistent
25 with the guidance from the other document. Thanks.

1 MR. McCONNELL: Yes. If I could follow
2 up. This is Matt McConnell again. I would say that,
3 yes, we are going to strive or consistency, and we
4 understand that there's existing guidance out there.
5 I think some of the challenges have been with some of
6 the equipment that's been allowed, say the Risk 3 and
7 4 equipment that is allowed exemption to the 50.49
8 environmental qualification requirements, but with the
9 understanding that the equipment, even though it no
10 longer needs to satisfy 50.49, that it still is
11 expected to perform its design function and that you
12 have to be careful to be able to satisfy common cause
13 in the PRA and ensure that the system structures and
14 components can still perform their function. Thank
15 you.

16 MR. MORTON: This is Wendell Morton. So
17 just to add some additional context to what Matt just
18 said, we will be working on this particular reg guide
19 in conjunction with our PRA experts themselves. We
20 have a few that were actually on the committee that is
21 overseeing this standard, and we will be working with
22 them or developing this reg guide to make sure the
23 relevance guidance is all consistent, to Matt's point.
24 So I'd like to give some additional context, as well,
25 that we're not developing this strictly in terms of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 electrical. We'll be considering alternate plans as
2 well.

3 DR. BLEY: That's really good. I
4 appreciate hearing that because, at times, electrical
5 has been a little in your own world compared to what
6 everybody else is doing.

7 MR. MORTON: Understood. We're in a new
8 world now. We appreciate that perspective. Thank
9 you.

10 CHAIR ROBERTS: Dennis, this question
11 started because one of the draft guides, I don't
12 remember which one, but I think it was IEEE 338, if I
13 remember right, has -- this IEEE 1819 is a required
14 reference that you have to use, and when I pulled the
15 string on that I found this, you know, three years ago
16 whereas I just stated, we wanted to use 1819. So,
17 again, I guess there's more discussion you have to
18 come with that draft guidance to whether the reference
19 is appropriate, and I think Dennis raises a great
20 question, which is, when you look at harmonizing 1819
21 and 1.201, is 1.201 harmonized with NEI 1804 and there
22 would be a discrepancy with what LMP would have you do
23 and what the reg guide would have you do. And that's
24 another thing that you might really look to get
25 standardized if there is a inverse. I don't know that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 there is. Certainly one's oriented towards 50.69 and
2 one is oriented towards new plants, so is there a
3 difference? I don't know that there needs to be, but
4 while we're thinking about --

5 MR. MORTON: A lot of those issues we're
6 going to be looking to actually develop the reg guide.

7 CHAIR ROBERTS: Okay. I think Khoi Nguyen
8 from the staff has his hand up.

9 MR. NGUYEN: Yes, this is Khoi Nguyen
10 again. So I would like to provide some history of the
11 development of the 1819. So the Reg Guide 1.201
12 endorsing NEI 0004 for our prioritization of the SSC
13 of the plant. However, NEI 0004 is lacking guidance
14 for categorization of the electrical and electronic
15 components. And IEEE 1819 provides details here.
16 However, in the last few years, the industry pushed
17 back on 1819 endorsement because of the concern of
18 conflict with NEI 0004. Since then, the IEEE has been
19 working with industry to address the industry concern,
20 mostly on the special treatment. And that we'll be
21 looking at in the next revision of the 1819.

22 For the question why Reg Guide 1.201 does
23 not endorse 1819 because the schedule for Reg Guide
24 1.201 is to the Reg Guide within the next year does
25 not support the new revision of 1819, so the staff

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 with the revision, or 1819 current within the schedule
2 or by the end of 2026 the staff may endorse and stand
3 that under a new reg guide. That's the reason why we
4 have two reg guides and the two different standards.

5 MR. BROWN: I know I'm kind of the outlier
6 in this, but so I will -- Tom knows very well that, as
7 long as they allow me to be a consultant on this
8 committee before formerly a member, I am particularly
9 sensitive to this. For 22 years, I was responsible
10 for, roughly, 140 nuclear power plants and all the
11 submarines. I was very concerned about not having
12 something work when you have 50 to 55,000 sailors in
13 submarines depending on your equipment to operate
14 continuously and still provide safe operation.

15 So I hate to be a thorn in the side of PRA
16 and risk informing, I know we're going to do it in
17 some areas. I don't disagree with it in some areas.
18 But to me, there's always certain specific reactor
19 protection safeguards and reactivity control systems
20 that have to be very, very carefully guarded so that
21 we don't make the wrong decisions when we're doing it.

22 So I'm not trying to be a thorn in the
23 side of progress, but, at some point, we have to look
24 at the safety systems and really be very careful how
25 you deal with them, regardless of your sensitivity to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 1.201, which I don't disagree with. I've seen it and
2 looked at it. There are places where it's useful, and
3 there are places where I won't say it won't be useful
4 because we always use engineering judgment in some
5 places. If I'm allowed to speak, you will always have
6 somebody else willing to talk about an alternate
7 thought process. And some of the members here
8 remember that.

9 MS. RAY: We appreciate the comment. The
10 staff is fully committed to safety and --

11 MR. BROWN: I'm not questioning your
12 commitment to safety.

13 MS. RAY: I understand.

14 MR. BROWN: I have great respect for all
15 the staff members I've worked with over the last 17 -
16 18 years, so I have no problem with that.

17 MS. RAY: We look forward to your comments
18 on the reg guide when we finish it.

19 MR. BROWN: All right. Thank you.

20 MEMBER DIMITRIJEVIC: This is Vesna. I
21 just want to summarize something which was already
22 said here but just for Charlie, you know. Reg Guide
23 1.201 supports the 10 CFR 50.69, which gives the same
24 risk-informed categorization. So 121 supports the 10
25 CFR 50.69, and there is also difference between those

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 two guidance in the scope because IEEE Standard 1819
2 is just for the electrical equipment, you know, the
3 201 is for all SSCs.

4 I just was summarizing something because,
5 you know, it's not just the Reg Guide 1.200. I mean,
6 that's a priority of the 10 CFR 50. Okay.

7 CHAIR ROBERTS: Okay. Thanks, Vesna.

8 MS. RAY: So on more upcoming work, Lily
9 had alluded to a new reg guide on valve-regulated
10 lead-acid batteries. Given several applications
11 utilizing this technology, as well as industry
12 comments to provide guidance on other battery
13 technologies, we're working on this new reg guide.
14 And this new reg guide would endorse with
15 clarifications IEEE 1187 and 1188.

16 So these IEEE standards, as Lily
17 mentioned, are under revision right now and are
18 expected to be issued shortly. And, therefore, the
19 staff's draft guide is expected by the end of 2025.
20 Consistent with our vision and strategy, this reg
21 guide endorses new technologies in line with the
22 ADVANCE Act.

23 Also on batteries, staff is developing a
24 revision to Reg Guide 1.158 on the qualification of
25 safety-related vented lead-acid batteries. This reg

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 guide revision would endorse the latest IEEE 535
2 published in 2022. And the DG is expected in the
3 summer of 2025. This is an example of the staff
4 updating guidance in a timely manner to ensure the
5 latest guidance is available to licensees and
6 applicants.

7 Also of committee interest, Reg Guide 1.9,
8 we worked on this a number of years ago, and work has
9 now resumed. The diesel standard was revised late
10 last year and is now a joint logo standard, meaning
11 IEEE and IEC. Therefore, the staff has resumed work
12 on Reg Guide 1.9 to endorse clarifications to
13 standards on diesel generators and combustion gas
14 turbines. This is an example of implementing our
15 vision and strategy of combining related standards on
16 a technical topic into one reg guide on standby power
17 supplies. Yes.

18 MR. BROWN: We reviewed this back in 2021
19 or so, and we wrote a letter which you all responded
20 to and then a second respond which said you were
21 deferring for catchup, whatever, you know, because of
22 other work. And I noted the difference here. The Reg
23 Guide 1.9 that you presented to us covered three
24 areas. One was diesels, one was safety combustion.
25 The first item, C1, was other anticipated power

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 sources which was the source of most of our, was the
2 most critical comment we made. You don't even mention
3 that. Does that mean you're deleting C1 out of the
4 reg guide or you're going to do something additional
5 with it or not?

6 MS. RAY: I am going to defer to my
7 management, Tania.

8 MS. MARTINEZ NAVEDO: Tania Martinez
9 Navedo, acting Director for the Division of
10 Engineering and External Hazards. Right now, are
11 discussing how to reinsert that piece in the reg
12 guide.

13 MR. BROWN: C1?

14 MS. MARTINEZ NAVEDO: Yes.

15 MR. BROWN: You're taking it out right
16 now?

17 MS. MARTINEZ NAVEDO: No. We are actually
18 keeping it because we are evaluating if we're going to
19 keep it because it would be consistent with the new
20 mission of the NRC as we're working on enabling new
21 technologies. So based on some of the conversations
22 with folks in the industry, this might be appropriate
23 to lay out clear criteria they can follow if they want
24 to use any other type of equipment outside of the EDG
25 and the GGG equipment.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 MR. BROWN: I didn't want you to think
2 because we made that comment that we disagree with
3 that. The problem was that, when you looked at the
4 diesels and the combustion turbine generators, the
5 performance requirements were laid out for each of
6 those components in terms of what they had to deal
7 with in the electric plants and how those plants
8 responded in, like, load demands, harmonics, when
9 you're going to alternate -- the vision here is
10 windmills, okay, or solar because if you're going for
11 the 145 acres of solar on your plant, in addition to
12 the 17 in a nuclear power plant, including the
13 diesels, you've got to be mindless if you want to do
14 that, including the battery you'd have to deal with
15 it. It would take a lot of real estate.

16 But if you did, developing all your plant
17 loads, diesel generators become combustion turbine
18 generators. The generators, they look like what they
19 have to supply in the plants. They have harmonic
20 performance. They have load demand, which you can put
21 on them immediately. There will be covering time.
22 When they put on a high load, it has to be within a
23 time frame where everything doesn't drop off. Doing
24 that with electronics, solar power, batteries, is
25 very, very difficult, and my problem with it when we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 wrote the letter was there was, basically, no
2 identification of what the alternate power sources'
3 performance would have to be. So that was the
4 concern.

5 I just wanted to make it clear that, at
6 least in my opinion -- I can't speak to the committee
7 now but what the committee accepted at that time was
8 the lack of definition of what those alternate systems
9 would have to be designed to meet. And I don't mean
10 the detailed design. We're not trying to tell them
11 how to design the systems but the basic functional
12 performance so that they'd be compatible with existing
13 plants, or even the new plants, the advanced plants,
14 are all going to have conventional electrical
15 components and systems in them. They may have
16 different coolants, they may have different other
17 stuff, but the plants themselves are electrical stuff.
18 And it was totally wiped out. And the other two
19 components, there were very clear definitions of what
20 their performance requirements were in order to meet
21 this, the normal schedule.

22 So I'm just trying to clarify that don't
23 take my comments negatively. It's just a matter of
24 ensuring we make them compatible with what we required
25 for the other components, as well, and to let you know

1 that I've done a lot of heavy-duty electronic stuff,
2 and it is very difficult to get the harmonic
3 performance that you want. It's just going to have to
4 be addressed. I'm not asking for an answer. It's
5 just we have to know how to address it before we go
6 forward; that's all.

7 MS. MARTINEZ NAVEDO: And I appreciate it.
8 This is Tania Martinez Navedo again. I appreciate
9 that feedback and that clarification. Basically, what
10 we were trying to do is to align the criteria with
11 what is in GDC 17 capacity, availability, reliability
12 and so forth, not centered on a particular technical,
13 you know, particular component.

14 The reason why we are trying to propose
15 this is that when we worked on the gas turbine
16 generators as the emergency power source for a newer
17 reactor design in the past, like US-APWR, it took the
18 staff a sizable amount of hours to try to come up with
19 an ISG and guidance that could support the review of
20 that particular, you know, piece of equipment. At
21 that point, there was no IEEE standard for gas
22 turbines.

23 There was some operating experience out
24 there, not in nuclear, but there was some that we
25 could leverage. But what we want to do is pave the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 way to the staff to do a review with at least some set
2 of criteria they can use to review but, at the same
3 time, tell potential applicants this is how you can
4 write a footprint for your Chapter 8, even if you
5 assigned something different than EDGs and GGGs.
6 That's the real reason why we were trying to draft a
7 new reg.

8 MR. BROWN: I was here when did the US-
9 APWR, and the CTG was an issue we had to deal with.
10 But the difference is the inertia in diesels is
11 totally different from the rotating inertia of a
12 combustion turbine generator; and, therefore, could
13 they be relied on. One of the issues was could they
14 be relied on to respond appropriately for what the
15 plant needed, and you all struggled with that.

16 MS. MARTINEZ NAVEDO: We did, but we were
17 able to --

18 MR. BROWN: You got through it.

19 MS. MARTINEZ NAVEDO: -- put together an
20 ISG, and we have some guardrails that help both the
21 reviewers, as well as the applicant, in continuing to
22 provide the necessary information for a reasonable
23 assurance finding.

24 MR. BROWN: All right. I'm just trying to
25 clarify the nature of what the context of our comments

1 was when we wrote the letter three years ago, four
2 years ago now, I think. Thank you. Sorry to take up
3 your time. I'm not sorry.

4 (Laughter.)

5 CHAIR ROBERTS: Okay. It sounds like
6 staff understands what the letter was getting at and
7 they're still working through what the appropriate
8 level of specificity is for the reg guide to cover
9 things that, clearly, are not going to be covered in
10 detail, just to give the applicant as to what they
11 need to cover. So we look forward to seeing that in
12 the fall.

13 MS. RAY: Okay. So in addition to
14 regulatory guide activities, staff continues to align
15 with the Commission PRA policy. Specifically, with
16 the NuScale review, we applied a risk-informed graded
17 approach to evaluate DC systems. Other examples
18 include the potential endorsement of 1819, which we
19 discussed and also open-phase the risk-informed
20 option. And we'll be talking about BTP 8-9 in a later
21 slide.

22 Slide 29. Other examples where we are
23 fully aligned with Commission PRA policy is license
24 amendment requests on tech spec task force travelers,
25 10 CFR 50.69, and tech spec completion times. In all

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 of these reviews, the staff uses PRA methods and data
2 to complement the NRC's deterministic approach and
3 support traditional defense-in-depth philosophy.

4 Slide 30. Staff is working on a revision
5 to Reg Guide 1.118 on periodic testing to endorse IEEE
6 338. We received ACRS comments noting the paragraph
7 in the background section on 50.155 was useful, so we
8 have added it to other reg guides. In addition, the
9 comment of IEEE 338 references risk-informed
10 categorization; and, thereby, that will also inform
11 our new reg guide to endorse 1819.

12 Slide 31. Based on lessons learned with
13 license amendment requests and closing out the
14 bulletin on open phase, staff is revising the guidance
15 in two branch technical positions, as listed here.
16 This is part of our effort to update guidance
17 documents and incorporate risk-informed performance-
18 based methods.

19 We routinely review operating experience
20 on electrical and environmental qualification. We
21 work with the Operating Experience branch to identify
22 trends, and the review of operating experience informs
23 the reg guide process such that revision should be
24 initiated based on significant operating experience
25 where the priority could be modified. Lastly, during

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 our participation with IEEE, NRC staff shared public
2 information on operating experience to inform the
3 development of standards.

4 We also work with other federal agencies
5 and entities regarding the grid and grid events. For
6 example, we restarted quarterly meetings with FERC
7 and, most recently, in January, discussed Blackstart,
8 Texas winter storms, and the quantified risk of LOOPs
9 and station blackout. During severe weather events,
10 such as hurricanes and flooding, we expertly work with
11 NERC to understand the grid condition and any expected
12 impacts to nuclear facilities. We lead and support
13 biannual joint commission meetings with FERC where
14 NERC also participates. This coordination with FERC
15 and NERC strengthens our knowledge on the grid status
16 and any potential impacts to nuclear.

17 We also are very active in the
18 international arena. First, we participate in the IEC
19 and assist in the development of international
20 standards. Some successes include the joint logo
21 standard on environmental qualification as endorsed in
22 Reg Guide 1.189, the joint logo standard on diesel
23 generators, and the joint logo standards on the
24 condition monitoring of cables.

25 Other standards on grid coordination are

1 valuable as NPP designers may use them in U.S.
2 licensing. Some applicants are adopting international
3 standards in their design, and NRC's participation
4 ensures U.S. perspectives in operating experience are
5 considered.

6 Slide 35. We also participate in the
7 Nuclear Energy Agency's WGELEC, the Working Group on
8 Electrical Power Systems. This critical exchange of
9 information and experience assists in our shared
10 understanding and recommended solutions. This
11 information supports our licensing work, as well as
12 reg guide development.

13 Regarding IAEA activities, we're currently
14 participating in two projects: one on the revision of
15 a report on electric grid reliability and the
16 interface with NPPs to specifically address SMRs. In
17 addition, we participate in the updated IGALL for
18 license renewal activities.

19 This past summer, we proudly hosted seven
20 Polish experts over four weeks to exchange information
21 on AP1000 electrical systems, environmental
22 qualification, and inspections. The highly-successful
23 collaboration was significant for Poland for the
24 construction, licensing, and inspection of their
25 future NPPs.

1 As part of the Romania bilateral
2 cooperation, electrical staff supported in-depth
3 discussions on environmental qualification and DC
4 systems. In addition, we routinely respond to
5 information requests from other countries on
6 electrical topics.

7 CHAIR ROBERTS: In general, are you
8 learning, you know, from the international community?
9 And I guess the opposite of that is are they learning
10 from you?

11 MS. RAY: Yes. It is definitely mutual
12 understanding and shared information. Poland does
13 things a little bit differently. They separate out
14 the technical and the inspection, and some of their
15 questions were very insightful for us, as well.

16 CHAIR ROBERTS: Do you have any examples?

17 MS. RAY: It's interesting how they review
18 the electrical systems. They're very much looking at
19 very specific design details that, as of right now, we
20 don't have access to. For example, very specific
21 calculations that maybe, like, Westinghouse would have
22 done, they're going to the depth of that level,
23 whereas we would more, we would audit some
24 calculations, we may look at summaries of calculations
25 where it seems -- since they're new, they're applying

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 their licensing experience to other technologies to
2 nuclear, and it seems they're looking a little bit
3 more pointedly at the calculations. And I think
4 that's just their regulatory structure.

5 MR. MORTON: This is Wendell Morton. I
6 can contribute a little more to that, as well, Sheila.
7 So one of the big things during their visit was,
8 obviously, comparing different regulatory models that
9 they observed trying to develop their own and coming
10 here to the NRC and learning how we do our business.
11 So a lot of their questions were along the lines of
12 how we do certain things in terms of audits,
13 inspections and licensing; the level of depth that we
14 are able to go to in the system meets all the
15 requirements. There were a lot of exchanges and
16 conversations along those lines: how do you guys do
17 this, how does the NRC do this, how do we approach an
18 inspection in a granular way or how do you approach
19 your licensing for this particular housing.

20 So there were a lot of questions about,
21 like, trying to understand how we do our business, as
22 well as the framework itself. So part of that, a lot
23 of part of it is just educate them on how we do our
24 business and then giving them samples of what we do
25 during our business in terms of licensing, inspection,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 and even support, things of that -- to Sheila's point,
2 they are differently structured than we are, so there
3 are some questions that are just apples and oranges.
4 We just do things differently.

5 CHAIR ROBERTS: Okay. Thank you.

6 MEMBER HALNON: One question before you
7 get into your summary. I just, I know we love our
8 SMRs and discussions we're having, one of the
9 strategies --

10 (Audio interference.)

11 MEMBER HALNON: -- are you doing any
12 studies or working with research on the impacts of the
13 following on your quick plants?

14 MS. RAY: Something that's been discussed
15 a number of times. We don't have any ongoing items on
16 load following.

17 MEMBER HALNON: I mean, it does have
18 impact all the way through the system. You know, it
19 can be done on an application-by-application specific
20 case, but that operating strategy may not be thought
21 of, much like our light water reactors were thought of
22 when we first built them and then they discounted it
23 because of wear and tear, if you will, and make it
24 simple. Now they're talking about doing it again, and
25 there is some studies going on I know NuScale was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 looking at for a while, as well.

2 So it would be interesting to see if
3 there's any more that we might be able to gain from
4 that, again, especially with --

5 (Audio interference.)

6 MS. RAY: In our international activities,
7 we are gathering information on islanding and,
8 therefore, we're gathering some information on load
9 following. I believe my colleague, Matt, had his hand
10 up.

11 MR. McCONNELL: Yes. This is Matthew
12 McConnell, senior electrical engineer. Just to
13 follow-up with that, yes, we're aware of the potential
14 need and desire to become and operate more in a load-
15 following manner. Actually, a few years ago, I was
16 aware that there were several plants in the Midwest
17 that were actually operating in that manner, and I do
18 understand the potential impacts on not only just
19 equipment in general but also in the qualification
20 equipment when you talk about increased cycling and
21 also how we structure our technical specifications.
22 So our ear is firmly to the ground to hear what path
23 and what route the industry is going to follow with
24 that, and we will definitely pursue that as necessary.

25 MEMBER HALNON: Thank you, Matt.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 MS. RAY: So as you can see, we're very
2 busy. So of note, electrical staff work on all
3 electrical and environmental qualification aspects of
4 licensing projects for operating reactors, new
5 reactors, as well as other nuclear facilities. We
6 continue to align with the ADVANCE Act and the
7 Commission PRA policies.

8 Our reg guide strategy is timely such that
9 we make efforts to endorse the latest standard and
10 include risk-informed performance-based methods. Our
11 cooperation with FERC and NERC is instrumental in
12 understanding grid status and any impacts to nuclear.
13 And, lastly, we continue to engage our international
14 counterparts to inform NRC's mission objectives.

15 We really appreciate your time and
16 attention. Any questions?

17 MR. BROWN: I guess I can't stop. And
18 this is tackling Reg Guide 1.9 again. One of those
19 things we didn't talk about in our letter, if you look
20 at the potential alternate sources, you mention two of
21 them: wind and/or solar. And, obviously, you could
22 put a giant battery at the plant which you keep
23 charged all the time and it would last for some amount
24 of time before you bought something else in, although
25 that would be a risk-informed design decision if you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 couldn't recharge it from the plant itself concurrent
2 to the 110. But these other alternatives, other than
3 diesels or combustion turbine generators, some of them
4 involve weather conditions external to the plant.
5 Whatever we do with the reg guide has to somehow
6 communicate that external plant conditions, such as
7 weather or weather impact, and how they could either
8 impact negatively, permanently negatively depending on
9 how long they lasted, so I think weather enters in,
10 whereas with the diesels and combustion turbine
11 generators, you just got to keep the gas tank full.

12 MS. RAY: Actually, I agree with you. We
13 do include those aspects in both gas turbine and
14 diesel standard. Let me finish.

15 MR. BROWN: Go ahead. I'm sorry. I was
16 biting my tongue.

17 MS. RAY: Oh, sorry. On tornado
18 depressurization.

19 MR. BROWN: Right.

20 MS. RAY: So that aspect on what's going
21 on outside has to be considered, and my personal
22 opinion is, yes, that has to be included in the
23 generic section, as well.

24 MR. BROWN: Okay. But as well as in the
25 C1 --

1 MS. RAY: Yes, absolutely, yes, yes.

2 MR. BROWN: -- if that's what you call a
3 generic. There's a large discussion, which is very
4 good, in the beginning of the whole thing which just
5 talks about the application, et cetera. That's a very
6 complete, comprehensive discussion. It was when we
7 got to the other pieces that I had the difficulty.

8 But I did not mention weather type
9 situations in our letter. We were complex enough as
10 it was, and I think the committee probably helped me
11 lighten it up a little bit so it wasn't quite as
12 complex.

13 MS. RAY: We appreciated the comment. We
14 also appreciate the comment that the beginning section
15 was comprehensive. That's very appreciated to know
16 that it's helpful.

17 MR. BROWN: Yes. This wasn't all
18 negative.

19 CHAIR ROBERTS: Okay. Any other comments
20 or questions for the staff? I just want to offer that
21 I really appreciated this integrated presentation
22 because what we see from you all is a lot of reg
23 guides, and it's kind of hard sometimes to see how
24 they all fit together, and I wanted to bring up a
25 couple of big points I got out of this session. One

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 is you are looking at environmental qualification
2 globally and what that means in terms of more
3 applicants; and if NuScale were to come up with a
4 different approach, you've got your eye on that.
5 Looking at how to account or cover the beyond design
6 basis experience or concerns, so you are looking at
7 that. New technologies you're looking towards.
8 You're looking at how to more risk inform, you know,
9 what you've got in terms of your guidance out there.
10 So you have those reg guides and your successful
11 interface with both domestic and international
12 agencies.

13 So it was very good to get an integrated
14 picture in what you all are doing. I just wanted to
15 thank you for putting it together, and I'm sure we'll
16 have more discussions on those reg guides as they come
17 through, but we got a good global understanding of
18 what you're working on.

19 So with that, there's no comments from the
20 public. Oh, sure. It's time for public comments. If
21 there's anybody, a member of the public, would like to
22 make a comment, please go ahead and raise your hand in
23 Teams. I don't if there's any public in the room but
24 if you'd like to make a comment, go ahead and raise
25 your hand, and then, you know, unmute yourself and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 state your comment. So I'll wait about ten seconds.

2 (Pause.)

3 CHAIR ROBERTS: Okay. Since there are no
4 apparent issues in making a public comment, I'll go
5 ahead and close the meeting if there are no other
6 last-minute observations.

7 Okay. With that, the meeting is
8 adjourned.

9 (Whereupon, the above-entitled matter went
10 off the record at 2:36 p.m.)
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

ACRS: Electrical Engineering Briefing

March 20, 2025

Wendell Morton
Liliana Ramadan
Sheila Ray

Opening Remarks

Wendell Morton

Acronyms

- BL - Bulletin
- BTP – Branch Technical Position
- CFR – Code of Federal Regulations
- DG – Draft Guide
- EDG – Emergency Diesel Generator
- EE – Electrical Engineering
- EQ – Environmental Qualification
- FERC – Federal Energy Regulatory Commission
- GDC – General Design Criteria
- IAEA – International Atomic Energy Agency
- IEC - International Electrotechnical Commission
- IEEE – Institute of Electrical and Electronics Engineers
- NEA – Nuclear Energy Agency
- NERC – North American Electric Reliability Corporation
- PRA – Probabilistic Risk Assessment
- RG – Regulatory Guide
- SRP – Standard Review Plan
- Std - Standard
- TSTF – Technical Specification Task Force

Agenda

- Opening Remarks
- Overview of Electrical Engineering (EE) & Environmental Qualification (EQ) regulations
- Licensing
 - EE & EQ activities in operating reactors, new and advanced reactors, small modular reactors, license renewal, & research projects
 - Open Phase
 - Regional Coordination
- Infrastructure
 - Vision & Strategy for EE Regulatory Guides (RGs) & Upcoming RG work
 - DG-1427 public comment resolution/status
 - RG 1.9 Status

Agenda, cont.

- Infrastructure, cont.
 - Continued Alignment with Commission Probabilistic Risk Assessment (PRA) Policy
 - Risk-informed graded approach – NuScale review
 - Technical Specification Task Force (TSTF) 505 license amendment requests
 - Open Phase Condition (risk-informed option)
 - Potential endorsement of IEEE Std. 1819
 - DG-1438 questions
 - Standard Review Plan Status
 - Operating Experience
- Federal Energy Regulatory Commission (FERC) and North American Electric Reliability Corporation (NERC) Coordination
- International Activities

Staff & Contributors

- Electrical Engineering Branch (NRR/DEX/EEEB)
 - Wendell Morton, Branch Chief
 - Lauren Bryson, Adakou Foli, Vijay Goel, Kayleh James, Nadim Khan, Edmund Kleeh, Khoi Nguyen, Liliana Ramadan, Sheila Ray
- Long Term Operations and Modernization Branch (NRR/DEX/ELTB)
 - Patrick Koch, acting Branch Chief
 - Jorge Cintron, Brian Correll, Matthew McConnell, Kenneth Miller
- Instrumentation, Controls, and Electrical Engineering Branch (RES/DE/ICEEB)
 - Calvin Cheung, acting Branch Chief
 - Darrell Murdock, Mohammad Sadollah

Overview of Pertinent Regulations

- Electrical Engineering
 - 10 CFR 50, Appendix A, General Design Criteria (GDC)
 - GDC 17, “Electric Power Systems”
 - GDC 18, “Inspection and Testing of Electric Power Systems”
- Environmental Qualification
 - 10 CFR 50, Appendix A, GDC 4, “Environmental and Dynamic Effects Design Bases”
 - 10 CFR 50.49, “Environmental qualification of electric equipment important to safety for nuclear power plants”
- License Renewal
 - 10 CFR Part 54, “Requirements for Renewal of Operating Licenses for Nuclear Power Plants”

10 CFR Part 50:
50.34, 50.49, 50.55(a)(h), 50.63,
50.65, 50.69, 50.71, GDC 2, GDC
4, GDC 5, GDC 17, GDC 18, GDC
50, App. B

REGULATIONS

10 CFR Part 52
(New Reactors)

Proposed 10 CFR Part
53 (Advanced Reactors)

10 CFR Part 54
(License Renewal)

Licensing: Operating Reactors

- Operating Reactors
 - License Amendments, Notice of Enforcement Discretion, Allegations, etc.
 - Power Upgrades
 - Regional Coordination
 - EE Counterpart Meeting with NRR, RES, Regions for technical discussions and dialogue
 - Inspection support

Licensing: Open Phase Condition

- What is an open phase condition (OPC)?
 - OPC is defined as the open circuit of one or two of the three phases of any offsite power circuit required for normal operation of electrical systems.
- What are the consequences?
 - The 2012 operating event at Byron Station ([ML12272A358](#)) revealed a significant design vulnerability issue
 - OPC in the plant's offsite power supply will cause a common cause failure of AC electric power system
 - Loss of safety functions of Engineered Safety Features
 - Both offsite and onsite electric power systems were not able to perform their intended safety functions due to the design vulnerability

Licensing: Open Phase Condition

- Past operating experience involved offsite power supply circuits that were rendered inoperable by an open-circuited phase, and the condition went undetected for several weeks because offsite power was not aligned during normal operation and the surveillance procedures, which recorded phase-to-phase voltage, did not identify the loss of the single phase.
- How was OPC addressed?
 - Detection, automatic trip response, and alarm in main control room
 - Risk-informed option - perform a risk evaluation under certain boundary conditions to support an alarm and manual response to an OPC

Licensing: Open Phase Condition

- NRC Actions Following the Byron event
 - July 2012 – Issued [Bulletin 2012-01](#): Design Vulnerability in Electric Power System
 - February 2013 - Summary Report - Documented the review of licensee responses and staff recommendations
 - July 2015 – [BTP 8-9 \(Rev. 0\)](#) issued after resolution of public comments and review by ACRS
 - March 2017 – [SRM-SECY-16-0068](#) directed staff to verify licensees' implementation and update the Reactor Oversight Process to provide periodic oversight of industry's implementation of OPC initiative
 - November 2016 – Issued Temporary Instruction (TI) [2515/192](#), "Inspection of the Licensee's Interim Compensatory Measures Associated with the Open Phase Condition (OPC) Design Vulnerabilities In Electric Power Systems."

Licensing: Open Phase Condition

- NRC Actions Following the Byron event, cont.
 - August 2020 - Issued Revision 2 of the [TI 2515/194](#), “Inspection of the Licensees’ Implementation of Industry Initiatives Associated with the Open Phase Condition Design Vulnerabilities in Electric Power Systems” to verify that licensees have appropriately implemented the voluntary industry initiative
 - March 2023 – Completion of issuance of closure letters to licensees and [Bulletin 2012-01 closure](#)
 - Current activities – Revision of BTP 8-9 (will be upcoming Revision 1)

Licensing: Advanced and Small Modular Reactors

- Advanced Reactors
 - Terrapower Construction Permit Application
- Small Modular Reactors
 - NuScale US460 Standard Design Approval

Licensing: Decommissioning & Nuclear Facilities

- Decommissioning
 - Peach Bottom Unit 1
 - Request for Alternative Schedule to complete decommissioning activities
- Nonpower Production and Utilization Facilities

Licensing: License Renewal

Initial License Renewal

- Clinton
- Comanche Peak
- Diablo Canyon
- Perry

Subsequent License Renewal

- Browns Ferry
- Dresden
- Monticello
- North Anna
- Oconee
- Peach Bottom
- Point Beach
- Surry
- St. Lucie
- Turkey Point
- VC Summer

Licensing: Research

- Research Projects
 - Valve-Regulated Lead-Acid battery technology
 - Islanding
 - Assessment of research efforts after the issuance of [Expanded Materials Degradation Assessment \(EMDA\): Aging of Cables and Cable Systems \(NUREG/CR-7153, Volume 5\)](#)
 - Future Focused Research on novel and innovative cable condition monitoring techniques

Licensing: Environmental Qualification (EQ)

- Licensing of new reactors, advanced reactors and small modular reactors
- License Renewal
- Increased Enrichment of Conventional and Accident Tolerant Fuel
 - Extended power uprates and refueling frequency (PWRs).
 - Potential impacts to EQ design inputs such as radiological dose, pressure, temperature, etc.

Infrastructure: IEEE participation

- NRC staff provide technical expertise and offer technical insights to present agency positions for potential inclusion in standards and development of high-quality standards
- Under the IEEE Power and Energy Society, NRC staff participate in:
 - Nuclear Power Engineering Committee
 - Energy Storage and Stationary Battery Committee
 - Power System Relaying and Control Committee
 - Power System Communications and Cybersecurity Committee
 - Insulated Conductors Committee
 - Transformers Committee

Infrastructure: Vision & Strategy of EE Regulatory Guidance

- Inline with ADVANCE Act, Leverage [Action Plan](#) for Enhancing NRC's Codes and Standards Program for Future Reactors
- Focus on the agency mission and regulatory requirements when determining if an RG is needed or requires updating
- Represent a technically acceptable approach for allowing licensees, manufacturers, vendors, and NRC staff to effectively navigate and use regulatory guidance
- Prevent the ad hoc approach of generating additional regulatory guidance documents
- Gather and analyze operating experience
- Applicable to licensees and applicants subject to 10 CFR Parts 50 & 52

Infrastructure: Vision & Strategy of EE Regulatory Guidance

- Ensuring new RGs or revisions of RGs are aligned Commission PRA Policy and providing risk informed and performance-based methods
- Combine related standards on a technical topic into one RG
 - Reduced staff hours as compared to updating and maintaining several RGs
 - Reduced costs as compared to updating and maintaining several RGs
 - Technical Efficacy - Generates efficiencies such that industry/users have a one-stop shop on NRC positions on a particular topic
 - Process Efficiency – review process is streamlined for one RG on a technical topic (i.e., one public comment period on a technical topic)
 - Updates to a combined RG endorsing several standards would only be considered when there are significant changes that impact the staff's position or provide additional clarifications

Infrastructure: EE RG Checklist

- The EE RG Checklist was developed to improve and increase process efficiency
- Regulatory Guide and Programs Management Branch (RES/DE/RGPMB) owns the RG process
- EE staff are the technical leads for EE RGs
- EE RG Checklist provides an overview of the process and outlines actions to prepare a DG and publish the final RG
 - Incorporates insights from staff and management, share the lessons learned to help improve the development process

Infrastructure: DG-1427

- DG-1427, “Qualification of Fiber-Optic Cables, Connections, and Optical Fiber Splices for Use in Safety Systems for Production and Utilization Facilities.” [ML24201A068](#)
- Issued Oct 2024 to endorse, with clarifications, IEEE Std. 1682-2023, “IEEE Standard for Qualifying Fiber Optic Cables, Connections, and Optical Fiber Splices for Use in Safety Systems in Nuclear Power Generating Stations.”
- Public comments received and staff is addressing them to issue the final RG in Spring 2025.

Infrastructure: DG-1427

- ACRS comments in ACRS Planning & Procedures Portion of the October 2024 Full Committee Meeting
 - Related to the qualification for severe accident
 - Added paragraph in Background on 10 CFR 50.155(c)
 - Equipment relied on for the mitigation strategies and guidelines required by 10 CFR 50.155(b)(1) must have sufficient capacity and capability to perform the necessary functions.
 - Type testing could be used to demonstrate the capability of equipment to perform credited functions under extreme natural events or severe accident/design extension conditions.
 - Identification of regulatory positions as “exceptions” was deleted.

Infrastructure: Upcoming RG Work

- Risk-Informed Categorization of Electrical and Electronic Equipment
 - Staff is considering endorsement of the next revision of IEEE Std. 1819, “IEEE Standard for Risk-Informed Categorization and Treatment of Electrical and Electronic Equipment at Nuclear Power Generating Stations and Other Nuclear Facilities” in a new RG.
 - The next revision of the standard is expected in 2026
 - NRR/DRA is in the process of revising RG 1.201, “Guidelines for Categorizing Structures, Systems, and Components in Nuclear Power Plants According to Their Safety Significance”

Infrastructure: Upcoming RG Work

- Valve-Regulated Lead-Acid Batteries
 - New RG to endorse the following standards, with clarifications:
 - IEEE Std. 1187, “IEEE Recommended Practice for Installation Design and Installation of Valve-Regulated Lead-Acid Batteries for Stationary Applications”
 - IEEE Std. 1188, “IEEE Recommended Practice for Maintenance, Testing, and Replacement of Valve-Regulated Lead-Acid Batteries for Stationary Applications”
 - Expect to complete draft by end of 2025

Infrastructure: Upcoming RG Work

- Qualification of Vented Lead-Acid Batteries
 - Revision of RG 1.158 “Qualification of Safety-Related Lead Storage Batteries for Nuclear Power Plants”
 - To endorse, with clarifications, IEEE Std. 535-2022, “IEEE Standard for Qualification of Class 1E Vented Lead Acid Storage Batteries for Nuclear Power Generating Stations”
 - Expect to complete draft by Summer 2025

Infrastructure: Upcoming RG Work

- Standby Power Supply
 - Revision of RG 1.9 to include both emergency diesel generators and combustion gas turbines
 - To endorse, with clarifications:
 - IEC/IEEE 63332-387:2024, “Nuclear facilities -- Electrical power systems -- Diesel generator units applied as standby power sources”
 - IEEE Std. 2420-2019, “IEEE Standard Criteria for Combustion Turbine-Generator Units Applied as Standby Power Supplies for Nuclear Power Generating Stations”
 - Expect to complete draft by Fall 2025

Infrastructure: Commission PRA Policy Alignment

- NuScale
 - Risk-informed graded approach to evaluate the DC systems
- Potential Endorsement of IEEE 1819
- Open Phase, as previously discussed
 - Risk-Informed Option
 - Revision of BTP 8-9

Infrastructure: Commission PRA Policy Alignment

- License Amendment Requests
 - TSTF-505, “Provide Risk-Informed Extended Completion Times – Risk Informed TSTF Initiative 4b” [ML18183A493](#)
 - TSTF-585, “Provide an Alternative to the LCO 3.0.3 One-Hour Preparation Time” [ML23065A085](#)
 - TSTF-439, “Eliminate Second Completion Times Limiting Time From Discovery of Failure to Meet an LCO” [ML051860296](#)
 - 10 CFR 50.69, “Risk-informed categorization and treatment of structures, systems and components for nuclear power reactors”
 - Technical Specification completion time extension

Infrastructure: Continued Alignment with the Commission PRA Policy

- DG-1438, “Periodic Testing of Electric Power and Protection Systems” (Proposed Revision 4 to RG 1.118)
- ACRS comments noting the paragraph on 10 CFR 50.155
- Expect publication of DG-1438 in Spring 2025

Infrastructure: Standard Review Plan Status

- Branch Technical Position (BTP) 8-8, “Onsite (Emergency Diesel Generators) and Offsite Power Sources Allowed Outage Time Extensions”
- BTP 8-9, “Open Phase Conditions in Electric Power System”

Infrastructure: Operating Experience

- Review electrical operating experience
 - Participate in Technical Review Groups to identify trends
 - Informs EE RG strategy
 - Potential for generic communications
 - Assist in standards development process

FERC/NERC Coordination

- FERC quarterly meetings
 - Restart of information exchange on technical topics of mutual interest
 - Met in January 2025 to discuss Blackstart, Texas Winter Storms, Quantified Risk of Loss of Offsite Power and Station Blackout
- NERC cooperation
- Biannual Joint Commission Meetings between FERC and NRC, with NERC participation

International Activities

- International Electrotechnical Commission (IEC)
 - Participate in development of international standards on EDG, battery, grid coordination, condition monitoring of cables, etc.
 - As NPP designers participate in the world market, international standards have been used for design, operation and maintenance in US licensing
 - Provide technical expertise, share operating experience, and offer technical insights to present agency positions for potential inclusion in standards

International Activities

- Nuclear Energy Agency (NEA)
 - Participate in Working Group on Electrical Power Systems.
 - Exchange of information and experience on the safety of electrical systems.
 - Facilitate international convergence on safety issues related to the safety of electrical systems and, where practicable, seek to develop a shared understanding and recommend solutions on important issues.
 - Allow prompt attention to evolving electrical plant events to share the lessons learned.

International Activities

- International Atomic Energy Agency (IAEA)
 - Participate and author sections for the revision to Nuclear Energy Series NG-T-3.8, “Electric Grid Reliability and Interface with Nuclear Power Plants” to include information on the development, deployment, and oversight of small modular reactors
 - Participate in the update of Safety Report Series No. 82, Revision 2, “Ageing Management for Nuclear Power Plants: International Generic Ageing Lessons Learned (IGALL)”

International Activities

- Poland
 - The NRC and Poland's nuclear regulator, the National Atomic Energy Agency (known as PAA), have a cooperation agreement.
 - The cooperation included an exchange information on Westinghouse's AP1000 electrical systems, offsite power, inspections, & EQ in Summer 2024.



International Activities

- Romania
 - Bilateral cooperation for technical exchange & regulatory information sharing
 - Shared information on EQ and DC systems in Summer 2024
- Other countries
 - Routinely respond to information requests on EDG, grid, and other technical topics

Summary

- Advance licensing projects on operating reactors, advanced reactors, small modular reactors and production and utilization facilities.
- Continued alignment with ADVANCE Act & Commission PRA Policy.
- Initiate new and revised RGs based on up-to-date standards, operating experience, and risk informed and performance-based methods.
- Coordinate with FERC/NERC on the state of the grid and impact on nuclear.
- Engage international counterparts to inform NRC's mission objectives.

Thank you for your time and
attention.

Questions?