

# **Official Transcript of Proceedings**

## **NUCLEAR REGULATORY COMMISSION**

Title: 723rd Meeting Advisory Committee on Reactor Safeguards

Location: teleconference

Date: Thursday, March 6, 2025

Work Order No.: NRC-0242

Pages 1-100

**NEAL R. GROSS AND CO., INC.**  
**Court Reporters and Transcribers**  
1716 14th Street, N.W.  
Washington, D.C. 20009  
(202) 234-4433

DISCLAIMER

UNITED STATES NUCLEAR REGULATORY COMMISSION'S  
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

The contents of this transcript of the proceeding of the United States Nuclear Regulatory Commission Advisory Committee on Reactor Safeguards, as reported herein, is a record of the discussions recorded at the meeting.

This transcript has not been reviewed, corrected, and edited, and it may contain inaccuracies.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION

+ + + + +

723rd MEETING

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

(ACRS)

+ + + + +

THURSDAY

MARCH 6, 2025

+ + + + +

The Advisory Committee met via video  
teleconference, at 8:30 a.m. EST, Walter L. Kirchner,  
Chair, presiding.

1 COMMITTEE MEMBERS:

2 WALTER L. KIRCHNER, Chair

3 GREGORY H. HALNON, Vice Chair

4 DAVID A. PETTI, Member-at-Large

5 RONALD G. BALLINGER

6 VICKI M. BIER

7 VESNA B. DIMITRIJEVIC \*

8 CRAIG D. HARRINGTON

9 ROBERT P. MARTIN

10 SCOTT P. PALMTAG

11 THOMAS E. ROBERTS

12 MATTHEW W. SUNSERI

13 ACRS CONSULTANT:

14 STEPHEN SCHULTZ \*

16 DESIGNATED FEDERAL OFFICIAL:

17 CHRISTINA ANTONESCU

25 \*Present via telephone

1 ALSO PRESENT:

2 RICHARD BURTT

3 WILLIAM KEARNEY

4 STEVE DOWNEY

5 PAMELA GREENLAW

6 DAN HOANG

7 BETH JENKINS

8 MATTHEW McCONNELL

9 KEITH MILLER

10 JASON PAIGE

11 MAC REED

12 APRIL RICE

13 JUDD RUTH

14 SHABAZZ RAYMOND

15 CHUCK TOMES

16 JOHN WISE

17

18

19

20

21

22

23

24

25

## CONTENTS

Call to Order and Opening Remarks . . . . .	5
Walt Kirchner, Chair	
V.C. Summer Subsequent License Renewal	
Application Review . . . . .	8
V.C. Summer Nuclear Station Presentation . . . . .	13
Staff Presentation . . . . .	62
Public Comments . . . . .	97
Adjourn	

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

P-R-O-C-E-E-D-I-N-G-S

8:30 a.m.

CHAIR KIRCHNER: Good morning. This meeting will now come to order.

This is the second day of the 723rd meeting of the Advisory Committee on Reactor Safeguards, ACRS.

I'm Walt Kirchner, Chairman of the ACRS. ACRS members in attendance in person are Ron Ballinger, Greg Halnon, Robert Martin, Scott Palmtag, Dave Petti, Thomas Roberts, Craig Harrington, Matt Sunseri, and Vicki Bier. Attending virtually is Vesna Dimitrijevic.

And today, I do not think we have any of our consultant joining us. Or, Steve, are you there?

MR. SCHULTZ: I'm here.

CHAIR KIRCHNER: Okay. Steve Schultz. Thank you.

If I've missed anyone, either ACRS members or consultants, please speak up now.

(No response.)

Kent Howard of the ACRS staff is the Designated Federal Officer for this morning's full Committee meeting.

No member conflicts of interest were

1 identified for today's meeting.

2 And I note that we have a quorum.

3 The ACRS was established by statute and is  
4 governed by the Federal Advisory Committee Act, or  
5 FACA. The NRC implements FACA in accordance with our  
6 regulations.

7 Per these regulations and the Committee's  
8 Bylaws, the ACRS speaks only through its published  
9 Letter Reports. All member comments, therefore,  
10 should be regarded as only the individual opinion of  
11 that member and not a Committee position.

12 All relevant information related to ACRS  
13 activities, such as letters, rules for meeting  
14 participation, and transcripts, are located on the NRC  
15 public website and can be readily found by typing  
16 "About Us ACRS" in the search field on the NRC's home  
17 page.

18 The ACRS, consistent with the agency's  
19 value of public transparency and regulation of nuclear  
20 facilities, provides opportunity for public input and  
21 comment during our proceedings. We have received no  
22 written statements or requests to make an oral  
23 statement from the public. However, we have set aside  
24 time at the end of the meeting for public comments.

25 Written statements may be forwarded to



1 today's Designated Federal Officer. And again, that's  
2 Kent Howard.

3 A transcript of the meeting is being kept  
4 and will be posted on our website.

5 When addressing the Committee, the  
6 participants should first identify themselves and  
7 speak with sufficient clarity and volume, so that they  
8 may be readily heard. If you are not speaking -- this  
9 is important -- please mute your computer on Teams or,  
10 if you are participating by phone, press \*6 to mute  
11 your phone, and \*5 to raise your hand on Teams.

12 The Teams chat feature will not be  
13 available for use during the meeting.

14 For everyone in the room, we ask that you  
15 please put your electronic devices in silent mode and  
16 mute your laptop microphone and speakers.

17 In addition, please keep sidebar  
18 discussions in the room to a minimum, since the  
19 ceiling microphones are live.

20 For presenters -- and this is important --  
21 these microphones are unidirectional. You'll need to  
22 speak into the front of the microphone to be heard  
23 online, especially by our court reporter.

24 Finally, if you have any feedback about  
25 today's meeting, we encourage you to fill out the

1 public meeting feedback form on the NRC's website.

2 During today's meeting, we will consider  
3 the following topic, which is the V.C. Summer  
4 subsequent license renewal application.

5 Portions of this meeting may be closed to  
6 protect sensitive information, as required by FACA and  
7 the Government in Sunshine Act. Attendance during the  
8 closed portion of the meeting will be limited to NRC  
9 staff and its consultants, Dominion Energy, and those  
10 individuals and organizations who have entered into an  
11 appropriate confidentiality agreement. We will  
12 confirm that only eligible individuals are in that  
13 closed portion of the meeting.

14 And with that, unless there are any  
15 comments from members, I will now turn the Committee's  
16 deliberations over to our License Renewal Subcommittee  
17 Chairman, Matt Sunseri.

18 Matt?

19 MEMBER SUNSERI: Thank you, Chairman  
20 Kirchner.

21 As you mentioned, during today's meeting  
22 the ACRS full Committee will receive a briefing on the  
23 technical issues for the Virgil C. Summer Nuclear  
24 Station Unit 1 subsequent license renewal application  
25 from Dominion Energy, South Carolina, and the NRC

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 staff.

2 We review these subsequent license renewal  
3 applications to assure that the aging management  
4 programs that the licensee is implementing are  
5 well-suited to support the period of license  
6 extension.

7 And we contribute by adding our own  
8 operational experience on aging management to the  
9 process. As you know, aging management is important  
10 in our operating experience for input to the review  
11 process. And so, this gives us an opportunity to  
12 share our experience with the process.

13 For those followers that observe ACRS  
14 meetings closely, you will notice that we are doing a  
15 different approach to this subsequent license and  
16 initial license renewal reviews. Because of the  
17 maturity of the industry's experience with aging  
18 management programs and the license renewal processes,  
19 and the repetitive quality submittals by the  
20 applicants, very high quality submittals, this allows  
21 us to forego having a Subcommittee meeting  
22 specifically on the topic. What our Subcommittee does  
23 is we review the material virtually in preparation for  
24 this meeting.

25 So, just assuring, although there wasn't

1 a Subcommittee briefing, but, specifically, the  
2 Subcommittee has done a deep-dive review of all the  
3 material that was submitted. And it was pretty  
4 substantial. For those that don't really know a  
5 subsequent license renewal application, I think this  
6 one had over 1400 pages or something like that. So,  
7 it's a pretty in-depth process.

8 But, for transparency reasons, then we  
9 bring forward the briefing into the full Committee  
10 meeting. So, the staff and the Applicant will present  
11 their cases today. We will deliberate in the light of  
12 sunshine, and then, we'll produce a Letter Report with  
13 our findings following today's briefing.

14 So, as Walt also mentioned, there is a  
15 session reserved for some proprietary information. I  
16 don't necessarily anticipate any, unless there's some  
17 questions asked, and then, we may have to go into a  
18 proprietary session to discuss those. But we'll just  
19 see where that goes.

20 Anyway, that's all I have as far as  
21 introduction. Any questions for me?

22 (No response.)

23 So, without any further questions, I'll  
24 turn it over to Mr. Jason Paige, Acting Director of  
25 the Division of Engineering and External Hazards.

1 Jason?

2 MR. PAIGE: Thank you, Chairman.

3 Good morning. Jason Paige, Acting Deputy  
4 Director of the Division of (audio interference)  
5 Licenses in the Office of Nuclear Reactor Regulation.

6 We appreciate the opportunity today to  
7 present to the ACRS the results of the staff's review  
8 on the application for subsequent license renewal.

9 This application was submitted by Dominion  
10 Energy for the V.C. Summer Nuclear Station Unit 1  
11 located in Jenkinsville, South Carolina.

12 For background, V.C. Summer Unit 1  
13 received approval for its initial license renewal from  
14 the Nuclear Regulatory Commission April 24th, 2004.  
15 The NRC review at that time was performed using  
16 guidance from the initial version of the Generic Aging  
17 Lessons Learned Report, or the GALL. The initial GALL  
18 Report was issued in 2001.

19 The NRC Guidance for License Renewal has  
20 evolved over the years through enhancements and  
21 improvements based on lesson learned from the NRC  
22 application reviews and from consideration of both  
23 domestic international industry operating experience.

24 The initial GALL Report for License  
25 Renewal went through two revisions with additional

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 Interim Staff Guidance revised changes following  
2 Revision 2. Gall Report Revision 2, along with these  
3 ISGs, were used to develop the guidance for subsequent  
4 license renewal that's contained in the GALL-SLR  
5 Report.

6 In addition to the previous license  
7 renewal guidance, the GALL-SLR report includes  
8 additional focus on aging management and time-limiting  
9 aging analyses for operation in the 60-to-80-year time  
10 period.

11 Regarding our review team for the V.C.  
12 Summer application, the NRC Project Manager for the  
13 V.C. Summer subsequent license renewal application  
14 Review is Marieliz Johnson. And she will introduce  
15 the staff who will be presenting today and addressing  
16 your questions regarding the safety review.

17 Staff's safety review of the V.C. Summer  
18 subsequent license renewal application is documented  
19 in the Safety Evaluation issued on January 21st, 2025,  
20 and was revised on March 4th, 2025, to address an  
21 administrative change that more accurately describes  
22 the Applicant's implementation of an aging management  
23 program. Merieliz will provide additional details on  
24 that aging management program.

25 I would like to note that the staff

1 completed its review with no confirmatory items in the  
2 Safety Evaluation.

3 And finally, we will address any questions  
4 you may have on the staff's presentation. We look  
5 forward to a productive discussion today with the  
6 ACRS.

7 At this time, I would like to turn the  
8 presentation over to Mr. Keith Miller, Subsequent  
9 License Renewal Supervisor at Dominion Energy, South  
10 Carolina, to introduce his team and commence the  
11 presentation.

12 MR. MILLER: Thank you.

13 Good morning, Chair Kirchner and Members  
14 of the Committee.

15 My name is Keith Miller and I'm the  
16 Engineering Supervisor responsible for the V.C. Summer  
17 Subsequent License Renewal Project. By way of my  
18 background, I've with the Dominion SLR team since 2017  
19 and my group is responsible for the relicensing of the  
20 Dominion nuclear fleet.

21 V.C. Summer is the third subsequent  
22 license renewal project for us following the  
23 successful North Anna and Surry Projects.

24 We appreciate the opportunity to speak  
25 with the ACRS Committee today on V.C. Summer's

1 application. It's a very important day and we look  
2 forward to presenting the application highlights to  
3 the Committee.

4 Next slide, please.

5 Here's the agenda for the discussion  
6 today: I'll introduce the team here with me and  
7 remotely. We'll discuss an overview of the station  
8 and its performance; the development of the subsequent  
9 license renewal application; a few technical topics  
10 and closing remarks.

11 Next slide.

12 I'd like to introduce the team assembled  
13 here with me today.

14 With me to my right is Beth Jenkins, the  
15 V.C. Summer Site Vice President. Beth joined the  
16 Dominion family in January, and previous to that, she  
17 was the plant manager at Watts Bar, and then,  
18 Sequoyah.

19 Chuck Tomes is at the table to my left.  
20 Chuck is an SLR Technical Lead and he will be speaking  
21 on one of the topics today.

22 Pratt Cherry, our SLR team mechanical  
23 lead, is at the end here.

24 With us on the Teams link is Richard  
25 Burtt. Richard is the Manager of Nuclear Site

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1 Engineering and will also be presenting a technical  
2 topic.

3 Although he can't be with us today, I want  
4 to recognize Calvin Pugh. Calvin is the Director of  
5 the Subsequent License Renewal Organization.

6 We also have several team members and  
7 corporate and station leaders in the audience here in  
8 the room.

9 James Holloway, who is the Vice President  
10 of Nuclear Engineering, is here, and the SLR  
11 organization falls under James' purview.

12 And Brenda Brown is here. Brenda is the  
13 Director of Nuclear Engineering at V.C. Summer.

14 Last, but not least, Roger Rucker is here.  
15 Roger is the electrical engineering lead for the  
16 Subsequent License Renewal Project.

17 We also have numerous technical staff from  
18 Dominion and Westinghouse available in the virtual  
19 audience, should we need some assistance on any  
20 questions the Committee may have. If needed, they'll  
21 identify themselves and address your questions.

22 And with that, I'll turn the presentation  
23 over to Beth Jenkins to discuss an overview of the  
24 station.

25 MR. SUNSERI: If I might interject, we're

1 going to interrupt you a lot here today. So, I  
2 apologize in advance for that.

3 But I just want to say, you mentioned an  
4 impressive commitment by your company to bring these  
5 resources here like this. And to us, you know,  
6 sometimes we don't want to be a burden, but we want to  
7 fulfill our obligation as well.

8 But to see this kind of support gives us  
9 a good feeling of how important this is to you and the  
10 care you put into these programs. I just wanted to  
11 highlight that before you get too far into it.

12 MS. JENKINS: Thank you.

13 And good morning, everyone.

14 I'm Beth Jenkins. I'm the Site Vice  
15 President of V.C. Summer Nuclear Station.

16 We're going to start today with an aerial  
17 view of the station. I'm going to highlight some of  
18 the more significant features to help the Committee  
19 get oriented.

20 To the north of the station is the  
21 Monticello Reservoir. One unique aspect of the  
22 Monticello Reservoir is that it not only serves as a  
23 source of makeup cooling water for V.C. Summer, but  
24 also serves as the upper pool for the Fairfield Pump  
25 Storage Facility.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1           You can see the Fairfield Pump Storage  
2           Facility in the upper left here, and the Parr  
3           Reservoir serves as the lower reservoir for the Pump  
4           Storage Facility. And that can be partly seen to the  
5           left.

6           The reactor building is in the center of  
7           the circle, and the service water pond lies just to  
8           the east. And we'll be discussing the service water  
9           pond in a little more detail later in the  
10          presentation. The switch yard is just to the south.

11          Next slide, please.

12          This slide lists a few of the significant  
13          milestones in the station's history. A few of them  
14          were mentioned earlier in the presentation.

15          V.C. Summer was originally licensed in  
16          1982 for 2775 megawatts thermal and uprated to 2900  
17          megawatts thermal was approved in 1996.

18          In 2004, the operating license was renewed  
19          the first time.

20          The station entered the first period of  
21          extended operation in the fall of 2022.

22          The current license which we're seeking to  
23          renew a second time expires in 2042. So, renewal will  
24          permit station operation to 2062.

25          Next slide, please.

1 V.C. Summer is a three-loop Westinghouse  
2 pressurized water reactor. The unit operates on an  
3 18-month refueling cycle.

4 As far as regulatory status, V.C. Summer  
5 is in column 1 of the reactor oversight process  
6 actions matrix, and all ROP indicators are green.

7 At the bottom is a brief table that  
8 summarizes the station's capacity factors over the  
9 last five years. And I'll just mention that the  
10 outliers are predominantly driven by whether or not we  
11 had a refueling outage that year or extended outages.

12 MEMBER PALMTAG: Thanks for anticipating  
13 that question. Because when I looked at the numbers,  
14 they looked a little off.

15 MS. JENKINS: Varied?

16 MEMBER PALMTAG: Yes. Varied, yes. I  
17 wasn't sure if that was all due to -- so, the  
18 refueling outages were longer than the (audio  
19 interference)?

20 MR. MILLER: Correct. Yes.

21 MEMBER PALMTAG: Okay.

22 MR. MILLER: The lower capacity factors  
23 are if we extended --

24 MEMBER SUNSERI: I'm sorry, Keith, you  
25 need to use your mic and introduce yourself for the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 court reporter each time you speak.

2 MR. MILLER: Thanks for that reminder.

3 Yes, my name is Keith Miller. I'm the SLR  
4 Supervisor.

5 Yes, the lower capacity factors were  
6 primarily due to extended outage, an outage longer  
7 than (audio interference).

8 MEMBER PALMTAG: And why were they  
9 extended?

10 MR. MILLER: Well, if you look, in  
11 particular, at the 2021 capacity factor rated 2.69,  
12 that outage was extended about 25 days due to a main  
13 transformer fire. So, that was the main contributor  
14 there.

15 MEMBER PALMTAG: Okay.

16 MEMBER PETTI: Question. This is Dave.  
17 How do you get a capacity factor over 100?  
18 (Laughter.)

19 You operated above your --

20 MS. JENKINS: No, so we had no outage that  
21 year, no refueling outage that year.

22 (Laughter.)

23 MEMBER PETTI: Okay.

24 MS. JENKINS: And the factor is based on  
25 our maximum dependability capacity and that is based

1 on lake temperature of 85 degrees. So, if we're less  
2 than 85 degrees, we have increased efficiency.

3 MEMBER PETTI: Thanks.

4 MS. JENKINS: Next slide.

5 V.C. Summer has continued to invest in the  
6 safety, reliability, and long-term operation of the  
7 station. And this slide shows some of the significant  
8 plant upgrades that have been performed since initial  
9 license renewal. Many of these upgrades support  
10 improved aging management of the station's system,  
11 structures, and components.

12 We intend to make similar investments as  
13 we approach the subsequent period of extended  
14 operation and will continue to make investments to  
15 ensure the safety and reliability of the plant.

16 Now, I'll turn the presentation back over  
17 to Keith to discuss the subsequent license renewal  
18 application.

19 MR. MILLER: Thank you.

20 In the next few slides, I would like to  
21 discuss how the subsequent license renewal application  
22 was built and some high level results.

23 The V.C. Summer Subsequent License Renewal  
24 Project is the third for Dominion Energy. Many of our  
25 project team members have remained with us since

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 Surry. And in addition, many of our staff have  
2 experience on the Dominion initial license renewals  
3 and experience from other utilities' license renewal  
4 projects. That depth of experience has been  
5 invaluable in our efforts to build a high quality  
6 application.

7 We've been active participants in the  
8 Nuclear Energy Institute License Renewal Task Force  
9 over the years. And we've also participated in  
10 several peer reviews of other subsequent license  
11 renewal applications.

12 VICE CHAIR HALNON: Keith, this is Greg.

13 Since the company, or the plant changed  
14 hands from the license renewal to the subsequent, did  
15 you have any original members of the license renewal  
16 team on the subsequent license renewal team?

17 MR. MILLER: We didn't, actually, not from  
18 the initial V.C. Summer license renewal. None of  
19 those folks transitioned over to our team.

20 VICE CHAIR HALNON: How did you translate  
21 that deep knowledge that those folks have to the plant  
22 over the last 20-30 years to the subsequent license  
23 renewal team?

24 MR. MILLER: Yes, I would say it wouldn't  
25 necessarily be deep knowledge of the station itself,

1 but knowledge of the license renewal process and how  
2 to build applications and get through the reviews,  
3 things like that.

4 VICE CHAIR HALNON: Okay. But you still  
5 have to have experienced input into the process. And  
6 I get the process piece, but was the application  
7 produced in Richmond or was it produced in  
8 Jenkinsville?

9 MR. MILLER: So, we produced the  
10 application in Richmond. But I'll say that we've had  
11 great participation with our station partners  
12 throughout the process.

13 We started the project in the summer of  
14 2021. And in the fall of 2021, we started writing  
15 aging management programs. Those aging management  
16 programs were reviewed and commented on between us and  
17 the program owners. Because they're closest to the  
18 programs, we want to understand the OE like they  
19 understand it on a daily basis.

20 VICE CHAIR HALNON: Having the program  
21 managers from the site into the process?

22 MR. MILLER: Correct, correct. Every  
23 aging management program that we wrote was concurred  
24 on by the program owner at the site.

25 VICE CHAIR HALNON: Just top of the head,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309



1 was it a significant change from the control, from  
2 SCE&G style to the Dominion style? In other words,  
3 did you have to do a complete rewrite of those  
4 programs or was it pretty close?

5 MR. MILLER: Yes, so V.C. Summer the first  
6 time around was GALL Rev 0. So, generally, the  
7 approach we've taken for all three stations was to  
8 pretty much start from scratch. We used the initial  
9 license renewal documentation, certainly, as we were  
10 doing our research, but we found it's been more  
11 efficient just to start from a clean sheet of paper.

12 VICE CHAIR HALNON: There's some value in  
13 that, too.

14 MR. MILLER: Yes.

15 VICE CHAIR HALNON: Thanks.

16 MR. MILLER: Okay. The application was  
17 built with an eye towards maximizing consistency with  
18 the regulatory and industry guidance. And in  
19 constructing the application, we performed several  
20 benchmarking activities. We looked at other  
21 subsequent license renewal applications and  
22 correspondence between the NRC and the applicants,  
23 such as requests for additional information and  
24 supplement letters, and incorporated any learnings  
25 there. We built on our experience with North Anna and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 Surry and attempted to incorporate any lessons learned  
2 from those NRC reviews.

3 And just as evidence, the application  
4 quality has been steadily increasing. The number of  
5 requests for additional information that we received  
6 during the NRC review has steadily decreased from  
7 Surry to North Anna, and now to V.C. Summer.

8 Also, we conducted a peer review of our  
9 subsequent license renewal application to gather any  
10 insights from our industry peers.

11 Next slide, please.

12 On this slide, I would like to discuss  
13 some of the high level results.

14 First, in the area of aging management  
15 reviews, we did achieve high consistency with the  
16 GALL. Greater than 99 percent of the AMR items  
17 utilized the standard notes.

18 In the area of operating experience, we  
19 reviewed 10 years' worth of operating experience, such  
20 as Condition Reports, for aging-related insights.

21 A self-assessment was performed in 2021,  
22 as the station prepared for the IP-71003 inspections  
23 prior to entering the first period of extended  
24 operation. And then, once the 71003 inspection was  
25 performed, the report documented no findings or

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 violations.

2 In the area of aging management programs,  
3 there are 49 programs for SLR, which we'll talk about  
4 a little bit on the next slide.

5 This slide summarizes the various  
6 categories of aging management programs and their  
7 respective consistency with GALL. Roughly 20 percent  
8 of the population are new AMPs. Just under half of  
9 the aging management programs are consistent with  
10 GALL, and five of the new programs are in the  
11 electrical area.

12 Next slide, please.

13 There were several technical topics that  
14 we would like to briefly discuss, based on requests  
15 from the Committee.

16 The first is the service water pond  
17 configuration and any aging management activities  
18 related.

19 The second is related to emergency diesel  
20 generator performance.

21 And the third is primary shield wall  
22 fluence and vessel support inspections.

23 Next slide.

24 So, the first topic we'll address is the  
25 service water pond configuration and then, aging

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 management activities related to it.

2 The service water pond is a safety class  
3 impoundment of about 41 acres within a small arm of  
4 the much larger Monticello Reservoir, which is about  
5 6800 acres.

6 The photo on the left shows a zoomed-out  
7 view to give you a decent feel for the orientation,  
8 and the photo on the right is a more closeup view.

9 The pond was formed by using a portion of  
10 the Monticello Reservoir shoreline, the west  
11 embankment, and utilized to higher elevation natural  
12 areas close to the shoreline. And these natural areas  
13 can be thought of as islands, if they weren't  
14 connected as they are now.

15 Three small earthen dams were built which  
16 connect the west embankment to the two raised natural  
17 areas. The north dam is there where the pointer is.  
18 The east dam is there, the L-shaped, and the south dam  
19 is there. And that forms the perimeter of the pond  
20 that separates it from the Monticello Reservoir.

21 And as mentioned on the site overview  
22 slide, the reservoir serves as the upper pool of the  
23 Fairfield Pump Storage Facility. And due to that  
24 facility's normal operations, the water level in the  
25 reservoir could fluctuate up to 4.5 feet. So, the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 service water pond boundary enclosure serves to  
2 maintain a consistent water level and volume in the  
3 pond during the normal fluctuations of the reservoir.

4 Next slide, please.

5 VICE CHAIR HALNON: And I suppose it goes  
6 without saying that you're in a (audio interference),  
7 right?

8 MR. MILLER: Correct.

9 VICE CHAIR HALNON: Good assuming.

10 MR. MILLER: This slide lists several of  
11 the aging management activities that are being  
12 performed for the service water pond. Dams and  
13 embankments are inspected for erosion, movements,  
14 surface cracks, sloughing, et cetera, on an annual  
15 basis. Dam elevation, alignment, and slope surveys  
16 are conducted every five years.

17 Two bottom elevation surveys have been  
18 performed in the past to monitor the extent of  
19 sedimentation in the pond. And we have created an  
20 enhancement to the water control structures aging  
21 management program to conduct those sedimentation  
22 surveys periodically moving forward.

23 And last, the Federal Energy Regulatory  
24 Commission, or FERC, inspects the dams every three  
25 years.

1                   MEMBER BIER: A quick question this slide.  
2                   This is Vicki here.

3                   When you say, "embankments inspected," I  
4                   assume that covers kind of natural earth embankments  
5                   as well as constructed dams and levees, is that  
6                   correct?

7                   MR. MILLER: That's correct.

8                   MEMBER BIER: Okay. Thank you.

9                   MEMBER MARTIN: So, Keith, can you go back  
10                  to the previous slide?

11                  MR. MILLER: Sure.

12                  MEMBER MARTIN: Can you speak to the  
13                  chemistry control in the service water pond?

14                  MR. MILLER: Yes. Well, I'm going to  
15                  actually turn to April Rice in the V.C. Summer  
16                  Conference Room.

17                  April, can you provide a little input on  
18                  that? The question was related to chemistry control  
19                  in the service water pond.

20                  You have to take yourself off mute.

21                  MS. RICE: Thank you.

22                  This is April Rice.

23                  Let us get to the chemist and we'll get  
24                  right back to you with that response.

25                  MEMBER MARTIN: Okay. Thank you.

1 MS. RICE: Okay.

2 VICE CHAIR HALNON: So, while we're on  
3 this picture, I realize the islands, or whatever you  
4 call them, are not constructed earthen dams, but are  
5 those inspected as well when you do the inspection?

6 MR. MILLER: Islands are inspected as  
7 well.

8 VICE CHAIR HALNON: Okay. And how often  
9 -- I'm sorry -- how often was the inspection?

10 MR. MILLER: Five-year frequency.

11 VICE CHAIR HALNON: Okay. And the  
12 qualifications of the people who would do those  
13 inspections, can you speak to that?

14 MR. MILLER: I'm going to actually ask  
15 Judd Ruth from V.C. Summer to answer that question.  
16 And the question was, qualifications related to the  
17 folks doing the inspections of the service water pond  
18 structures.

19 MR. RUTH: Yes. This is Judd Ruth at V.C.  
20 Summer. I'm a civil engineer with the design  
21 engineering team.

22 Yes, we have professional engineers,  
23 PE-licensed folks who oversee those inspections, along  
24 with other civil engineers that have experience with  
25 doing those inspections.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 MR. MILLER: Thanks, Judd. And greetings  
2 to all you folks back in the conference room.

3 When I looked at the qualifications  
4 required, PE was one of them, civil engineering,  
5 graduated from an ABET school, 10 years of concrete  
6 structure experience, and ASR qualifications. Is that  
7 consistent with what you would say is your qualified  
8 folks? ASR is Alkali-Silica Reaction.

9 MR. RUTH: Yes.

10 MR. MILLER: Okay.

11 MR. RUTH: Yes. This is Judd Ruth again.

12 As far as the embankments, there's no  
13 concrete really involved with those inspections. So,  
14 I wouldn't say that that applies to the earthen  
15 portions. But, yes, if we do concrete inspections,  
16 that would be a qualification.

17 MR. MILLER: Right.

18 VICE CHAIR HALNON: And I don't think it  
19 gives you a choice, I think if your Code requires  
20 those for the inspectors. So, I'd suggest you go back  
21 and look and make sure that, if you do have an  
22 exception, it's at least acknowledged and you  
23 understand how it goes.

24 MR. MILLER: So, any more questions on the  
25 service water pond?



1 VICE CHAIR HALNON: One last question is,  
2 can you address a potential failure of the Monticello  
3 earthen dam? How does that affect the service water  
4 pond? How does it maintain its water level?

5 MR. MILLER: Yes. So, the service water  
6 pond boundary enclosure is designed that, if we lose  
7 the dams that form the Monticello Reservoir, the  
8 service water pond structure will be not impacted. It  
9 will maintain water level. Those dams are designed to  
10 maintain level, even with total loss of the Monticello  
11 Reservoir.

12 VICE CHAIR HALNON: So, for lack of a  
13 better term, it's got to be checked-off?

14 MR. MILLER: Correct. Correct.

15 VICE CHAIR HALNON: And the Monticello  
16 dams, are they inspected to the same frequency, just  
17 for convenience's sake, or are they inspected by FERC  
18 at all?

19 MR. MILLER: I'll ask Judd Ruth again.  
20 The question was related to inspections of the  
21 Monticello Reservoir dams, the periodicity.

22 MR. RUTH: Yes, this is Judd Ruth from  
23 V.C. Summer design engineering.

24 Yes, FERC does inspect those or does  
25 inspect the Monticello dam. As far as the frequency,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 that is controlled by corporate folks and we don't  
2 control those inspections.

3 VICE CHAIR HALNON: Okay. That's similar  
4 to other earthen dams, that they're on the FERC  
5 cycles.

6 MEMBER HARRINGTON: This is Member  
7 Harrington.

8 Just the inspections and the frequency,  
9 all that, has that changed because of initial or  
10 subsequent license renewal, or has that been the case  
11 throughout plant life or?

12 MR. MILLER: I can't speak to plant life,  
13 but it has not changed during the subsequent license  
14 renewal and subsequent (audio interference) period.

15 VICE CHAIR HALNON: Yes, this is Greg one  
16 last time.

17 I know there's a tech spec on temperature  
18 probably for the pond. South Carolina is not Ohio.  
19 So, you, obviously, get some extremely hot  
20 temperatures. How do you -- have you had to derate  
21 the plant or shut down, based on temperature that you  
22 found in the near past? I mean, you have some really  
23 hot temperatures for a couple or three years.

24 MR. MILLER: I'll turn to V.C. Summer to  
25 answer that question.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1           The question was related to derating due  
2           to temperature in the reservoir, if that's happened in  
3           the past or not.

4           MR. KEARNEY: This is Will Kearney. I'm  
5           the Plant Manager at V.C. Summer Station.

6           I believe the question was about the  
7           service water pond temperature limits. We do have a  
8           tech spec limit on that. We have not had to derate  
9           the units at any time due to challenges to that  
10          temperature.

11          VICE CHAIR HALNON: Is there a spray  
12          system in place just in case you have to cool it down?

13          MR. KEARNEY: We do not have a spray  
14          system. That is something that we have conceptually  
15          looked at in the distant past, but it is not something  
16          that we have ever pursued beyond that.

17          VICE CHAIR HALNON: I see.

18          MEMBER SUNSERI: I know you're still  
19          working on the question regarding the chemistry  
20          control. It's my experience with configurations like  
21          this that degradation mechanisms, either sediment  
22          buildup or biofoulings -- I suspect that you're  
23          treating the water for biofouling and checking the  
24          sediment ever so often?

25          MR. MILLER: Yes. So, the sedimentation

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 surveys are performed periodically. In the past, we  
2 have done two 15 years apart and we have a work order  
3 to do the next one in 2027, I believe, and then, it  
4 will be every 15 years, likely, ahead.

5 But, yes, it is treated for biofouling.  
6 I don't have the specifics on the chemistry control.  
7 So, I don't want to speak out of turn. But I do know  
8 that biofouling is one of the things that we're  
9 treating for in the pond and the components  
10 downstream.

11 MEMBER SUNSERI: Yes. Thank you.

12 VICE CHAIR HALNON: And this is Greg.

13 The reason I asked about the chemistry is  
14 it's a relatively stagnant --

15 MR. MILLER: Yes.

16 VICE CHAIR HALNON: -- set of waters. You  
17 have evaporation and you have concentration in the  
18 sump tank.

19 MR. MILLER: Right.

20 VICE CHAIR HALNON: And that's why I'm  
21 asking about the chemistry. So, when you get that,  
22 I'd appreciate the feedback.

23 MR. MILLER: So, if there are no other  
24 questions on the service water pond, I'll turn it over  
25 now to Richard Burt, on the virtual line, to discuss

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 the second technical topic, which is emergency diesel  
2 generator performance.

3 MR. BURTT: All right. Good morning.

4 I'm Richard Burtt. I'm the Nuclear Site  
5 Engineering Manager here at V.C. Summer.

6 I'll discuss our emergency diesel  
7 generator performance, specifically, on the topic  
8 related to a white performance deficiency we received  
9 in 2022 associated with failure to identify and  
10 correct conditions adverse to quality, specifically,  
11 on our fuel system piping and cracks in the threaded  
12 portion of that piping.

13 The direct cause was cracking in a  
14 Schedule 40 threaded pipe circumferentially during a  
15 24-hour run. And then, our regulator, looking back,  
16 said we had identified opportunities we had previously  
17 had to identify cracking vulnerability and could have  
18 corrected it during prior maintenance activities.

19 So, we performed a root cause on this  
20 former deficiency and the event. We identified two  
21 root causes.

22 First, organizationally, it was focused on  
23 our Corrective Action Program. And at the time of the  
24 events, our Corrective Action Program failed to derive  
25 effective evaluation and resolution of the fuel piping

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 cracks in previous events.

2 And then, the second root cause was  
3 associated with the fuel piping design itself being  
4 Schedule 40 piping, hard connections, a black iron  
5 pipe that was inadequate for mechanical adjustments  
6 and allowing maintenance and causing challenges during  
7 maintenance to correct leaking connections.

8 So, next slide.

9 Prior to that, we did pursue a fuel piping  
10 design change. We replaced the Schedule 40 piping  
11 with Schedule 80, mostly welded joints, and installed  
12 first-of-the-kind-in-the-industry flexible hoses on a  
13 fuel oil header. And we also included flange  
14 connections to allow for ease of maintenance.

15 Related to the Corrective Action Program,  
16 at the time of the previous events, we were under our  
17 SCANA Corrective Action Program in the version it was.  
18 We have since transitioned to our Dominion Corrective  
19 Action Program. And part of that had improved some of  
20 the vulnerabilities as far as what was considered  
21 conditions adverse to quality. More is screened in  
22 under the Dominion process.

23 But, beyond that, we also improved our  
24 Corrective Action Program for any identified  
25 through-wall leaks or repeat conditions to drive a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 higher-level evaluation. Those do get specifically  
2 identified during our corrective -- or sorry -- our CR  
3 review teams. We've also included this into our plant  
4 health process to look at longstanding issues, strive  
5 for resolution.

6 We also implemented a prevention,  
7 detection, and correction culture. That was mainly  
8 focused to improve plant equipment reliability, but we  
9 have also included it in our improvements from this  
10 event. And we also have an annual review of those  
11 longstanding items.

12 And just to identify, since these events,  
13 we've had satisfactory surveillance runs during our  
14 monthly runs.

15 And with that, I'll turn the presentation  
16 to Chuck Tomes.

17 MEMBER SUNSERI: Thank you.

18 Before Chuck begins, just a question about  
19 that kind of culture model. I mean, since you made  
20 these changes to your Corrective Action Program, do  
21 you have any notable example of where, outside of the  
22 diesel generator fuel oil system, where you --

23 COURT REPORTER: This is the court  
24 reporter. Could I ask the person posing the question  
25 to identify himself for the record?

1 MEMBER SUNSERI: Sunseri.

2 I lost my train of thought.

3 Okay. So, any notable examples of where  
4 you, for lack of better words, connected the dots on  
5 screening, maybe minor problems that were leading to  
6 bigger problems, like this one with the diesel  
7 generator? Any examples of where your culture  
8 improved in that area?

9 MR. KEARNEY: This is Will Kearney again,  
10 the Plant Manager.

11 It is a diesel generator example, but it's  
12 not fuel-piping-related. We did take the opportunity  
13 to replace the OEM jacket water piping on the  
14 emergency diesel generator. These are Fairbanks Morse  
15 engines. The OEM design employs a partial penetration  
16 butt weld type of assembly for that, for all those  
17 jacket weld or jacket water piping.

18 There was industry OE on through-wall  
19 leakage on that jacket water piping. Our peer station  
20 under Dominion Millstone Power Station had addressed  
21 that at their end by replacing that with full-pin  
22 jacket weld piping that they fabricated at their  
23 facility. So, based on that OE and on their  
24 experience with manufacturing it, we proactively  
25 fabricated and replaced all of our jacket water piping

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1 to preclude a jacket water through-wall leak at  
2 service station diesels.

3 MEMBER SUNSERI: Thanks for those  
4 examples.

5 I know I'm preaching to the choir here,  
6 but when a plant runs as good as yours appears to be  
7 running over the years, it's very important to be able  
8 to connect the dots on these lower-level issues to  
9 prevent them from turning into bigger issues --  
10 maintaining high reliability and safety. And it looks  
11 like you're doing it correctly.

12 MR. KEARNEY: Thank you.

13 CHAIR KIRCHNER: So, Keith, let me ask you  
14 a question to follow up on Matt's.

15 Since you are taking the corporate view on  
16 this SLR, did you go back to North Anna and Surry and  
17 look at the emergency diesel generators as a result of  
18 what you found in Summer?

19 MR. MILLER: So, I would say that that was  
20 likely looked at by North Anna and Surry, outside of  
21 my organization. The V.C. Summer issues were not  
22 directly aging-related, related to the fuel oil piping  
23 cracking. But, as a fleet, in general, yes, when we  
24 have a problem at one station, we evaluate it at all  
25 the other stations for applicability and whether it --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 CHAIR KIRCHNER: I can't remember what  
2 diesel generators are at North Anna and Surry, whether  
3 they're Fairbanks Morse or not. But I'm just curious  
4 to see if you want back, based on this experience, and  
5 looked at your other plants.

6 MR. MILLER: Yes, it is. In general, yes,  
7 it is always looked at for significant issues in our  
8 fleet.

9 VICE CHAIR HALNON: So, this is Greg.

10 You said it wasn't aging-related, but it  
11 exists since 2004, which would make it almost 20 years  
12 old. It sounds aging to me.

13 MR. MILLER: Yes, so it was primarily  
14 piping configuration and there were a lot of  
15 mechanical joints in the piping and they were leaking  
16 from the mechanical joints. So, as fixes were made in  
17 the past, it disturbed other joints and leaking issues  
18 occurred. But not a direct aging-related mechanism.

19 CHAIR KIRCHNER: But wait a minute,  
20 though. Let's pull the string on this a little bit  
21 there.

22 I mean, these diesel generators vibrate.  
23 I mean, you get a lot of -- your fix here, obviously,  
24 the flexible piping is a good way to isolate the  
25 vibrations and the fatigue that comes with that for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 things like diesel generators. Because those things,  
2 you know, the way you cycle them to test them, the way  
3 they vibrate, I mean, that puts aging in all those  
4 joints.

5 MR. MILLER: Correct. And the solution I  
6 think that the station implemented is a  
7 fix-it-forever, hopefully, solution that we look to  
8 do, if possible.

9 MEMBER SUNSERI: Go ahead.

10 MR. TOMES: Good morning. My name is  
11 Chuck Tomes.

12 And I want to thank you for reviewing the  
13 V.C. Summer --

14 VICE CHAIR HALNON: I'm sorry. Before we  
15 get off of the diesel generator, I thought there was  
16 another slide that we were going to see with the  
17 pictures.

18 In 2022, you had another diesel generator  
19 problem for an erratic governor. I can't remember if  
20 it went into a white finding or not, but it was  
21 definitely at least a (audio interference) issue.

22 What kind of confidence can you give us  
23 that the program -- if you don't want to call it  
24 "aging," I'm good with that -- but the program to  
25 monitor the health of the diesel generators is strong?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 Because for about four years, you had degraded diesel  
2 generators. And it kind of shakes the confidence that  
3 the diesel systems are being watched over and being  
4 carefully taken care of.

5 So, how can you provide us better  
6 confidence that that's all taken care of?

7 MR. TOMES: Yes, thank you for the  
8 question.

9 I think that we would look back at  
10 Richard's previous slides on the corrective actions  
11 that were taken following the events, plural, with the  
12 diesel generator.

13 VICE CHAIR HALNON: Okay. So, you're kind  
14 of blaming the old scam of corrective action process  
15 and culture in some ways, saying that the new one  
16 fixes it. In that case, what about the other safety  
17 systems that came under the V.C. Summer old Corrective  
18 Action Program for years? Did you take a  
19 comprehensive look back at all the corrective actions  
20 and problems for years to make sure that it's not  
21 latent problems that are just sitting out there  
22 waiting for the next failure to do an extended  
23 condition?

24 MR. TOMES: I'd ask, Richard, could you  
25 speak to any extent-of-condition, extent-of-cause

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 initiatives that were performed as a result of the  
2 diesel generator issues, not necessarily with the  
3 diesels, but outside those particular systems?

4 MR. BURTT: Yes. Again, this is Rich  
5 Burtt from V.C. Summer, Site Engineering Manager.

6 So, kind of backing up a little bit to  
7 this question, specifically, with the diesel  
8 generators, we have taken a harder look at their  
9 reliability. We have performed third-party  
10 vulnerability reviews and we are in the midst of  
11 kicking off a substantial,  
12 down-to-the-subcomponent-level vulnerability deep dive  
13 on those diesels that should take us about three to  
14 four months to find vulnerability opportunities to  
15 improve and prevent any future failures.

16 As far as extended condition and extended  
17 cause out of this event, we did go to the other safety  
18 systems. We covered all the mitigating systems as far  
19 as condition related to Schedule 40 or threaded  
20 piping, but also with the cause, we did a  
21 comprehensive review of conditions on each of those  
22 systems for any trends or anything identified, load  
23 level, that could indicate we had not evaluated  
24 strongly enough under our previous program.

25 Also related to this, all of our

1 performance deficiencies were reviewed under a common  
2 cause analysis for the whole station, that then drove  
3 further improvements.

4 VICE CHAIR HALNON: Thanks, Richard.

5 And again, in Matt's words, I'm kind of  
6 preaching to the choir. I always had felt that very  
7 strong indication of plant safety and how well the  
8 system is being taken care of are the number of  
9 self-reviewing violations or findings and/or issues  
10 that come up. Because those are the latent issues  
11 that just, they fail; something happens.

12 So, I would suggest that, if you haven't,  
13 to go back and look at the self-revealed problems over  
14 the last however many years and make sure that you  
15 have really investigated those to the point where  
16 you're satisfied that in your new program/new culture,  
17 looking at corrective actions, it's satisfactory,  
18 especially the diesels.

19 I mean, it sounds like you failed the  
20 diesels. Just looking at Schedule 40 pipe throughout  
21 the plant is a good thing, but it's pretty narrow,  
22 when you come up with statements like the Corrective  
23 Action Program and plant health process have changed.  
24 And that's what the bullet on the slide says, that  
25 it's one of the things of how we fixed it.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1           So, I just want to, again, make sure that  
2           the diesel, like the other safety systems, are poised  
3           to go forward.

4           And it's not a critique, but a lot of  
5           times in front of the Committee, when we're talking  
6           about a specific component, it speaks volumes if you  
7           have that system engineer speak to the ownership of  
8           that system. Because I've noticed it's, you know,  
9           Plant Manager, Engineering Managers talking. And it  
10          would be really nice to hear from the system engineer  
11          who takes care of the diesels. Just a little coaching  
12          there, not that you're going to get a subsequent  
13          license renewal program again. Maybe in the future  
14          plants. It does speak volumes to have the actual  
15          owner talk to the points.

16                 Thanks.

17                 MEMBER SUNSERI: We are falling behind.  
18                 It's not your fault; it's our fault. We're asking a  
19                 lot of questions. But just keep that in mind. Thank  
20                 you for your patience.

21                 MR. TOMES: Thank you for reviewing the  
22                 V.C. Summer SLR application. We appreciate it.

23                 The next technical topic we'd like to  
24                 discuss is assessment of the primary shield wall and  
25                 reactor vessel supports due to radiation dose.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1           The way we approached that was to contract  
2           with Westinghouse Electric Company to create an  
3           integrated fluence model for assessment of the reactor  
4           vessels internals, the reactor vessel direct vessel  
5           structural integrity, the concrete biological shield,  
6           and our reactor vessel supports.

7           The model uses inputs from both in-vessel  
8           and ex-core dosimetry. The fluence model is an  
9           extension of the NRC-approved Reg Guide  
10          1.190-compliant model used for assessing the reactor  
11          vessel for P-T curves, P-TS, and upper shelf energy.

12          This slide illustrates the configuration  
13          of the primary shield wall relative to the reactor  
14          vessel supports in the reactor pressure vessel.

15          Assessment of reduction of strength in  
16          mechanical properties due to radiation for the primary  
17          shield wall and reactor vessel supports is documented  
18          in the SLRA Section 3.5.2.2.2.6, as amended in  
19          Supplement 4.

20          The assessment shows that the level of  
21          neutron and gamma dose to the primary shield wall and  
22          reactor vessel supports are in excess of the screening  
23          criteria. The primary shield wall was evaluated to  
24          assess the radiation effects. For regions where the  
25          dose threshold levels are exceeded, the concrete was



1 not credited in the structural evaluations or  
2 assessment of SLR.

3 This evaluation demonstrated that the  
4 primary shield wall will maintain a structural  
5 integrity and perform its current licensing basis  
6 design functions in excess of 80 years. During the  
7 subsequent period of extended operation, the primary  
8 shield wall will be monitored under the structures  
9 monitoring program at a frequency of every five years.

10 For assessment of the reactor vessel  
11 supports, the analysis uses design basis loads and  
12 does not consider the reductions that would be  
13 considered with leak-before-break approvals. The  
14 various portions of the metal supports are  
15 flaw-tolerant due to either the stress levels being  
16 lower than the critical stresses or the potential  
17 defects, such as postulated defects that are  
18 incorporated into a flaw tolerance evaluation, are  
19 less than the critical flaw sizes.

20 During the subsequent period of extended  
21 operation, at least one of the six reactor vessel  
22 supports will be inspected on a five-year frequency  
23 under the ISI Section 11 IWF Program, and all six of  
24 the reactor vessel supports will be inspected on a  
25 10-year frequency under the ISI Section 11 IWF

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 Program. The reactor vessel supports were most  
2 recently inspected during the 2024 refueling outage  
3 with acceptable results.

4 If there are no questions, I'll turn it  
5 back over to Keith.

6 MEMBER SUNSERI: So, the inspection  
7 results you are seeing, how would you characterize  
8 that? I mean, is that significant degradation, not  
9 significant degradation?

10 MR. TOMES: There is no degradation been  
11 detected on metal supports.

12 MEMBER SUNSERI: Yes, I thought you said  
13 there were some flaws that you picked up.

14 MR. TOMES: No, in the fracture mechanics  
15 evaluation, we postulate a flaw, and then, we grow it  
16 over the 80-year time period to see if it will reach  
17 the stability criteria.

18 MEMBER SUNSERI: Got it. Got it, yes.

19 MR. TOMES: It's to ensure that, if  
20 there's an undisclosed flaw that we hadn't considered,  
21 it won't grow to the level where it would compromise  
22 the structure.

23 MEMBER SUNSERI: So, in light of these  
24 analyses, you have not seen any degradation then?

25 MR. TOMES: Correct.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1                   MEMBER SUNSERI:     Because of the low  
2     margin, you're monitoring them?

3                   MR. TOMES:    Yes.

4                   MEMBER SUNSERI:     Is that a way of  
5     characterizing it?

6                   MR. TOMES:    Well, we have calculated the  
7     margins, and I wouldn't say that they're low.  But,  
8     coincidentally, we have aging management programs that  
9     look at these reactor vessel supports anyway.  And  
10    we're ensuring that we perform inspections that are  
11    consistent with what we would want to take credit for  
12    under the SLR aging management program for structures  
13    monitoring, which is that five-year frequency.  So,  
14    we've enhanced our program to increase the frequency  
15    of inspection that was being performed every 10 years  
16    to ensure that we also perform an inspection on a  
17    five-year frequency.

18                  MEMBER SUNSERI:    That's helpful.  Thank  
19     you.

20                  CHAIR KIRCHNER:   May I follow up, Chuck,  
21     and ask you?  So, what did you find in your  
22     inspections about -- obviously, you were looking in  
23     and around the concrete.  So, what does the concrete  
24     look like in terms of assessing that, even though you  
25     don't credit that in the support of the vessel?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 MR. TOMES: Much or some of the concrete  
2 on the ID surface of the primary shield walls is  
3 difficult to see, but we use fluoroscopes and we  
4 inspect the reactor vessel supports. And we look at  
5 the concrete adjacent to the supports. And if we  
6 detect -- we haven't found any level of cracking at  
7 all. And the practice would be, if we had any  
8 degradation in the grout adjacent to the reactor  
9 vessel support structure, we would provide that  
10 information to our structures monitoring engineers  
11 through the Corrective Action Program, and they would  
12 evaluate it.

13 CHAIR KIRCHNER: Thank you.

14 MEMBER BALLINGER: This is Ron Ballinger.

15 I might add that, with respect to the  
16 concrete, historically, there was a thought originally  
17 that there would be significant irradiation effects,  
18 but that data originally was from places where they're  
19 completely non-representative and there was this  
20 fall-off and everything. And it resulted in a program  
21 to do a lot of research and everything related to  
22 concrete degradation because irradiation effects.

23 But, eventually, we've discovered or  
24 realized that, when you get new data, that there  
25 really isn't an issue with them. And so, the NRC

1 ultimately dropped it.

2 CHAIR KIRCHNER: No, but I wasn't going  
3 there so much on the irradiation. Just the concrete  
4 condition. You know, any moisture getting in there  
5 and such --

6 MEMBER BALLINGER: Yes.

7 CHAIR KIRCHNER: -- and then, interacting  
8 with the supports, et cetera. So, I got the answer I  
9 was looking for.

10 MR. SCHULTZ: Chuck, this is Steve  
11 Schultz.

12 You mentioned the Westinghouse  
13 calculations associated with fluence. They had  
14 applied a fairly large uncertainty factor to their  
15 fluence calculations, or that's what they were  
16 discussing in the overall report they sent. How is  
17 that applied? How has that been applied going forward  
18 in your overall fluence evaluations, either to the  
19 concrete or the vessel?

20 MR. TOMES: Thank you for the question.

21 Yes, we did calculate the uncertainty for  
22 the radiation model that's used for the reactor  
23 vessel, the concrete biological, and the reactor  
24 vessel supports. The areas that are adjacent to the  
25 reactor vessel have a calculated uncertainty, in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 accordance with the methods used in Reg Guide 1.190,  
2 of about 20 percent, while the area up where the  
3 reactor vessel supports are located have an  
4 uncertainty of about 25 percent.

5 So, we have increased the radiation  
6 support or radiation that's been calculated in those  
7 regions by 20 percent and 25 percent to be consistent  
8 with the uncertainty in the models. In addition to  
9 that, there's fuel on the outside of the periphery,  
10 and we've increased the dose there by 10 percent. So,  
11 we believe that the models that we're using are  
12 conservative.

13 MR. SCHULTZ: And with those adjustments,  
14 it allows you to operate beyond 80 years?

15 MR. TOMES: That's correct.

16 MR. SCHULTZ: It would allow you?

17 MR. TOMES: That's right.

18 MR. SCHULTZ: Thank you.

19 MR. TOMES: The reactor vessel supports  
20 are flaw-tolerant and the region of the primary shield  
21 wall that has radiation levels in excess of the limits  
22 has been discounted in our calculations, and the  
23 unaffected region of the primary shield wall is  
24 adequate for curing the loads to the reactor vessel  
25 during all design basis transients.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 CHAIR KIRCHNER: Thanks for the  
2 description.

3 MEMBER SUNSERI: Members, any other  
4 questions?

5 CHAIR KIRCHNER: May I change topics,  
6 Matt?

7 MEMBER SUNSERI: Sure.

8 CHAIR KIRCHNER: I just note it was  
9 mentioned that there are five AMPs added in the  
10 electrical area. Could you just explain what they  
11 were and what the focus of those was and why you added  
12 them?

13 MR. MILLER: Yes. So, the five new AMPs  
14 came in with the SLR GALL.

15 CHAIR KIRCHNER: Right.

16 MR. MILLER: There's an AMP for  
17 connectors, high voltage insulators, insulation for  
18 I&C cable, insulation for low voltage cable, and --  
19 what's the fifth, Roger? The fifth new AMP?

20 MR. RUCKER: The fuse holders.

21 MR. MILLER: Fuse holders. Fuse holders.  
22 So, those were, as the GALL evolved --

23 CHAIR KIRCHNER: Right. Okay.

24 MEMBER ROBERTS: Hey, this is Tom Roberts.  
25 I had a followup question.

1 Did you evaluate whether any of those  
2 programs should be instituted sooner than six months  
3 prior to the period of extended operation?

4 MR. MILLER: So, we did a 10-year OE  
5 search. And we really didn't see much related to  
6 those programs. So, you know, implementation will be  
7 a project down the line. But based on the OE that we  
8 saw in our 10-year scrub, I don't think that they need  
9 to be implemented tomorrow.

10 MEMBER ROBERTS: Okay. Thank you.

11 Yes, the one that jumped out at me is it  
12 said, the procedure is being revised with regard to  
13 inspecting the water it required, the in-scope  
14 manholes after event-driven occurrences, such as heavy  
15 rain, rapid thawing of ice and snow or flooding.

16 That just seems like good practice, good  
17 housekeeping. I'm wondering if you're already doing  
18 that.

19 MR. MILLER: The station is. Yes, they're  
20 already --

21 MEMBER ROBERTS: So, this is formalizing  
22 what you're already doing?

23 MR. MILLER: Correct. Yes.

24 MEMBER ROBERTS: Okay. Thank you.

25 MR. MILLER: It's to bring it up to what



1 the GALL standard is.

2 MEMBER ROBERTS: Yes. Thank you. That's  
3 helpful.

4 MEMBER SUNSERI: Maybe to tag onto Tom's  
5 question, I would assume -- maybe I shouldn't do that  
6 -- but maybe say presume that, if you identify any  
7 issues through your Corrective Action Program, through  
8 performance monitoring of the station going forward,  
9 perhaps it would bring you back to (audio  
10 interference) in this area. Is that fair?

11 MR. MILLER: That's fair.

12 MEMBER SUNSERI: Okay. Thanks.

13 CHAIR KIRCHNER: So, in that OE scan that  
14 you conducted, Keith, did you find anything that rose  
15 to your attention that required additional focus or --

16 MR. MILLER: There were several items.  
17 So, the OE search we did was quite exhaustive. We  
18 started with several thousand Condition Reports that  
19 we went through.

20 Not necessarily in the electrical area,  
21 but one of the key things that we looked for in  
22 mechanical fluid systems is evidence of recurring  
23 internal corrosion, where you get pinhole leaks on a  
24 section of piping repeatedly.

25 CHAIR KIRCHNER: Right.

1 MR. MILLER: We created an enhancement in  
2 an open cycle cooling water system, after we  
3 identified recurring internal corrosion in one section  
4 of piping there, to retire that piping from service,  
5 because it's no longer used for coolers.

6 But there were other, there were a couple  
7 other instances of recurring internal corrosion that  
8 we identified and were able to either mitigate with  
9 existing activities to the stationary new valve, such  
10 as the Fire Protection Program piping replacement  
11 campaign, or something new, like the open cycle  
12 cooling water connect that we took.

13 CHAIR KIRCHNER: That was the next one I  
14 was going to ask. So, how is the fire protection  
15 system? At your other sites, that was one of the  
16 items that kind of rose to the prominence in terms of  
17 needing attention. How is it here at the Surry plant  
18 -- or at the Summer plant?

19 MR. MILLER: So, for V.C. Summer, we have  
20 had some pinhole leak issues in aboveground fire  
21 protection piping. And the station is actually  
22 undergoing a piping replacement/valve replacement  
23 campaign now, where they're taking sections of the  
24 system and replacing it. So, that is an ongoing  
25 activity that we've recognized in the application.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 CHAIR KIRCHNER: Okay. Thank you.

2 MEMBER SUNSERI: Members, anything else?

3 MEMBER HARRINGTON: This is Member  
4 Harrington.

5 One of the questions earlier, you talked  
6 about the transition from the initial license renewal  
7 to subsequent license renewal, and, basically,  
8 starting over. "Blank page" is the word used. Can  
9 you clarify how much that was in the application side  
10 as opposed to the plant program details? How did  
11 those relate?

12 MR. MILLER: So, a big part of the new  
13 content is new aging management programs that have  
14 just, as the GALL evolved -- we were GALL Rev. 0 for  
15 initial license renewal. So, it's two revisions of  
16 GALL, plus the SLR GALL. Some of that newness was  
17 introduced by just GALL revisions.

18 I'd say that, you know, a lot of the  
19 enhancements that we have written for subsequent  
20 license renewal are related to aligning with the SLR  
21 GALL. Now, those activities might not necessarily be  
22 new per se. It might be just aligning language. For  
23 example, like looking for specific keywords and  
24 phrases that the GALL mentions. We're doing  
25 inspections for those things, but we want to enhance

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 the program to say specifically we're looking for  
2 cracking, or whatever.

3 So, I guess to tie a bow on it, I'd say  
4 that many of the activities are not completely new.  
5 The station is doing them already. But a lot of the  
6 language in the application and the aging management  
7 programs is to align to the GALL.

8 MEMBER HARRINGTON: So, it wasn't so much  
9 starting over with plant programs as it was just  
10 cleaning up, making everything align?

11 MR. MILLER: That's correct.

12 MEMBER HARRINGTON: Thank you.

13 MR. MILLER: Okay. So, to summarize,  
14 Dominion has produced a quality subsequent license  
15 renewal application with a high degree of consistency  
16 with the GALL Report. That leverages our learnings  
17 from the previous subsequent license renewal  
18 applications, both Dominion stations and fuel  
19 utilities.

20 The teams highlight experience, with many  
21 of our members having participated on previous  
22 applications. And we intend to continue to invest in  
23 people and program enhancements and station  
24 modifications throughout the subsequent period of  
25 extended operation. And that's going to advance the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 company's overall mission to provide reliable,  
2 affordable, increasingly clean energy to our  
3 customers.

4 With that, I'll close and I'll say that we  
5 do have somebody from the station that's prepared to  
6 answer the previous question on service water pond  
7 treatment.

8 MEMBER SUNSERI: Okay. Let's go ahead  
9 with that.

10 MR. RAYMOND: Hello. This is Shabazz  
11 Raymond, Superintendent of Chemistry at V.C. Summer.

12 There was a question regarding our service  
13 water chemical treatment. So, we do treat our service  
14 water pond. We have four chemicals that we treat it  
15 with. Two of them are for, basically, biological  
16 control, and then, we have one which is a corrosion  
17 inhibitor, and the other one is a dispersive that we  
18 treat the pond with as well. And that helps keep any  
19 type of silt from forming in the tubes -- the heat  
20 exchanger. Excuse me.

21 VICE CHAIR HALNON: Yes, this is Greg. I  
22 asked the question.

23 Part of the question was also the  
24 chemistry control which includes monitoring the  
25 chemistry. How often do you sample the chemistry and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 do a check on it for chlorides?

2 MR. RAYMOND: So, the chemistry, we  
3 monitor it. Whenever we do chemical treatments, we  
4 get samples. We monitor to see what our chlorine  
5 residual is, to see what the effectiveness is for our  
6 procedure, and we also obtain samples for our vendor  
7 to analyze. That vendor, they analyze on that to see  
8 what our phosphate concentration is, which is a  
9 corrosion inhibitor that is in there. And we also  
10 look at biological activity to see what that is. So,  
11 if we do need to change in our regime as far as  
12 increased frequency, we can do it based on that.

13 And what we're also doing is thermal  
14 performance testing with engineering, and that gives  
15 us a great indication of how effective our treatment  
16 is. So far, we have been very successful with that.

17 VICE CHAIR HALNON: So, how often do you  
18 sample for chlorides, sulfates, and pH?

19 MR. RAYMOND: So, the chlorides, sulfates,  
20 and pH, that is normally done monthly and when we do  
21 the other tests. They're done whenever we do the  
22 chemical addition to the pond, whenever we ramp up  
23 concentrations. So, if I change my strategy to three  
24 days per week, based on temperature and per our  
25 procedure, we'll sample it three days out of the week,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 based on those concentrations.

2 And normally, you sample your operating  
3 train that you're injecting into to make sure that  
4 you're seeing what you would expect from the outlet of  
5 that sample, the healthy water.

6 VICE CHAIR HALNON: Okay. Thank you.

7 MR. MILLER: And just for the court  
8 reporter, that was Shabazz Raymond and he's the  
9 Superintendent of Chemistry at V.C. Summer.

10 MEMBER SUNSERI: Does that wrap up your  
11 presentation?

12 MR. MILLER: It does.

13 MEMBER SUNSERI: Members, any additional  
14 questions before we release them?

15 (No response.)

16 All right. Well, thank you for answering  
17 our questions and this thorough presentation.

18 At this point, we'll transition over to  
19 the NRC staff.

20 Marieliz Johnson?

21 They'll set up here in about a two-minute  
22 transition period.

23 (Pause.)

24 MEMBER SUNSERI: So, we're running quite  
25 a bit behind. We have five minutes.

1 (Laughter.)

2 Just kidding. We'll grant you the full 35  
3 that you're allotted. Whatever it takes, though.

4 (Pause.)

5 MS. JOHNSON: Okay.

6 MEMBER SUNSERI: All right, Mr. Chairman,  
7 it looks like we're ready to resume.

8 All right. You may proceed with the staff  
9 presentation.

10 MS. JOHNSON: Good morning, Chairman and  
11 Members of the ACRS.

12 My name is Marieliz Johnson and I'm the  
13 Safety License Renewal Program Manager, and we'll be  
14 presenting on the safety review of the subsequent  
15 license renewal application for Virgil C. Summer  
16 Nuclear Station Unit 1, V.C. Summer for short.

17 The staff's safety review of the V.C.  
18 Summer subsequent license renewal application is  
19 documented on the Safety Evaluation issued on January  
20 21st, 2025, and revised on March 4th, 2025, to more  
21 accurately describe the Applicant's implementation  
22 associated with the inspection of overhead heavy load  
23 and related to refueling and handling systems.

24 Joining me today at the table are Steve  
25 Downey, Region II Reactor Inspector; Mac Reed, Senior

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1 Resident Inspector at V.C. Summer, and our Senior  
2 Technical-Level Advisor for Aging Management, Dr. John  
3 Wise.

4 Also joining us today, both in the  
5 audience and virtually, are some of the Regional  
6 staff, along with members of the Office of Nuclear  
7 Reactor Regulations, technical staff who participated  
8 in the review of the application and the associated  
9 items.

10 We will begin today's presentation with an  
11 overview of V.C. Summer's licensing history before  
12 moving into Summer's aging management programs. We'll  
13 then discuss the significant technical areas that we  
14 believe is of interest to the ACRS and hear from  
15 Region II on inspections completed at V.C. Summer, as  
16 well as material condition of the plant. Then, we  
17 will share the conclusions on the staff's safety  
18 review.

19 V.C. Summer Unit 1 was initially licensed  
20 in November 12th of 1982. In August of 2002, the  
21 Applicant submitted an initial license renewal  
22 application. The initial renewal license was issued  
23 on April 23rd of 2004, extending the expiration date  
24 by 20 years to August 6th, 2042.

25 On August 17 of 2023, the Applicant

1 Dominion Energy, South Carolina, Inc., submitted a  
2 subsequent license renewal application for V.C.  
3 Summer. The application was accepted for review on  
4 October 16 of 2023 and a Safety Evaluation was issued  
5 January 21st and revised on March 4th, with no open or  
6 confirmatory items.

7 The V.C. Summer subsequent license renewal  
8 application described a total of 49 aging management  
9 programs consisting of 40 existing programs and 9 new  
10 programs. This identifies the Applicant's original  
11 disposition of these aging management programs, as  
12 initially submitted on the application, in the left  
13 column, and the final disposition, as documented in  
14 the Safety Evaluation on the right.

15 All aging management programs were  
16 evaluated for consistency with the GALL SLR Report.  
17 Ultimately, all programs were found to be consistent  
18 with the GALL Report with acceptable enhancements or  
19 exceptions.

20 I'd like to also speak to the way we  
21 reviewed the aging management activities and other  
22 technical information in the application.

23 As part of our review, the staff conducted  
24 an aging management audit to review operating  
25 experience, aging management programs, and

1 time-limited aging analysis. The audit spanned 19  
2 weeks from November of 2023 to March 2024, to include  
3 both onsite and virtual activities.

4 In the audit, the staff leveraged an  
5 electronic document portal and breakout sessions held  
6 with the Applicant.

7 The staff also performed a limited-scope  
8 audit held in August of 2024 related to the biological  
9 shield wall. During the review, the Applicant  
10 submitted four supplements to the subsequent license  
11 renewal application.

12 The staff issued 13 requests for  
13 additional information and no second request for  
14 additional information during its review.

15 Based on its review of the application,  
16 the results of data, and additional information  
17 provided by the Applicant, the staff concluded that  
18 the Applicant's aging management program activities  
19 were consistent with the criteria of the Standard  
20 Review Plan for subsequent license renewal application  
21 and the requirements of 10 CFR Part 54.

22 We will have the specific areas of the  
23 review to discuss.

24 CHAIR KIRCHNER: Marieliz, before you go  
25 forward -- sorry to interrupt the flow -- how did you

1 go about, for this particular plant, setting up your  
2 audit? Was it informed by your Resident Inspector or  
3 was it informed by the GALL?

4 Where I'm going with this is you can just  
5 go over these AMPS, and we count them all up, and we  
6 say they match with or without enhancements, et  
7 cetera, et cetera.

8 But when you go actually to the plant and  
9 do an audit, what's your strategy and what are you  
10 looking for when you go to a plant? Obviously, you've  
11 got the entire list, but each plant is different. So,  
12 how did you do your audit and what were the major  
13 results from the audit?

14 MS. JOHNSON: So, for the audit, for the  
15 outside audit, the initial onsite audit, we had two  
16 teams. It was mostly the electrical team and the  
17 structural team.

18 And the electrical team, they go through  
19 the AMPs and they check what they want to see. They  
20 also look at the plant's drawings and they decide  
21 exactly what things they want to see. They also talk  
22 to the Resident Inspector and try to decide exactly  
23 what they want to see.

24 For the structural, the same. They go  
25 through the AMPs. They go through the drawings and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 choose what they want to see. They went to the dam.  
2 They went to see the --

3 CHAIR KIRCHNER: This is V.C. Summer.

4 MS. JOHNSON: Uh-hum.

5 CHAIR KIRCHNER: So, what did you really  
6 focus-in on at the audit?

7 MS. JOHNSON: So, for the structural --  
8 because we had two PMs for this -- I followed the  
9 structurals; the other PM followed the electrical.

10 And for the structurals, I know they went  
11 to the dam. They went to the attendant gallery, which  
12 is specific for V.C. Summer. And they did go see the  
13 overall of the plant. The Applicant told us how  
14 there's a crack here, a crack there. So, we went to  
15 see those.

16 CHAIR KIRCHNER: So, what did the  
17 electrical team really focus on?

18 MS. JOHNSON: Okay.

19 CHAIR KIRCHNER: I'm trying to get let's  
20 check the box and here is what we have.

21 MS. JOHNSON: Yes, yes. Matthew McConnell  
22 raised his hand. He was there.

23 So, Matthew?

24 MR. McCONNELL: Good morning. This is  
25 Matthew McConnell with the Nuclear Regulatory

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 Commission. I'm in the Long Term Operations and  
2 Modernization Branch within NRR.

3 When we perform our onsite audits,  
4 Marieliz is correct, we look at the AMPs and we have  
5 a general idea of what we are looking for.

6 So, when we went to V.C. Summer and prior  
7 to going to V.C. Summer, we asked to have a walkdown  
8 of various systems and components. We started with  
9 the station blackout recovery path, which, basically,  
10 went from the switch yard to the plant itself, all the  
11 way to, essentially, a switch gear for the diesel  
12 generators in 4160.

13 What we're looking for when we're onsite  
14 is just the aging mechanisms or any potential  
15 degradation that might be abnormal to ensure that  
16 their aging management programs are adequately  
17 developed to catch and correct any potential  
18 degradation mechanisms.

19 Because we have a lot of experience from  
20 every plant, you know, we know what we're looking for.  
21 V.C. Summer, no different. They did not have much, if  
22 at all, any, actually, degradation that we observed  
23 for cabling, for overhead connectors, for transmission  
24 conductors, and insulators.

25 I hope that answered your question.

1 CHAIR KIRCHNER: Yes. Thank you.

2 I'm just trying to prevent us glazing over  
3 on the number of AMPs with and without modification,  
4 et cetera, et cetera, and what you actually are  
5 targeting when you do an audit at one of the plants.

6 Thank you.

7 MR. McCONNELL: Yes. If I may add, we  
8 also look at manholes and cables within manholes, if  
9 they are in scope, to observe/ensure that, if they  
10 were subjected to water, they would not have any aging  
11 mechanisms observed or identified, and based on  
12 testing and inspection frequency.

13 MR. WISE: This is John Wise --

14 CHAIR KIRCHNER: Yes. Get much closer to  
15 the microphone.

16 MR. WISE: I'm sorry. I'll be real close  
17 here.

18 Hi. John Wise, NRC.

19 I just want to give a little more  
20 perspective. I think you're asking some kind of  
21 big-picture questions about how we approach an audit,  
22 right?

23 And so, when we think about, you know, why  
24 do we have an audit, historically, it's been our  
25 opportunity to just verify some of the information

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 that's present in the application. That's simply  
2 enough. And for those simple programs, that's not a  
3 big lift.

4 And then, the opportunity is to look at,  
5 dig into the plant's specific operating experience.  
6 So, our audits include an operating experience review.  
7 And that's where staff get a chance to begin to ask  
8 questions of the plant, dig into the details.

9 And also, sometimes plants have, evident  
10 in the application, plants have some unique -- maybe  
11 there's some unique structures or unique materials.  
12 And getting onsite is an opportunity for the staff to  
13 explore those further and to really understand if the  
14 program that they're proposing, it will be adequately  
15 covered.

16 But, going forward, we recognize that this  
17 is becoming a mature process, as we discussed earlier.  
18 And so, we're looking and we have actually started the  
19 process to kind of refine our audits to really focus  
20 on the staff that really matters. Some of these  
21 programs are pretty mature and we don't want to spend  
22 a lot of time unnecessarily, our time and the  
23 Applicant's time, asking about some fairly mature  
24 programs.

25 And so, we have an approach that we've



1       been highlighting for Dresden and Clinton, ongoing  
2       reviews where we actually are asking the staff to kind  
3       of pare down and focus the audits for resource  
4       savings.

5                   CHAIR KIRCHNER:   Thank you.

6                   MEMBER SUNSERI:   Well, I would add, that's  
7       much like what the ACRS does for our review.   But I  
8       would caution, we just don't look -- we just don't  
9       accept something as a mature process.   We factor in  
10      that operating experience extremely high, because even  
11      though a program might be mature, there might be some  
12      operating experience, a point that we need to be  
13      looking at that closely.   So, we will.   That's kind of  
14      how we do our reviews, a similar approach.

15                  MEMBER HARRINGTON:       This is Member  
16      Harrington.

17                  Just to follow up on this whole thread,  
18      you focused on electrical and structures.   Is that  
19      because that's where the changes in the GALL have been  
20      or is there something else that said these are two  
21      areas; we don't need to look at mechanical or  
22      something else?

23                  MS. JOHNSON:    I would say the onsite  
24      focused on structural and electrical.   The audit, like  
25      John said, we focused on everything.   But going

1 onsite, it's basically those two that they want to  
2 see.

3 MEMBER HARRINGTON: So, that's more  
4 typical of these kinds of audits, not just because it  
5 was V.C. Summer?

6 MS. JOHNSON: Oh, no. Yes. And if  
7 someone from mechanical sees something on another  
8 project on a plant that they want to go see, they go  
9 to the site. But, for this one, electrical and  
10 structural were the ones that requested going on the  
11 site. But everyone, all the mechanicals also do the  
12 audit electronically.

13 Oh, okay. So, regarding the inspection of  
14 the water control structure associated with nuclear  
15 power plants, the dams are inspected as part of the  
16 NRC dam safety program. These inspections occur every  
17 two or three years, and the last inspection report  
18 showed the dam to remain in compliance with federal  
19 guidelines. The report can be found in ADAMS. The  
20 non-proprietary cover letter of the report is  
21 ML243448196.

22 VICE CHAIR HALNON: Marieliz, this is  
23 Greg.

24 On the inspection, they mentioned that  
25 FERC comes in every three years. How's that formally

1       communicated, their finding results, back to the NRC?  
2       Is there an MOU or is there some joint effort? How is  
3       that communicated?

4               MS. JOHNSON: So, I know there's a report.  
5       I don't know if FERC --

6               VICE CHAIR HALNON: It sounds like a  
7       friend is trying to help you out.

8               (Laughter.)

9               There you go. Okay, Dan, go ahead.

10              MR. HOANG: Yes. Good morning. This is  
11       Dan Hoang with the staff.

12              The FERC has a contract with the NRC  
13       because, according to a Code mandate of 1978, the  
14       contract went to FERC to do the inspections because  
15       FERC does it for a living. And so, therefore, the  
16       FERC likes to do the inspection. However, they report  
17       to us, that we can turn to their report, and we submit  
18       a copy to the licensee. Yes.

19              VICE CHAIR HALNON: Okay. Very good.  
20       Thank you, Dan.

21              MR. HOANG: You're welcome.

22              MEMBER BIER: I have another question.  
23       This is similar to the question that I asked of the  
24       Licensee earlier.

25              Which is, when you do the dam inspection,

1 do you also inspect the just general surroundings of  
2 the pond? Because there can be problems with just  
3 earthen structures.

4 MR. HOANG: Yes. Yes, ma'am. We do  
5 inspections of the surrounding if it is involved with  
6 the structure. Because the inspector and myself, we  
7 have a structural engineering degree and, also, we  
8 have a PE license. So, we know what we're supposed to  
9 do and what we are supposed to have an inspection for  
10 and how an adjustment is.

11 MEMBER BIER: Okay. Thank you.

12 MR. HOANG: You're welcome.

13 MS. JOHNSON: Okay. And as a part of the  
14 license renewal review, the staff conducted a review  
15 of the plant operating experience search results to  
16 identify examples of age-related degradation, as  
17 documented on the Corrective Action Program database  
18 and provide a basis for the staff conclusion on the  
19 ability of the Applicant's proposed AMP to manage the  
20 effect of aging in the subsequent period of extended  
21 operation.

22 The staff did not identify any operating  
23 experience indicating that the Applicant should modify  
24 its proposed program. Based on its audit and review  
25 of the application, the staff finds that the condition

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 and operating experience at the plant are bounded by  
2 those for which the inspection of the water control  
3 structure associated with the nuclear power structure  
4 program was evaluated.

5           Regarding the biological shield wall  
6 irradiated concrete and steel, the primary shield  
7 wall, or PSW, fluence, neutron fluence, and gamma dose  
8 are above the threshold that requires evaluation  
9 discussed in the SRP-SLR. So, the Applicant performed  
10 for their evaluation.

11           Regarding the inspections of reactor  
12 vessel, or RV, supports, the Applicant will perform  
13 aging management activities consistent with the GALL  
14 SLR Report that include, but are not limited to, ASME  
15 Section 11, Subsection IWF, "Structure Monitoring,"  
16 and various AMPs to monitor aging effects of reactor  
17 vessel supports.

18           Additionally, as the Applicant mentioned,  
19 the Applicant has the following ongoing proposed  
20 activities:

21           Official inspections of the six RV  
22 supports every 10 years, as directed by the In-Service  
23 Inspection, or ISI, program.

24           Further enhance with additional  
25 inspections of at least one support every five years.

1           Review of the RV supports inspection  
2 results under the Structural Monitoring Program for  
3 conditions that may require evaluation of the primary  
4 shield wall, concrete, and grout.

5           Inspection of the in core feed room under  
6 the RV twice per refueling RS. If evidence of  
7 degradation, such as debris, is noted, a Condition  
8 Report is initiated in the Corrective Action Program  
9 for evaluation.

10          And monitoring of the condition of the  
11 outside of the PSW concrete every five years under the  
12 Structural Monitoring Program.

13          The NRC review of the ancillary FSAR  
14 drawings and documents available during audit. The  
15 staff also performed a limited-scope audit and onsite  
16 audit and documented their observations in the  
17 associated audit report, ML250078234.

18          Following the audit, the Applicant  
19 supplemented their application to identify the needed  
20 activities to advance the further evaluation of the  
21 primary shield wall concrete and reactor vessel steel  
22 supports.

23                 At this time, do you have any questions on  
24 this?

25                 MEMBER SUNSERI: No questions.

1 MS. JOHNSON: No questions? Excellent.

2 At this time, I will turn it to over Steve  
3 Downey, Reactor Inspector from Region II, who will be  
4 discussing inspections and plant material conditions.

5 MR. DOWNEY: Yes, good morning, Chairman  
6 and Committee.

7 I can't hear myself.

8 MS. JOHNSON: I think it is okay. Get  
9 close to the mic.

10 MR. DOWNEY: Okay. My name is Steve  
11 Downey, as mentioned earlier. I'm the Senior Reactor  
12 Inspector out of NRC Region II, Division of Operating  
13 Reactor Safety, Engineering Branch III. I'm one of  
14 the license renewal points of contact for Region II,  
15 and I was the team lead for the phase 2 inspection at  
16 V.C. Summer.

17 With me is Mac Reed, Senior Resident at  
18 V.C. Summer, and we are here to discuss Region II's  
19 assessment and review of the implementation of aging  
20 management programs, the material condition of the  
21 plant, and the overall regulatory assessment of V.C.  
22 Summer Unit 1.

23 MEMBER SUNSERI: Yes, let me just  
24 interrupt you. Just move that stanchion right in  
25 front of you, the microphone, and make sure it's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 pointed right at you.

2 You have some important information for  
3 us. We always like to hear from you and we want to  
4 make sure we hear you clearly.

5 MR. DOWNEY: All right. Just let me know  
6 if my sound isn't good for you.

7 MEMBER SUNSERI: Just use your outside  
8 voice.

9 (Laughter.)

10 MR. DOWNEY: That's easy enough to do.

11 So, the license renewal inspection program  
12 and the ROP baseline inspection program are both used  
13 to inspect aging management activities at V.C. Summer.  
14 I'll start with the activities under the license  
15 renewal inspection program, and then, we'll discuss  
16 the ROP inspections, and Mac will follow up with the  
17 material condition of the plant.

18 So, in order to assess the adequacy of the  
19 license renewal program for the initial period of  
20 extended operation, Inspection Procedure 71003  
21 recommends a four-phased approach to license renewal  
22 inspections.

23 This slide details the specific license  
24 renewal inspections that have been or will be  
25 performed at V.C. Summer. As I discuss each line

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1 item, I will give a bit of detail on what the  
2 inspection entails or will entail when it's performed.

3 So, the phase 1 inspection, which we  
4 performed at Unit 1 in October 2021, which was during  
5 refueling outage 26, which is the last outage prior to  
6 going into the period of extended operation, this is  
7 an outage inspection that focuses on observing the  
8 implementation of select aging management programs and  
9 activities, as well as any testing or visual  
10 inspections of structures, systems, and components  
11 which are only accessible at reduced power levels.

12 During the outage, we performed the phase  
13 1 license renewal inspection, per Inspection Procedure  
14 71003, as well as the baseline ISI inspection, per  
15 Inspection Procedure 71111.08. This allowed  
16 inspectors to maximize the observation of activities  
17 credited for license renewal, which includes  
18 examinations performed as part of the In-Service  
19 Inspection Program, the Buried Piping and Tanks  
20 Program, and the Chemistry Program, as well as  
21 one-time inspections performed on small-bore ASME --  
22 ASME is American Society of Mechanical Engineers --  
23 Class 1 piping.

24 So, no findings of significance were  
25 identified as a result of the phase 1 inspection or

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 the baseline ISI inspection.

2 Next --

3 MEMBER SUNSERI: I can't help but notice  
4 your graphic says, "Unit 1 and Unit 2." Are you still  
5 pursuing other units?

6 MR. DOWNEY: I'm sorry, that is a typo.

7 MEMBER SUNSERI: Oh, okay. All right.

8 MR. DOWNEY: I apologize for that.

9 So, the phase 2 inspection, which we  
10 performed in February 2022, is a one-time major team  
11 inspection during which the inspectors evaluate the  
12 license renewal program prior to the period of  
13 extended operation by taking a comprehensive look at  
14 the implementation and/or completion of regulatory  
15 commitments, aging management programs, time-limited  
16 aging analyses, and other activities associated with  
17 the licensee's request to renew its operating license.

18 So, there were a total of 41 regulatory  
19 commitments linked to the renewed operating license,  
20 the initial operating license from V.C. Summer, two of  
21 which were resolved during the licensing review and  
22 not subject to further inspection, and the remaining  
23 39 commitments were included in my sample for the  
24 phase 2 inspection and are categorized as follows:

25 There were 17 commitments to implement new

1 aging management programs; eight commitments to  
2 enhance existing aging management programs for license  
3 renewal; two commitments to perform a one-time  
4 inspection of structures, systems, or components  
5 within the scope of an existing aging management  
6 program; six commitments to perform time-limited aging  
7 analyses, and six standalone commitments. And I refer  
8 to them as "standalone" because they're not associated  
9 with an individual aging management program or  
10 time-limited aging analysis.

11 So, during the inspection, the team  
12 determined that the actions associated with 37 of the  
13 39 regulatory commitments were completed. For those  
14 license renewal action items that were not completed  
15 at the time of the inspection, the team verified that  
16 there was reasonable assurance that such action items  
17 were on track for completion prior to the period of  
18 extended operation or in accordance with an  
19 established implementation schedule consistent with  
20 the licensing basis.

21 During the inspection, the team also  
22 verified that the licensee had taken appropriate  
23 action related to newly identified structures,  
24 systems, and components, as required by 10 CFR  
25 54.37(b); that the appropriate processes were in place

1 for evaluating, reporting, and seeking approval for  
2 commitment changes, and that the descriptions of the  
3 aging management programs in the Final Safety Analysis  
4 Report were consistent with what the agency had  
5 approved.

6 As a result of the phase 2 inspection, no  
7 findings of significance were identified. I can  
8 provide the latest information on the two commitments  
9 that were not completed at the time of the inspection,  
10 if the Committee wishes to hear more. And that's a  
11 question for you all, if you want to hear about those.

12 MEMBER SUNSERI: Members?

13 (No response.)

14 MR. DOWNEY: Okay. In that case, I'll  
15 move on to an inspection that not mentioned on this  
16 slide here, which is the phase 3 inspection, because  
17 we did not perform a phase 3 inspection at V.C.  
18 Summer. But the phase 3 is a followup inspection that  
19 will be performed to address outstanding issues, if  
20 any, that were identified during the phase 1 or phase  
21 2 inspections.

22 And finally, the phase 4 inspection, which  
23 typically occurs 5 to 10 years into the period of  
24 extended operation, is yet to be performed at V.C.  
25 Summer. As we all know, the site entered the PEO in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 August of 2022. So, we would expect the phase 4  
2 inspection to be performed somewhere in the range of  
3 2027 to 2032. When performed, this inspection will  
4 verify that the licensee is managing the aging effects  
5 in accordance with their aging management programs, as  
6 described in their Final Safety Analysis Report.

7 I'll also note here that, if V.C. Summer  
8 is approved for a subsequent license, then the NRC  
9 inspection program will include additional phases  
10 designated as phase 5 and phase 6. And the phase 5  
11 inspection is similar to the phases 1 and 2, in that  
12 it's an inspection that would occur prior to the  
13 subsequent period of extended operation; whereas, the  
14 phase 6 inspection is similar to a phase 4 inspection.  
15 That's an implementation of an aging management  
16 program effectiveness inspection that would occur 5 to  
17 10 years into the subsequent period of extended  
18 operation.

19 Next slide, please.

20 So, in addition to the inspections  
21 mandated by license renewal, by the license renewal  
22 inspection program, the inspectors have several ROP --  
23 that's reactor oversight process -- baseline  
24 inspections that could be used to evaluate the  
25 implementation of aging management activities.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1           For example, the baseline ISI inspection,  
2           which is performed at every outage, gives the  
3           inspectors the opportunity to look at inspections  
4           credited for aging management that are within the  
5           scope of various programs.

6           Another example is the heat sink  
7           inspection, which gives inspectors the opportunity to  
8           look at the service water system, including heat  
9           exchangers, the service water intake structure, and  
10          both aboveground and buried or inaccessible piping and  
11          components, all of which are within the scope of  
12          license renewal.

13          I will note here that, in 2024, the  
14          triennial component of the heat sink inspection, which  
15          was performed by the Region-based engineering  
16          inspectors, was folded into what we now call the  
17          Comprehensive Engineering Team Inspection, which I'll  
18          refer to a couple of times as the CETI, while the  
19          annual heat sink inspection is still performed by the  
20          Resident Inspectors.

21          So next, the CETI, or Comprehensive  
22          Engineering Team Inspection, and the Fire Protection  
23          Triennial Inspection Procedures, both direct the  
24          inspectors to ensure that structures, systems, and  
25          components selected in the inspection sample that are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 subject to aging management review are being managed  
2 in accordance with appropriating aging management  
3 programs.

4 At V.C. Summer, the Regional Inspectors  
5 have found no violations or findings of significance  
6 as a result of the inspections performed under this  
7 procedures.

8 Additionally, the Resident Inspectors at  
9 Summer have performed a variety of inspections,  
10 including maintenance effectiveness and problem  
11 identification and resolution inspections, or PIR, on  
12 samples that focused directly or indirectly on  
13 associated aging management programs.

14 VICE CHAIR HALNON: Steve, this is Greg.  
15 I just wanted to do a numbers check.

16 MR. DOWNEY: Sure.

17 VICE CHAIR HALNON: In 2022, we had an  
18 erratic diesel generator governor suffer failure. In  
19 2023, we had another diesel generator problem, another  
20 self-revealing problem on the main feedwater pump for  
21 a thrust bearing issue. In 2024, we had a  
22 self-revealing finding on P&T that failed on a chiller  
23 because of a design deficiency. Yet, you said no  
24 violations or findings were found in these.

25 So, help me with those numbers there.

1 MR. DOWNEY: Yes. So, the no findings or  
2 violations are for the Region-based inspections, which  
3 would include the ISI inspection, the heat sink  
4 inspection, triennial fire protection, and the CETI  
5 inspection.

6 The issues that you're mentioning would  
7 fall under the umbrella of the problem identification  
8 and resolution. The Residents are the focal point of  
9 those inspections. So, we can --

10 VICE CHAIR HALNON: So, Mac, you don't  
11 have to answer now because you're going to have a  
12 slide later on. Help me with your confidence in the  
13 Corrective Action Program when you get to the diesel  
14 generator discussion that you're going to have.

15 MR. REED: Got you.

16 MR. DOWNEY: So, then, that's a perfect  
17 segue, because I was going to mention the notable  
18 inspection result of the white finding of the diesel,  
19 which the licensee discussed a bit earlier and we'll  
20 discuss more on the upcoming slide.

21 Next slide, please.

22 So, at this point, I'll turn it over to  
23 Mac Reed to discuss the material condition of the  
24 plant and the Resident Inspector viewpoint.

25 MR. REED: Yes, Mac Reed, Senior Resident



1 Inspector at V.C. Summer. I've been there for about  
2 five years.

3 And thank you for reading the Inspection  
4 Reports.

5 (Laughter.)

6 I should say I look forward to answering  
7 any of your specific questions about that, as well as  
8 the programs at V.C. Summer.

9 So, specifically, I'm here to speak about  
10 the material condition of Summer from the Resident  
11 Inspector viewpoint. Again, for everybody, we are  
12 there daily. We observe the plant. We do about 150  
13 targeted inspections every year and we do write  
14 occasionally some violations that I would be glad to  
15 speak about more, anything that you have in your mind.

16 So, V.C. Summer Unit 1 is in the "Licensee  
17 Response" column of the reactor oversight process.  
18 And I did note in this script that there were many  
19 diesel generator failures since I've been here the  
20 last five years.

21 The one specific one, I'll try to  
22 streamline that conversation, since Dominion already  
23 presented on the fuel oil piping, but there were other  
24 issues with the diesel generators not associated with  
25 the fuel piping.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1                   Here's the slide. So, just to streamline  
2 this and give you a high-level summary, you heard the  
3 details from Dominion. Everything they said about the  
4 corrective actions was correct.

5                   We identified that over the years  
6 maintenance activities had identified cracked threads,  
7 but they had not been adequately documented in the  
8 Corrective Action Program such that they could be  
9 trended and a global, more comprehensive corrective  
10 action could be established.

11                  And as a result, the system  
12 vulnerabilities eventually resulted in a surveillance  
13 test failure during a 24-hour performance test. And  
14 essentially, they sprayed fuel oil everywhere and they  
15 had to shut down the diesel.

16                  I want to focus on the Corrective Action  
17 Program because that was ultimately the apparent  
18 violation -- a failure to adequately document and  
19 assess previous issues.

20                  So, all these issues that were identified  
21 were under the SCE&G umbrella prior to my time at V.C.  
22 Summer.

23                  One of the things that I want to note  
24 about the Corrective Action Program through the root  
25 cause analyses that they performed for this issue, as

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 well as the Amphenol connection issue with the  
2 kilowatt swings that you read about, the Corrective  
3 Action Program at V.C. Summer in the last five years  
4 has improved dramatically.

5 The critical thing for me, and the thing  
6 that we sort of take for granted in what we assume in  
7 all of our aging management reviews, license renewal  
8 reviews, is that things will be documented in the  
9 Corrective Action Program. So, that's the "I" in PI&R  
10 for problem identification and resolution. So, the  
11 Resident Inspectors are there to ensure that things  
12 are documented in a very low threshold, and that has  
13 greatly improved.

14 Hopefully, that answers or at least  
15 initially answers your question.

16 MEMBER BIER: If I can follow up, on root  
17 cause analysis, people talk about extent of cause and  
18 extent of condition. In other words, if you find a  
19 problem with the diesel generators, is that only  
20 because of something with the diesels or is there a  
21 broader issue that might affect other SSCs, or  
22 whatever, based on what you observe?

23 And can you talk about how far you broaden  
24 out from the observations to look at other possible  
25 issues?

1 MR. REED: Yes, ma'am.

2 So, specifically talking about the fuel  
3 oil line rupture --

4 MEMBER BIER: Yes.

5 MR. REED: -- the licensee did do an  
6 extended condition on safety-related items. They  
7 expanded the scope to threaded connections throughout  
8 the plant, Schedule 40 piping, to determine if they  
9 had any other weaknesses where they had leaks that  
10 were not adequately evaluated or they did need  
11 uprating.

12 The key, in my perspective, was the  
13 vibrations that you all brought up earlier. The  
14 vibrations significantly contributed to the wear. And  
15 if you put a moment or a torque on Schedule 40  
16 threaded connections and you vibrate it, it will  
17 eventually fail.

18 MEMBER BIER: Uh-hum.

19 MR. REED: So, they have remediated  
20 through modifications of both of their emergency  
21 diesel generators and they have performed an adequate  
22 extended condition on other safety-related components  
23 that use threaded connections. I don't think there's  
24 any other components that vibrate as heavily --

25 MEMBER BIER: Yes.

1 MR. REED: -- as the region that failed.

2 MEMBER BIER: Okay. Thank you.

3 MEMBER SUNSERI: Was there any industry  
4 operating experience shared on that issue? Because  
5 that's a configuration issue. There's other places.

6 MR. REED: Yes. So, INPO has an IRIS  
7 database that requires all equipment failures to be  
8 documented. So, the root cause evaluation and for  
9 other failures that you all mentioned, the  
10 self-revealing failures, those would have what we call  
11 level-of-effort evaluations, which is just a lower  
12 tier of cause evaluation. Those are put into the  
13 industry's INPO database, and some of our NRC folks  
14 have access to that in our OPI Branch. They can  
15 review those. And the expectation is that other  
16 utilities would be using that information to inform  
17 their definitive maintenance programs.

18 MEMBER SUNSERI: Thank you.

19 MR. REED: All right. So, let's skip the  
20 rest, unless you have any more questions about this  
21 specific diesel failure.

22 Go to the next slide.

23 VICE CHAIR HALNON: Yes, not specific to  
24 this, but, as someone familiar with the culture on the  
25 site, tell me if you agree. It's a high level of

1 ownership if the systems. I think some of the  
2 engineers would take the components home with them, if  
3 they could, to make sure they stayed (audio  
4 interference). There's a great desire to be the best  
5 in what they do.

6 Did you see that promulgating through this  
7 Corrective Action Program? Since the answer is so  
8 dependent on a strong Corrective Action Program, do  
9 you see that culture of ownership and desire to be  
10 excellent going through into this new Corrective  
11 Action Program? I'm calling it "new," but it's, you  
12 know, Dominion's existing.

13 MR. REED: They did revise their  
14 Corrective Action Program when Dominion bought SCE&G.  
15 A lot of the procedures were changed.

16 But, specifically to the Corrective Action  
17 Program, really the criteria did not change. The  
18 changes were the leadership from the site engaging  
19 with the Residents when we had perspectives on the  
20 threshold that they were putting things into the  
21 Corrective Action Program.

22 And with the significant improvements  
23 following the two white findings, as well as other  
24 issues that we brought to them, they have driven a  
25 cultural change at V.C. Summer to identify things in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 the Corrective Action Program at a very, very low  
2 threshold.

3 And so, what we were seeing, for example,  
4 to give you some perspective, the maintenance  
5 organization is very strong at V.C. Summer. They  
6 routinely go into components and they assess the  
7 condition.

8 Some examples where they were going into  
9 these components and finding less-than-expected  
10 conditions, and they were writing it in the work  
11 orders and the closure notes, but those don't  
12 propagate up to the management team for review or into  
13 the Corrective Action Program for trending.

14 So, the knowledge that they provide when  
15 they take apart these systems was not being translated  
16 into the Corrective Action Program at the right  
17 threshold. And when things were broken or a test  
18 failed, those absolutely went into the Corrective  
19 Action Program and that was always there. The  
20 leadership team drove a lower threshold for  
21 identification.

22 Excellent example. It sounds like they've really  
23 embraced the new culture then.

24 MR. REED: Uh-hum.

25 VICE CHAIR HALNON: Thanks.

1                   MEMBER SUNSERI: Does that documentation  
2 of "as found," if you will, cascade into the  
3 preventive maintenance programs, too, for adjusting  
4 frequencies of AMPs for safety?

5                   MR. REED: Yes, and that has changed  
6 slightly over the years. But if it's less than  
7 expected and it's documented, then that would be  
8 evaluated for adjustments to the frequency.

9                   MEMBER SUNSERI: And for the corrective --

10                  MR. REED: Yes, sir.

11                  MEMBER SUNSERI: thank you.

12                  MR. REED: All right. Next slide.

13                  Overall, for a plant that's in its first  
14 period of extended operation, the material condition  
15 is generally acceptable. The licensee has been  
16 successful at completing large capital improvement  
17 projects that maintain or improve the material  
18 condition of its SSCs -- structures, systems, and  
19 components.

20                  Furthermore, the NRC white and green  
21 findings have not only been corrected, but the  
22 licensee has improved their corrective action and  
23 preventative maintenance programs to correct the  
24 cause.

25                  Finally, the license renewal program



1 inspections did not identify any substantial  
2 weaknesses in the station's performance in managing  
3 the effects of aging onsite.

4           Going forward, the agency will continue to  
5 inspect and assess the licensee's ability to manage  
6 the effective aging through our baseline inspection  
7 and license renewal inspection programs. In this  
8 manner, our oversight will continue to provide us with  
9 insights into the effectiveness of the various aging  
10 management programs in place at V.C. Summer.

11           Now, I'll answer any more questions, and  
12 then, turn it back over to Marieliz.

13           CHAIR KIRCHNER: Let me put you on the  
14 spot. So, what's the condition of the plant?

15           (Laughter.)

16           MR. REED: It's generally in a very good  
17 condition. Housekeeping is really strong. There are  
18 probably areas that could be improved. Because if you  
19 don't -- some of the aging management programs we talk  
20 about require you to go look. It may not be obvious  
21 from a routine walkdown.

22           So, I can't speak to the things that we  
23 can't see. The things I can see are in generally good  
24 condition.

25           And you've read some of the self-revealed

1 issues that we've written up, and we've reviewed every  
2 major equipment failure to ensure that the causes are  
3 being corrected.

4 CHAIR KIRCHNER: And at the last outage,  
5 in containment, what was your assessment of the  
6 triple-S system?

7 MR. REED: Containment is in a pretty good  
8 condition. I think Dr. Downey has also toured V.C.  
9 Summer several times. So, I've had the opportunity to  
10 -- again, there may be two dozen times in my time at  
11 V.C. Summer.

12 The material condition is good. The  
13 coatings on the steel, especially some piping, have  
14 really degraded over time. And they do have plans to  
15 replace coatings, especially on critical components,  
16 critical piping sections.

17 For instance, the reactor building cooling  
18 unit, cooling last year, they underwent a campaign to  
19 scrape off degraded coatings and reapply.

20 CHAIR KIRCHNER: Thank you.

21 MEMBER SUNSERI: Members?

22 (No response.)

23 MS. JOHNSON: Okay. So, thank you.

24 In conclusion, for the subsequent license  
25 renewal application safety review, the staff finds

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 that the requirements of 10 CFR Part 54.29(a) have  
2 been met for the subsequent license renewal for V.C.  
3 Summer Unit 1.

4 And this concludes our presentations. So,  
5 if you have any other questions, we will be happy to  
6 respond.

7 MEMBER SUNSERI: All right. Well, thank  
8 you for the thorough presentations. We appreciate  
9 your perspectives on things. That adds to our  
10 deliberations.

11 At this point, I would like to dismiss the  
12 staff and invite the public for comments.

13 CHAIR KIRCHNER: So, Members of the  
14 Public, if you have a comment, unmute yourself,  
15 identify yourself, affiliation as appropriate, and  
16 make your comment.

17 Anyone in the room?

18 (No response.)

19 MEMBER SUNSERI: Okay. Well, I guess that  
20 concludes our review of --

21 MS. GREENLAW: I'm sorry, I was just able  
22 to unmute myself. I couldn't find the unmute button.

23 MEMBER SUNSERI: Well, okay. Go ahead  
24 then. Please state your name and your affiliation and  
25 provide your comments.

1 MS. GREENLAW: Okay. My name is Pamela  
2 Greenlaw. I am a nuclear power user. Okay.

3 I have a question. It's not related to  
4 technical. So, I'm wondering if I should save it for  
5 a different portion of this program today. But I will  
6 go ahead and pose it now.

7 I'm wondering why there are public  
8 hearings for the EIS and not the Safety Report.

9 Thank you.

10 MEMBER SUNSERI: Well, thank you for the  
11 comment.

12 We are not -- this is not a  
13 question-and-answer session, but we have recorded the  
14 question, and if you want to contact Kent Howard of  
15 our staff, he's the Designated Federal Official and he  
16 will provide our response.

17 MS. GREENLAW: Okay. I'm not familiar  
18 with this person. Their contact information is too  
19 difficult to find elsewhere. So, I came today.

20 MEMBER SUNSERI: It should be in the  
21 meeting announcement. Oh, here, yes, it's right here.  
22 Just look on the meeting announcement, Kent Howard.

23 MS. GREENLAW: Howard?

24 MEMBER SUNSERI: Yes. He's the Designated  
25 Federal Official.

1 MS. GREENLAW: Okay. I just saw two other  
2 names in the announcement.

3 You don't have a chat feature, do you,  
4 that you could put that in? Yes, you do.

5 CHAIR KIRCHNER: Let's just quickly give  
6 it to you here in real time.

7 MS. GREENLAW: Thank you.

8 CHAIR KIRCHNER: Kent, K-E-N-T, period,  
9 Howard, H-O-W-A-R-D, @nrc.gov.

10 MS. GREENLAW: "K" as in kitten, E-N-T, as  
11 in Tom?

12 CHAIR KIRCHNER: Yes, period, then,  
13 Howard.

14 MS. GREENLAW: Thank you very much.  
15 Howard@nrc? All right.

16 CHAIR KIRCHNER: Dot gov.

17 MS. GREENLAW: Dot gov. I've got it.  
18 Thank you very much.

19 CHAIR KIRCHNER: Thank you for your  
20 comment.

21 MS. GREENLAW: Thank you.

22 MEMBER SUNSERI: Any other comments?

23 CHAIR KIRCHNER: Any other comments from  
24 the public?

25 (No response.)

1 MEMBER SUNSERI: Okay. So, continuing on  
2 then, Chairman, I suggest that we will take a recess  
3 at this point in time and come back at your  
4 discretion.

5 But we have a Draft Letter Report that the  
6 Subcommittee has prepared. I will request to read  
7 that into the record, and then, go into deliberation  
8 on that report. There are a few changes to the draft,  
9 I noted, as a result of the staff and Applicant  
10 presentation, but we can catch those during  
11 line-by-line review, I believe.

12 CHAIR KIRCHNER: Great. So, at this  
13 point, we are going to recess for 15 minutes and come  
14 back and read the Draft Letter Report into the record  
15 when we resume at -- I've lost the indication of the  
16 time.

17 MEMBER SUNSERI: It's 10:32.

18 CHAIR KIRCHNER: It's 10:32 right now.  
19 Let's resume at 10:45.

20 (Whereupon, at 10:32 a.m., the open  
21 meeting was adjourned, and after a brief recess,  
22 resumed in closed session for Committee deliberation.)  
23  
24  
25

# V. C. SUMMER NUCLEAR STATION (VCSNS) UNIT 1 SUBSEQUENT LICENSE RENEWAL APPLICATION

ACRS Committee Meeting  
March 6, 2025



# Agenda

- Introductions
- V.C. Summer Site Overview
- Subsequent License Renewal Application
- Technical Topics
- Closing Remarks



# Introductions

Beth Jenkins, VCSNS Site Vice President

James Holloway, Vice President Nuclear Engineering & Fleet Support

Brenda Brown, Director – Nuclear Engineering – VCSNS

Calvin Pugh, SLR Director

Richard Burt, Manager – Nuclear Site Engineering – VCSNS

Keith Miller, SLR Supervisor

Chuck Tones, SLR Technical Lead

Pratt Cherry, SLR Mechanical Lead

# Site Layout



## Legend

- Protected Area Fence
- +++ Railroad
- Building/Structure
- Site Boundary/Exclusion Area Boundary



0 1 000 2 000 Feet

# V.C. Summer Overview

<u>Station Milestones</u>	<u>Year</u>
Initial License (2775 MWt)	1982
4.5% Uprate Approved (2900 MWt)	1996
Renewed License Issued	2004
Entered Period of Extended Operation	2022
Current License Expiration	2042

# V.C. Summer Overview

- Westinghouse 3-loop PWR
- Refueling frequency – 18 months
- Regulatory Status
  - Reactor Oversight Process Actions Matrix Column 1
  - All ROP indicators are Green
- Recent capacity factors:

Year	Capacity Factor
2020	91.07
2021	82.69
2022	101.52
2023	88.82
2024	87.46

# V.C. Summer Overview

## Significant Plant Upgrades Since Initial License Renewal

- Fire Protection Piping & Valve Replacement Campaign
- Service Water Chemical Treatment Optimization
- Emergency Feedwater/Service Water Cured-In-Place-Pipe Liner Installation
- Main Transformer Replacement
- Electro-Hydraulic Control Digital Installation
- Service Water Cavitation Mitigation
- EDG Fuel Oil Piping Upgrade
- Safety-Related Chiller Replacements

# Subsequent License Renewal Application

- Project Team Experience
  - V.C. Summer SLR is the 3<sup>rd</sup> Dominion SLR project performed by this team
  - Team also has experience from SLR projects with other utilities and initial license renewal projects
- Industry Involvement
  - Participant in peer reviews of other SLRAs
  - Active participant in the NEI License Renewal Task Force

# Subsequent License Renewal Application

- Regulatory and Industry Guidance
  - Focused on consistency with NUREG-2191, NUREG-2192, NRC Interim Staff Guidance, and NEI 17-01
- Benchmarking
  - Recent SLR applications and correspondence (e.g., Supplements, RAIs) reviewed for insights
  - Built on Surry and North Anna SLR experience (e.g., leveraged Fleet programs, incorporated lessons learned from NRC reviews)
  - Conducted a peer review of our SLRA

# Subsequent License Renewal Application

- Aging Management Reviews
  - High AMR consistency for SLR (>99% of AMR items use Notes A through E)
- Operating Experience
  - 10 years of station operating experience reviewed for aging-related insights
  - License renewal self-assessment performed in 2021
  - NRC IP 71003 inspection identified no findings or violations (2022)
- Aging Management Programs
  - 49 programs for SLR



# Subsequent License Renewal Application

AMP Category	AMPs Consistent with GALL	AMPs Consistent with Enhancement	AMPs with Exceptions	AMPs with Exceptions and Enhancements	Plant Specific AMPs
Existing 40	13	22	2	3	0
New 9	9	0	0	0	0
Total 49					

# Technical Topics

Service Water  
Pond

EDG  
Performance

Primary Shield  
Wall & Reactor  
Vessel Supports

# Service Water Pond



# Service Water Pond Aging Management

- Dams and embankments inspected for erosion, movement, surface cracks, sloughing, rip-rap failures, weed and brush control, animal burrows, etc – annually
- Dam elevation, alignment, and slope surveys are conducted – every 5 years
- Sedimentation – bottom elevation surveys (two) were conducted – enhancement to conduct on periodic basis
- Federal Energy Regulatory Commission dam inspection – every 3 years

# EDG Performance

- VCSNS received a White performance deficiency identified when the licensee failed to identify and correct a condition adverse to quality for the Emergency Diesel Generator (EDG) fuel oil system that left the system vulnerable to piping cracks and eventually resulted in the failure of the 'A' EDG during testing on November 2, 2022.
  - The direct cause was a circumferential crack formed at the root of the last engaged male fuel oil pipe nipple thread. The crack propagated through-wall 140 degrees during a 24-hour surveillance run.
- VCSNS completed a Root Cause Evaluation (RCE) to further understand the organizational, process, and material aspects of the event.


# EDG Performance

- VCSNS pursued an EDG fuel oil piping design change, to improve the design margin of the system.
  - Replaced threaded schedule 40 piping with schedule 80, mostly welded joints, flexible hoses and flanged connection.
- Additionally, corrective actions from the RCE were completed to correct organization, equipment, and process issues identified.
  - Corrective Action Program and Plant Health process changes, and the Prevention Culture Model implementation
- All monthly and periodic EDG surveillance runs since the piping modification have been performed satisfactorily.



# EDG Performance

Piping Arrangement – Then




Piping Arrangement - Now



# Technical Topics

## Primary Shield Wall & RV Supports





# V.C. Summer SLR Summary

- Dominion has produced a quality SLR application that has a high degree of consistency with GALL-SLR, and incorporates lessons learned from previous SLRAs
- The V.C. Summer SLRA was developed by the very experienced team that wrote the Surry and North Anna SLRAs
- Dominion Energy will continue to invest in people, program enhancements, and equipment modifications through the SPEO



**Advisory Committee on Reactor Safeguards  
Virgil C. Summer Nuclear Station, Unit 1  
Subsequent License Renewal Application (SLRA)  
Safety Evaluation (SE)**

March 6, 2025

Marieliz Johnson, Project Manager  
Steve Downey, Reactor Inspector

# Presentation Outline

- Virgil C. Summer Nuclear Station (VC Summer), Unit 1 Licensing History
- VC Summer Aging Management Programs (AMPs)
- Specific Technical Areas of Review
- Inspections and Material Condition of the plant
- Conclusion on VC Summer SLRA Review

# VC Summer, Unit 1: Licensing History

## Initial License Renewal

Unit	Initial License	Initial License Renewal Application	Renewed License	Expiration Date
1	11/12/1982	8/6/2002	4/23/2004	8/6/2042

## Subsequent License Renewal

Application Submitted	8/17/2023
Acceptance Determination	10/16/2023
Safety Evaluation	1/21/2025

# VC Summer, Unit 1

## Aging Management Programs

### SLRA - Original Disposition of AMPs

- 49 AMPs in total
- 40 existing programs
  - 14 consistent with GALL-SLR
  - 26 consistent with enhancements and/or exceptions
- 9 new programs
  - All consistent

### SE - Final Disposition of AMPs

- 49 AMPs in total
- 40 existing programs
  - 13 consistent with GALL-SLR
  - 27 consistent with enhancements and/or exceptions
- 9 new programs
  - All consistent

# Specific Areas of SLRA Review

- Inspection of Water - Control Structures Associated with Nuclear Power Plants AMP
- Biological Shield Wall - Irradiated Concrete and Steel
  - primary shield wall fluence levels
  - inspections of reactor vessel supports

# Region II

## AMP Inspections

### License Renewal Inspection Program for Initial Period of Extended Operations

Inspection	Dates	Results
U1 & U2 IP 71003 Phase 1	October 11 – November 5, 2021 ML22026A345	No Findings
Unit 1 IP 71003 Phase 2	January 31 – February 18, 2022 ML22069B079	No Findings
Unit 1 IP 71003 Phase 4	Expected 2027 - 2032	NA

# Region II: AMP Inspections

## ROP Baseline Inspections

Inspection	Date	Aging Management Program
IP71111.08 ISI	Each outage	Boric Acid Corrosion Surveillance Bottom Mounted Instrumentation Inspection Containment ISI Program – IWE/IWL In-Service Inspection Plan Reactor Vessel Internals Inspection Steam Generator Management Program
IP71111.07 Heat Sink	Annually  Triennial: 3Q 2022	Heat Exchanger Inspections Service Water System Reliability and In-Service Testing Program
IP 71111.21N.05 Fire Protection Triennial (FPTI)	3Q 2022	Ensure that selected SSCs are being managed for aging in accordance with the appropriate aging management programs
IP71111.21M Comprehensive Engineering Team Inspection (CETI)	2Q 2024	Ensure that selected SSCs are being managed for aging in accordance with the appropriate aging management programs
IP71111.12 Maintenance Effectiveness	7-8 samples per year	Maintenance Rule Structural Monitoring Program Service Water System Reliability and In-service Testing Program Inspections for Mechanical Components
IP71152 Problem Identification and Resolution (PI&R)	6-10 samples per year	Any applicable AMP based on conditions identified in the licensee's Corrective Action Program



# Region II

## AMP Inspections

### Resident Inspector Insight and Inspection Results

- No findings from License Renewal Program inspections
- 2023: White self-revealed finding related to the Emergency Diesel Generator (EDG) fuel oil system that left the system vulnerable to piping cracks and eventually resulted in the failure of the 'A' EDG during testing.



# **SLRA Review Conclusion**

On the basis of its review of the SLRA, the staff determined that the requirements of 10 CFR 54.29(a) have been met for the subsequent license renewal of VC Summer, Unit 1.