

Official Transcript of Proceedings

NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards

Docket Number: (n/a)

Location: teleconference

Date: Wednesday, April 2, 2025

Work Order No.: NRC-0290

Pages 1-151

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1716 14th Street, N.W.
Washington, D.C. 20009
(202) 234-4433

DISCLAIMER

UNITED STATES NUCLEAR REGULATORY COMMISSION'S
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

The contents of this transcript of the proceeding of the United States Nuclear Regulatory Commission Advisory Committee on Reactor Safeguards, as reported herein, is a record of the discussions recorded at the meeting.

This transcript has not been reviewed, corrected, and edited, and it may contain inaccuracies.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION

+ + + + +

724TH MEETING

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS
(ACRS)

+ + + + +

WEDNESDAY

APRIL 2, 2025

+ + + + +

The Advisory Committee met via
teleconference at 8:30 a.m., Walter L. Kirchner,
Chair, presiding.

COMMITTEE MEMBERS:

WALTER L. KIRCHNER, Chair
GREGORY H. HALNON, Vice Chair
DAVID A. PETTI, Member-at-Large
RONALD G. BALLINGER, Member
VICKI M. BIER, Member
VESNA B. DIMITRIJEVIC, Member
CRAIG A. HARRINGTON, Member
ROBERT P. MARTIN, Member
SCOTT P. PALMTAG, Member
THOMAS E. ROBERTS, Member
MATTHEW W. SUNSERI, Member

1 ACRS CONSULTANTS:

2 DENNIS BLEY

3 STEPHEN SCHULTZ

4

5 DESIGNATED FEDERAL OFFICIALS:

6 MICHAEL SNODDERLY

7 CHRISTOPHER BROWN

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

CONTENTS

Committee Discussion

NuScale Letter discussion and assignments . 4

NuScale Standard Design Approval Application Topics

Including NuScale Topical Reports on Extended Passive

Cooling and Reactivity Control Methodology and

Non-LOCA Methodology 6

Meeting called to Order, Chair Kirchner 98

Terrestrial Energy Topical Report on Principal

Design Criteria 101

Adjourn

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

P-R-O-C-E-E-D-I-N-G-S

(8:30 a.m.)

CHAIR KIRCHNER: The meeting will now come to order. This is the first day of the 724th meeting of the Advisory Committee on Reactor Safeguards, ACRS. I'm Walt Kirchner, Chairman of the ACRS. ACRS members in attendance in person are Ron Ballinger, Greg Halnon, Robert Martin, Scott Palmtag, Dave Petti, Thomas Roberts, Craig Harrington, and Vicki Bier. ACRS members in attendance virtually via teams are Vesna Dimitrijevic and Matt Sunseri. Our consultants participating today virtually are Stephen Schultz and Dennis Bley, and if I've missed anyone, consultants, or members, please speak up now.

Mike Snodderly of the ACRS staff is the designated Federal Officer for this morning's full committee meeting. No member conflicts of interest were identified, and I note that we have a quorum.

The ACRS was established by statute and is governed by the Federal Advisory Committee Act, or FACA. The NRC implements FACA in accordance with our regulations. Per these regulations and the Committee's bylaws, the ACRS speaks only through its published letter reports. All member comments, therefore, should be regarded as only the individual opinion of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 that member and not a Committee position.

2 All relevant information related to ACRS
3 activities, such as letters, rules for meeting
4 participation, and transcripts, are located on the NRC
5 public website and can be readily found by typing
6 about us ACRS in the search field on NRC's homepage.

7 The ACRS, consistent with the Agency's
8 value of public transparency and regulation of nuclear
9 facilities, provides opportunity for public input and
10 comment during our proceedings. We have received no
11 written statements or requests to make an oral
12 statement from the public. Written statements may be
13 forwarded to today's designated Federal Officer, and
14 we have also set aside time at the end of this meeting
15 for public comments.

16 A transcript of the meeting is being kept
17 and will be posted on our website. When addressing
18 the Committee, the participants should first identify
19 themselves and speak with sufficient clarity and
20 volume so that they may be readily heard. If you are
21 not speaking, please mute your computer on Teams, and
22 if you are participating by phone, press star 6 to
23 mute your phone and star 5 to raise your hand on
24 Teams. The Teams chat feature will not be available
25 for use during the meeting.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 For everyone in the room, please put your
2 electronic devices in silent mode and mute your laptop
3 microphone and speakers. In addition, please keep
4 sidebar discussions in the room to a minimum because
5 the ceiling microphones are live. For the presenters,
6 your table microphones are unidirectional, and you'll
7 need to speak directly into the front of the
8 microphone to be heard online.

9 Finally, if you have any feedback for the
10 ACRS about today's meeting, we encourage you to fill
11 out the public meeting feedback form on the NRC's
12 website.

13 During today's meeting, the Committee will
14 consider the following topics: The NuScale standard
15 design approval application, including NuScale topical
16 reports on extended passive cooling and reactivity
17 control methodology and the non-LOCA methodology TR.

18 As stated in the agenda, portions of this
19 meeting may be closed to protect sensitive information
20 as required by FACA and the Government in the Sunshine
21 Act. Attendance during the closed portion of the
22 meetings -- closed portions of the meetings will be
23 limited to the NRC staff and its consultants, NuScale,
24 and those individuals and organizations who have
25 entered into an appropriate confidentiality agreement.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 And we will confirm that only eligible individuals are
2 in the closed portion of that meeting.

3 And with that, I, as the subcommittee
4 chair for NuScale, we're going to depart a little bit
5 from the schedule I just mentioned to take up a topic
6 that we had requested NuScale address, and that is the
7 ECCS valve testing program.

8 And so, Mike, with that, do we have a
9 question-and-answer approach or are we going to have
10 to have a presentation?

11 MR. SNODDERLY: The NuScale staff that
12 will help in with Member Harrington's questions are
13 online.

14 CHAIR KIRCHNER: Okay. Which ones?

15 MR. SNODDERLY: And then the staff also
16 had some information.

17 So I guess, Member Harrington, did you
18 want to make a statement, I guess, what you were
19 looking for or -- but we have the staff available to
20 respond to questions concerning future plans for the
21 qual.

22 MEMBER HARRINGTON: This is Member
23 Harrington. On the Chapter 6 letters, in preparing
24 that after our review meeting a month ago or whenever
25 it was, now I looked back at the final DCA letter, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 there were several topics from Chapter 6 in the DCA
2 that merited particular attention by the committee at
3 the time. I was not a part of the Committee at the
4 time, so some of this is secondhand in that regard,
5 for me at least.

6 But one of the topics that was raised and
7 carried through to the final letter was in regard to
8 the operability of the ECCS valves after sitting in
9 the operating environment of the containment reactor
10 vessel for the entire operating cycle, basically, and
11 whether the presence of boron or any other issues
12 might degrade the performance of the valve, basically
13 cause it to not open.

14 And the Committee position expressed in
15 that letter was that there was qualification program
16 plan. Qualification testing was specifically called
17 out in the letter that they felt would adequately
18 address that but also included a couple of comments in
19 that final letter in regard to topics that ought to be
20 addressed in that testing.

21 And so, the questions that I raised at
22 that point were kind of where are we now? What
23 testing was done? What information do we have now to
24 close out that issue more completely maybe than was
25 done in the DCA? Basically, what is the status now?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 So that's, I guess, maybe a useful setup to those
2 questions, and I'd be interested in hearing from
3 NuScale in regard to that topic.

4 MR. BECK: Hey, Member Harrington, this is
5 Tyler Beck from NuScale and also have Dan Lassiter on
6 the phone.

7 Dan, I know you were having issues getting
8 in the meeting, so I just want to confirm. Did you --
9 are you in the meeting?

10 MR. LASSITER: This is Dan Lassiter. Can
11 you hear me?

12 MR. BECK: Yeah.

13 MR. LASSITER: Okay.

14 PARTICIPANT: Yes.

15 MR. LASSITER: Yep, but I did only catch
16 the last portion of the question. So, either if Tyler
17 can start, it could be restated shortly. That would
18 be appreciated.

19 MR. BECK: Yeah. So Dan, the question is
20 getting back to the DCA letter and discussion of
21 testing, and you know, addressing concerns related to
22 potential for something like boric acid buildup during
23 the longer-term period.

24 And so, to start addressing this question
25 -- and Dan, feel free to chime in if you have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 something else to say or Augie's there as well -- we
2 performed two test programs, representative and
3 prototypic valve testing thus far, to confirm the
4 ability and demonstrate the ability of the ECCS valves
5 and their functionality.

6 In addition to those test programs, we
7 include the ECCS valves in the scope of ASME QME-1
8 testing and then environmental qualification as well.
9 So you have those additional pieces to qualification
10 of the valves. And then, when the valves are in
11 service, you have in service testing during every
12 outage. And then lastly, there is a boric acid
13 control program included for the -- right now in the
14 scope of a COL item. But all of those components play
15 into ensuring that the valves won't have some type of
16 issue related to boric acid preventing their
17 functionality.

18 MR. LASSITER: Yeah, this is Dan Lassiter,
19 NuScale Design Engineering. I'll maybe just be a
20 little more detailed in the scope of what Tyler just
21 mentioned there.

22 In the DCA review, we did a test program
23 with the NRC, reviewing that program to support their
24 review. And we did use boric acid solution within the
25 valve components to demonstrate that in an actuation,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 in the flashing and things like that, boron wouldn't
2 precipitate out and affect valve function. But that's
3 a short-term functional test.

4 The long-term effects of boric acid or
5 boron solution are addressed by the qualification
6 program. There's the QME-1 portion, which is
7 functional testing. That's not really long-term
8 effects. The long-term effects are really addressed
9 by the environmental qualification portion. And so,
10 that has not been carried out yet. But there are
11 requirements in qualification program to address any
12 long-term degradation mechanisms that could affect
13 safety function of the valve. And so, those will be
14 required to be addressed either by test or analysis or
15 justification in the qualification program.

16 And as Tyler mentioned, there's also, you
17 know, programs during plant operation to ensure
18 functionality of the valves. There's the IST program.
19 These are exercised every outage during the shutdown
20 process. The ECCS valves are, as well as the boric
21 acid inspection program, which is, as you mentioned,
22 a COL item, to develop that program. So we believe
23 that those programs, as well as the functional testing
24 and qualification, address the effects of boron or
25 boric acid solution, you know, in and around the ECCS

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 valves in the short term and also in the long term.

2 MEMBER HARRINGTON: Have you looked at any
3 -- I guess for me, in trying to pick up that concern
4 from the Committee several years ago, the area that
5 I'd be concerned about is small ports in tight
6 clearance areas that something might fake out,
7 precipitate out on, and challenge the valve. And
8 really, in the end, the challenge is could there be a
9 common mode failure that could affect multiple valves?
10 Have you looked at other operating experience? I'm
11 not sure there's other valves in the current fleet
12 that really sit in that same kind of environment as
13 warm as these would be.

14 MR. LASSITER: I mean, there's
15 pilot-operated safety valves which are similar in
16 design and function and in some similar environment.
17 I guess some of them are maybe more in the steam space
18 than the liquid space, but we have operating
19 experience of similar valves either that NuScale has
20 collected information, or the valve vendor provides
21 their -- valve supplier/designer supplies their, you
22 know, their expertise and operating experience.

23 You know, I think it's difficult to
24 definitively answer the concern today because it has
25 to be addressed through the qualification program,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 which is not complete yet but will be prior to
2 operation. So I really have to lean on the fact that
3 any long-term degradation mechanism, you know, with
4 respect to valve safety function, is required to be
5 addressed, including chemistry and buildup of boron
6 precipitate in the environmental qualification
7 program. So that's the primary, primary mechanism.

8 MEMBER HARRINGTON: Well then, let me just
9 ask this, in the logical extreme, which maybe is not
10 logical in this case, but if there was a common mode
11 failure, what happens if none of this ECCS valves
12 open?

13 MR. BECK: Probably -- this is Tyler Beck.
14 Probably would be a question for either our PRA or
15 safety analysis folks, but I would imagine we would
16 get to a point where the reactor safety valves would
17 lift, and I'm not sure the event sequence after that.

18 MEMBER HARRINGTON: Yes, that's what I
19 would expect. Yeah.

20 MR. LASSITER: There's also a feature in
21 the ECCS valves described in Chapter 6. I don't want
22 to be too detailed here. The -- if the actuator does
23 not actuate, the valve is still open, once the RPV,
24 the reactor vessel is depressurized due to an internal
25 spring inside the valve. So and that's reflected in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 the PRA models and is a significant feature.

2 So that's a portion of the answer to your
3 question, but that is getting into a hypothetical
4 scenario. I think PRA would be best suited to answer
5 that question.

6 CHAIR KIRCHNER: This is Walt Kirchner.
7 Don't you -- you have to set these valves each time
8 with CVS, CVCS pressure. So, in effect, you will have
9 to exercise them each time or you won't be able to
10 start up that module because you're going -- if they
11 were not seated properly, you're not going to be able
12 to pull a vacuum in the containment.

13 MR. LASSITER: Yep, that's exactly
14 correct, yeah. They're exercised and open during the
15 shutdown process, and then they're reset and closed
16 during the startup process.

17 CHAIR KIRCHNER: So there'll be a
18 functionality test with each outage for refueling.

19 MEMBER HARRINGTON: I guess for those of
20 you that were here when the letter was written, does
21 that keep that issue in a comfortable place?

22 CHAIR KIRCHNER: Well, at the time there
23 was a commitment, and I believe some of this valve,
24 the ECCS valve testing program was executed, and it
25 sounds like now they're continuing the qualification

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 program. So that was one of those concerns that was
2 flagged in that letter we were coming out of the DCA.

3 But the fact that they have to actuate
4 they have to actually seat those valves each time is
5 probably a good test of whether the ports have that
6 buildup of boric acid or of any kind of blockage that
7 would impair their operability. And if they don't get
8 a good seating of the valve, then they're not going to
9 have a leak tight system and be able to pull a vacuum
10 on the containment. So there is in effect a retest of
11 each of the valves with each outage cycle.

12 MEMBER BALLINGER: Yeah.

13 CHAIR KIRCHNER: Go ahead, Ron.

14 MEMBER BALLINGER: This is Ron Ballinger.
15 I think I'm the one that brought that up in the
16 original DCA because I had a lot of experience with on
17 the BWR side, solenoid-operated and pilot-operated
18 relief valves that have a habit of not lifting within
19 specification. So there was an operability issues
20 that I was worried about, and I think what they've
21 said since they -- it has to be operable, and they
22 have to test it prior -- at the end of each outage,
23 right?

24 CHAIR KIRCHNER: Right.

25 MEMBER BALLINGER: That's the same thing

1 that they have to do on the BWR side, or they -- these
2 are safety valves.

3 CHAIR KIRCHNER: Dennis, you also
4 contributed to that part of the review for the DCA.
5 Do you have any comments on this or questions?

6 DR. BLEY: Sorry. I had trouble getting
7 my microphone. Nothing further than you folks have
8 already talked about. I don't completely remember the
9 discussions back then, but no, nothing more to add.

10 CHAIR KIRCHNER: Okay. All right. So
11 does the staff have anything to add at this point?

12 (Simultaneous speaking.)

13 PARTICIPANT: Tom Scarbrough is supposed
14 -- Tom Scarbrough our next -- he just walked in.

15 CHAIR KIRCHNER: Tom, when you sign in,
16 the floor is yours.

17 (Laughter.)

18 CHAIR KIRCHNER: Time to get prepared.
19 Oh, by the way. Okay, we'll put you on the spot if
20 you just stand right there.

21 MR. SCARBROUGH: Sure.

22 CHAIR KIRCHNER: Yeah, that's the
23 microphone.

24 MR. SCARBROUGH: Okay.

25 CHAIR KIRCHNER: So we're just having a

1 discussion about the ECCS valves and qualification
2 program. Can you give us kind of an update of where
3 the staff review is on the valve test program?

4 MR. SCARBROUGH: Right, sure. I'll be
5 glad to. Where we are, the DCA, we went through a
6 very elaborate review of the 50.43(e) testing program,
7 including capability, boron, boric acid solution, and
8 all that. We went through and wrote a very long audit
9 report that described all of that and what type of
10 testing they did. And then at the conclusion, we said
11 that all these lessons learned will need to be
12 incorporated into the QME-1 qualification program.
13 And that was very, very specified.

14 Now, working with the SDA, we had
15 discussions with them, and they did a series of tests
16 of temperatures, and they found a lot of interesting
17 things that they're going to address as part of the
18 QME-1 qualification.

19 Now for the boron, they were able to make
20 a reasonable argument that from a 50.43(e) test
21 perspective, they did not need to do the boric acid
22 testing that they did before because nothing really
23 changed significantly in the dimensions of the -- of
24 those valves. So we allowed them to do that.

25 So we completed the 50.43(e) review for

1 the SDA for the ECCS valves. And we summarize the
2 reports. The reports were all proprietary, but we
3 summarized them in the SER, you know, the
4 non-proprietary version of what we looked at. And
5 they went through all types of things: CB testing, XT
6 testing. They did a number of different type things
7 to demonstrate capability of the valves from a
8 50.43(e) perspective. And so, we completed that. We
9 wrote the safety evaluation and made a finding that
10 from a 50.43(e) perspective, they had justified it.

11 They didn't do the boric acid testing for
12 this one, but the other parts we thought were
13 reasonable, and we thought we could take lessons
14 learned from the DCA testing to complete that portion.

15 Now the next step will be the
16 qualification scheme. We want qualification testing.
17 And in the ITAAC, there's a specification that, a
18 design commitment that they qualify the valves for all
19 design basis conditions. And so, that would include
20 the whole gamut of testing, you know, in terms of the
21 IEBs, the RDVs, RRVs, all that will have to be tested
22 for the qualifications testing.

23 And so, they haven't relayed to us. I've
24 heard that they're thinking about it. They're
25 planning. They're doing the testing plans that they

1 would -- I think they would like to probably talk to
2 us sometime, so we can give some feedback to them.
3 And so, when they're ready, we'll be ready to talk to
4 them about what their plans are for full-scale QME-1
5 qualification test. But we're not there yet.

6 Well, when we did the testing for the DCA
7 50.43(e), they came in early. We looked at their test
8 plans. We gave them some feedback. They made some
9 adjustments, and we were able to proceed with the
10 50.43(e) testing for the DCA. It all went very
11 smoothly. So we're hoping the same thing will happen
12 for the QME-1 qualification testing for either the DCA
13 or the SDA whenever they're ready.

14 So that's sort of where we are. We're
15 sort of in the process of just waiting for them to be
16 ready to talk to us, and we'll be glad to talk to them
17 whenever. So that's where we are. They have -
18 they've completed 50.43(e) testing satisfactorily. We
19 described that in SER. The next step will be for them
20 to come in and start talking about what their plans
21 are for QME-1 qualification testing. That's sort of
22 where we are.

23 CHAIR KIRCHNER: Okay. Thank you.

24 MR. SCARBROUGH: Okay. Sure. The other
25 thing I was going to mention, yesterday, we talked a

1 lot about 50.69, and Getachew pointed out to me that
2 the DCA is not allowed to use 50.69 because it's a
3 design certification, but the SDA, they could. So, if
4 NuScale wanted to, they could come in under 50.69. I
5 just wanted to clarify that. Okay. Great. All
6 right. Thank you.

7 CHAIR KIRCHNER: Thank you.

8 MR. SCARBROUGH: Thank you.

9 CHAIR KIRCHNER: Okay.

10 MEMBER DIMITRIJEVIC: Walt?

11 CHAIR KIRCHNER: Yes. Go ahead, Vesna.

12 MEMBER DIMITRIJEVIC: Hi. Good morning.

13 In the PRA, you know, the concerns we also -- that was
14 one of the -- it was a number one consideration which
15 says that I was looking for this letter that further
16 examination of the design of emergency core cooling
17 system valves and associated PRA model is needed to
18 help to build confidence that plant risk is accurately
19 represented.

20 And this, in the PRA, we always express
21 concerns that the failure rates, the common cause
22 assumptions, and you know that the other underlying
23 conditions are realistically represent because those
24 are the most and the only important components in the
25 -- from the PRA perspective, cooling perspective.

1 So I just wanted to add that that thing
2 you know was left open in the reconciliation saying
3 the ECCS valve performance work will say the, you
4 know, the -- you know, is waiting for the development.
5 So, you know, it was left open and that's with now
6 discussion means in the in DCA -- PRA letter. Okay.

7 CHAIR KIRCHNER: Okay. Thank you.

8 Matt, go ahead.

9 MEMBER SUNSERI: Yes. Good morning. Hey,
10 so I've been listening to the conversation. I've been
11 thinking back on our meetings when we discussed these
12 valves before, and what I'm hearing is a pretty robust
13 program for establishing functionality of the valves,
14 qualification of the valves. I did check tech specs.
15 There are going to be periodic surveillance testings
16 of the valve at the end of cycle, in between cycles.
17 So I don't know why we would be concerned about this.
18 It's not like they're going to be in a environment
19 that is unfamiliar or unchallenged in the history of
20 pressurized water reactors. So I wouldn't have any
21 concern.

22 CHAIR KIRCHNER: Good. Thank you.

23 Okay. I think we can move on. Great.
24 Okay. So, with that, we're going to turn to Member
25 Martin, and he'll give us his assessment on the loss

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 of -- non-loss-of-coolant analysis methodology TR.
2 Okay.

3 MEMBER MARTIN: Thanks, Walt. To kind of
4 just familiarize us with the -- the agenda title is
5 the next couple hours or more we're going to talk
6 about the topical reports. One is the, of course, the
7 one I'm about to read in at the moment is Scott's on
8 extended passive cooling and reactivity control.

9 We had our meetings last month. I have
10 prepared a summary report, and that's all -- you see
11 it here on the screen here for all of us to see as I
12 read through it. I don't know if we're going to do an
13 editing. We've passed it around a little bit here
14 among committee, but I'm going to read it in, and I'll
15 pass it off to the -- our transcribe guy. What's the
16 right word for that?

17 PARTICIPANT: Court reporter.

18 MEMBER MARTIN: Thank you. So that he'll
19 have it so --

20 (Simultaneous speaking.)

21 MEMBER PETTI: Can you make it bigger?
22 Can someone --

23 (Simultaneous speaking.)

24 MEMBER MARTIN: Yeah, I think -- who has
25 it? Sandra has it. I'm going to read my copy which

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 I think is the same copy.

2 MEMBER PETTI: Yeah, that's better. Thank
3 you.

4 MEMBER MARTIN: Okay. It's just we also
5 have it in our P&P for later. Anyway, I'll begin now.

6 Member Martin reviewed NuScale's Topical
7 Report TR-0516-49416 Non-Loss-of-Coolant Accident
8 Analysis Methodology Revision 4 -- and I will not
9 provide the ADAMS number -- describing the non-LOCA
10 evaluation model (EM) for design-basis transient
11 analyses and the 250-Megawatt thermal NuScale Power
12 Module (NPM-20). The Committee reviewed a previous
13 version of this TR in 2020 for use with the
14 160-Megawatt thermal NPM-160, providing a letter at
15 that time. Revision 4 updates the model to support
16 the upgraded US460 design.

17 On March 4, 2025, NuScale and NRC staff
18 presented the revised TR and supporting analyses to
19 the Committee. The non-LOCA EM follows established
20 regulatory guidance, including RG 1.203 and the
21 NuScale Design-Specific Review Standard, and retains
22 key elements of the previously approved methodology,
23 including event classification, system response
24 analyses, and demonstration of fuel and radiological
25 safety criteria without operator action for 72 hours.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 The applicant affirmed that the methodology identifies
2 limiting single failures, accounts for the potential
3 negative influence of non-safety system actions and
4 includes bounding assumptions as appropriate.

5 The NRC staff's review concluded that the
6 revised evaluation model supports a finding of
7 reasonable assurance of safety, subject to ten
8 Limitations and Conditions, i.e. L&Cs. Most L&Cs are
9 consistent with those applied in previous approved
10 methodology; however, several were updated to reflect
11 changes in the NPM-20 design and modeling tools.
12 Among these, L&C No. 4 -- requiring evaluation of
13 biases on decay heat removal system heat transfer and
14 non-LOCA analyses -- was a focal point of discussion
15 during the Subcommittee meeting. The staff cited
16 concerns related to scaling and modeling uncertainty
17 as justification for evaluation of biases, despite
18 NuScale's presentation of test data and analyses
19 intended to support the adequacy of the realistic DHRS
20 model.

21 The Committee concludes that the revised
22 non-LOCA EM remains technically sound and sufficiently
23 conservative for evaluating the NPM-20's response to
24 design-basis transients. This conclusion is supported
25 primarily by its continuity with an already approved

1 methodology and a reaffirmed focus on dominant
2 phenomena and critical figures of merit. In addition,
3 the Committee has no objection to the staff issuing
4 their safety evaluation report; however, Martin
5 recommends removal of L&C No. 4. The continued
6 evaluation of biases on DHRS heat transfer is
7 unwarranted as the underlying uncertainty relates to
8 standard design considerations, not unmodeled
9 phenomena or scaling distortions. The steam generator
10 -- DHRS configuration reflects well-understood
11 industrial heat exchange principles, where
12 sufficiently sized heat transfer surface area ensures
13 heat rejection with minimum sensitivity to
14 uncertainty. Given NuScale's new test results and
15 modeling that shows the system maintains ample margin
16 to avoid overpressure, biases needlessly double-count
17 conservatism (in both design and analysis) and
18 undermines the credibility of NuScale's validated
19 approach.

20 It is recommended that this writeup serves
21 as the record of Subcommittee meeting and that an ACRS
22 letter report not be prepared.

23 So could be some discussion here related
24 to my conclusion on L&C No. 4. So I spent a little
25 time kind of -- you know, actually, I prepared a lump

1 parameter model kind of looking at basic heat transfer
2 performance and looked at some of the codes standards
3 that apply in this particular case. Frankly, you
4 know, with normal design practices there's going to be
5 very little sensitivity to the uncertainties that
6 we're talking about unless you really hit it really
7 hard to the point where you basically distort it from
8 reality. I do find that it's important that NuScale
9 did do those tests and did show really level of
10 sensitivity -- and we're talking about sensitivity
11 related to pressure in this particular case.

12 So that's primarily the basis of my
13 conclusion that the L&C is really unnecessary and that
14 design -- standard design practices would otherwise
15 account for the uncertainty that they're concerned
16 with.

17 CHAIR KIRCHNER: So Bob, yeah, we have two
18 issues here, just so that everyone appreciates what's
19 going on.

20 We've adopted a practice of late to unless
21 we think there are significant issues with material
22 that we're reviewing -- and this isn't NuScale
23 specific -- across the board, we've been adopting a
24 practice of using summary reports. Those are recorded
25 as part of the meeting minutes and are available to

1 the public and also provided to the Commission. This
2 is in the interest of efficiency of operation of the
3 Committee so that we reserve the bulk of our time to
4 focus on safety significant matters.

5 The process issue here is that we have a
6 recommendation from one of our members. It happens to
7 be Bob this time, but we've had this in the past. So
8 we need to look at how do we capture this and how if
9 we're elevating it and we're not writing a letter
10 report, how do we disposition something like this? Or
11 is it just something that is a note to the staff that
12 we have a concern, but it doesn't rise to the level of
13 a letter report and such? So there's the process part
14 here and then there's the technical part.

15 MEMBER MARTIN: So, obviously --

16 CHAIR KIRCHNER: Let's start with the
17 technical part, and then we'll go to the process part.

18 MEMBER MARTIN: Okay. I was going to go
19 the other way but, again, I've kind of laid out -- I
20 mean, I could pull up my plot if you like.

21 But you know, there are, you know,
22 standards that are to get applied in the design
23 process. It's, you know, heat exchangers is not an
24 unfamiliar type application, basically a boiler
25 condenser kind of environment where the only thing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 that really matters is surface area, total surface
2 area. You know, this is undergraduate-level type
3 work. I mean, no offense, but this is not hard stuff.

4 And you incorporate, you know, whether you
5 want to call the factor safety or what have you, you
6 account for, you know, long-term fouling that, you
7 know, results in oversize and you know, to then, you
8 know, back off even further, you end up getting
9 yourself into what might actually be a very steep
10 curve of sensitivity, which is very unrealistic if you
11 over -- if you use the word penalize, but you
12 penalize, basically, the heat transfer in that model,
13 and it very much distorts what's going on. And
14 NuScale did the work.

15 CHAIR KIRCHNER: Basically, we had boiling
16 on one side and condensation on the other. So we got
17 big heat transfer coefficients.

18 MEMBER MARTIN: Yeah.

19 CHAIR KIRCHNER: So this is not like a
20 fouling factor for a conduction heat transfer problem.

21 MEMBER MARTIN: No, no.

22 CHAIR KIRCHNER: So are there any
23 scenarios where, for some reason, the function, the
24 timing of the valve in isolation would result in a
25 solid system where you wouldn't have the opportunity

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 to boil and condense?

2 MEMBER MARTIN: I don't think we saw that.

3 CHAIR KIRCHNER: I mean that would be a
4 much bigger decrement on the heat transfer capability
5 than a fouling factor or penalty on anything.

6 PARTICIPANT: He had that much water. I'm
7 not sure that'd be a concern.

8 CHAIR KIRCHNER: Yeah.

9 MEMBER MARTIN: Yeah, that would give you
10 even more margin to think that they were using the
11 figures of merit.

12 But if, you know, the transition to the
13 process part -- I mean, somewhat, this is water under
14 the bridge, right? I mean, here we are, you know,
15 near the end of the whole process. There's nothing
16 fundamentally wrong with the safety evaluation report.
17 Clearly, NuScale has probably moved on a little bit.
18 But I just thought that, in this case, that by
19 presenting the L&C No. 4, they kind of identified as
20 a safety issue that I don't think is a safety issue.

21 And I think while we focus on safety
22 issues, it's also important to highlight when maybe
23 it's not a safety issue, that, you know, we should not
24 be, you know, standing behind things that are -- that
25 may be overly conservative in this case, particularly

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 given the investment that NuScale did into the testing
2 and what have you.

3 And it's, you know, in today's day and
4 age, I think it's important to just highlight, maybe
5 not overemphasize, but certainly highlight a situation
6 where, you know, maybe we should, you know,
7 acknowledge the efforts of an applicant into trying to
8 resolve an issue and that indeed there are some people
9 here that concur with the effort and that it is
10 adequate and not a safety issue.

11 I cut you off, David.

12 MEMBER PETTI: No, no, you, basically,
13 knew exactly where I was going. I agree with you
14 technically, but I worry that buried in the summary is
15 just the wrong thing. It's a recommendation. I think
16 it's an important recommendation in its specificity
17 here. But it's in its -- when you genericize that and
18 think about, you know -- sometimes I read some of the
19 L&Cs, and I'm going, really? You know, the
20 excessiveness, given the data that's behind it, is an
21 important consideration. I just don't know how we --
22 without writing a letter on it, I don't know how we
23 get it.

24 MEMBER MARTIN: Well, first I got --

25 MEMBER PALMTAG: This is Scott. This came

1 up last meeting. It is kind of a concern of ours. It
2 was kind of a little bit about the timing because
3 we're doing these reviews and the chapter memos. And
4 so, it's my understanding that these summaries, that
5 any conclusions would roll up into the Chapter 15
6 chapter summary.

7 MEMBER MARTIN: It was my intent to throw
8 this into the memo.

9 VICE CHAIR HALNON: So, from a process
10 perspective, there's a couple ways of handling it.
11 But what I would recommend is that you change it from
12 a recommendation to a conclusionary statement saying
13 the Committee feels that this L&C is unnecessary for
14 the following reasons and leave it at that. And then
15 in your Chapter 15 memo, you can make the
16 recommendation to remove it, which will roll up into
17 the NuScale memo.

18 MEMBER MARTIN: I thought about the word
19 conclusion. I thought, well, maybe that was a litmus
20 for elevating it to a letter.

21 VICE CHAIR HALNON: Yeah, just a couple
22 things. You don't want to just highlight yourself.
23 Member Martin suggests or recognizes -- this a
24 committee summary. We all really buy into it or not.
25 I think you have general agreement, especially what

1 they've said relative to the confluence.

2 This seems like a lot. But if you make it
3 a conclusionary saying that, you know, this is clearly
4 unnecessary for the following reasons. They did a lot
5 of testing. They should be credited for that. Blah,
6 blah, blah. And then make the recommendation
7 appropriately in your 15 letter, and then we all can
8 -- well, as a committee, we'll decide if that goes in
9 the final.

10 MEMBER MARTIN: Get away from the word
11 recommends to concludes?

12 VICE CHAIR HALNON: In this.

13 CHAIR KIRCHNER: I would just put it as --

14 VICE CHAIR HALNON: Make it a
15 conclusionary statement. You don't say conclude. Oh,
16 just say that -- Sandra, could you put line 34 back
17 up, please, or thereabouts?

18 So you could say we recommend. You said
19 we not only say we recommend, the Committee considers
20 the L&C No. 4 being unnecessary for -- and then you --

21 CHAIR KIRCHNER: Just make it an
22 observation statement of fact rather than a buried
23 recommendation.

24 VICE CHAIR HALNON: That's a conclusionary
25 statement. That's probably the right word for it, but

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 Walt said it better, just an observation of fact. And
2 the rest of it's fine.

3 MEMBER PETTI: So I'm worried. I said
4 this last time. This Chapter 15 memo is going to be
5 huge. There's no reason to say we can't just take
6 this on the topical, and make it a memo in and of
7 itself in the back of the package because it's such an
8 important -- I mean, you know, all of these ones, as
9 opposed to just putting it under the chapter, just
10 going to make it really --

11 (Simultaneous speaking.)

12 VICE CHAIR HALNON: You can turn this into
13 a memo, actually.

14 MEMBER MARTIN: And then I'll -- I was
15 going to take my summary report from LOCA, the summary
16 report for this, summary report from Scott, and then
17 and weave the story. I mean. Yes, Mike.

18 MR. SNODDERLY: So I think this is some
19 good timing though. This will lead well into the
20 outline. But when we go over the final letter
21 outline, there's an appendix that will have all of the
22 review memos. So and you could put in the text, or
23 you know, the body of the final letter some pointer to
24 that, to the Chapter 15 memo or the observation.

25 So you've got -- but of course, the

1 topical report will already have been issued probably.
2 You know, again, not all this time is happening right
3 at the same time. For a little while that, you know,
4 took normally to write, the topical would have been
5 issued earlier or, you know, where you could have
6 given this insight. I was just trying to tell you
7 there's opportunities for you to make it to make the
8 public or interested parties well aware of where
9 there's additional information.

10 CHAIR KIRCHNER: Yes, yeah. Vesna, go
11 ahead.

12 MEMBER DIMITRIJEVIC: I just want to
13 mention that in the PRA there is a basic event which
14 models the fail of DHRS strain passive heat transfer
15 to reactor pool that has a failure probability of 40
16 minus 6, and you know, with uncertainty distribution.
17 So I don't really know that how is this estimated, but
18 it could be -- I mean this could be related. This
19 says that following successful actuation of DHRS
20 strain, this event represents a failure of passive
21 heat transfer nature circulation to the OHS over the
22 mission time. So maybe this L&C is connected to
23 estimating this failure probability.

24 MEMBER MARTIN: That did not come up in
25 our discussion on March 4th or whatever I have on

1 here. You know, what was presented to us related to
2 scaling distortions and just uncertainties that the
3 staff felt were unquantified.

4 (Simultaneous speaking.)

5 VICE CHAIR HALNON: We don't need to make
6 this hard from a process perspective. Dave had a good
7 suggestion, but since we do summaries of TRs in the
8 P&P summary, I would just put -- I mean, if you're
9 willing to turn this into a memo as a standalone, then
10 you can make your recommendation, or if you want to do
11 it in Chapter 15, it's fine. If you do it in your
12 Chapter 15 memo, then just make that an observation.

13 MEMBER MARTIN: Sure.

14 VICE CHAIR HALNON: And roll it up. If
15 you want to do a memo on it, then we'll just put the
16 title and CR and say there's a memo written on this.
17 You can write the memo on it. But I would suggest you
18 just roll it up.

19 MEMBER MARTIN: That's my plan.

20 VICE CHAIR HALNON: Since you want to
21 weave that story together.

22 MEMBER MARTIN: Right. And it's -- and
23 the memo is due really soon.

24 CHAIR KIRCHNER: So are you amenable, Bob,
25 to making this kind of a third-person thing and --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 MEMBER MARTIN: Well, I mean, obviously
2 going into this discussion, I have to make it a
3 first-person now that I, you know, it sounds like I
4 have some consensus on the Committee, and I can change
5 it from first to third person.

6 CHAIR KIRCHNER: And I would put it at the
7 end before you sign off there. It is recommended. We
8 effectively have it there.

9 VICE CHAIR HALNON: You got what you
10 needed?

11 MEMBER MARTIN: I think so. I think I
12 have.

13 VICE CHAIR HALNON: Okay. So we can move
14 on.

15 MEMBER MARTIN: Should I have this revised
16 for P&P, Larry?

17 MR. BURKHART: Well --

18 MEMBER MARTIN: I mean, it won't take. I
19 mean I can have it revised for P&P.

20 MR. BURKHART: We can do that.

21 VICE CHAIR HALNON: Yeah, you've got all
22 day to take it.

23 MR. BURKHART: Revised, yep.

24 CHAIR KIRCHNER: All day and all night.

25 (Laughter.)

1 MEMBER MARTIN: Plenty of time.

2 CHAIR KIRCHNER: Okay. Thank you. Thank
3 you, Bob. Okay.

4 With that, we're going to turn to Scott
5 Palmtag who led the review on the ER or extended
6 cooling.

7 MEMBER PALMTAG: Not used to being longer
8 than Bob. All right. Some of the process issues are
9 going to show up in this one, too.

10 On March 4th, 2025, the NuScale
11 subcommittee of the ACRS reviewed the NuScale Topical
12 Report (TR) Extended Passive Cooling and Reactivity
13 Control Methodology Revision 0. This TR describes the
14 methodology to evaluate the emergency core cooling
15 system (ECCS) and decay heat removal system (DHRS)
16 extended passive cooling (XPC) function. Report is
17 applicable to both loss-of-coolant accident (LOCA) and
18 non-LOCA design basis events and shows compliance with
19 regulatory requirements 10 CFR 50.46(b)(4) and for
20 long-term cooling, and 10 CFR 50.46(b)(5) for coolable
21 geometry. The report also shows compliance with
22 General Design Criteria (GDC) GDC 26, GDC 27, GDC 34,
23 and GCD 35.

24 In the XPC LTR, NuScale presents the
25 Figure of Merits (FOM) selected for the XPC evaluation

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 model. These include (a) subcriticality, (b) coolable
2 geometry, which is boron concentration below
3 solubility limit for precipitation, and (c) collapsed
4 liquid level above the top of the active fuel. The TR
5 shows that coolable geometry is retained and the
6 collapsed liquid level remains above the active fuel
7 height, and the Committee agrees with these
8 conclusions. The Figure of Merit for subcriticality
9 is discussed below.

10 This TR also successfully addresses a
11 concern previously raised by the ACRS in 2020 and
12 describes additional shutdown control methods that
13 have been added since the US600 design so that an
14 exception to GDC 27 is not required.

15 Subcritical configurations. The US460
16 design did not request an exception to GDC 27.
17 Consistent with SECY-18-0099, GD 27 has historically
18 been interpreted as, quote, requiring a reactor to be
19 reliably controlled to achieve and maintain a safe,
20 stable condition, including subcriticality beyond the
21 short term, unquote. The ability to remain
22 subcritical after an ECCS actuation depends on the
23 behavior of several core parameters that affect core
24 reactivity. These include the following.

25 One, an initial concentration of boron is

1 present in the coolant at the beginning of the event
2 and will increase or distill in the core region due to
3 coolant boiling during natural circulation.

4 Two, additional boron is being added from
5 the dissolver baskets present in the containment
6 vessel. This adds negative reactivity.

7 Three, the core is cooling down
8 substantially over the 72-hour period, which adds
9 positive reactivity.

10 Four, xenon first peaks, then decays away
11 over the 72-hour period. At 72 hours, the Xenon is
12 almost gone which adds positive reactivity.

13 Five, all control, rods except the
14 highest-worth rod, are considered inserted, which adds
15 negative reactivity.

16 Six, samarium is increasing in the core
17 over the 72-hour period. This adds negative
18 reactivity.

19 It should be noted that some parameters
20 that are considered beneficial to core cooling, such
21 as low temperatures and low decay heat, quote, hence
22 low xenon, make it more difficult to remain
23 subcritical.

24 The most limiting conditions to remain
25 subcritical occur at the end of cycle, or EOC, when

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 the RCS boron concentration in the core is near zero.
2 From the cases shown in the TR and in Chapter 15, all
3 analyzed cases remain subcritical critical, but the
4 margin of criticality can be relatively small. The
5 smallest margin to criticality shown is 28 parts per
6 million (ppm) boron. This margin is in criticality is
7 within the predicted boron concentration uncertainty
8 usually observed in pressurized water reactors (PWRs),
9 which is typically 50 to 100 ppm. Cold, off-nominal
10 conditions usually increase the amount of uncertainty.
11 NuScale has indicated that there are many
12 conservatisms built into the analysis that increase
13 the margin to criticality, such as the use of
14 conservative temperatures in the analysis. The NRC
15 staff has also run computational fluid mechanics (CFD)
16 calculations that show that there is additional
17 conservatism in the NuScale boron tracking model.

18 To provide confidence that the reactor
19 remains subcritical during an ECCS event, NuScale
20 should quantify the conservatisms in their models and
21 show that each core loading pattern remains
22 subcritical during an ECCS event with sufficient
23 margin to account for uncertainties. Historically, a
24 shutdown margin of at least 1 percent has been used to
25 account for uncertainties. A 1 percent shutdown

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 margin in k-effective corresponds to approximately 100
2 ppm boron.

3 Each new core loading pattern should
4 demonstrate this shutdown margin. This can be done by
5 making -- by adding technical specification
6 requirements that are part of the Core Operating
7 Limits Report (COLR). NuScale already has technical
8 requirements to the operation of the Emergency Core
9 Cooling System Supplemental Boron (ESB) so the
10 existing requirements could be reviewed and modified
11 to demonstrate ECCS shutdown margin with
12 uncertainties.

13 Moving to additional Riser Holes. The TR
14 addresses a concern that the Committee has raised in
15 the past. On July 29th, 2020, the Committee wrote a
16 letter on boron distribution for the US600-certified
17 design. In that letter, the Committee identified a
18 potential issue where, after ECCS actuation, water
19 levels could drop below the riser holes and render
20 them ineffective; thus, coolant in the downcomer would
21 deborate for a range of design basis accidents,
22 including small-break LOCAs. Operator recovery
23 actions would raise the possibility of an influx of
24 deborated water into the core, which may result in
25 recriticality, return to power, and the potential for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 core damage. In the latest TR, NuScale addresses
2 these concerns, or this concern, by making a design
3 modification to the US460 that adds additional riser
4 holes at the midplane level of the steam generators
5 that would maintain a flow of borated water to the
6 downcomer, which would prevent this influx of
7 deborated water from occurring. In addition, the
8 US460 design has added boron baskets to the reactor
9 containment to further reduce the risk of risk of
10 recriticality during an ECCS event.

11 Conclusion. The NuScale Subcommittee of
12 the ACRS has reviewed the NuScale Topical Report. The
13 Subcommittee has the following recommendations and
14 comments.

15 One, a technical specification limit
16 should be added to show that the reactor core remains
17 subcritical for a period of 72 hours following an ECCS
18 actuation. This requirement should be added to the
19 Core Operating Limit Report and required for each
20 cycle. The subcritical analysis should account for
21 uncertainties during the ECCS event.

22 Two, NuScale has successfully addressed
23 the concerns raised in the ACRS letter from July 29th,
24 2020, by adding additional riser holes at the midplane
25 level of the steam generators. Without these riser

1 holes, there was a concern that an influx of deborated
2 water could enter the core and cause a recriticality.
3 In addition, the US460 design has added boron baskets
4 to the reactor containment to further reduce the risk
5 of recriticality during the ECCS event.

6 These comments will be deliberated by the
7 ACRS full committee for inclusion in the Chapter 15
8 review memo.

9 CHAIR KIRCHNER: Discussion.

10 MEMBER PETTI: Just a couple things,
11 notes. I saw typos. It's computational fluid
12 dynamics, not mechanics.

13 MEMBER PALMTAG: It was late.

14 MEMBER PETTI: Yeah, I think it was. And
15 then, when you talk about the riser holes, it makes it
16 sound like it was something done in the report. In
17 the latest TR, NuScale addressed this concern. Just
18 strike in the latest TR. They changed the design is
19 what -- right? I mean, it has nothing to do with the
20 topic.

21 And then I just thought that it could be
22 strengthened when you talk about the CFD stuff that
23 the staff did the calculations. Additional
24 conservatism could mean a lot of different things to
25 a lot of people. I would actually put what their peak

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 number was because it's a significant additional
2 concern. I mean it demonstrates --

3 CHAIR KIRCHNER: You say on the order of
4 --

5 MEMBER PETTI: Oh, yeah, right.

6 CHAIR KIRCHNER: On the order of 100 ppm.

7 MEMBER PETTI: Well, it was 188 ppm, so I
8 mean that's a significant difference from the 28 ppm.

9 VICE CHAIR HALNON: So none of these
10 numbers are proprietary. These numbers are not
11 proprietary.

12 MEMBER PETTI: That's a staff calculation
13 (Simultaneous speaking.)

14 VICE CHAIR HALNON: Because the closed
15 session, we went through some of these numbers.

16 MEMBER PALMTAG: That was one example.
17 I'm just concerned. Was it one example, or is that a
18 typical number?

19 MEMBER PETTI: Well, let me just tell you
20 my sense. We raised this the last time. The
21 assumption that they used about, you know, two volumes
22 --

23 MEMBER PALMTAG: And I agree. I just --
24 I'm trying to quote it. I don't know how to quote a
25 number, or you know, is that a typical number,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 average? You know, is that a --

2 (Simultaneous speaking.)

3 MEMBER PALMTAG: It's just one number.

4 MEMBER PETTI: I understand that, but I
5 asked specifically. It is what made the staff decide
6 everything is okay. That's why I asked the question.

7 MEMBER PALMTAG: So we could say something
8 on the order of 180?

9 MEMBER PETTI: Yeah, that's on the order
10 of. Yeah, that's fine.

11 MEMBER BALLINGER: This is Ron Ballinger.
12 We had some discussion last night and this morning,
13 and I sent a little note to Member Palmtag.

14 I think we're basically comparing apples
15 and oranges here, and we have to be careful about
16 that, in that those, for lack of a better word, the
17 smaller number that which where the pinch point is.
18 That's resulting from almost a stylized calculation,
19 a sense where you build in all kinds of uncertainty.
20 And for that kind of calculation, from my perspective,
21 if they come within 1 ppm, I don't care, because it's
22 a stylized calculation.

23 On the other hand, the CFD calculation,
24 that's more a best estimate calculation, which is to
25 me more realistic. And as long as they quote

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 uncertainties on that, then if that defines the
2 margin, then they're good. But the stylized
3 calculation is a little bit -- can be a little bit
4 misleading, especially at the public, when the numbers
5 come out very close to being what the public might say
6 is, well, hell, 20p or 30 or whatever the number is,
7 why not make it 50? Why not make it 100? But it's a
8 stylized calculation. So that's the thing that
9 concerned me. And I think there's an opportunity here
10 to make that kind of a statement as a precedent. See
11 what I'm trying to get at?

12 I don't know whether that is -- whether
13 you consider the smaller number calculation, for lack
14 of a better word, a stylized calculation. But we do
15 that all the time. And as long as -- if it's a
16 stylized calculation, if you're within 1, you're okay.

17 MEMBER PALMTAG: I'm not sure what that
18 means. What is stylized? I mean, there should be a
19 calculation and then --

20 (Simultaneous speaking.)

21 MEMBER BALLINGER: Remember, I'm a
22 metallurgist, all right?

23 MEMBER PETTI: Yeah, you're a reactor
24 physicist. So just understand the difference here is
25 like --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 MEMBER PALMTAG: I try to understand.

2 (Simultaneous speaking.)

3 MEMBER BALLINGER: We do appendix k. All
4 right, 2200. We do a calculation, and it's a stylized
5 calculation. This is how you do it. This is what you
6 do. You come out with a number. If it's less than
7 2200, you go home free. But a best estimate
8 calculation shows that you've got a thousand degrees
9 of margin. So we ought to think about asking people
10 to quote both. If you're going to do the stylized
11 plus the best estimate, you ought to make sure that
12 people know that it is a stylized calculation and that
13 that number that they came up with using the stylized
14 calculation is wrong. But it's a conservative,
15 stylized calculation.

16 MEMBER PETTI: Yeah. I think that was --

17 MEMBER BALLINGER: So I don't know whether
18 this earlier calculation is what we would call, in
19 other words, unenforced. You do it this way and you
20 incorporate this uncertainty in this calculation.

21 MEMBER PALMTAG: I think I agree with you.
22 What I was trying to say is maybe what I was trying to
23 -- I think what I was trying to say was, you know,
24 instead of saying a stylized calculation, let's
25 actually unroll some of those uncertainties and say,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 you know, and say these are the uncertainties. And
2 instead of just saying, oh, we have lots of
3 uncertainty. Right. Oh, I don't know what that --
4 you know, is that 20? Is that 50? Is that a
5 thousand? I don't know. So I'd like to see some
6 quantification of the uncertainty. So it's kind of
7 stylized.

8 MEMBER BALLINGER: Yeah. I'm just
9 thinking that we need to make a distinction between --
10 I'm not -- don't use the word stylized, whatever it
11 is, pounding on the conservatism and the real, the
12 real deal.

13 MEMBER PALMTAG: Yes.

14 MEMBER BALLINGER: Because the real deal
15 in this case is large.

16 MEMBER PALMTAG: I thought that's what I
17 was trying to do, but maybe -

18 MEMBER BALLINGER: I think you did.

19 MEMBER PALMTAG: Yeah, okay.

20 MEMBER BIER: If I can butt in, I want to
21 make one minor point which is I do think we probably
22 need to have a proprietary check even for the results
23 of staff calculations because the inputs to those
24 calculations may be proprietary even if the
25 calculation is not.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 VICE CHAIR HALNON: At this point, what's
2 there is too late.

3 (Simultaneous speaking.)

4 MEMBER BIER: Oh, okay. Right. Thank
5 you.

6 MEMBER PALMTAG: Maybe what Dave had said
7 at the end.

8 (Laughter.)

9 VICE CHAIR HALNON: The reason I brought
10 it up is that we went through some of these numbers in
11 the closed session.

12 MEMBER BIER: Okay.

13 MEMBER PALMTAG: That's a good point,
14 yeah.

15 CHAIR KIRCHNER: Well, maybe to help the
16 discussion a little. This, what was reviewed here is
17 a methodology that they're going to use for licensing
18 purposes, right? So this is an evaluation
19 methodology. If the staff accepts it, that's not a
20 stylized calculation anymore. It's their EM model for
21 purposes of licensing.

22 So what staff went on to do is kind of
23 more in the, like you said, best estimate because they
24 used computational fluid dynamics to kind of get an
25 estimate on the recirculation and the downcomer and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 what the boron distribution might be and, hence, what
2 boron is going in the RRV. And that gives confidence
3 that they should have sufficient shutdown margin to
4 mean subcriticality.

5 I think what would have been useful is to,
6 where there are conservatisms in the application of
7 the methodology, to the extent that one could estimate
8 them in terms of PPM equivalent boron, that would --
9 that might help when we look at the results and see
10 that that pinch point that we talked about looks to be
11 a little tight versus, you know, what typically is
12 used in PWRs to satisfy oneself that you've got
13 sufficient shutdown margin. So maybe we ask for that
14 in the writeup, or it would help in certainly in the
15 public forum of making the safety case.

16 MEMBER BALLINGER: The one thing that the
17 CFD calculation results didn't include was the
18 uncertainty on those calculations.

19 CHAIR KIRCHNER: Yeah, that's true.

20 MEMBER BALLINGER: I mean CFD is a black
21 art as well as metallurgy.

22 CHAIR KIRCHNER: Yeah.

23 MEMBER PETTI: Except there is an equation
24 that they had to try to solve.

25 MEMBER BALLINGER: Say again?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 CHAIR KIRCHNER: Have your stokes.

2 MEMBER PETTI: Solved all of your stokes.

3 Metallurgy is --

4 (Laughter.)

5 MEMBER BALLINGER: Yeah, you're right.

6 MEMBER PALMTAG: Equation with a lot of
7 closures.

8 MEMBER PETTI: Without closure.

9 MEMBER BALLINGER: When you have six
10 adjustable parameters, I'm sorry, it's still a black
11 art. I agree.

12 MEMBER PALMTAG: It's the closures that
13 are black art.

14 CHAIR KIRCHNER: May I ask a question of
15 NuScale for clarification?

16 MEMBER PALMTAG: Yes, I'll be -- yeah.
17 Before -- one thing, I'll make a comment. Both of you
18 brought this up. This is the pinch point. That
19 actually gets a little complicated with GDC 27 because
20 that could be considered a short-term return to
21 criticality, which historically has been allowed. I
22 specifically stayed away from the pinch point. I'm
23 personally more concerned about the endpoint of the
24 long-term criticality. But I just wanted to bring
25 that up because I didn't mention pinch point

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 specifically.

2 CHAIR KIRCHNER: I just wanted to ask
3 NuScale if someone could answer this. The way the
4 writeup is right now, we talk about holes at the
5 midplane of the riser, but can you address in an open
6 session, can you address how many holes you have in
7 that riser section? I think I don't want to
8 speculate. I think I know the answer, but Megan,
9 perhaps? Or we have reserved the opportunity to go to
10 a closed session this morning if we need it as well.

11 PARTICIPANT: We'd have to clear the room.

12 (Simultaneous speaking.)

13 MS. MCCLOSKEY: Yeah, they --

14 CHAIR KIRCHNER: If you just stand here,
15 yep, thank you.

16 MS. MCCLOSKEY: Megan McCloskey, NuScale.
17 And if the if you're saying that the --

18 CHAIR KIRCHNER: You have holes, more
19 holes than just the midplane.

20 MS. MCCLOSKEY: Yes. And I think I would
21 clarify that the riser holes in the steam generator
22 region are near and above the midplane. And but the
23 riser holes that are important for the ECCS operation
24 are those in the lower riser region. We've got four
25 of those distributed around the riser.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 CHAIR KIRCHNER: Whereas the holes in the
2 midplane were just, I think, the DCA design. So I
3 didn't want to -- can you scroll up, Sandra? Yeah.

4 So the -- I think, thank you, Megan, first
5 of all. Thank you.

6 So, since NuScale volunteered that
7 information to clarify things, there are holes down at
8 the lower part of the riser that are pretty important
9 for the ECCS operation and preventing and
10 recirculating boron from the riser.

11 MEMBER PALMTAG: So, on line 86 I say
12 additional riser holes at the midplane level.

13 CHAIR KIRCHNER: Yeah, that was the DCA
14 design. This design has holes at the top. So, as
15 soon as the riser is uncovered, they will still have
16 boron circulation into the downcomer as the levels
17 drop. There are holes then at the bottom of the riser
18 that are the really critical ones for the long-term
19 situation.

20 MEMBER PALMTAG: Take out at the midpoint
21 level?

22 CHAIR KIRCHNER: Yeah. I think you could
23 just say additional riser holes.

24 MEMBER PALMTAG: Yeah, okay.

25 MEMBER PETTI: It's below the midplane

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 level.

2 CHAIR KIRCHNER: That's really important
3 in the long term.

4 MEMBER PETTI: No, he said at, so I think
5 both --

6 MEMBER PALMTAG: Right. I'll just take
7 that out, so I'll just take out at the midplane.

8 MR. SNODDERLY: In defense of Member
9 Palmtag, the proprietary feedback that we got from --
10 we're getting into that area, so I think --

11 CHAIR KIRCHNER: Yeah. I know, but --

12 MR. SNODDERLY: So it's better to just
13 keep it generic and just say --

14 CHAIR KIRCHNER: With NuScale's input
15 though, I think we can just keep it generic.

16 MEMBER PALMTAG: Yeah, we'd make this --

17 CHAIR KIRCHNER: Additional riser holes,
18 but the key ones for long-term cooling are going to be
19 those that are lower down.

20 MR. SNODDERLY: But I think we can make
21 the changes now.

22 CHAIR KIRCHNER: Yeah.

23 MR. SNODDERLY: Got NuScale. I'd
24 recommend trying to take --

25 CHAIR KIRCHNER: Yeah, let's see if we can

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 fix it now.

2 MR. SNODDERLY: So, Scott, you can -- you
3 can make -- have -- direct Sandra to make the changes.

4 MEMBER PALMTAG: Want me to go through all
5 the changes?

6 MEMBER PETTI: Sure.

7 MR. SNODDERLY: At least the major ones,
8 you know, while it's fresh in your -- I mean you've
9 got --

10 CHAIR KIRCHNER: Yeah. Let's do it in
11 real time.

12 MEMBER PALMTAG: On the first paragraph,
13 last sentence of the first paragraph, I think it was
14 -- I've had G -- there's a GCD in there, should be all
15 GDCs. Subcritical, the numbered values that was one
16 in the coolant, at 33, RCS coolant. Yes. Yeah.
17 Search for CFD, then a mechanic before that. It
18 should be dynamics. Section -- if you go down to
19 section riser holes, line 85 in the latest TR, in the
20 latest design. Dave brought that up. Actually, let's
21 be more specific. In the US460 design, not latest, so
22 just say in the US460 design. Addressed Dave's
23 comment.

24 MEMBER PETTI: Oh, now you've got it in
25 two places. I'd just get rid of that phrase. Just

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 say starting --

2 MEMBER PALMTAG: You should take out in
3 the US460 design.

4 Line 86, remove at the midplane level
5 additional riser holes, take out of the steam
6 generators, and now I had a spelling mistake on this
7 and influx. Line 87, take out this.

8 MEMBER HARRINGTON: And Scott, right
9 there, the next line, you've got boron baskets, and
10 you do that again later. I would put ESP. You've
11 already defined that, and it's more specific than just
12 boron baskets.

13 MEMBER PALMTAG: Line 88, boron, change
14 boron baskets to ECB --

15 MEMBER PETTI: ESP.

16 MEMBER PALMTAG: ESP.

17 CHAIR KIRCHNER: Is that defined above?

18 MEMBER PALMTAG: Yes. So that should be
19 last paragraph an ESP subscript -- it needs an article
20 or something or the.

21 MEMBER ROBERTS: We already added this
22 time. Go back up to the second paragraph.

23 MEMBER PALMTAG: I mean the ESP system or
24 something like that.

25 MEMBER ROBERTS: Yeah. Line 17, the TR is

1 methodology, something like calculation using the TR
2 methodology for the beginning of that sentence
3 starting the TR. You know what I'm saying?

4 MEMBER PALMTAG: Seventeen, it says the
5 TR.

6 MEMBER ROBERTS: Calculation using the TR
7 methodology.

8 MEMBER PETTI: Calculations in the chat?

9 CHAIR KIRCHNER: Calculations show.

10 MEMBER PALMTAG: Show, yeah, take out the
11 S on shows, shows to show.

12 CHAIR KIRCHNER: Calculations in 17 show.

13 MEMBER BIER: Yeah, it should either be
14 calculations show, or calculation shows, so whichever
15 way.

16 MEMBER PALMTAG: On 17, change
17 calculations to -- or add an S to calculation.

18 MEMBER PETTI: Scott, in your conclusions,
19 the first conclusion is actually two separate
20 conclusions. I would maybe break them up, the last
21 sentence is the first.

22 MEMBER PALMTAG: So this is real-time. We
23 could do it. They shouldn't be conclusions. They
24 should just be facts.

25 MEMBER PETTI: Yeah. I'm not worried

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 about that. We have a lot of flexibility this stuff.
2 But to me, since it's two separate --

3 MEMBER PALMTAG: How would you break it
4 into --

5 MEMBER PETTI: The last sentence, just
6 make it its own item.

7 MEMBER PALMTAG: Yeah. No, the last
8 sentence, you're actually right. Make that number
9 two, and then --

10 MEMBER PETTI: I would -- if it were up to
11 me, I would also put the third one first.

12 MEMBER PALMTAG: Okay. If we do that, we
13 should change the sections text, too. I talked about
14 the --

15 MEMBER PETTI: Oh, you -- oh then, we made
16 it.

17 VICE CHAIR HALNON: We need to -- this is
18 letter writing.

19 MEMBER PALMTAG: Yeah, I know.

20 MEMBER PETTI: Yeah.

21 CHAIR KIRCHNER: Yeah.

22 VICE CHAIR HALNON: And then we're not
23 writing a letter on this. So we need to now take the
24 comments.

25 CHAIR KIRCHNER: We need to take stock of

1 where we are.

2 VICE CHAIR HALNON: Yeah, take your
3 comments and provide them the -- about the Chapter 15
4 memo, or you convert this into a letter and schedule
5 it appropriately.

6 CHAIR KIRCHNER: So what -- we are at a
7 juncture where we have now made some significant
8 conclusions, and I think recommendations. So, now, we
9 as a committee need to decide whether we should
10 convert this into a letter.

11 And this was one of the major concerns
12 coming out of the DCA review. And my sense is that
13 this is worthy of a short letter report at this point.

14 Just to reflect on the DCA review, we
15 wrote quite a few letter reports at significant
16 junctures in that review. Given the importance of
17 this and the amount of redesign and work that went
18 into this by both the applicant, primarily by the
19 applicant, and then the review by the staff, they have
20 an SER. Are we in a situation here where we ought to
21 recommend that they issue the SER and not delay this
22 for another month or two? So I ask you as a committee
23 to think where we are.

24 And this goes beyond, and Bob, in the
25 previous memo, pointed out perhaps an undue

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 conservatism that the staff was adding to an L&C on a
2 TR, but this was a major design issue for the NuScale,
3 you know, TCA, and considerable rework and design has
4 been undertaken by the applicant to address this. And
5 here we have things that, in my opinion, rise above
6 the level of summary report. So should we convert
7 this? What I'm asking you to consider, should we
8 convert this to a short letter report?

9 MEMBER PETTI: So the thing that that
10 isn't here is that this makes the design safer.

11 CHAIR KIRCHNER: Yes. Well, and that's --

12 MEMBER PETTI: I mean, that doesn't jump
13 out at you in the letter, and I --

14 CHAIR KIRCHNER: And it wouldn't jump out.

15 MEMBER PETTI: And again, this is --
16 again, this is not -- this is the methodology of the
17 topical report.

18 CHAIR KIRCHNER: Yeah.

19 MEMBER PETTI: And that, you know, first
20 bullet there is much more of a design issue that we
21 would probably say in the final letter.

22 CHAIR KIRCHNER: We would.

23 MEMBER PETTI: For sure.

24 CHAIR KIRCHNER: We would repeat it.

25 MEMBER PETTI: Right. But I think it's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 important. I'm -- yeah, I'm a little worried about
2 sort of the tone, for lack of a better word, but the
3 context, you know, is how do we structure the water
4 limit the way the -

5 MEMBER PALMTAG: I think we can add a
6 conclusion point that there wasn't an exception taken
7 to GDC 27, which makes it safer design. I think
8 that's -- that'd be an important conclusion.

9 MEMBER BALLINGER: If we convert this to
10 a letter, it's easy, and we then can just reference
11 the letter in the final, makes that easy as well.

12 CHAIR KIRCHNER: Any thoughts? Tom?

13 MEMBER ROBERTS: It seems about worthy of
14 a letter to me. The question is timing that by the
15 time we get this letter out, the NuScale letter might
16 also be out at the same time. In which case, Scott's
17 original idea was to roll these up into the NuScale
18 letter. So I'm not sure how the timing works.

19 MEMBER BALLINGER: Is it such that this is
20 in good enough shape so that with minor -- we could
21 probably make it as long as we want. But can we just
22 do this letter right now?

23 MEMBER PETTI: It's on the AWS to be done
24 this meeting.

25 MEMBER BALLINGER: Yes.

1 MEMBER HARRINGTON: I'll also note it may
2 not be adequate, but it is also talked about in the
3 Chapter 6 memo but might be between the binders. I
4 don't know. What do you think, Greg, should we --

5 VICE CHAIR HALNON: So what I would do
6 recommend is that we take what we have here. To Ron's
7 point, let's just turn it into a letter. We'll do
8 that Friday morning and finish it and do the other
9 business that we have to do and just kind of move on
10 in this meeting. But let's make sure Scott has all
11 the comments. We don't need detailed edits now. We
12 could do those on Friday morning. It should not take
13 too long because we've already done some of the edits,
14 and I could -- you, Scott, can just turn it into
15 letter format, and we'll go from there.

16 I mean because a lot of the letters could
17 be boilerplate like we normally do. It cites a
18 previous letter report already that we need to -- we
19 can reference back to. So you don't have to put a lot
20 of detail in from that other letter report. You just
21 have to summarize what we did.

22 So, to me, it's 80 percent, if not more,
23 there, and we can still finish it. We got time, and
24 then we've got to at least one maybe difficult letter
25 ahead of us. But other than that, we should be free.

1 CHAIR KIRCHNER: Yeah, if we can get it
2 done Friday, then we could go ahead. Otherwise, the
3 alternative is we just make it a major part of the
4 final letter in May.

5 MEMBER PETTI: What I'm worried about
6 because I've now done this two or three times, this is
7 the topical report. What we heard yesterday was
8 Chapter 15. And in my mind, I've got conflating --
9 I'm conflating them. And frankly, that first bullet
10 is really a design issue that maybe fits better in
11 Chapter 15.

12 CHAIR KIRCHNER: Oh, that's the problem.

13 MEMBER PETTI: Yeah, that's the concern.
14 So the scope here, that's, that's more Chapter 15, but
15 like --

16 CHAIR KIRCHNER: We've got a lot of
17 Chapter 15 and design in this.

18 MEMBER PETTI: And if you just took that
19 out and saved it for Chapter 15, then you have to ask
20 yourself, do we really need a letter report on the
21 methodology, per se?

22 VICE CHAIR HALNON: If you reduce this,
23 what we have here, just down to methodology, then
24 you're fine. Just do a paragraph on the summary of
25 the methodology and you can make a point, a point or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 two in the Chapter 15 memo saying application of this
2 methodology leads us to some concerns that will be
3 discussed in the Chapter 15 memo. And then you can
4 start putting this detail.

5 MEMBER PETTI: That may be cleaner and
6 quicker.

7 VICE CHAIR HALNON: So that, and that
8 works too. I mean, the key is, is that you don't want
9 to -- I mean, this can't -- you can't leave this as a
10 summary. I think we all agree with that, right?

11 MEMBER PETTI: No, no. I --

12 VICE CHAIR HALNON: I mean, it's too
13 detailed to leave it the way it is. So we need to
14 take that and stick it into an official memo, so --

15 MEMBER PETTI: No, no. I'm thinking if
16 you, if you focus it purely on the TR, you take out
17 any of the design stuff, then it would be a summary.

18 VICE CHAIR HALNON: Yeah, it should be a
19 paragraph. It should be a paragraph or two on the TR
20 itself. But take this concern about the root
21 criticality and stick that in the 15 with the other
22 things that they added. Does that make sense, Scott?
23 Can you reduce this down to just a methodology
24 discussion and then just point to the 15 memo and give
25 that information to Bob?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 MEMBER PALMTAG: What do you want to
2 remove? One or two?

3 MEMBER PETTI: No, we --

4 MEMBER PALMTAG: Is there any reason to --

5 MR. SNODDERLY: It may be helpful to go to
6 the final letter outline now. I think that will help
7 inform you, but you won't put it there. And then I
8 can work with Scott to take this back up a level to be
9 just a pure -- the SER should be issued for the
10 topical report. And then you, you know, you can refer
11 to the Chapter 15 memo with the final letter.

12 We got -- I think it would be valuable for
13 the Committee to take the next two hours to start
14 talking about the final letter and what you want in
15 that and that will help inform you as to what level of
16 detail you want to put in this and whether it should
17 be a letter or something.

18 MEMBER PETTI: I think the additional
19 riser hole paragraph and the conclusion associated
20 with it is a design issue, the Chapter 15 issue.

21 MEMBER PALMTAG: So take out the riser --

22 MEMBER PETTI: Take that, and then it's
23 two pages. It's fine.

24 MR. BURKHART: Yeah, this is Larry
25 Burkhart. Chairman, if I could ask, if we could give

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 the staff just a chance to reiterate. I think you're
2 on the right path to reiterate the scope of the
3 topical report versus the SDAA. So, I've got Becky
4 Patton.

5 MS. PATTON: Sorry, this is Becky Patton.
6 Yeah, the second one also, if it has like a tech spec
7 on a recommendation in it, that one would also be a
8 Chapter 15. Remember there's a section 1505 that
9 implements the XPC methodology that's actually in
10 Chapter 15 and reviews those calculations. So
11 anything that would be some change that should be
12 made, you know, for the SDA would be a recommendation
13 on the SDA itself, in addition to the discussion on
14 holes.

15 MEMBER PALMTAG: So it sounds like both --
16 everything needs to be taken out. That's where what's
17 left.

18 CHAIR KIRCHNER: Well, this is how it
19 often happens with the TRs. They have a lengthy
20 appendix, or I guess as an example calculations --

21 MEMBER PALMTAG: The last line --

22 CHAIR KIRCHNER: -- methodology is
23 applied, and it's then incorporated, either the
24 methodology or -- and/or the calculations are --

25 MEMBER PALMTAG: So if you go down the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 last line --

2 (Simultaneous speaking.)

3 CHAIR KIRCHNER: -- in 15.

4 MEMBER PALMTAG: The last line, is there
5 any reason to take anything out, or is this just all
6 going to the 15?

7 Sandra, you can scroll down the last line.
8 This going to be -- can we just roll this up and leave
9 it and roll it up, or we can take out the riser hole?
10 I'm just -- I'm not sure what you're asking for to
11 take out and leave in.

12 VICE CHAIR HALNON: I'm thinking,
13 personally, that it's just a short paragraph saying
14 the EM is adequate for consideration. You can find
15 what the right words are, and then take your
16 information in here, both recommendations, and roll it
17 up into the 15 memo.

18 I'm having trouble making recommendations
19 in a summary, and because it doesn't it just -- it
20 should be a summary. It's just part. It's just
21 saying, hey, we're -- we did it. We're fine with it.
22 The design information in the tech spec
23 recommendations for tech spec needs to go into either
24 the memo and then I think that's that last thing --
25 actually, we'll deliberate it in final letter, which

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 goes to the Commission.

2 So my sense is if you can distill this
3 down to just address the methodology, the TR, and then
4 make the statement saying use of this methodology --
5 say Chapter 15 or design, however you want to say it.
6 You can point to the Chapter 15 memo saying
7 recommendations contained in Chapter 15. So there's
8 half people can go from the summary to Chapter 15
9 memo. They can go from the Chapter 15 memo if
10 necessary to find all that. They all stand on their
11 own. That would be my thought.

12 So this reduces it down to just what the
13 methodology talks about which in my mind was TR
14 application to the TR and how it's used gets into
15 Chapter 15. So all the words are great. It's just
16 not where they park.

17 Chapter 15 memo, when is that, like next
18 meeting? May? To the May meeting?

19 CHAIR KIRCHNER: Yeah, it is in the May
20 meeting.

21 VICE CHAIR HALNON: Okay. So that'll give
22 you some time.

23 CHAIR KIRCHNER: One for 15 in the May
24 meeting, but you know, by then, we're into the final
25 letter report.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 VICE CHAIR HALNON: When is the final
2 letter report due?

3 CHAIR KIRCHNER: May.

4 (Simultaneous speaking.)

5 MEMBER PETTI: I think it's even more than
6 that. As I'm looking through, I see lots of snippets
7 of Chapter 15 in here. I think you're going to have
8 to cut out even more.

9 MEMBER PALMTAG: No, I agree. I'm just
10 trying to look for some guidance on where the pieces
11 go.

12 MEMBER PETTI: Again, don't throw this
13 away. This is a good letter for 15 stuff, but I'd
14 keep this summary as short and sweet as you could.

15 MEMBER PALMTAG: Now, where are we landing
16 on a letter specific related to boron and maybe --

17 VICE CHAIR HALNON: No, we're landing in
18 the paragraph on the methodology, saying that it's
19 fine. And then take the rest of this Chapter 15 stuff
20 and add it to you, and then you just maintain the two
21 recommendations.

22 MEMBER ROBERTS: But as for a separate
23 letter just focusing on the big issue, we've moved
24 away from that at this point.

25 VICE CHAIR HALNON: That's a Chapter 15

1 still. That's behind us basically.

2 MEMBER ROBERTS: Sure.

3 VICE CHAIR HALNON: It's all -- it's not
4 a concern now. It's behind us. We don't want to make
5 --

6 MEMBER ROBERTS: Okay, but you've got to
7 --

8 VICE CHAIR HALNON: We don't want to
9 re-adjudicate that whole issue in this letter.

10 MEMBER ROBERTS: But the tech spec
11 recommendation is new, so we want to make sure we
12 highlight that, and that'll be probably a
13 recommendation in the final a letter if we all agree
14 it's important.

15 Did that help, Scott? I mean, is it --
16 you still, like, willing to do over --

17 (Laughter.)

18 MEMBER PALMTAG: I'll figure it out, yeah.
19 I think it'll make more sense after we get through
20 today, yeah.

21 VICE CHAIR HALNON: Yeah, this process is
22 just process. We can talk more later. You got all
23 the substances there. It's just a matter of just only
24 --

25 MEMBER PETTI: Just focus on the

1 methodology, not on its application. That makes it
2 really short, I think.

3 MEMBER ROBERTS: Maybe I'll clarify. We
4 talked about a standalone letter because it's so
5 important. I think we've concluded no, that the
6 standalone letter will be incorporated into the big
7 chapter -- or big NuScale letter. And Bob's Chapter
8 15 memo will tee up the issues that are currently up
9 on the screen here because they're more Germane to
10 Chapter 15 than they are to the topical report. But
11 the letter will be in the big NuScale letter.

12 CHAIR KIRCHNER: Right.

13 MEMBER ROBERTS: Okay. That's my --
14 thanks.

15 CHAIR KIRCHNER: Just from a practical
16 standpoint, and we're so close to the end now that we
17 ought to save what Scott has highlighted here and what
18 Bob will address in his Chapter 15 memo, extract that,
19 put it into the final letter.

20 So, at this point, Scott, I think the
21 consensus is just shorten this, save, don't throw
22 anything away, but save it, and shorten this writeup
23 just to the methodology, if you can find a way to do
24 that. And we'll take that up on P&P. But then we'll
25 take a break here, come back, and discuss an outline

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 for the final letter report after the break and maybe
2 that will help provide some clarity as to how we're
3 going to pick up these pieces.

4 MEMBER MARTIN: You say final letter.
5 Final NuScale letter or chapter letter?

6 CHAIR KIRCHNER: Final NuScale letter,
7 yeah.

8 MEMBER ROBERTS: Yeah, and Walt, just the
9 details cover for this morning. We also wanted to
10 talk about EDAS just to close the loop between the
11 staff and the applicant after last night. We do that
12 now or after the outline?

13 MR. SNODDERLY: It's in the outline.

14 CHAIR KIRCHNER: In the outline. Let's
15 talk about it during the outline.

16 MEMBER ROBERTS: Okay. Great. Thank you.

17 CHAIR KIRCHNER: With one caution, we
18 don't have to resolve the staff. We're not going to
19 be an intermediary between the staff and the applicant
20 on EDAS. We will have our own committee opinion on
21 the matter.

22 VICE CHAIR HALNON: And I just have a few
23 questions that I want to pose to the staff to make
24 sure that we were briefed on or at least some feedback
25 and has to do with some definitions and stuff. So

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 there's just a -- I just didn't want to -- yesterday,
2 I made the comment because I didn't want to leave it
3 hanging where staff said one thing, management's
4 working on it. NuScale came up and said we totally
5 disagree. You know, not totally, that's probably
6 experience, but we disagree because of this. And we
7 just went on to the next thing. I just wanted to make
8 sure we have some closure on the pressure, at least
9 from a committee perspective.

10 CHAIR KIRCHNER: We don't want the
11 Committee to be in the middle of a differing press
12 professional --

13 VICE CHAIR HALNON: Right. Not here --

14 CHAIR KIRCHNER: We're not here to
15 adjudicate those kind of things. We are here to
16 provide our assessment on EDAS.

17 MEMBER ROBERTS: Right. To the extent we
18 make sure we understand the argument.

19 CHAIR KIRCHNER: Right. We have to
20 understand the arguments. Yes. Okay, let's take a
21 break. And my glasses aren't good enough to see what
22 time -- 10:06. Let's come back at 10:20. Okay. We
23 are recessed.

24 (Whereupon, the above-entitled matter went
25 off the record at 10:06 a.m. and resumed at 10:24

1 a.m.)

2 CHAIR KIRCHNER: Okay. Back in session.
3 And we're going to go onto a discussion and we're not
4 going to read this line by line, but what we have is
5 kind of a draft, or what the final letter may look
6 like. And we're, the discussion today should be more
7 about, the content is, not necessarily the conclusion
8 and recommendations.

9 So, we're not putting out conclusions and
10 recommendations, or rather an outline. We're in
11 discussion about what material we want to incorporate.
12 So, starting at the top, acronyms, to take this back
13 to the US 60 -- 600 design and our letter work back in
14 July of 2020.

15 Obviously, things that I think we need to
16 highlight again from that exercise, could you scroll
17 down? Thank you. Is that for the DCA what we focused
18 on were five cross-cutting areas. You heard a little
19 bit more again today about ECCS valve performance.
20 The other big issue was, at the time, was the DWO and
21 the helical tube steam generator design.

22 We were just discussing the Boron
23 dilution, return to criticality issue. I think the
24 source term, seems it has pretty much gone away as an
25 issue because of design changes. And then we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 commented on the completeness of the PRA. We also had
2 some other points in there.

3 My thinking is in Ting this up, we'll
4 quickly summarize where we were coming out of the DCA
5 review, five years ago. And then talk about, scroll
6 down a little further if you would, Sandra. Discuss
7 the -- and scroll down even a little bit further. I,
8 we just had a discussion about ECCS valves.

9 Okay. So, I'm going to look here also, to
10 making assignments if I could. So, a little bit
11 further up, the other way. So, yes. There are, there
12 it is, okay. So, I would look to Bob and Craig to
13 provide a write-up on the steam generator design and
14 the DWO issue. I don't want to repeat here in real
15 time what the Applicant has done. But I'm looking to
16 you two. We would have a section on that particular
17 matter.

18 We just were discussing, you can see, we
19 had a conflated discussion in methodology in Chapter
20 15 on Boron dilution, return to criticality. Section
21 on that, then Dave, oh, sorry. So that would be a
22 combination of Scott and Bob on the Boron dilution and
23 any other highlights that you think are important from
24 the Chapter 15 review.

25 Then on the source term, they made some

1 design changes. So, Dave could you, you know, revisit
2 what we did there on source term and the problems that
3 we identified during the DCA review, pretty much had
4 been eliminated. So, just the, an assessment of the
5 design changes and how you see that impacting.

6 MEMBER PETTI: Well, let me be a negative
7 Nelly here.

8 CHAIR KIRCHNER: Yeah.

9 MEMBER PETTI: I don't like this online.

10 MEMBER BALLINGER: Tell us how you really
11 feel.

12 (Laughter.)

13 MEMBER PETTI: Okay. I don't like this
14 online. We did talk.

15 CHAIR KIRCHNER: Yeah.

16 MEMBER PETTI: This is so transactional,
17 and it's, oh, that's what we did before and now how,
18 here's what we did now. And here's what we did -- but
19 it misses the big picture. You know when we write,
20 we've written letters for some of the other advanced
21 reactors, we start with a paragraph of what that
22 reactor is and what its characteristics are. No where
23 do we talk about that this is a fully passive plant,
24 and what does that really mean?

25 I'm thinking about strong positive

1 statements of the design in that light. I mean these
2 guys are the first ones of, on large LWRs, they are
3 LDR, not LWRs, large LDRs that have taken it all the
4 way. You know, it's not just the marketing which we,
5 you know, we all know about. But they've actually
6 demonstrated some of these important characteristics
7 of how their safety functions are executed, you know,
8 automatically, without reactor, without operator
9 intervention in a completely passive manner.

10 Similarly, if you look at the PRA, you
11 know, we love to get into all the weeds, but there's
12 a reason why their core damage frequency and their
13 LERF are low. We can argue the absolute magnitude of
14 the numbers, but if you just look, and read, and think
15 about the design. The double valving everywhere, I
16 mean there is also so stuff that reduces the
17 frequency.

18 That's the type of stuff that I think
19 you'd want to put in the letter to provide confidence
20 to the public about why this design has safety
21 features. Then I have no problem because now there
22 have been a number of specific changes that they've
23 made. And we can go through these and delineate all
24 these changes.

25 But up front, I think we need something

1 that really addresses that big picture, you know. If
2 you look at the Kairos letter for instance, that's
3 what we did. And we used the safety functions to kind
4 of generate our thought process. Whether you actually
5 have to do that here or not, but --

6 CHAIR KIRCHNER: Well, I was thinking more
7 of introducing all these first, with the, not only the
8 deltas in the design, including the power upgrade, but
9 to actually put in a fairly detailed description of
10 the actual safety aspects of the design.

11 MEMBER PETTI: Okay. So, I mean, I guess
12 it's a question of whether to do it first or last?

13 CHAIR KIRCHNER: I would do it first.

14 MEMBER PETTI: Me too, I like to be lead
15 with the --

16 MEMBER DIMITRIJEVIC: Well, Dave, I mean
17 you talk like we are here advertising agency for
18 public. I mean, that's not, you know, we are sort of
19 like, you know, advisory committee in safety. So, I
20 think where we should concentrate, okay, while this
21 was great, they sit in this big pool and they just
22 have a valves. But that is still things which, you
23 know, should be kept eye on.

24 And, you know, things we don't have
25 experience with that, and, you know, the new staff.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 And then relying on one thing and what can go wrong.
2 I mean why should we write this as, you know, really
3 as advertising.

4 MEMBER PETTI: It's not --

5 MEMBER DIMITRIJEVIC: Our job is to find
6 out, I mean to say what we thinking. They're just
7 relying on one thing, is that thing which can go wrong
8 with that. Is there something they missed, is that,
9 are they too optimistic in some areas? You know,
10 that's how I would see this letter.

11 MEMBER PETTI: My view is that there are
12 times when I sit at this table, and I keep thinking,
13 guys this is a bunch of molecules in a huge pool of
14 water. You seem to have forgotten that. You know, we
15 get down the rabbit holes. And I mean, that's just
16 what we do. But losing the forest through the trees.
17 And it's a balance. I'm not going to argue that it's
18 not.

19 But these are the first ones that have
20 gone all the way, done all the work. And they're
21 still not there, obviously. You know, we talked about
22 the valve testing and the like, this morning. But
23 there's a significant amount of investment that
24 somehow we should be able to make a statement about,
25 you know, there's a lot behind these. the statements

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 that are made.

2 You know, I mean, we said the same thing
3 on SHINE when we got there too, if you remember. We
4 were very complimentary because when they put all the
5 pieces together, it all hung together. And that was
6 a really different system than a reactor, right?

7 MEMBER PALMTAG: In terms of safety and
8 the like, you've got to remember there's three, at
9 least two or three more LWRs coming through here. So,
10 I do think it's important to emphasis how -- the
11 safety aspects of this and kind of set the bar high,
12 you know, when these other reactors to come through,
13 you know.

14 MEMBER DIMITRIJEVIC: Well, I mean the
15 advanced reactors before it shows that, you know, 10
16 to minus 12, you know, this boiling water reactors in
17 the CDF. I mean the question is really though, such
18 small numbers, I mean, you know. I really -- and if
19 we felt like this things, they are sitting in this
20 pool and there's nothing can go wrong, why did we
21 spend the time coming here? Coming and going over and
22 over talking about that? It's not how I, I don't,
23 that's not how I feel.

24 I mean, that's how, I feel like we should
25 really feel. Depending on one thing, it's our job to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 look in everything which can go wrong with that thing,
2 so.

3 VICE CHAIR HALNON: We have a generic
4 outline, Exhibit 9, in our guidance. And we should
5 follow that. We should discuss what Dave was talking
6 about, the novel aspects of this design as part of it.
7 You know, even if it was just a couple of sentences or
8 a paragraph that's part of the generic outline.

9 These issues that we have can still be
10 included, it's just a matter of where they are in that
11 outline. So, we should follow through. And I would
12 think that like maybe the staff should be able to take
13 the memos that's been written and just block copies on
14 the text instead of the final recommendations or
15 whatever and plug it into that template basically, the
16 outline. And then we start there and that would be
17 the letter, other than the first part of it. And I
18 was just pulling it up here.

19 It starts with the background. Section 2
20 is other novel and unique aspects of this design. And
21 there's some examples there. Relevant previous
22 operating experience, which is basically going to be
23 in the test loops and the other things that they've
24 done, just the highlight there. So, you're not
25 really, you're not advertising it. But you're

1 acknowledging the experience.

2 And then you talk about the principle
3 safety functions and that's where some of these things
4 would fall out. And then you can talk about safety.
5 I don't think that's as relevant here because it's
6 not, it's just a light water reactor.

7 And then in the summary, the key analysis
8 results. So, yea, I think you can take what we've
9 done here and stick it into that outline and have, you
10 know, like 50 percent there.

11 MEMBER PETTI: I'm more worried about, you
12 know, we've highlighted that outline to the
13 Commissioners, and then if the NuScale letter doesn't
14 look like it, why did you treat them differently? You
15 know, that's the, it's an obvious thing.

16 CHAIR KIRCHNER: Yes, well that's the
17 other, but there's history and we --

18 (Simultaneous speaking.)

19 MEMBER PETTI: I understand that.

20 CHAIR KIRCHNER: It's open items from the
21 DCA.

22 MEMBER PETTI: And I definitely wouldn't
23 want to deal with those, you know.

24 VICE CHAIR HALNON: That's, that's fitting
25 it into the outline.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 MEMBER PETTI: Right, I think so, yes.

2 MR. SNODDERLY: But I think it's important
3 to acknowledge that significant issues existed as a
4 result of the DCA and the carve outs and some other
5 things.

6 CHAIR KIRCHNER: That's fine.

7 MR. SNODDERLY: And significant design
8 work, design changes that were made by the Applicant.

9 MEMBER PETTI: That makes the reactor much
10 --

11 (Simultaneous speaking.)

12 VICE CHAIR HALNON: Yes, so, and in
13 Section 2 and 3, it's 2 is the other novel and unique
14 aspects. So, you could say, you know, that one of the
15 unique aspects is that this has been in front of us
16 before and they fixed all the issues. Or you could do
17 it under relevant previous operating experience, which
18 is during the previous DCA review, they solved the
19 issues. So, there's a couple place it could fit and
20 not feel like it's out of place.

21 Well, I think Walt also didn't get a
22 chance to finish. I think you've got to finish making
23 a number of assignments.

24 CHAIR KIRCHNER: We did.

25 VICE CHAIR HALNON: For the areas that we

1 haven't bought in?

2 MEMBER PETTI: You need to scroll up a
3 little bit, you forgot ECCS, about performance.

4 MR. BURKHART: Yes, Chairman, a Member --
5 so Larry -- has his hand up.

6 CHAIR KIRCHNER: Yes, Matt, sorry I saw
7 your hand up earlier. Yes, go ahead.

8 MEMBER SUNSERI: That's okay, Walt, I
9 know. I must agree with Dave in one respect, I mean,
10 we need to step back and think about who our audience
11 is. It's not the general public. I know we write
12 these things so the public can understand them. It's
13 not the EDO. We're writing to the Commission, right?
14 And we're writing to Commission about something that
15 has gone on for a real long time. And it seems to me,
16 it discredits our charter obligation to speak on
17 matters of safety, in an unprescribed manner, all
18 right.

19 I've heard so many times in the last
20 couple weeks, especially on this NuScale review about
21 how this meets the regulation, or blah, blah, blah,
22 blah. Well, to be honest, we don't care about the
23 regulation, right. That's why the staff is there to
24 ensure the design meets the regulation.

25 We take a higher road. We look at,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 integral effects. We look at big picture. We look at
2 things that are outside the bounds of regulation
3 because that's what Congress wanted us to do. They
4 wanted a second group to do an independent review, to
5 make sure that there's no holes in the regulation that
6 is allowing a safety signet to gain issue, to slip by,
7 it's going to get out into the, you know, be built.

8 So, to me, our letter, our final letters
9 are too long. They need to be more direct to the
10 point that the design is safe. I don't think we need
11 to go back in a whole chronology of blow-by-blow of
12 what happened over the last, you know, 17 months or
13 however long we've been reviewing this.

14 And it seems to me, like, that I just lost
15 my point. We need to think about this in the context
16 of the contemporary environment we're in, the ADVANCE
17 Act, you know. There's more reactors coming. You
18 know, we ought to frame this up in a way that says,
19 we've looked at this, we've learned some lessons.
20 It's safe. There's more coming, et cetera, et cetera.

21 And I think this is where Dave is trying
22 to take us with his remarks. Dave, am I speaking too
23 much for you, or?

24 MEMBER PETTI: No. I'm with you.

25 MEMBER SUNSERI: Anyway, that's just my

1 general input. And I don't have any specific
2 recommendations on how to change this.

3 CHAIR KIRCHNER: Dave, Members, further
4 input?

5 (No audible response.)

6 CHAIR KIRCHNER: So, I obviously have an
7 action. Greg is right, we have a template that we
8 adopted. I'll look at that again and see, with your
9 input, how to structure this. I wasn't of a mind to
10 rehash everything, Matt. I thought a short letter
11 would work. We can put all the background material in
12 appendices. It's there for the public record or
13 anyone who wants to test how thorough we were in terms
14 of our review.

15 My sense would be along the lines Dave
16 said, a pretty strong set of conclusions and
17 recommendations to the Commission. The Commission is
18 the audience and this sets a precedent in the fact
19 that this is probably, well not probably, this is in
20 my own personal assessment, this a very complete
21 application. We've been through it effectively,
22 twice.

23 And I don't know that we're going to see
24 this level of detail from the other applicants, to be
25 candid. And so, my own personal assessment is that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 NuScale went away from the DCA review, they made
2 significant design changes. They've addressed the
3 issues that were identified.

4 Vesna, I don't feel like we're showing for
5 NuScale, but by making a positive statement, if we all
6 agree that this design is safe and meets the
7 requirements, that that's where I am right now. And
8 I don't see that's a letter anything like, as long as
9 what we did for the DCA.

10 MEMBER DIMITRIJEVIC: No, I mean, Walt,
11 that could be true. I just want to say from the point
12 of view, that sitting in big pool of water with, you
13 know, just like for valves to open or rotate. But
14 that was true in the DCA and still we found many
15 concerns. That's no guarantee. I mean, we still have
16 to look into stuff, when we were coming here. And,
17 you know, and that's what we should just like make
18 clear.

19 That now, that we, I mean I liked Scott's
20 letter this morning very much because, he went all of
21 these modern concerns. And, you know, sometimes you
22 feel like 100 percent they have been addressed. And
23 sometimes you think they have been addressed. I mean,
24 the thing is like, you know, that we -- this is the
25 same design as it was in that, when this, you know,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 ECCS, the changes.

2 So, I mean, you know, we have to look
3 through them, and make conclude that these problems
4 are addressed.

5 CHAIR KIRCHNER: Are there any --

6 MEMBER SUNSERI: Walt, this is Matt again.
7 You know, I think you made a comment that I want to
8 just talk about. Is you said something to the effect,
9 that the NuScale brought a complete design and that
10 others --

11 (Audio interference.)

12 MEMBER SUNSERI: -- if able.

13 MEMBER DIMITRIJEVIC: And this a problem.

14 CHAIR KIRCHNER: And Matt, we lost --

15 (Audio interference.)

16 MEMBER SUNSERI: You lost me?

17 CHAIR KIRCHNER: We lost, we didn't get
18 you comment, Matt.

19 MEMBER SUNSERI: Can you still hear me?

20 CHAIR KIRCHNER: Yes, now we hear you.

21 MEMBER SUNSERI: Okay. Well, I didn't
22 move, so maybe the internet glitched.

23 CHAIR KIRCHNER: Yeah, it probably
24 blinked.

25 MEMBER SUNSERI: So, let me just, I'll

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 just briefly restate. I thought your comments about,
2 you know, the completeness of the review allowing us
3 to do a thorough safety review, was very good. And I
4 would state that in a positive way going forward in
5 knowing that there are more designs coming. You know,
6 we would expect those designs to be complete enough,
7 so that we could do an efficient use of our time and
8 their time.

9 Something to that nature, because that's
10 not a NuScale specific, but it's a specific comment
11 from our review of the NuScale specific. Once again,
12 we're writing the Commission about safety matters.
13 And if we're talking, if reviewing of future
14 applicants is a safety matter, then we should discuss
15 that lesson in there. End of comment.

16 CHAIR KIRCHNER: Got it, thank you. Any
17 further input?

18 (No audible response.)

19 CHAIR KIRCHNER: Okay. I have an action
20 then to get you an actual detailed outline. And I
21 will reflect as best as I can, the input that I
22 received. And I'll try and get that to you shortly.
23 And then I'll lean -- oh, I was starting to make
24 assignments.

25 So, Vesna, I need input from you on the

1 PRA aspect. We certainly want to, that's a touchstone
2 obviously in the application, and in our review.

3 MEMBER DIMITRIJEVIC: But Mike should have
4 that. I sent it to Mike for his, to hear his opinion
5 on how that would fit. So, I just sent it late last
6 night, so.

7 CHAIR KIRCHNER: Okay. Thank you.

8 MEMBER SUNSERI: Thanks, I'll shoot that
9 to the Members at lunchtime.

10 CHAIR KIRCHNER: Okay.

11 MEMBER SUNSERI: Walter, did you want to
12 do the ECCS, the ECCS valve performance?

13 CHAIR KIRCHNER: Well, that would be
14 Craig, yes. And then Tom, your input on the EDAS
15 would be valued. And but that's my sense right now.
16 And I got your message, Dave. And but I see a fairly
17 succinct, I think it's a positive letter. That's
18 where I am, so, if I'm missing something, Members,
19 that you want to highlight, this would be a good time
20 for us to discuss it because again, our target is to
21 have a letter, a complete letter coming out of the May
22 full committee meeting.

23 MR. SNODDERLY: So, Walt, one thing I
24 would like to ask Dave is, I went back and looked at
25 the Kairos letter. I really liked it and I liked how

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 the figures of merit were introduced at the beginning.
2 When I tried to do that for the NuScale, I was coming
3 up with the same ones, the same figures of merit,
4 light water reactor. In other words, I think it would
5 help, it would have helped, like what particular
6 figures of merit you wanted to call out. I think you
7 kind of mentioned already the fact it's completely
8 passive design.

9 MEMBER PETTI: Yes, I mean, I don't think
10 we actually ever said that in the last letter.

11 (Simultaneous speaking.)

12 MR. SNODDERLY: We didn't. We did though

13 --

14 MEMBER PETTI: You know, I mean --

15 MR. SNODDERLY: The first meeting
16 recommendation though, was, is the natural -- the
17 first recommendation, NuScale, small, SMR is a
18 natural-circulation, pressurized water reactor that
19 incorporates unique design and passive safety
20 features, providing enhanced margins of safety. There
21 is reasonable assurance that it can be constructed and
22 operated without undue risk to the health and safety
23 of the public. So, that was the first. So, you know.

24 (Simultaneous speaking.)

25 MR. SNODDERLY: Anyways, I, that was the

1 challenge I had, I think that maybe it would help
2 avoid my, ability to share those thoughts. I'm like
3 that's the only reason I didn't put it in this
4 version, because I was struggling, but --

5 CHAIR KIRCHNER: Okay. Members online,
6 being Dennis and Stephen, have you any input you would
7 like to share?

8 (No audible response.)

9 CHAIR KIRCHNER: Well, you don't have to
10 do it in real time, but do you have my email address?

11 DR. SCHULTZ: I've got it Walt, this time.

12 CHAIR KIRCHNER: Yes.

13 DR. SCHULTZ: I'll weigh in on a couple
14 topics. Thank you.

15 CHAIR KIRCHNER: All right. Thank you.
16 All right, I'm not going to drag this out, we've got
17 a large audience.

18 (Simultaneous speaking.)

19 MEMBER PETTI: You want to talk about
20 EDAS?

21 CHAIR KIRCHNER: EDAS is, well.

22 MEMBER PETTI: I thought we were going to
23 have a discussion.

24 CHAIR KIRCHNER: Have a discussion.

25 VICE CHAIR HALNON: Yes, I just want to

1 summarize where it's going, just to close the loop.

2 CHAIR KIRCHNER: Okay.

3 VICE CHAIR HALNON: Okay. So, yesterday
4 we did get into discussion on a differing opinion and
5 that is being processed. And we're not going to get
6 in the middle of that in any way, we will let it be
7 processed. We also affirmed that there was some
8 options to resolve, from a NuScale perspective, one of
9 which was tension exemptions, staff generated
10 exemptions 84. There were some options put on the
11 screen. You could angle for another potential option
12 is 50.69 as another potential option to resolve this.

13 In addition to that I asked some questions
14 today about the definition of safety-related and how
15 that fits. And I think that's input into the
16 discussion that they're going to be having on the
17 differing opinion aspect. So, from a Committee
18 perspective, we're on a stand-by mode on that.

19 I believe we should probably get some
20 feedback on it in the future, whether it is closed
21 out. Is that acceptable, Becky, for you all to
22 provide us at least a status, an ongoing status and
23 also resolution, the resolution on what the differing
24 opinion is, is if you'd --- yes, Michelle, you want to
25 say something?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 MS. SAMPSON: Sure, sure. So, we can
2 certainly continue to provide an update on the status.
3 And it is possible that we will have resolution before
4 the May meeting. We'll update you and let you know.

5 VICE CHAIR HALNON: Yes, if you could
6 update us, in May then, that would be great. And the
7 reason this is important is because it's setting a
8 potential precedence going forward. And we just want
9 to make sure that we as a Committee, agree with the
10 resolution of it or if we have additional
11 recommendations or advice that we can get.

12 So, it's not that, again, we don't want to
13 get in the middle of it, but it's an important a piece
14 of design going forward. We want to make sure that
15 we're moving collectively. So, that's where I see it
16 is. I think the link is link is closed at least for
17 this meeting. And we'll get a future update. Tom did
18 you have something?

19 MEMBER ROBERTS: Yes, I raised the issue
20 yesterday about other causes for untimely actuation of
21 an RVV. Things like single failure while operating
22 with a, you know, redundant component out of service
23 or inadvertent actuation of ECCS by the operator. At
24 least for the redundancy, the applicant raised the
25 point that their tech specs do require as assessment

1 of the probability, and the frequency of ECCS
2 actuation all the time, instead of when you remember
3 redundancy. There is a tech spec requirement to go an
4 evaluation based on old topical report that said this
5 evaluation should be at least once in the lifetime of
6 the plant.

7 And to me, that is an acceptable solution
8 to the question of redundancy. So, even though the
9 redundancy is not managed in the tech specs directly,
10 it is managed indirectly by this analysis requirement.
11 So, that's why I planned to write up that the issue,
12 EDAS is not a complete statement of the problem, but
13 there is, you know, a tech spec that covers other
14 aspects of it.

15 And in terms of the EDAS, I'd written up
16 back in January, I think it was, an assessment of the
17 redundancy of the EDAS. And the equivalent is being
18 safety related. And at this point, I see there is no
19 change to that. And so, I don't think the staff has
20 agreed either. I think the staff not concurring, as
21 I understand it, is not getting at the design for the
22 intended operation. It's how you documented and how
23 you controlled it. You know, an administrative
24 documents and I don't think that's really something
25 that we need to be that involved with, as long as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 there is agreement of the overall design and the
2 intent as to how it is to be operated is, you know, it
3 is clear. And that's where I'm at, and that's what I
4 intended.

5 VICE CHAIR HALNON: Yes, I think that's
6 right. And I probably should have said that overall
7 from the technical design perspective, it's where it
8 is. It's fine. It's reliable. It's redundant on, in
9 the process piece, how you call it. Then we have
10 ramifications in the commercial aspect of it down the
11 road. But we're not as concerned with that.

12 However, for future reactors, we're going
13 to have this question come in again. And we need to
14 make sure that we're applying the definitions
15 appropriately, and we understand how they're being
16 applied by the staff.

17 MEMBER ROBERTS: Right, it's also the
18 question of clearer explanation in the safety analysis
19 documents, what the basis is. And I think that's part
20 of also what the non concurrence is getting at. As
21 long as there's enough there that the applicant can do
22 their intensive repetitive or 59 evaluations in 50
23 years and understand what the basis is. And what they
24 might be challenging. That's the other aspect of it.

25 VICE CHAIR HALNON: Yes.

1 MEMBER ROBERTS: But I think the staff is
2 all over that.

3 VICE CHAIR HALNON: Okay. That's enough
4 said at this point.

5 MEMBER ROBERTS: Okay.

6 VICE CHAIR HALNON: I think we're good and
7 I just want, again, wanted to make sure that we
8 summarized it so we can move forward.

9 CHAIR KIRCHNER: Okay. If there's no
10 other comments, input, from the Members then we'll
11 take a recess until 1 o'clock --

12 (Simultaneous speaking.)

13 VICE CHAIR HALNON: Well, we have P&P
14 Subcommittee --

15 CHAIR KIRCHNER: -- Eastern.

16 VICE CHAIR HALNON: P&P Subcommittee
17 meeting.

18 CHAIR KIRCHNER: And we, yes, we've all
19 waived that lunch time for a P&P Subcommittee meeting,
20 and Members are welcome to attend. And then again --

21 (Audio Interference)

22 CHAIR KIRCHNER: And then we'll reconvene
23 --

24 (Audio Interference)

25 VICE CHAIR HALNON: Larry Burkhardt.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 (Laughter.)

2 VICE CHAIR HALNON: Sorry, I'm watching
3 you.

4 CHAIR KIRCHNER: We will reconvene at 1
5 o'clock. We are in recess.

6 (Whereupon, the above-entitled matter went
7 off the record at 10:56 a.m. and resumed at 1:02
8 p.m.)

9 CHAIR KIRCHNER: Good afternoon, the
10 meeting will come to order. This is the afternoon of
11 the first day of the 724th meeting of the Advisory
12 Committee on Reactor Safeguards. I'm Walter Kirchner,
13 Chairman, the ACRS.

14 The ACRS Members in attendance in person
15 are, Ron Ballinger, Vicki Bier, Craig Harrington,
16 Gregory Halnon, Robert Martin, Scott Palmtag, David
17 Petti, and Thomas Roberts.

18 Members in attendance virtually via Teams
19 are Vesna Dimitrijevic, and Matt Sunseri. Our
20 consultants participating today virtually are Steve
21 Schultz and Dennis Bley. If I've missed anyone,
22 either Members or consultants, please speak up.

23 Christopher Brown, of the ACRS staff, is
24 the Designated Federal Officer for this afternoon's
25 full Committee meeting. No Member conflicts of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 interest were identified. And I note that we have a
2 quorum.

3 The ACRS was established by statute and is
4 governed by the Federal Advisory Committee Act or
5 FACA. The NRC implements FACA in accordance with our
6 regulations. Per these regulations, and the
7 Committee's bylaws, the ACRS only speaks through its
8 published letter reports.

9 Member comments therefore, should be
10 regarded as only the individual opinion of that Member
11 and not a Committee position. All relevant
12 information related to ACRS activities, such as
13 letters, rules for meeting participation, and
14 transcripts are located on the NRC public website and
15 can be easily found by typing about us, ACRS, in the
16 search field on NRC's homepage.

17 The ACRS, consistent with the Agency's
18 value of public transparency in regulation of nuclear
19 facilities, provides opportunity for public input and
20 comment during our proceedings. We have received no
21 written statements or requests to make an oral
22 statement from the public, however, we've set aside
23 time at the end of this meeting for any comments from
24 the public.

25 Written statements may be forwarded to

1 today's Designated Federal Officer. And that's
2 Christopher Brown. A transcript of the meeting is
3 being kept and will be posted on our website. When
4 addressing the Committee, the participant should first
5 identify themselves and state with sufficient clarity
6 and volume, so that they may be readily heard.

7 If you're not speaking, please mute your
8 computer, on Teams. If you're participating by phone,
9 press *6 to mute your phone, and *5 to raise your hand
10 on Teams. The Teams, Chat feature, will not be
11 available for use during the meeting. For everyone in
12 the room, please put your electronic devices in silent
13 mode and mute your laptop microphone and speakers.

14 In addition, please keep side bar
15 discussions in the room to a minimum since the ceiling
16 microphones are live.

17 Presenters, your table microphones are
18 unidirectional. You'll need to speak into the front
19 of the microphone to be heard online. Finally, if you
20 have any feedback for the ACRS about today's meeting,
21 we encourage you to fill out the public meeting
22 feedback form on the NRC's website.

23 This afternoon, the Committee will
24 consider Terrestrial Energy's Topical Report on
25 Principle Design Criteria as stated in the agenda.

1 Portions of this meeting may be closed to protect
2 sensitive information as required by FACA and the
3 Government in the Sunshine Act.

4 Attendance during the closed portion of
5 the meeting will be limited to NRC staff and its
6 consultants, Terrestrial Energy and those individuals
7 and organizations who have entered into an appropriate
8 confidentiality agreement. We will confirm that only
9 eligible individuals are in the closed portion of this
10 meeting.

11 And with that, I will pass the microphone
12 to Scott Palmtag, who is the Chair of our Terrestrial
13 Energy Design Center Subcommittee. Scott.

14 MEMBER PALMTAG: Thank you, Chairman.
15 Just go ahead and read the letter and --

16 CHAIR KIRCHNER: Do you want to summarize
17 at all, what was done at the Subcommittee meeting
18 before we start the letter writing?

19 MEMBER PALMTAG: We had a Subcommittee
20 meeting on the Terrestrial, TEUSA, Terrestrial pro --
21 on the design criteria for the Integral Molten Salt
22 Reactor, the IMSR. we heard the presentations from
23 the Terrestrial and from the staff.

24 CHAIR KIRCHNER: Good, okay.

25 MEMBER PALMTAG: All right. We have a, I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 have a draft letter. I'll go ahead and read it. So,
2 get it a little smaller, so you can see the, all the
3 way across. All right. That's perfect.

4 "During the 724th meeting of the Advisory
5 Committee on Reactor Safeguards, April 2 to the 4,
6 2025, we completed our review of, Draft of the Safety
7 Evaluation, Regarding the Principal Design Criteria,
8 Integral Molten Salt Reactor, IMSR, Structures,
9 Systems and Components Topical Report, Revision C and
10 the associated safety evaluation, SE. Our Terrestrial
11 Energy Subcommittee also reviewed this matter on March
12 20, 2025. During these meetings, we had the benefit
13 of discussions with the Nuclear Regulatory Commission,
14 NRC, staff, and Terrestrial Energy USA, TEUSA."

15 Scroll down. "We also had the benefit of
16 the referenced documents."

17 "Conclusions and Recommendations, one, the
18 Principal Design Criteria, PDC, proposed by TEUSA for
19 the IMSR reactor have been developed by adapting
20 Advanced Non-Light-Water Reactor design criteria from
21 NRC guidance, design criteria from a draft American
22 National Standards Institute, ANSI, American Nuclear
23 Society, ANS, standard for MSR design criteria, and
24 consideration of the unique design features of the
25 IMSR."

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 "Second, considering the lack of recent
2 operating experience with MSR technology, the staff
3 should consider amending the SE limitations and
4 conditions to require the addition of a safe shutdown
5 system for reactivity control, and to require
6 demonstrating the capability to achieve a subcritical
7 condition, in this first of a kind reactor."

8 "Three, the PDC proposed by TEUSA
9 eliminate several design criteria used in other
10 reactor designs, including those that support defense
11 in depth. Considering the lack of recent operating
12 experience with MSR technology, additional
13 justification needs to be provided for these
14 decisions, as indicated in the draft SE."

15 "Four, the final IMSR PDC should be made
16 available publicly in a non-proprietary format to
17 adequately inform the public that the reactor is
18 designed and reviewed in a safe manner."

19 Background Section, "the General Design
20 Criteria, GDC, for Nuclear Power Plants, Appendix A to
21 Title 10 of the Code of Federal Regulations, 10 CFR,
22 Part 50, are the minimum requirements for the PDC for
23 water-cooled nuclear plants to provide reasonable
24 assurance that a facility can be operated without
25 undue risk to the health and safety of the public."

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 "The GDC were developed to focus attention
2 on the most prominent issues and improve the
3 predictability and efficiency of NRC reviews of
4 licensing applications. Design criteria are
5 established to provide a solid basis for the staff
6 review and ensure that a given facility can be
7 operated safely. They provide assurance that
8 structures, systems, and components, SSCs, important
9 to safety will remain functional during and following
10 identified design basis events."

11 "Regulatory Guide, RG, 1.232, Guidance for
12 Developing Principal Design Criteria for
13 Non-Light-Water Reactors, provides guidance on how the
14 GDC can be adapted for non-light-water reactor,
15 non-LWR, designs. It includes generic advanced
16 reactor design criteria, technology-specific
17 sodium-cooled fast reactor design criteria, SFR-DC,
18 and modular high temperature gas-cooled reactor design
19 criteria."

20 "The criteria established in this
21 regulatory guide are based on extensive interactions
22 among NRC, the Department of Energy and experts in the
23 nuclear community in each of the technologies. The
24 regulatory guide notes that applicants may need to
25 develop entirely new PDC to address unique design

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 features. Early engagement and agreement on plant
2 specific PDC facilitate a more effective design
3 development and regulatory review."

4 Terrestrial Energy USA is developing the
5 Integral Molten Salt Reactor. The IMSR nuclear power
6 plant site consists of two Reactor Auxiliary
7 Buildings, RAB, and a single Control Building. Each
8 RAB has a single operating IMSR Core-unit. Each Core
9 unit consists of a 442-Megawatt thermal molten salt
10 reactor, MSR."

11 "RG 1.232 does not include technology
12 specific design criteria for MSRs, so TEUSA has
13 developed the IMSR PDC by adapting the design criteria
14 from other PDC listed in RG 1.232 for advanced
15 technologies. TEUSA has also considered draft
16 guidance from the development of the ANSI/ANS standard
17 for MSRs, ANSI/ANS-20.2-2023, Nuclear Safety Design
18 Criteria and Functional Performance Requirements for
19 Liquid-Fuel Molten Salt Reactor Nuclear Power Plants."
20 This standard has since been finalized.

21 "However, ANSI/ANS standard MSR design is
22 based on a functional containment, while the IMSR has
23 a traditional containment. These factors lead to the
24 IMSR having a unique set of PDC."

25 "Discussion, molten salt reactors are

1 Gen-IV reactor concepts that have several potential
2 advantages over current light-water reactors in terms
3 of safety and economics. However, the operating
4 experience of MSRs is small and based mostly on the
5 Molten Salt Reactor Experiment, MSRE, that operated at
6 Oak Ridge National Laboratory in the 1960s at a power
7 level of 7.4 Megawatt thermal."

8 "Lack of recent operating experience and
9 operating experience at higher power levels suggests
10 retaining many of the traditional requirements in the
11 PDCs that the applicant proposed deleting or scaling
12 back. The proposed PDC for reactivity control in the
13 IMSR is novel and does not conform to PDC used in
14 existing power reactors and proposed in other advanced
15 light-water reactors."

16 "Bullet 1, we acknowledge the strong
17 negative temperature coefficient associated with the
18 design, however it is not unique as other reactors
19 also have this characteristic."

20 "Second bullet, because of the
21 complexities, uncertainties and time constants
22 associated with the underlying phenomena, inherent
23 negative reactivity feedback has historically been
24 demonstrated in test reactors and prototypes prior to
25 taking credit for this characteristic in power

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 reactors"

2 "Examples include negative feedback from
3 rod bowing and growth in fast reactor metallic fuel
4 assemblies in EBR-II and the Fast Flux Test Facility,
5 demonstration of the High Temperature Gas-Cooled
6 Reactor, HTGR, negative temperature coefficient in
7 AVR, HTTR and HTR-10, and confirmation in the Chinese
8 commercial HTR-PM. No such testing exists for this
9 technology as applied in the IMSR."

10 "Third bullet, while the use of liquid
11 fuel enhances the negative reactivity coefficient,
12 this is offset by uncertainties associated with the
13 first-of-a-kind nature of the facility and unique
14 geometry. It is prudent to use a more traditional
15 approach that has proven to execute the safety
16 function to control reactivity in a reliable manner
17 until sufficient operating experience is gained."

18 "The ANCI/ANS standard has developed a set
19 of principle design criteria from molten salt reactor
20 designs adapted from these developed for high
21 temperature in gas-cooled reactor. Criteria 20, 26,
22 28 and 29 relate to reactivity control in such
23 systems."

24 "They require, (a) a reactor protection
25 system, (b) two independent and diverse means of

1 shutting down the reactor (required for all reactor
2 systems, (c) systems to limit the amount and rate of
3 reactivity increase to ensure the integrity of the
4 salt boundary and the reactor core, and (d) such
5 systems to be able to execute safety functions with
6 high probability of success in the event of an
7 anticipated operating occurrence."

8 "These criteria need to be considered in
9 light of the salt fueling system which is essentially
10 a reactivity addition system. There need to be limits
11 on that system in terms of its ability to add
12 reactivity in order to prevent or limit reactivity
13 increases due to inadvertent over-fueling of the
14 reactor."

15 "Proposed PDC on reactor shutdown included
16 in TEUSA-26 criterion is also novel. One of the
17 fundamental safety functions is the control of fission
18 process, which has traditionally been interpreted as
19 always being able to place the reactor in a
20 subcritical state."

21 "Relaxing this requirement to only require
22 the reactor to be in a, quote, "safe state", unquote,
23 depends on the definition of a, safe state, and the
24 ability to demonstrate by analytic means that a safe
25 state can be achieved. This demonstration may be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 limited by validation of the computer codes used in
2 such a calculation and uncertainties in cross sections
3 and the movement of delayed neutrons associated with
4 the dissolved fuel out of the core used in the
5 feedback analysis."

6 "In addition, due to the first of a kind
7 nature of this design, there may be unknown scenarios
8 where the, safe state, cannot be obtained. It is
9 therefore prudent to include the traditional
10 requirement that a safety-related shutdown system be
11 available to ensure that the reactor can always be
12 brought to a subcritical state."

13 "We also note that the design does not
14 implement two independent means of shutdown. The two
15 independent means are imposed as a measure of defense
16 in depth, to assure that reactor shutdown is
17 accomplished with an extremely high degree of
18 reliability. A stronger rationale is needed that
19 addresses the safety philosophy associated with this
20 requirement."

21 "One feature of molten salt reactors is
22 that gaseous fission products are released from the
23 reactor core and are not contained in fuel rods. In
24 the preliminary IMSR design, the fission product gas
25 is contained in a gas holding tank for the entire life

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 of the IMSR."

2 "The source term from this gas holding
3 tank could be significant and the final design should
4 consider the consequences of a tank leak and glitch.
5 It is premature to preclude that a containment
6 atmosphere cleanup system is not necessary until the
7 final design of this system, and consequences of a
8 release, have been completed."

9 "Finally, the treatment of the IMSR PDC as
10 proprietary is a new approach. While it may be
11 reasonable for the initial PDC to remain proprietary
12 as the reactor design is developed, the PDC are
13 fundamental to reactor safety and should be available
14 to the public. The PDC inform the public that the
15 reactor is designed and reviewed in a safe manner.
16 Hence, the final IMSR PDC should be publicly
17 available.

18 "Summary, summary will be mainly copied
19 from the app, once we finalize the letter, so -- "

20 CHAIR KIRCHNER: Thank you, Scott. So,
21 Members, high level comments?

22 MEMBER SUNSERI: Hey, this is Matt. I
23 have one high-level comment and it regards the rod
24 control system, to shut down the reactor, which it's
25 my understanding they do have one, right? They have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 a way for the operator to manually insert the control
2 rods to maintain shutdown from the safe state. Is
3 that correct?

4 MEMBER PALMTAG: Right. They do have one
5 but it's not safety-grade.

6 MEMBER SUNSERI: So, a PWR has the same
7 exact feature, the rod control system is not safety
8 related. The reactor protection system is safety
9 related and it opens the reactor trip breaker but all
10 the equipment is non-safety related. So, I don't see
11 what our grievance is with what they're proposing,
12 other than it's not safety related. Neither is the
13 PWRs though.

14 MEMBER ROBERTS: Hey, Matt, this is Tom.
15 I guess I question that. At least my understanding is
16 the RTVs and all the reactor protection circuitry that
17 drives their under voltage function. are safety
18 related.

19 CHAIR KIRCHNER: Are safety, yeah --
20 (Simultaneous speaking.)

21 MEMBER ROBERTS: And the boundary is,
22 certainly the circuitry that moves the rods tends to
23 not be safety related. But the cords and circuitry
24 that interrupt power to the control rod drives are of
25 safety -- at least in my background.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 MEMBER SUNSERI: The control rod drives in
2 the Westinghouse, at least plants I'm familiar with,
3 is all non-safety related. All the control cards, all
4 the circuits. The motorized, motor generator sets
5 everything up to the reactor trip breakers themselves.
6 But the --

7 MEMBER ROBERTS: Right.

8 MEMBER SUNSERI: So, the reactor trip
9 breaker is the --

10 MEMBER ROBERTS: The reactors, but the
11 next trip break will take away power to all those
12 things, you know. And allows the rods to passively
13 drop.

14 CHAIR KIRCHNER: The protection system
15 itself that actuates, is safety.

16 MEMBER ROBERTS: Right. All the way
17 through the reactor trip breaker step, to the power
18 that the reactor trip breaker switch is hooked in on
19 is safety. But, you know, if the oscillating power
20 goes away, you scram anyway. So, the scram function
21 is, at least to my understanding, is safety in other
22 plan designs.

23 I think that's the point that Scott is
24 making here. Is there is no, there's no intent to
25 make the reactor trip system or the, you know,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 whatever part of the reactor tool that actually drops
2 the rods to be safety. That right, Scott?

3 MEMBER PALMTAG: Yes.

4 MEMBER SUNSERI: That's not what I'm
5 understanding. The way it's reading is, it doesn't
6 read to me that way. I mean, we're saying that the
7 safe state is not, there is not a reactor protection
8 system to achieve the safe state. And we don't have
9 a grievance with that.

10 Our grievance is, is that once we're in
11 the safe state, how do you shut down the reactor? The
12 Applicant said, well, they have this rod control
13 system that the operator can manually actuate to shut
14 down a reactor. And that's no different than a PWR.

15 CHAIR KIRCHNER: No it is.

16 MEMBER SUNSERI: It is not. But I don't
17 understand why you don't under --

18 (Simultaneous speaking.)

19 CHAIR KIRCHNER: You have a reactor --

20 MEMBER SUNSERI: -- an operate --

21 CHAIR KIRCHNER: -- protection system that
22 actuates that by releasing, you know, the power, and
23 the rods drop because of gravity. That's not -- you
24 have a manual scram on the PWRs but the reactor
25 protection system is a safety-related system.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 MEMBER SUNSERI: I'm saying, but, so,
2 you're saying that you have to have a safety-related
3 system to manually open the reactor trip breaker by an
4 operator?

5 MEMBER PALMTAG: Well, there's two pieces.
6 There's the actual ability to shut down the system, an
7 operator. And then there's a reactor protection
8 system for example, hi flux alarms or some high
9 temperature alarms, or something that would
10 automatically scram the reactor. They have no reactor
11 protection system.

12 MEMBER SUNSERI: Right. Because their
13 physics demonstrate that they go to the safe state.
14 Right.

15 MEMBER PALMTAG: Right.

16 MEMBER SUNSERI: I thought we didn't have,
17 I didn't think we had a grievance with that not being
18 a safety-related function. That we were relying on
19 the physics for that. I thought our grievance was
20 solely with, they didn't have a safety-related record
21 -- rod control system to open the reactor trip
22 breakers.

23 MEMBER PALMTAG: I think they're both. My
24 understanding is both issues. You have to have a
25 safety system to shut down the reactor. And then is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 there apart, automatic protection system? Reading
2 wasn't right, I'm afraid.

3 (Simultaneous speaking.)

4 DR. BLEY: This is Dennis and I'm
5 listening to this and I think everybody is talking
6 past each other. What I hear, not saying, is that the
7 mechanical mechanisms, the motors are all in the line
8 of safety related. The place there, I'm not sure of,
9 and I agree with him on that, the place I'm not sure
10 of is the actual latching mechanism, if there's
11 anything safety related about that?

12 On the other side, the trip breakers and
13 the logic that opens the trip breakers, the reactor
14 protection system, is safety related on a light-water
15 reactor, I mean on PWRs. So, the only question I had
16 sitting there is, is there anything in the mechanical
17 unlatching mechanism, after you kill the power that's
18 safety related? Because I know the motors and that
19 sort of stuff's not.

20 MEMBER SUNSERI: Well, my experience is
21 the control rod mechanism coils on the reactor vessel
22 head are non-safety related.

23 CHAIR KIRCHNER: That's correct, Matt.
24 But the protection system that initiates the scram is
25 safety related.

1 MEMBER SUNSERI: Yes, so let's just divide
2 up the two issues, because we are talking about two
3 separate things. I'm talking about taking the reactor
4 from a safe shutdown state, which they've defined.
5 And then they show they get to with their physics.
6 I'm talking about taking from that to a subcritical
7 shutdown state, using the manually operated rod
8 controls, non-safety related system. That's what I'm
9 talking about. And that does take the reactor to a
10 shutdown state, in my view.

11 I'm not arguing right now, about whether
12 or not they need a reactor protection system to
13 achieve the safe state. We can have that discussion
14 separately. But what I heard very clearly at the
15 Subcommittee meeting was, because they did not have a
16 safety-related rod-drive system, I'll call it that,
17 that we had a grievance with that. And I just, I'm
18 pushing back on that point.

19 VICE CHAIR HALNON: I think that -- this
20 is Greg. I've broken it with basically, two
21 questions, right. In my mind, the first question is,
22 if we'd would accept physics in place of the
23 safety-related reactor protection circuit? That's
24 what shuts the reactor down in a pinch in a safe
25 state. And the second question is, going from that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 safe state, to a shutdown, is the rod control system
2 that they have adequate, not, safety related or not
3 safety re -- I think it's --

4 What I think we're mixing up is that we're
5 saying instead of physics, you need a safety-related
6 rod-control system that trips the reactor. I think
7 that's the second question. Is the rod control system
8 for that second diverse means of shutting down the
9 reactor, adequate?

10 The first question is, do we accept the
11 natural physics of the core in place of a
12 safety-related reactor-protection system?

13 MEMBER PETTI: And I think the letter
14 says, no. Because it hasn't been demonstrated.

15 VICE CHAIR HALNON: Right, for lack of
16 operating experience.

17 MEMBER PETTI: Ron says. I mean, we in a
18 generic sense, we accept this sort of physics in other
19 systems that have that demonstrated. And we comment
20 on that. And in fact, if you go and look at, I think,
21 Reg Guide 1.232 and look at the gas reactor PDC, you
22 are allowed to use the negative temperature
23 coefficient as your secondary means of shutdown.
24 Whereas --

25 (Simultaneous speaking.)

1 VICE CHAIR HALNON: Secondary.

2 MEMBER PETTI: And that's a change from
3 say, 20 years ago. There used to be two shutdown
4 systems, independent and diverse to shut down a gas
5 reactor. Classic rods and they had a separate special
6 system, little balls.

7 CHAIR KIRCHNER: Yes. Conditions.

8 MEMBER PETTI: That has moved forward
9 because it's been demonstrated in so many gas
10 reactors. Similarly, fast reactors, that's what I put
11 in. Is an inherent reactivity feedback in the
12 metallic core that's been demonstrated on two metallic
13 reactors.

14 VICE CHAIR HALNON: The dome.

15 MEMBER PETTI: So again, I don't have a
16 problem in an, nth of a kind, but for the first of a
17 kind. It seemed like it should be proven to have such
18 a system.

19 MEMBER PALMTAG: Related to that we have
20 to do, it hasn't been defined what exactly a safe
21 state means.

22 MEMBER PETTI: Yes.

23 MEMBER PALMTAG: And what's the power, and
24 that goes back to first of a kind versus Nth of a
25 kind.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 CHAIR KIRCHNER: What is a safe state and
2 is it a, is safe, non-critical, sub-critical, or not?

3 MEMBER PALMTAG: I believe it's not
4 sub-critical in this case. Again --

5 CHAIR KIRCHNER: It's critical?

6 MEMBER PALMTAG: For example if you have
7 positive reactivity, you have a negative reactivity
8 coefficient. Fine, it drops the power, but it could
9 drop it to 80 percent. Is that a safe state or not?

10 VICE CHAIR HALNON: So, that's a third
11 question.

12 MEMBER PALMTAG: Lesson three.

13 CHAIR KIRCHNER: Yes.

14 MEMBER PETTI: Lesson there.

15 CHAIR KIRCHNER: So, it --

16 VICE CHAIR HALNON: But, in essence I
17 agree with Matt. The rod control system in this,
18 doesn't need to be safety related. Because it's not
19 entirely --

20 (Simultaneous speaking.)

21 CHAIR KIRCHNER: Yes, the rod control
22 system --

23 VICE CHAIR HALNON: Watch out.

24 CHAIR KIRCHNER: -- usually is not safety
25 related.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 VICE CHAIR HALNON: Right.

2 CHAIR KIRCHNER: Because in a PWR, you
3 unlatch the rods and they drop by gravity.

4 VICE CHAIR HALNON: Right. And then
5 anything that causes that unlatching is safety
6 related.

7 CHAIR KIRCHNER: And everything up to the
8 unlatching is, is a safety --

9 VICE CHAIR HALNON: That's where these
10 questions just overlap. We're not talking about the
11 thing that scrams reactor or puts it into the safe
12 state. We're talking about a rod control system
13 that's operated by the operators to drive it to -- is
14 that the verse, secondary, if you will, reactivity
15 control to drive to a safe state? Which may be a
16 different safe state.

17 So, the first question is, do we accept
18 safe state being critical? Second question is, do we
19 accept the physics being the, basically, RPS, reactor
20 protection system? And then the third question is, is
21 the rod control system being used by the operators
22 adequately, adequately classified in design? I think
23 that third question is, yes.

24 MEMBER ROBERTS: I would change the third
25 question to, does it meet redundant needs to be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 provided? I just skimmed through his last letter, I
2 didn't see anything about rod control on there. And
3 I'm not sure where the argument is coming from.

4 (Simultaneous speaking.)

5 VICE CHAIR HALNON: I don't think, Matt is
6 there any --

7 MEMBER ROBERTS: I don't think anybody is
8 claiming they needed a safety related rod control
9 system.

10 CHAIR KIRCHNER: No.

11 MEMBER ROBERTS: I think the question, the
12 third question is, is there a need for a redundant
13 means of shutdown?

14 VICE CHAIR HALNON: Yes, I think Matt was
15 going back to the Subcommittee discussion, rather than
16 what's in the letter, basically, right?

17 MEMBER ROBERTS: But the manual is saying
18 --

19 (Simultaneous speaking.)

20 VICE CHAIR HALNON: Or diverse means.

21 MEMBER ROBERTS: It could be diverse
22 means.

23 VICE CHAIR HALNON: Like with GDC 27, could
24 be diverse means, it'll shut it down. So there is two
25 diverse means if you accept the physics part as being

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 the RPS.

2 CHAIR KIRCHNER: Maybe for context, you
3 know, list it as Dave was saying, back -- and I can't
4 remember the SECY, I want to say it's 93-087, but
5 don't quote me on that. But when the advanced small,
6 the SMRs were being considered in the late 80s or
7 early 90s, there was a recognition that those non-LWR
8 reactors could not effect a cold shutdown, as was
9 required of the PWR fleet and the PWRs.

10 For a lot of obvious reasons you don't
11 want to go to cold shutdown in a sodium loop, because
12 it can freeze components and so on and so forth. So,
13 and for the HTGR, if I remember correctly, Dave, the
14 time it would take to cool down an HTGR with a large,
15 large thermal inertia of all the graphite, led to that
16 kind of policy statement in the SECY that bringing it
17 down subcritical, that's important, subcritical but at
18 temperature, would be adequate for those designs.

19 And I think that, the first order would
20 hold also with this design, because it's a salt system
21 and you don't want to freeze the salt obviously, or
22 the fuel somewhere else in the system. So, there's
23 that regulatory precedent that the expectation would
24 be of those advanced reactor designs at the time, that
25 they would be able to achieve subcritical.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 Those, both reactors as Dave said, had
2 strong negative temperature coefficient evac for
3 controlling potential reactivity insertion accidents
4 and other upsets. And that was recognized as well.
5 But they did require them to have a system that could
6 take them subcritical. That's my recollection notes,
7 where the agency was considering the first set of
8 modular non-LWR reactors.

9 So, the precedent here of going to a safe
10 condition that doesn't include subcritical, is
11 something that merits discussion. What is that
12 definition? And what is acceptable if it's not
13 subcritical?

14 MEMBER PALMTAG: Yes, that was one of the
15 recommendations.

16 VICE CHAIR HALNON: In Number 2.

17 MEMBER SUNSERI: Well, isn't it a matter
18 of timing? I mean, your question Walt, is a good one,
19 but it's timing, it's about timing, right? And just
20 like your discussion about what's cold? And when is
21 it appropriate to be cold? So, but if we're going to
22 accept this Generation IV reactor physics as a safe,
23 you know, to satisfy, you know, simplicity of the
24 design and enhanced safety, all that stuff that we're
25 talking about, we're going to have start switching our

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 mindset a little bit from, of the past things.

2 So, in this particular situation, does
3 being safe means that it has to be subcritical within
4 1.4 seconds like a PWR? Or can it be minutes after
5 the transient has played out, the safe state is
6 achieved. The reactor operator then sees he's got a
7 stable plant, and takes it to shut down by inserting
8 the control rods?

9 CHAIR KIRCHNER: Yes, but what has not
10 been explored yet, fully, is the range of transient
11 accident upset conditions and reactivity insertion
12 events that you can have with a liquid fueled system.

13 MEMBER SUNSERI: Yes, but isn't that what
14 these PDC are supposed to confine -- define?

15 CHAIR KIRCHNER: Well, the problem is the
16 PDCs that were proposed seemed to be silent on the
17 fact that they're using injection of liquid -- I
18 assume it's in a liquid salt mixture, as they hand it
19 to the primary system. So, you have to look at the
20 reactivity insertion accidents.

21 MEMBER PALMTAG: Yes, but are you, I still
22 would argue this is going back to our earlier
23 discussions on other designs. You know, part of
24 safety, you have to have a safety system that goes
25 subcritical.

1 The physics will take you -- are negative
2 feedback, but that does, that could be, you know. It
3 doesn't go all the way down to zero. It could still
4 be 80 percent, 60 percent, 40 percent even, if you
5 like. I look at it, you need a way to, you need an
6 off button.

7 CHAIR KIRCHNER: Yes. The physics could
8 take you to above 100 percent too.

9 (Simultaneous speaking.)

10 MEMBER PALMTAG: Yes. But the negative --
11 yes, well it depends --

12 CHAIR KIRCHNER: It depends on what's is
13 the transient.

14 MEMBER PALMTAG: Right. That's right, oh,
15 yes.

16 CHAIR KIRCHNER: Because if you have an
17 over-cooling transient, you're going to put in a lot
18 of reactivity.

19 MEMBER PALMTAG: Yes.

20 CHAIR KIRCHNER: And your question is, you
21 know, can you demonstrate that the feedback is
22 sufficient to offset the reactivity insertion from a
23 -- strong feedback goes both ways.

24 MEMBER PALMTAG: Right.

25 CHAIR KIRCHNER: Yes. So, it goes both

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 ways. Now it's well coupled because it's in the fuel
2 in a liquid form. But I don't know, has the full
3 spectrum of scenarios, and accident initiators been
4 examined?

5 VICE CHAIR HALNON: Is that a PDC topical
6 report issue or is that an L&P type, you know,
7 licensing based --

8 (Simultaneous speaking.)

9 MEMBER PETTI: Well, but if you don't have
10 a PDC, it says, that as the ANS standard says, that
11 you need to have a system to assure, to prevent a
12 limit reactivity increase, to do in -- you know, it
13 says here, it's Item D. "Executes safety functions
14 with high probability of success in the event of an
15 anticipated operating occurrence."

16 And so, if the fueling is coming in
17 liquid, an over-fueling event might be an AOO. Might
18 be an inadvertent over-fueling event. Well, how do
19 you deal with that? And how do you --

20 CHAIR KIRCHNER: It's fueling all the
21 time. It's going to be an AOO.

22 MEMBER PETTI: Yes, an AOO. So, how do
23 you, you know, prevent or limit that? There's not a
24 PDC even there, so there's nothing to check again.
25 That's the concern, is that there needs to be some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 sort of a PDC that says, how am I designing against
2 this?

3 CHAIR KIRCHNER: Reactivity insertion
4 accidents, that's why you have --

5 (Simultaneous speaking.)

6 VICE CHAIR HALNON: My point is that --

7 CHAIR KIRCHNER: -- protection system.

8 VICE CHAIR HALNON: -- it shouldn't have
9 -- say you do have an over-fueling event or whatever
10 you might call it. The fact that there's not a PDC
11 there doesn't change the fact that you still are
12 postulating an over-fueling event. You've got to see
13 how the system's react to it. PDC will just ensure
14 that it's mitigated.

15 So, if you don't have a PDC and you
16 postulate that event, then it's just going to play out
17 to be a problem in whatever the end state of an
18 accident is. You might have melting fuel? I don't
19 know, it's already melted --

20 (Simultaneous speaking.)

21 MEMBER PETTI: Well, my concern is there
22 were a lot of smart people who developed the ANS
23 standard, molten salt people. I mean, I looked at the
24 list of people. To not adopt it --

25 VICE CHAIR HALNON: Would be exceptional.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 MEMBER PETTI: -- or to take exception to
2 it, requires I think, a very strong rationale. It
3 would be like, you know, you're going to adopt, You
4 know, you're not going to accept the ASME code for
5 something. It's kind of --

6 VICE CHAIR HALNON: No, I agree. And I
7 had the same problem with the fact that they didn't
8 use ACU as a benchmark against this. Because that was
9 the first one, and the staff reviewed it and then
10 approved their PDC. And none of them are based on the
11 same thing that they're --

12 MEMBER PETTI: Right. I'm --

13 VICE CHAIR HALNON: -- on it.

14 MEMBER PETTI: You know, I don't need
15 details, but, you know, when there's beryllium and
16 lithium in the salt, that's a very different feedback
17 response than when there's not. So, because there's
18 all these different salts, sometimes there's not as
19 much crossover between the designs.

20 VICE CHAIR HALNON: But it's still fine.

21 MEMBER BALLINGER: Why do we not just say,
22 that you have to comply with the ANS standard, unless
23 you provide for an exemption or justified exemption?
24 That's two or three sentences.

25 MEMBER PALMTAG: There's a few reasons for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 that, one, that when they developed these PDCs, the
2 ANS standard was still draft. So, this PDC, or the
3 ANS standard has just been finalized. And then there
4 are some differences between the ANS standard. The
5 ANS standard has a functional containment, where they
6 use a real containment. So, there are --

7 MEMBER PETTI: Yes, but that doesn't affect
8 reactivity. It's quite nice --

9 MEMBER PALMTAG: No, no.

10 MEMBER PETTI: -- that they can, they can
11 adopt the ANS standards verbatim is what my point is.

12 MEMBER BALLINGER: Well, I was going to
13 say, you don't to adopt verbatim, but they ought to be
14 able to say, we're going to adhere to the ANS
15 standard, with the following exception. Now, the fact
16 that it's just initiated, these guys have been doing
17 this for the last 10 years.

18 MEMBER PALMTAG: Yes. I think Dave did
19 have a conclusion, but Dave's comments are leading to
20 an additional conclusion that would say that in there.

21 MEMBER BALLINGER: I think I recall that
22 the MSRE their fueling system and their defueling
23 system were very different. You could defuel really
24 fast.

25 (Simultaneous speaking.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 PARTICIPANT: They had a treatment --

2 PARTICIPANT: Oh, they had a fish pond.

3 MEMBER BALLINGER: Yes, yes.

4 CHAIR KIRCHNER: And then they dropped
5 into a subcritical configuration.

6 MEMBER BALLINGER: Yes, yes. So, you
7 physically couldn't add too much reactivity, there was
8 a limit. But for defueling, you could just shove the
9 thing down.

10 MEMBER PALMTAG: Yes, this design does not
11 have a drain plug at all.

12 MEMBER BALLINGER: Yes, I was surprised
13 that there wasn't some, I call it dump valve,
14 something.

15 CHAIR KIRCHNER: It's too much inventory
16 to make it practical actually. By the time you got it
17 drained, you've --

18 MEMBER BALLINGER: Yes.

19 CHAIR KIRCHNER: -- you would be operating
20 the whole time it was draining, until you got the fuel
21 level, the solution level below the moderator in the
22 fixed, you know, they have a fixed moderator, which is
23 the de facto, the place where you get fission. And
24 you would have to drain it all out to take the
25 moderator out of the equation.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 MEMBER PALMTAG: Yes, this system is about
2 50 times bigger than the MSREs. They do have a tube,
3 I say tube or pipe that goes to the bottom of the
4 tank. And it runs up and then over to another tank.
5 That's how they defuel and as they pressurize it, it's
6 a much slower process than a freeze plug.

7 VICE CHAIR HALNON: Would it be better
8 than to, an option to just focus in on the deviation
9 from the ANS standard PDCs, and rather than try to
10 suggest a fixed one?

11 MEMBER BALLINGER: That's what I was
12 trying to say.

13 MEMBER PETTI: Yes, I mean, the paragraph
14 that's edited in blue, was a late edition and I had
15 trouble figuring out where it best fit. I think it
16 needs to move up. Maybe it's how we start it.

17 CHAIR KIRCHNER: It's background.

18 MEMBER BALLINGER: Yes. That's got to, I
19 think that one, you put that right up front.

20 MEMBER PETTI: This is all of our
21 reactivity control.

22 MEMBER BALLINGER: But that's the main
23 think.

24 MEMBER PETTI: Yes, yes, yes.

25 MEMBER BALLINGER: So, it's not

1 background, I think it leads into our discussion.

2 CHAIR KIRCHNER: It seems, I think Greg,
3 teed it up, but I'll try again. There are three
4 issues. Safe -- are we in agreement that a safe
5 condition is not subcritical?

6 Second, are we in agreement or not,
7 whether a protection system is -- we can piece part --
8 we take the system apart and decide what's safety
9 related or not. But I don't think that's the real
10 issue here. It's a more fundamental issue.

11 Do we have such confidence that there's no
12 reactivity insertion kind of event that could occur,
13 that would warrant not having the reactor shutdown
14 protection system? That is truly unprecedented.

15 MEMBER PETTI: It's just a -- and then for
16 a first of a kind.

17 CHAIR KIRCHNER: And for a first of a
18 kind. And then the other thing, what was the third
19 one that you --

20 VICE CHAIR HALNON: It got into the rod
21 control insertion accident, the diverse means and
22 redundancy,

23 CHAIR KIRCHNER: Yes.

24 Well, the history of liquid systems with
25 fissile solutions and criticality events is --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 MEMBER BALLINGER: There have been some
2 pretty spectacular criticality events.

3 CHAIR KIRCHNER: Yes, so --

4 MEMBER PETTI: Some of the most --

5 MEMBER BALLINGER: Yes, not least of which
6 is pretty recent.

7 CHAIR KIRCHNER: Our business, I guess, I
8 don't guess, is not to design the system for them.
9 That there are means to control the amounts of fuel
10 that were --

11 MEMBER BALLINGER: Yes.

12 CHAIR KIRCHNER: Mechanical means to kind
13 of safeguard against excessive addition to reactivity.
14 But mechanical systems have been known to fail. They
15 can probably limit the amount of available fuel to be
16 added through different safeguards in mechanical
17 systems. But you still have the potential for the
18 reactivity insertion.

19 MEMBER BALLINGER: It's hard to not try to
20 design the system, because it's probably physically --
21 it's hard from the negative feedback effect that had
22 been there. It's probably impossible to add enough
23 fuel fast enough to have anything bad happen.

24 CHAIR KIRCHNER: Should be, but we haven't
25 seen the design.

1 VICE CHAIR HALNON: So, if you take, take
2 the non-light-water reactor that we have, you take
3 criticality away from the discussion of whether or
4 not, it's safe or not. You would catch people saying
5 a safe state in the reactors, were basically, I can
6 walk away from it, reduce my control in manning to
7 just the bare minimum, just to keep things running.
8 And not have to worry about, in design basis, or on
9 the basis of that, occurring.

10 MEMBER BALLINGER: That's what NuScale
11 proposed. Long-term cooling, remember, they argued we
12 could have re --

13 CHAIR KIRCHNER: For 72 hours.

14 VICE CHAIR HALNON: So, what you've been
15 telling, saying, well in this defined safe state, a
16 licensing based event could still occur? It could
17 cause a problem. And I'm not talking about license,
18 like, you know, I mean like present state and stuff,
19 like that. Even then, external events, a safe state
20 says the reactor is, you don't have to worry about it.
21 You may have --

22 MEMBER PETTI: It's hot, I mean from a
23 temperature perspective. I mean, you'll never get to,
24 quote, "cold shutdown" in any of these of these
25 systems.

1 CHAIR KIRCHNER: We hope not, any of
2 these.

3 MEMBER PETTI: We don't want to.

4 MEMBER BALLINGER: Let's say that they
5 reduced power to the point where they were just adding
6 heat. In other words, enough heat was being added to
7 keep it from freezing. You know, keep the
8 temperature. Is there some event that could occur if
9 you walked away, that would be a design basis
10 accident?

11 If you reduced the power level to that
12 point, and you couldn't add any more fuel, would the
13 thing, would the negative temperature coefficient just
14 allow it to just sit there adding heat?

15 MEMBER PETTI: Over-cooling events --

16 MEMBER BALLINGER: That's what I was --

17 MEMBER PETTI: -- haven't been this big.
18 I didn't hear anything about safety systems to prevent
19 freezing. And we didn't even go there because we
20 didn't have a lot of design detail. But you know
21 we've raised that with other salt systems. That
22 over-cooling events --

23 MEMBER BALLINGER: That's the thing if
24 they're reduced to adding heat. In other words,
25 you've got enough, you're adding enough heat so that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 you can't -- is there some event that can occur that
2 would, you know, take it in a different direction? I
3 don't think so.

4 MEMBER PETTI: Could you get a runaway
5 reactor?

6 MEMBER BALLINGER: Yes. No, I mean --

7 PARTICIPANT: Steam tube generator rupture.

8 MEMBER PETTI: Remember the other designs
9 we've looking at, you have to tie the primary loop and
10 the secondary loop humps together. Otherwise you'll
11 over cool. If the primary trips the secondary has to
12 trip, or you'll over cool. So, there's all sorts of
13 interconnects here in the system that have to be
14 designed in.

15 MEMBER BALLINGER: So, there is an event.

16 MEMBER PETTI: I guess, yea.

17 (Simultaneous speaking.)

18 MEMBER BALLINGER: We don't know any of
19 the details.

20 MEMBER PETTI: But it's not -- it's an
21 over-cooling event. It's not a reactivity event.

22 MEMBER BALLINGER: Over-fueling.

23 MEMBER PETTI: Well, that's what I'm
24 saying, if you had a system where you -- at that
25 point, where you defined yourself as being safe state,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 is there a way to add reactivity?

2 VICE CHAIR HALNON: And over-cooling is a
3 problem because you have negative NTC.

4 MEMBER PETTI: Yes. And the over-cooling
5 and over-fueling of the ones that, I tend to think.

6 VICE CHAIR HALNON: So, the safe state
7 would be to drive the rods in, shutdown the reaction,
8 and have enough heat so you don't rock it up?

9 MEMBER BALLINGER: But again, like Walt
10 was saying, it's not, we're not here to design the
11 reactor. We just have to tell them that they have to
12 be able to do that, right?

13 VICE CHAIR HALNON: Well, that's at least
14 in our minds we have to agree, what is the adequately
15 safe state. And if we're saying that being critical
16 at some low power level, that where the physics, is
17 the physics taking care of it at a high power level?
18 Physics take care of it at a low power level. So,
19 what --

20 MEMBER PALMTAG: I would argue safe state
21 is subcritical. We have to know, to be --

22 MEMBER BALLINGER: Well, that's for sure
23 a good definition of safe state.

24 VICE CHAIR HALNON: Yes. So, if you're
25 subcritical, then you have to have some kind of heater

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 system on salt to --

2 MEMBER PALMTAG: They do.

3 VICE CHAIR HALNON: They will, okay.

4 MEMBER PALMTAG: That's how they have to
5 heat -- they have heat the system up, right. They
6 have to heat --

7 CHAIR KIRCHNER: Will have to balance
8 their heat losses against the, they could use the KE
9 or have to use --

10 MEMBER PALMTAG: Oh, when you start the
11 system up, you have to have heaters. There will be
12 heaters.

13 CHAIR KIRCHNER: Yes. Yes, you'll have
14 heaters.

15 VICE CHAIR HALNON: Well again, I think
16 rather than redesign the process, don't redesign the
17 reactor for them, but just that they're deviating well
18 thought out, probably the best we have, input in front
19 of us at this point of operating experience. PDCs
20 that he didn't use.

21 MEMBER BALLINGER: I'd just say, just
22 comply with the ANS standard unless you can show
23 something else. Unless you justify it.

24 VICE CHAIR HALNON: So, a two-line letter,
25 for the issues.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 MEMBER BALLINGER: Yea, well I mean --

2 MEMBER PETTI: Yes. But I still think
3 there's an important principle here. I don't think
4 you can rely on physics until it's demonstrated.

5 MEMBER BALLINGER: That's always the case,
6 yes, right.

7 MEMBER PETTI: That's my bit. I said it,
8 if this was nth of a kind, I would not have that
9 issue. But this is first of a kind. And you have to
10 demonstrate these -- that's why all those damn tests
11 were done back in the day and when we've talked about
12 the role of prototypes and what they do, and why
13 they're so important is that they demonstrated to the
14 NRC at the time.

15 (Simultaneous speaking.)

16 MEMBER PETTI: Look, these systems do have
17 these characteristics. We have tested them.

18 VICE CHAIR HALNON: Well, do you need to
19 have this reactor demonstrate the physics? Or can you
20 do the physics in a test loop of some other type?

21 MEMBER PETTI: No, I mean --

22 (Simultaneous speaking.)

23 VICE CHAIR HALNON: Is it a critical, just
24 -- it's as if --

25 MEMBER PETTI: yes, I don't think you can

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 go without thinking those smaller reactors.

2 VICE CHAIR HALNON: I'm thinking, you
3 know, like the ACU reactors that came online before
4 this one, well before.

5 MEMBER PETTI: Yes, but it's a different
6 salt.

7 CHAIR KIRCHNER: Different salt and its
8 size matters.

9 VICE CHAIR HALNON: You're right, I think
10 the size, we thought we're getting --

11 MEMBER PETTI: Yes, the size matters. I
12 mean -- and all we're saying is that for this one, you
13 need a protection system. We're not saying this only
14 needs one from then on. But given the scale of the,
15 I mean all the issues that we talked about in the
16 letter, it's just, it's prudent for this first of a
17 kind.

18 MEMBER PALMTAG: Historically, we scale
19 up, you never go over a factor 10 larger. And they're
20 taking a jump 40 over 70, so I'm, to go to your point
21 and demonstrate this, you usually demonstrate it with
22 the smaller reactor. Let's start with the 40 Megawatt
23 reactor.

24 MEMBER PETTI: As we've seen in other
25 designs, I mean, because we've seen, a classic

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 example. It is a configuration and a coolant and
2 moderator, that are unique use together. What they
3 doing? A very small system, work out those kinks,
4 prove things.

5 MEMBER BALLINGER: This is, I'm probably
6 being a heretic but I would consider this unsafe,
7 unless they did a prototype. Sorry.

8 MR. BURKHART: Can I just make an
9 observation on this letter. It sounds like you're,
10 there's a letter there from what you all have just
11 said. Pointing up your observations higher, because
12 you're, it does seem like you're trying to fix the
13 problem, rather than identify the problems, right?

14 MEMBER BALLINGER: That's what I say, just
15 the ANS standard.

16 MEMBER PALMTAG: I don't think just far
17 from that.

18 MEMBER BALLINGER: Huh?

19 MEMBER PALMTAG: I don't think we're far
20 from that.

21 MEMBER BALLINGER: Yes.

22 MEMBER PALMTAG: I mean it's --

23 MEMBER BALLINGER: But it may be that
24 that's like Dave was saying if, that should be a key
25 point, right up front, the key point.

1 MEMBER PALMTAG: I do have an issue
2 saying, you know, the PDC should have come from the
3 standard, when the standard wasn't finalized yet,
4 right. And they did --

5 MEMBER BALLINGER: But it is now.

6 MEMBER PALMTAG: Yes, but and they did.

7 MEMBER BALLINGER: And they ain't gonna
8 build this for a while.

9 MEMBER PALMTAG: But they do claim that
10 they made their PDCs based on the draft of the ANS
11 standard. So, I don't think the issue is they didn't
12 follow the standard. I think the issue is that they
13 decided to go against the standard, right.

14 MEMBER BALLINGER: Well, why don't we, can
15 we just say that we think there's a better standard?

16 MR. BURKHART: Can I just interject? The
17 NRC has not, from my understanding, endorsed the
18 standard.

19 MEMBER BALLINGER: It's all right.

20 MR. BURKHART: Please keep that in mind.

21 MEMBER PALMTAG: But my understanding is
22 they basically started with the ANS and the
23 proprietary version of 1.232 that we can't say aloud.
24 And then they said, here's the exceptions that we're
25 going to take. And it's the exceptions that we're,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 have concerns with. Not that they didn't start with
2 the standard.

3 MEMBER BALLINGER: The other problem is
4 this went through the Canadian system, right?

5 MEMBER PALMTAG: Yes.

6 MEMBER BALLINGER: And they approved it.
7 In whatever the heck they, by whatever --

8 VICE CHAIR HALNON: It was only their
9 level one --

10 MEMBER PALMTAG: Level one and level two,
11 which I don't know what that means.

12 MEMBER BALLINGER: Yes. I don't know what
13 that means either, but somebody said that it was okay.

14 MEMBER PALMTAG: Yes, but --

15 MEMBER SUNSERI: It's essentially a
16 construction permit type review.

17 MEMBER PALMTAG: I don't even know if it
18 was that far.

19 MEMBER PETTI: Yes, but again, remember
20 CANDUs are a lot positive coefficients that would not
21 be --

22 CHAIR KIRCHNER: They redesigned it.

23 MEMBER PETTI: They redesigned them.

24 CHAIR KIRCHNER: They took that away.

25 MEMBER PETTI: But at that time.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

1 CHAIR KIRCHNER: Yes.

2 MEMBER PETTI: Right, that was a big
3 difference of the two, it was two systems, the
4 regulatory systems. So, what I'm -- let's see if I
5 can move this along. Is if we took this paragraph in
6 blue and that became our second paragraph in the
7 discussion.

8 MEMBER PALMTAG: I think we have this
9 duplicated don't we, to say basically, we don't
10 specifically call out the ANS standard but we have
11 these points.

12 MEMBER PETTI: Right, yes. But just let
13 me complete the thought. You'd have a paragraph on
14 what the standard is. That was all put in there for
15 the last sentence, which needed a context, which is
16 the fueling system has to have, because it's a
17 reactivity addition system, has to have some sort of
18 controls.

19 And if that's consistent with the crime,
20 it's the sin. So, what we could do is we could just
21 say, this what the standard is. Then we could talk
22 about reactor control, and we can talk about the
23 fueling system. Then we could talk about reactor
24 shutdown.

25 MEMBER BALLINGER: It's referencing --

1 MEMBER PETTI: And I think we can get rid
2 of the paragraph on two independent means because they
3 do have two independent means. We just are not, you
4 know.

5 MEMBER PALMTAG: We could do that, we
6 could start over. Or we could try to fix this.

7 MEMBER BALLINGER: Is the reference to the
8 ANS standard one of the results and conclusions, one
9 of the conclusions and recommendations. If it's not,
10 it should be.

11 PARTICIPANT: Well, again we haven't --

12 MEMBER PALMTAG: No, but we've said that
13 those, we've made those four recommendations in here,
14 or we've made the recommendations that do agree with
15 the ANS standard. But again, the ANS standard --
16 well, there's two things. The ANS wasn't completed
17 and second, I mean, Larry brought up a good point that
18 NRC hasn't endorsed that. I don't know if that's, we
19 want to make that a requirement.

20 VICE CHAIR HALNON: The one you didn't,
21 number three touches on it, but doesn't say ANS. It
22 just says it eliminates several of design criteria,
23 used in other reactor designs.

24 MEMBER PALMTAG: Yes, that could be easily
25 modified, to put in the ANS.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 MEMBER PETTI: Again, I think we've got to
2 get the letter right before, I think the conclusions
3 will fall easily once we get a logic in the letter,
4 the flow of the letter correct.

5 CHAIR KIRCHNER: Well, just one Member's
6 opinion. I cannot imagine a power reactor out there
7 in the fleet that doesn't have a protection system.

8 MEMBER PETTI: Duh.

9 CHAIR KIRCHNER: And I don't know how
10 their condition would go forward with that and gain
11 any public confidence in deployment of these systems.
12 It's humorous almost, on our part, to say that we can
13 look ahead to something that's scaling a factor of 100
14 in terms of power versus the MSRE reactor, which
15 didn't operate very long by the way.

16 MEMBER PETTI: And didn't have the power
17 conversion system.

18 CHAIR KIRCHNER: Right. And it was much
19 smaller in terms of neutronic behavior. Very leaky
20 system. The idea of not having a protection system to
21 sense accident conditions and initiate operations of
22 systems and components important to safety, to me, is
23 just, I don't think --

24 MEMBER BALLINGER: Unless they had a proto

25 CHAIR KIRCHNER: -- it's just incredible.

1 MEMBER BALLINGER: Unless they have a
2 prototype that demonstrates all that.

3 CHAIR KIRCHNER: Even if you have a
4 prototype, I mean, you're presuming that you now know
5 so much about this reactor, that you're not going to
6 get into a condition where you don't have a reactivity
7 insertion and an over-power or whatever as a result.
8 This, that's a big leap. It's an awfully big leap.
9 It sounds like an experimental reactor to me. Not a
10 power production reactor.

11 MEMBER BIER: I think I agree with Walt.
12 Many years ago when I an assistant professor, I was
13 arguing that passively safe reactors may need to have
14 some active systems just to guard against, what if we
15 don't understand all the phenomena properly.

16 And, you know, I think Dave's comment
17 about, okay, once you get to nth of a kind, and you
18 have, you know, some years of operating experience,
19 and various off normal conditions observed. Maybe you
20 can get there. But it's, you know, I don't know the
21 physics to know how well it's understood. But it
22 seems questionable to me that we can know it that
23 well.

24 CHAIR KIRCHNER: Well, it's right there on
25 line 130. Do they need a protection system or not?

1 And that would require essentially a safety grid
2 instrumentation and control system to implement it.

3 VICE CHAIR HALNON: Okay. Well, so first,
4 so rather than we sit here and concentrate on it for
5 a while, if we answer that first question, and Scott's
6 starting to put it out there. Is the safe state, does
7 it have to be subcritical? If the answer to that is
8 yes, then I think the answer to this is, yes.

9 That you have to have some kind of
10 protection system to shut it down, because then
11 physics will not do it. So, if we accept, just to
12 move it forward, Scott's discussion about we make the
13 statement that a safe state has to be subcritical.
14 One way of getting this, was subcritical is to have a
15 protection system that shuts it down.

16 MEMBER PALMTAG: So, let me just, number 2,
17 could we look at number 2.

18 VICE CHAIR HALNON: Right.

19 MEMBER PETTI: So, I should, Larry just
20 sent us the us the Executive Summary.

21 MEMBER BALLINGER: Yes, that's pretty darn
22 good.

23 MEMBER PETTI: Page 2, review.

24 MEMBER BALLINGER: Yes.

25 MEMBER PETTI: Number 4, the capability,

1 and effectiveness of the proposed means of reactor
2 control and shutdown needs to be further demonstrated.
3 Particularly the reliance on the overall negative
4 temperature reactivity coefficient. The negative
5 coefficient will need to be verified for all
6 conditions and circumstances to help support the
7 proposed design for reactor shutdown.

8 So, that means the same, the same thing,
9 you know.

10 MEMBER BALLINGER: Ah, look at number 7.

11 (Pause.)

12 MEMBER BALLINGER: Here you go.

13 CHAIR KIRCHNER: Are you referring to the
14 SER?

15 MEMBER PETTI: No, this is the Canadian.
16 the Canadian, executive --

17 MEMBER BALLINGER: Because they're
18 basically saying exactly what we're saying in a
19 sentence.

20 MEMBER PETTI: In a less direct -- in a
21 maybe a more politically correct way than we are. But
22 what I'm worried about is because all of this
23 proprietary. I really think we need to be as direct
24 as we can in our letter. Because it will be the only
25 thing on the record. If you read the staff's SE, you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 can't tell what's really going on, because there's so
2 much proprietary stuff.

3 MEMBER BALLINGER: Yes, we're lucky that
4 Walt wasn't here during the presentation. We would
5 have had to have blood pressure medicines mainlined in
6 him.

7 CHAIR KIRCHNER: We could have proprietary
8 discussions.

9 MEMBER BALLINGER: So, what, should I try
10 to drive and see if this helps?

11 CHAIR KIRCHNER: Let me do a check with
12 my, do we still have the Court Reporter?

13 VICE CHAIR HALNON: Yes, we should
14 probably cut him loose him, yes.

15 CHAIR KIRCHNER: We should let the Court
16 Reporter go, because we are now in letter writing --

17 MR. BURKHART: Although I think what
18 they're capturing is very, very good.

19 CHAIR KIRCHNER: No, this was intentional
20 that they do capture our conversation.

21 MR. BURKHART: Okay.

22 CHAIR KIRCHNER: All right, with that,
23 it's Jim, right?

24 COURT REPORTER: James.

25 CHAIR KIRCHNER: James, I think we can

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1716 14th STREET, N.W., SUITE 200
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 dispense with the transcription for the rest of this
2 afternoon. And we'll need you back tomorrow afternoon
3 at 1:00 p.m. Eastern time. We hear about the ADVANCE
4 Act from Mike King.

5 Okay, thank you.

6 (Whereupon, the above-entitled matter went
7 off the record at 2:06 p.m.)
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25