

# **Official Transcript of Proceedings**

## **NUCLEAR REGULATORY COMMISSION**

Title: Advisory Committee on Reactor Safeguards

Docket Number: (n/a)

Location: teleconference

Date: Tuesday, May 6, 2025

Work Order No.: NRC-0337

Pages 1-90

**NEAL R. GROSS AND CO., INC.**  
**Court Reporters and Transcribers**  
**1716 14th Street, N.W.**  
**Washington, D.C. 20009**  
**(202) 234-4433**

DISCLAIMER

UNITED STATES NUCLEAR REGULATORY COMMISSION'S  
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

The contents of this transcript of the proceeding of the United States Nuclear Regulatory Commission Advisory Committee on Reactor Safeguards, as reported herein, is a record of the discussions recorded at the meeting.

This transcript has not been reviewed, corrected, and edited, and it may contain inaccuracies.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION

+ + + + +

725TH MEETING

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

(ACRS)

+ + + + +

TUESDAY

MAY 6, 2025

+ + + + +

The Advisory Committee met via Video  
Teleconference, at 1:00 p.m. EDT, Walter L. Kirchner,  
Chair, presiding.

COMMITTEE MEMBERS:

WALTER L. KIRCHNER, Chair

GREGORY H. HALNON, Vice Chair

DAVID A. PETTI, Member-at-Large

RONALD G. BALLINGER

VICKI M. BIER

VESNA B. DIMITRIJEVIC\*

CRAIG D. HARRINGTON

ROBERT P. MARTIN

SCOTT P. PALMTAG

THOMAS E. ROBERTS

MATTHEW W. SUNSERI

1 ACRS CONSULTANT:

2 DENNIS BLEY

3

4 DESIGNATED FEDERAL OFFICIAL:

5 MIKE SNODDERLY

6

7 ALSO PRESENT:

8 MAHMOUD "MJ" JARDENEH, NRC

9 STACY JOSEPH, NRC

10 RICKY VIVANCO, NRC

11 LARRY BURKHART, NRC

12 SANDRA WALKER, NRC

13 GETACHEW TESFAYE, NRC

14

15 \*Present via telephone

16

17

18

19

20

21

22

23

24

25

P-R-O-C-E-E-D-I-N-G-S

1:00 p.m.

CHAIR KIRCHNER: Okay. The meeting will now come to order. Good afternoon. This is the first day of the 725th meeting of the Advisory Committee on Reactor Safeguards (ACRS). I'm Walt Kirchner, chairman of the ACRS.

ACRS members in attendance in person are Ron Balinger, Vicki Bier, Greg Halnon, Robert Martin, Scott Palmtag, Dave Petti, Thomas Roberts, Craig Harrington, and Matt Sunseri. ACRS member in attendance virtually via Teams is Vesna Dimitrijevic. Our consultant participating today virtually is Dennis Bley. If I've missed anyone, please speak up.

Mike Snodderly of the ARCS staff is the Designated Federal Officer for this morning's -- this afternoon's Full Committee meeting. No Member conflicts of interest were identified, and I know that we have a quorum.

The ACRS was established by statute and is governed by the Federal Advisory Committee Act, or FACA. The NRC implements FACA in accordance with its regulations. Per these regulations and the Committee's Bylaws, the ACRS speaks only through its published letter reports. Therefore, all Member

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 comments should be regarded as only the individual  
2 opinion of that Member and not a Committee position.

3 All relevant information related to ACRS  
4 activities, such as letters, rules for meeting  
5 participation, and transcripts -- pardon me -- are  
6 located on the NRC public website and can be easily  
7 found by typing "About Us ACRS" in the search field on  
8 NRC's home page.

9 The ACRS, consistent with the Agency's  
10 value of public transparency and regulation of nuclear  
11 facilities, provides opportunity for public input and  
12 comment during our proceedings. For this Full  
13 Committee Meeting, we have received written statements  
14 from an organization called C-10, who are going to  
15 make a presentation during the Seabrook session. That  
16 would be tomorrow afternoon. Other written statements  
17 may be forwarded to today's Designated Federal  
18 Officer, and we have also set aside time during this  
19 meeting for public comments.

20 A transcript of the meeting is being kept  
21 and will be posted on our website. When addressing  
22 the Committee, the participants should first identity  
23 themselves and speak with sufficient clarity and  
24 volume so that they may be readily heard. If you are  
25 not speaking, please mute your computer on Teams, and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 if you're participating via phone, press \*6 to mute  
2 your phone and \*5 to raise your hand on Teams.

3 The Teams chat feature will not be available for  
4 use during the meeting. For everyone in the room, we  
5 ask that you please put your electronic devices in  
6 silent mode and mute your laptop microphone and  
7 speakers. In addition, please keep sidebar  
8 discussions in the room to a minimum since the ceiling  
9 microphones are "live."

10 For the presenters, your table microphones  
11 are very uni-directional, and you'll need to speak  
12 directly into the front of the microphone to be heard  
13 online and also for the benefit of our court reporter.  
14 Finally, if you have any feedback for the ACRS about  
15 today's meeting, we encourage you to fill out the  
16 Public Meeting Feedback Form on the NRC's website.

17 And during this afternoon's meeting, we  
18 are going to take up the NuScale Standard Design  
19 Approval Application and related topics. As stated in  
20 the agenda, portions of this meeting may be closed to  
21 protect sensitive information as required by FACA and  
22 the Government in the Sunshine Act. Attendance during  
23 the closed portion of the meeting then will be limited  
24 to NRC staff and its consultants, NuScale, and those  
25 individuals and organizations who have entered into an

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 appropriate confidentiality agreement. We will  
2 confirm that only eligible individuals are in the  
3 closed portion of the meeting.

4 And with that, I actually will turn to  
5 myself as the Subcommittee Chair for the NuScale  
6 Design-Centered Review. And today we are going to  
7 hear from the staff on some updates on the completion  
8 of their review and SERs, and then from there, we're  
9 going to read in a draft letter report on the SDAA  
10 application.

11 So with that, I'm going to turn to  
12 Getachew Tesfaye, who is joining us remotely for  
13 opening comments. Go ahead, Getachew.

14 MEMBER SUNSERI: He's on mute.

15 CHAIR KIRCHNER: Yeah. You need to unmute  
16 yourself. Getachew, your microphone is off.

17 MEMBER ROBERTS: His microphone is open,  
18 but we can't hear him.

19 CHAIR KIRCHNER: Getachew, we still cannot  
20 hear you. Are you sure your microphone is unmuted?

21 MEMBER HALNON: MJ, you want to --  
22 probably need to log off and log back in.

23 MR. JARDENEH: I can go ahead, Chair.

24 CHAIR KIRCHNER: Yes. MJ, could you then  
25 take over?



1 MR. JARDENEH: Yeah. Good afternoon,  
2 Chair Kirchner and subcommittee members.

3 CHAIR KIRCHNER: Identify yourself for the  
4 court reporter.

5 MR. JARDENEH: Okay. Good afternoon. My  
6 name is Mahmoud Jardeneh, and I am the branch chief  
7 for the New Reactor Licensing Branch, responsible for  
8 the NuScale Centered Design Approval Review. Thank  
9 you, Chair Kirchner and members of the committee for  
10 the opportunity to give an update on the NRC staff's  
11 review, the staff's safety evaluation with the  
12 NuScale's Standard Design Approval Application (SDAA).

13 Since our last presentation to the ACRS  
14 subcommittee on April 1st, 2025, NuScale has submitted  
15 a revision to the SDAA on April 9th, 2025. This can  
16 be found under ADAMS package number ML25099A236. NRC  
17 Staff has confirmed that the revision has incorporated  
18 all docketed information that were the basis for the  
19 staff's safety evaluation presented to the ACRS  
20 through April 1, 2025, and identified as confirmatory.

21 As a result of SDAA, chapter safety  
22 evaluations have been updated and the final safety  
23 evaluation is based on the reading to the SDAA. The  
24 only other significant change in those updates,  
25 Chapter 15 and Chapter 8 regarding EDAS.

1                   Stacy Joseph and Ricky Vivanco will now  
2 summarize those changes. Thank you.

3                   CHAIR KIRCHNER: Go ahead, Stacy.

4                   MS. JOSEPH: All right. Good afternoon.  
5 My name is Stacy Joseph, and I'm a senior project  
6 manager in the Office of Nuclear Reactor Regulation,  
7 and I'm the PM for Chapter 15 of the NuScale SDAA.

8                   As MJ mentioned, Ricky and I are here to  
9 inform the ACRS of the material changes to Chapters 15  
10 and 18 safety evaluations since the last time we  
11 presented these chapters to the members. Chapter 15  
12 safety evaluation was updated to explain the basis for  
13 why EDAS is not needed to maintain safe shutdown  
14 condition prescribed in the definition of  
15 safety-related. NuScale classified the EDAS as a  
16 non-safety-related system, and the staff assessed  
17 whether EDAS meets the definition of safety-related in  
18 10 CFR 50.2.

19                   The staff notes that while the specified  
20 acceptable fuel design limits, or SAFDLs, are not  
21 explicitly referenced in the 10 CF 50.2 definition of  
22 safety-related SSCs, nor are they a direct indication  
23 of fuel clad damage. They are typically used as the  
24 measure to demonstrate that the safe shutdown  
25 criterion in the definition of safety-related is met

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 through sufficient decay heat removal and containment  
2 of radioactive materials during and following  
3 anticipated operational occurrences, or AOOs.

4 Demonstration of the safe shutdown  
5 criterion ensures that the fuel clad damage is  
6 unlikely to occur as a result of an AOO and the  
7 safety-related SSCs are sufficient to protect this  
8 fission product barrier. Accordingly, the staff  
9 reviewed and audited engineering documentation to  
10 confirm that the fuel fission product barrier would  
11 remain intact in the case of EDAS failure during an  
12 AOO.

13 NuScale performed minimum critical heat  
14 flux ratio and peak clad temperature analysis of a  
15 spectrum of state-points for an ECCS blowdown, which  
16 is representative of a loss of EDAS at a combination  
17 of powers, pressures, and temperatures. The analysis  
18 concluded that the clad temperature increase does  
19 occur but lasts for less than ten seconds before  
20 returning to temperatures less than the initial value.  
21 This analysis was presented by NuScale to the ACRS  
22 during the Chapter 15 Subcommittee meeting.

23 In addition, staff audited NuScale  
24 sensitivity calculations of peak containment pressure  
25 resulting from various non-LOCA events with subsequent

1 loss of EDAS. Limiting results from these studies  
2 indicate that peak containment pressure remains below  
3 containment design pressure. Therefore, the staff  
4 found that EDAS does not meet the definition of  
5 safety-related because it is not needed for ensuring  
6 a safe shutdown condition of the reactor.

7 Specifically, the staff found that there  
8 is reasonable assurance that the reactor will shut  
9 down, decay heat will be removed, and fuel and  
10 containment integrity will be maintained without  
11 reliance on EDAS. The staff conclusion regarding the  
12 reliance on EDAS to meet the Chapter 15 safety  
13 analysis acceptance criteria of assuming minimal  
14 critical heat flux ratio is maintained above critical  
15 heat flux limit remains the same.

16 Based on its role to protect the SAFDLs as  
17 required by multiple GDCs, the staff considers EDAS to  
18 be a non-safety-related SSC that performs an important  
19 to safety function. SSCs that are relied on to  
20 satisfy the GDCs are subject to the quality assurance  
21 requirements of GDC 1, Quality Standards and Records.  
22 GDC 1 specifies that programmatic quality standards  
23 for SSCs important to safety provide adequate  
24 assurance that these SSCs will satisfactorily perform  
25 their safety functions specified in the GDCs.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1           Accordingly, EDAS conforms to consensus  
2 standards and augmented quality attributes to ensure  
3 the quality of the system is commensurate with the  
4 importance of its safety functions. Based on the  
5 design augmented standards and controls assigned to  
6 the EDAS, as documented in the FSAR, the staff finds  
7 that there is reasonable assurance the system will  
8 function as designed.

9           I'll now turn it over to Ricky Vivanco,  
10 who will discuss the conforming changes made to  
11 Chapter 8 related to EDAS.

12           MR. VIVANCO: Good morning. My name is  
13 Ricky Vivanco. I'm a project manager in the Office of  
14 Nuclear Reactor Regulation and a PM for Chapter 8 of  
15 the NuScale SDAA.

16           In alignment with Chapter 15, Chapter 8  
17 was updated to refer to the basis and conclusion in  
18 Chapter 15 regarding the safety classification of  
19 EDAS. The status basis for requesting exemptions to  
20 GDC 17 and 18 and the rest of chapter conform to the  
21 staff's consideration of EDAS to be a  
22 non-safety-related SSC that performs an important  
23 safety function. No additional exemptions were  
24 generated, and overall, the staff's conclusions in  
25 Chapter 8 are unchanged.

1 CHAIR KIRCHNER: Is that it, Stacy, for  
2 your presentation?

3 MS. JOSEPH: Yes, that concludes the  
4 staff's presentation.

5 CHAIR KIRCHNER: We'll take a opportunity  
6 here to have members ask questions of the staff if  
7 they wish.

8 MEMBER ROBERTS: Bob and I may have  
9 similar questions. The terminology non-safety-related  
10 SSC that's important to safety, what exactly does that  
11 mean in terms of the term important to safety, which  
12 is its own classification in 10 CFR 50? Are you  
13 saying that these SSCs are important to safety, or are  
14 they SSCs important to safety function which is  
15 somehow different from that?

16 We saw a draft of the Chapter 8 revised  
17 chapter. It was a little bit unclear because the  
18 first page basically said EDAS was not important to  
19 safety, and the second page says important to safety  
20 function. So that kind of mystified a couple of us.  
21 If you could clarify what the safety is regarding  
22 there. Appreciate it.

23 MR. VIVANCO: So the draft that was sent  
24 to the Committee was based off of the -- I'm sorry, it  
25 was a draft that hadn't been finalized with OGC's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 comments yet. And in finalizing that and the results  
2 of the NCP process being completed and carried forth,  
3 that was just a carryover from a previous revision.  
4 So since the NCP was completed and the staff's  
5 considerations were finalized, that paragraph did no  
6 longer fit the staff's conclusions, so it was removed.

7 MEMBER ROBERTS: Okay. Yeah. Thank you.  
8 That was very helpful.

9 Also, the last paragraph of the draft said  
10 that the decision on the recommended exemptions the  
11 GDCs have attained and a bunch of other GDCs will be  
12 deferred to the COL. Can you explain what the logic  
13 is to that?

14 MR. VIVANCO: Yes. So exemptions can only  
15 be granted as part of licensing actions. With the  
16 issuance of the SDAA, there is no license to issue, so  
17 the language was chosen carefully to reflect that no  
18 exemptions were authorized or granted as part of the  
19 safety evaluation. And the COL was referring the SDAA  
20 as long as the basis and parameters were the same for  
21 each requested exemption is at that point when the COL  
22 license is issued that an exemption will be granted.

23 MEMBER ROBERTS: Okay. There were a lot  
24 of exemptions. I don't remember how many, but are  
25 they all be revised with that kind of language change?

1 MR. VIVANCO: That's correct.

2 MEMBER ROBERTS: Okay. Thank you.

3 MR. SNODDERLY: Excuse me, Chair Kirchner.

4 This is --

5 CHAIR KIRCHNER: Yes.

6 MR. SNODDERLY: -- Mike Snodderly. For  
7 the record and for interested members of the public,  
8 the draft markups of Chapter 8 and 15 that the staff  
9 shared with the ACRS will be included as part of the  
10 transcript.

11 CHAIR KIRCHNER: Thank you.

12 MEMBER MARTIN: As Tom noted, we had  
13 identified that inconsistency maybe that sounds like  
14 from Ricky you have resolved. That was my main  
15 concern, but I had no further question or comment on  
16 the EDAS question.

17 CHAIR KIRCHNER: Members? Okay. Well,  
18 then thank you very much, Stacy and Ricky. We'll go  
19 to letter report.

20 Before I start, I thought I'd just make  
21 some general comments. First, going to thank both the  
22 applicant and the staff, and again, noting that these  
23 are the comments of one member and not a position of  
24 the Committee, but as the lead for this review, it was  
25 a very complete application that was submitted by the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1 applicant. Having lead the review of the design  
2 certification, they, in my opinion, addressed in the  
3 US460 design, they made several improvements.

4 I tried to reflect those in the text of  
5 the letter in the background discussion, improvements  
6 that addressed concerns that were identified during  
7 the design certification review. And I think they did  
8 a very complete job in addressing those issues that  
9 had been identified now. That was over four years  
10 ago.

11 So with that, we tried to capture that for  
12 the members. In this write-up, I tried to capture  
13 most of the significant changes. I did not capture  
14 all the design changes. But those that address  
15 concerns and issues from the design certification  
16 review and also highlight those changes that they made  
17 as they upgraded the power for their small modular  
18 reactor design.

19 So with that, I would like to just go  
20 ahead and read the letter in the record and go from  
21 there. And I'll note that as I do this, there's more  
22 in the letter than I think we need to include, and I  
23 would hope during our deliberations we could perhaps  
24 review and revise this, shorten the length of the  
25 letter so that it becomes a record of our review and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 advice to the commission and it's -- how should I say  
2 it? -- a little more concise and succinct in terms of  
3 our conclusions and recommendations.

4 So with that, I'll go ahead and read this  
5 in. And I'll note, too, that we have comments,  
6 factual corrections that we'll incorporate from  
7 NuScale during the line by line, but they do not  
8 substantively change the final conclusions and  
9 recommendations of the letter report.

10 So with that, "Subject: Report on the  
11 Safety Aspects of the NuScale US460 Small Modular  
12 Reactor Standard Design Approval Application. "Dear  
13 Chairman Wright, during the 725th meeting of the  
14 Advisory Committee on Reactor Safeguards, May 6  
15 through 9, 2025, we completed our review of the  
16 NuScale Power, LLC, NuScale, or applicant, NuScale  
17 US460 Plant Standard Design Approval Application  
18 (SDAA) for its uprated small modular reactor and the  
19 NRC staff's associated advanced safety evaluation  
20 report with SER with no open items.

21 "This letter report fulfills the  
22 requirement of Title 10 of the Code of Federal  
23 Regulations, 10 CFR Section 52.141, that the ACRS  
24 shall report on those portions of the application  
25 which concern safety.

1 "During our review, had the benefit of  
2 interactions with representatives of the NRC staff --"  
3 excuse me "-- and the applicant. We also had the  
4 benefit of the documents referenced. Appendix I lists  
5 the chronology of NuScale Subcommittee and Full  
6 Committee meetings and their subjects, and Appendix II  
7 contains the list of our memoranda on advanced SER  
8 chapter reviews as approved by the committee.

9 "Conclusions and Recommendations. The  
10 NuScale small modular reactor described in the SDAA is  
11 a natural-circulation pressurized water reactor that  
12 incorporates unique design and passive safety features  
13 providing enhanced margins of safety and long coping  
14 times without operator intervention. There is  
15 reasonable assurance that it can be constructed and  
16 operated without undue risk to the health and safety  
17 of the public.

18 "Two, the NRC staff's SER for the NuScale  
19 US460 SDAA should be issued. Three, a standard design  
20 approval for the NuScale US460 application should be  
21 issued. Four, the NuScale SDAA is a complete  
22 well-documented application backed by validated  
23 methodologies and extensive experimental testing.  
24 With the completion of inspections, tests, analyses,  
25 and acceptance criteria (ITAAC), we expect that a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 license based on this comprehensively reviewed SDAA  
2 should lead to an expedited review.

3 "Background. The NuScale US460 Standard  
4 Design Approval Application. The NuScale US460 SDAA  
5 is a power uprate of the individual modules of its  
6 US600 design certification application, DCA, and  
7 consists of up to six NuScale Power Modules, (NPMs),  
8 and a single reactor building (RXB).

9 "The NPMs are largely immersed in a large  
10 pool of borated water in the RXB, which also serves as  
11 the ultimate heat sink (UHS). Each NPM is a small,  
12 integrated, natural-circulation pressurized water  
13 reactor (PWR) composed of a reactor core and riser, a  
14 pressurizer, and two helical-tube steam generators  
15 within a reactor pressure vessel, which is housed  
16 inside a high-strength, closely fitting containment  
17 vessel. This highly integrated design eliminates  
18 large-diameter piping to connect to steam generators  
19 and the pressurize to the reactor vessel. The  
20 modularized system can then be moved within the  
21 reactor building and disassembled for refueling.

22 "Reactor core consists of approximately  
23 half-length commercial PWR 17 x 17 fuel assemblies,  
24 37, and control rod assembly 16, surrounded by a  
25 stainless-steel reflector and is cooled by natural

1 circulation of borated, light-water primary coolant.  
2 Nominal operating conditions, power peaking, and fuel  
3 burnup and below those of the current pressurized  
4 water reactor operating fleet. Each NPM is rated at  
5 250 --" there's a typo there "-- MWt versus 160 MWt  
6 for the US600 DCA with an output of approximately 77  
7 MWe.

8 "With the power rate uprate, the nominal  
9 operating pressure of the reactor was raised to 2000  
10 psia, and this led to several other design changes,  
11 notably the reactor pressure vessel and containment  
12 vessel design pressures and associated materials  
13 selection.

14 "Other unique safety features include two  
15 independent passively actuated natural-circulation  
16 decay heat removal systems (DHRS), each connecting one  
17 of the steam generators to the heat exchanger immersed  
18 in the reactor pool, and passively actuated emergency  
19 core cooling system (ECCS) valves that allow  
20 depressurization of a primary system to the  
21 containment and core cooling by recirculation of the  
22 primary coolant from containment to the primary  
23 system. The sizing of the RPV and the CNV are such  
24 that the retained reactor coolant inventory is  
25 sufficient to maintain a collapsed liquid level above

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 the height of the core fuel rods for postulated  
2 accident scenarios.

3 "Both systems provide diverse, passive  
4 means of rejecting stored energy and decay heat by  
5 means of boiling condensation from the reactor system  
6 to the RXB pool. To address boron dilution concerns  
7 associated with long-term cooling by DHRS and ECCS  
8 operation identified during the DCA review, NuScale  
9 added additional holes and slots to the NPM-20 core  
10 riser barrel to promote boron mixing. Combined, the  
11 DHRS and the ECCRS functional design provides for a  
12 long coping time, 72 hours, without the need for  
13 safety-related electric power or operator  
14 intervention.

15 "Additional US460 design changes from the  
16 DCA include manufacturing the lower reactor pressure  
17 vessel (RPV) shell of austenitic stainless steel  
18 rather than the low alloy steel as planned for the DCA  
19 and is used within the legacy pressurized water  
20 reactor fleet. This change in material provides  
21 technical justification to support exemptions from the  
22 requirements in 10 CFR 50.60 on fracture toughness and  
23 material surveillance program requirements for a  
24 reactor coolant pressure boundary and 10 CFR 50.61,  
25 protection against pressurized thermal shock events.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1           "The NPM design incorporates several  
2     notable containment design improvements relative to  
3     the DCA. The upper containment vessel and a portion  
4     of the lower vessel below the main flange will be  
5     manufactured as martensitic stainless steel (F6NM),  
6     and the lower section of the CNV of austenitic  
7     stainless steel (FKM-19)." There's a mistake there in  
8     the nomenclature.

9           "Higher strength allows increased design  
10    pressure, 1200 psi, and temperature, 600 degrees  
11    Fahrenheit, resulting in improved containment response  
12    design margins to the spectrum of primary and  
13    secondary mass and energy releases.

14          "Venturis were added to the chemical and  
15    volume control system (CVCS) inlet and discharged  
16    lines to mitigate inventory loss in event of an  
17    unisolable break. The NPM containment isolation valve  
18    design configuration has also been modified to include  
19    a containment isolation test fixture to better support  
20    periodic CIV local leak rate testing. Venturis were  
21    also added to the ECCS valves to restrict blowdown  
22    flows upon failure or inadvertent opening, reducing  
23    pressure and thermal loads upon the containment.

24          "The reactor building pool level band has  
25    been lowered in the US460 design to better match the

1 passive heat transfer rate from the CNV to the pool  
2 with the decay heat load and better control the rate  
3 of condensation-driven depressurization.  
4 Additionally, NuScale added in the US460 design a  
5 supplemental boron dispenser system (ESB) and a  
6 passive autocatalytic --" catalytic, sorry "--  
7 recombiner power system in the containment of each NPM  
8 to address safety concerns raised during the DCA  
9 review. More details and discussion below.

10 "ACRS Review Approach. Like the NRC  
11 staff, we conducted a delta review of the NuScale  
12 SDAA, focusing first on safety aspects of the module  
13 power uprate and major supporting design changes since  
14 the DCA application and review. In particular, we  
15 examined design changes that affect the primary safety  
16 functions of reactivity control, decay heat removal,  
17 and confinement of radionuclides, and changes to  
18 structures, systems, and components (SSCs) that  
19 implement those safety functions.

20 "We also reviewed key supporting  
21 documentation including new, revised, or supplemental  
22 topical reports and new technical reports that amended  
23 the final safety analysis report (FSAR) chapters. The  
24 final document of record was Revision 2, the NuScale  
25 US460 Plant SDA AFSAR. To expedite our review, we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com



1 implemented the approach for completing our previous  
2 review of the DCA by assigning members to review  
3 individual chapters of the FSAR and the associated  
4 chapter draft SER, renew safety-significant items,  
5 impacts of the power uprate or significant design  
6 deltas. Individual members then reported back with  
7 summaries for presentation to the Committee as a whole  
8 for deliberation and approval.

9 "These chapter reviews included the  
10 cross-cutting areas identified from our DCA review,  
11 emergency core cooling system (ECCS) and ECCS valve  
12 performance, helical-tube steam generator design,  
13 density wave oscillations and tube integrity, boron  
14 dilution and potential return to criticality, source  
15 term (post-accident containment atmosphere sampling)  
16 and probabilistic risk assessment (PRA).

17 "The staff implemented a high-impact  
18 technical issues approach to working with the  
19 applicant to focus completion of their review. This  
20 complemented our approach and provided timely  
21 information to address outstanding safety-significant  
22 technical issues.

23 "Discussion. The following sections  
24 discuss safety and technical issues, observations, and  
25 results from our review.

1 "ECCS and ECCS valve performance. The  
2 passive ECCS system includes four valves with  
3 independent hydraulic actuation systems. When  
4 actuated, ECCS vents steam through two reactor vent  
5 valves (RVVs) mounted on the top of the reactor  
6 pressure vessel to the containment immersed in the  
7 reactor pool. The steam condenses and accumulates in  
8 the lower CNV and is then returned through the two  
9 reactor recirculation valves (RRVs) to the downcomer  
10 region of the reactor pressure vessel.

11 "The ECCS does not provide additional  
12 coolant to this system, but instead the vessel sizes,  
13 RPV, reactor vessel and containment vessel, are  
14 designed to retain sufficient inventory in the reactor  
15 vessel to keep the core covered during all postulated  
16 events.

17 "Notably, the DCA design included three  
18 RVVs and two RRVs with an inadvertent actuation block  
19 valve in the hydraulic control system for each ECCS  
20 valve. The NPM-20 design employs only two RVVS and  
21 the IAB valves have been removed from their control  
22 system. The setpoint for a timer actuation of the  
23 ECCS after loss of all site power or reactor trip was  
24 changed to eight hours from 24 hours. The applicant's  
25 accident analyses appropriately reflect the changes

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 made to the ECCS for the US460 design, including the  
2 removal of the RVV IAB valves, a lower differential  
3 pressure-based actuation, and changed setpoint logic  
4 based on riser level sensors.

5 "These changes simplify the ECCS actuation  
6 scheme, improve reliability, and result in more rapid  
7 system response following a LOCA initiation. The  
8 NuScale evaluation model uses conservative initial  
9 conditions to bound primary system depressurization  
10 and inventory retention and the staff's confirmatory  
11 TRACE analyses verified that the applicant's models  
12 conservatively predict the timing of ECCS valve  
13 opening reactor vessel level and containment pressure  
14 response.

15 "The Committee finds that the analytical  
16 treatment of the ECCS performance including bounding  
17 assumptions on valve stroke times and initial RCS  
18 inventory supports the conclusion that the system will  
19 perform its safety functions to support its licensing  
20 basis.

21 "Eliminating these IABs has been  
22 beneficial overall, but it does increase the potential  
23 for inadvertent operation of an RVV. The safety  
24 analysis address inadvertent initiation of ECCS by  
25 opening both RVVs and hence bound actuation of one RVV

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 from steady-state plant conditions.

2 "The applicant assumes inadvertent RVV  
3 actuation during an unrelated transient is  
4 sufficiently unlikely that it does not need to be  
5 considered in the safety analysis. Nevertheless, the  
6 applicant identified a scenario where if an RVV were  
7 to actuate during an unrelated transient that  
8 increases temperature and power, minimal critical heat  
9 flux ratio (MCHFR), thermal limits would be exceeded  
10 by a small amount for a short period of time.

11 "The applicant's analyses demonstrate that  
12 despite the MCHFR limit exceedance, steel clad  
13 temperatures would be significantly below limits  
14 because the collapsed liquid level remains above the  
15 fuel height, and the consequences of such a highly  
16 unlikely event would be acceptable.

17 "One potential cause for inadvertent  
18 actuation of an RVV is the failure of the non-safety  
19 augmented direct current power system (EDAS) removing  
20 power to the solenoid trip valves for both RVVs.  
21 While this system is designated as non-safety-related,  
22 it has significant redundancy and includes quality  
23 augmentations that approach those included in the  
24 safety-related system. The NRC staff evaluated this  
25 system and deemed it sufficiently reliable to support

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 NuScale's analysis assumptions."

2 And the next section, I think -- let me  
3 read it. I think we'll wind up eliminating this. "At  
4 the time this letter report was written, NRC staff  
5 management was evaluating a staff non-concurrence that  
6 disagreed with the approach used to document  
7 acceptance of this system. We take no position on the  
8 non-concurrence. We agree with both the NRC staff  
9 management and the non-concurring staff that the EDAS  
10 design combined with the applicant's assessment that  
11 the consequence of the untimely loss of EDAS would be  
12 acceptable, even if it were to occur, is sufficiently  
13 reliable to support approval of the SDAA.

14 "In the final design certification  
15 application letter, the Committee also noted that the  
16 performance of the unique ECCS valve systems as an  
17 important risk contributor to the DRA. The Committee  
18 letter stated NuScale will perform extensive  
19 qualification testing to provide confidence in the  
20 ability of the valves to maintain their required  
21 performance after extended periods in an operational  
22 environment and concluded these additional actions  
23 should address the underlying safety concerns. For  
24 the SDAA review, residual committee concerns regarding  
25 reliable valve operation opening on demand are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 considered resolved.

2 "Helical-tube steam generator design.  
3 NuScale has continued to evolve their understanding of  
4 density wave oscillation (DWO) and its potential  
5 impact on the operation of the helical-tube steam  
6 generators.

7 "Testing and analysis. Making two  
8 adjustments reflected in the US460 design. The DCA  
9 steam generator inlet flow restrictors (IFR) design  
10 has been simplified with an IFR installed directly at  
11 each steam generator tube inlet instead of a support  
12 plate with individual IFRs for each tube attached.

13 "These will impose a suitable pressure  
14 drop for avoiding DWO within a normal operational  
15 power range. DWO conditions may still be encountered  
16 during startup, low power, and other transient  
17 operations resulting in a slow accumulation of steam  
18 generator tube damage. Rather than demonstrate the  
19 attesting that DWO conditions challenging to system  
20 components and operations could be avoided, a DWO  
21 management strategy has been adopted for the US460  
22 design. NuScale defines an approach temperature as  
23 the difference between the reactor coolant system  
24 T-hot and the main steam outlet temperature, which is  
25 directly correlated to DWO margin and established an

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 approach temperature limit curve below with which DWO  
2 onset could occur.

3 "Under the DWO management strategy, a  
4 cumulative time in conditions favorable to DWO is  
5 tracked against the technical specific limit in  
6 combination with steam generator tube inspections to  
7 ensure that the steam generator remains well-removed  
8 from unacceptable DWO-related damage accumulation.

9 "The applicant's accident analyses further  
10 address low stability concerns associated with the  
11 helical-tube steam generators, particularly under  
12 natural-circulation conditions following transients or  
13 during long-term cooling. NuScale's evaluation model  
14 incorporates a conservative bias on DHRS heat transfer  
15 performance and applies operational limits to identify  
16 and minimize operation near conditions where DWOs  
17 might occur.

18 "The staff's review confirmed that the  
19 modeling approach includes appropriate conservatism  
20 and that operational constraints, including approached  
21 temperature limits, provide further margin against  
22 instability. The Committee knows that the evaluation  
23 model supported by confirmatory analyses demonstrates  
24 that the system's stability is maintained under design  
25 basis conditions and that the steam generator design

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 supports reliable passive heat removal throughout the  
2 event spectrum evaluated in Chapter 15.

3 "Boron dilution and return to critically.  
4 To deal with the potential criticality issues  
5 identified in the DCA associated with boron  
6 redistribution dilution and stratification, NuScale  
7 incorporated additional features in the NPM-20 design,  
8 including lower, midplane, and near-top riser holes and  
9 slots and ESB boron baskets within the containment.  
10 By enhancing, mixing, and mitigating stratification  
11 that could otherwise lead to localized deboration, the  
12 design changes maintain the core in a subcritical  
13 state in event of a small break LOCA DHRS actuation  
14 and after ECCS actuation and into extended passive  
15 cooling.

16 "The Committee reviewed NuScale's  
17 methodology to evaluate ECCS and the DHRS extended  
18 passive cooling function and the effectiveness of  
19 these measures in its accident analyses as presented  
20 in Chapter 15 of the FSAR. In its methodology,  
21 NuScale used the following figures of merit (FOM) to  
22 assess performance: subcriticality, coolable  
23 geometry (boron concentration below the solubility  
24 limit for precipitation) and collapsed liquid level  
25 above the top of the active fuel.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1           "The extended passive cooling GR and  
2 analyzed it and showed that coolable geometry is  
3 retained and the collapsed liquid level remains above  
4 the active fuel pipe. And the Committee agrees with  
5 these conclusions."

6           "However, the ability to remain  
7 subcritical after ECCS actuation depends on the  
8 behavior of several core parameters of core  
9 reactivity. These include the following: initial  
10 concentration of boron present in the RCS coolant,  
11 which increases in the core region due to constant  
12 boiling; uncertainty in boron concentration return  
13 through the RRVs from containment due to concentration  
14 stratification that boron added from the ESB dissolver  
15 baskets; core cooling down substantially over a  
16 72-hour period, which adds positive reactivity; xenon  
17 peaking, then decay until 72 hours. The xenon is  
18 almost gone while samarium is increasing over the same  
19 period, and all control rods except the highest worth  
20 rod are considered inserted.

21           "It should be noted that some of these  
22 parameters that are considered beneficial to core  
23 cooling, such as lowered decay heat and lowered  
24 coolant temperatures, make it more difficult to remain  
25 subcritical.

1           "For the NPM, the most limiting  
2           criticality conditions occur at the end of cycle  
3           (EOC). It's when the RCS boron concentration at the  
4           core is near zero. NuScale's evaluation model  
5           conservatively applies cold water temperatures,  
6           worst-case control rod configurations, and low initial  
7           boron concentration to bound the minimum shutdown  
8           margin throughout this period.

9           "From all the cases analyzed, the core  
10          remains subcritical, but the margin to criticality can  
11          be relatively small. The smallest margin to  
12          criticality shown was 28 parts per million boron.  
13          This margin to criticality is within the predicted  
14          boron concentration uncertainty usually presumed in  
15          pressurized water reactors, which is typically 50 to  
16          100 ppm.

17          "Cold, off-nominal conditions usually  
18          increase the amount of uncertainty. NuScale has  
19          indicated that there are many conservatisms built into  
20          their methodology that increase the margin to  
21          criticality, such as the use of conservative  
22          temperatures in the analysis.

23          "The NRC staff also ran computational  
24          fluid dynamic (CFD) calculations that show there is  
25          additional conservatism in the NuScale boron tracking

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 model. In their analyses, the CFD calculations added  
2 approximately 180 ppm to the shutdown margin. With  
3 these conservatisms, it is shown that the core remains  
4 subcritical after an ECCS actuation.

5 "The Committee finds that the modeling  
6 assumptions are appropriately conservative. At our  
7 request, the staff indicated that future technical  
8 specifications would ensure that the boron  
9 concentration requirements necessary to preserve this  
10 margin are maintained across below cores.

11 "Source term, post-accident combustible  
12 gas monitoring. In our DCA review, we were concerned  
13 that the proposed post-accident combustible gas  
14 monitoring system would risk bypass of containment by  
15 opening a substantial sized line, yet not provide a  
16 representative sample of the containment atmosphere.  
17 Therefore, we agree that it should not receive  
18 finality and NuScale design certification.

19 "This issue has been addressed in the  
20 NuScale SDAA design by including a passive  
21 autocatalytic recombiner in each NPM to control  
22 combustible gas concentrations as per 10 CFR 50.44.  
23 The part is designed to keep the oxygen levels below  
24 four percent, preventing combustion and ensuring an  
25 inert containment atmosphere. This change supports an

1 NPM-20 exemption request from 10 CFR  
2 50.34(f)(2)(xvii)(C) for combustible gas monitoring.  
3 Additionally, the applicant has proposed GDC 41 to  
4 meet the combustible gas control intent of GDC 41.  
5 The draft SER approves these exemptions.

6 "Probabilistic risk assessment (PRA) and  
7 anticipated transients without scram (ATWS). The  
8 NuScale US460 design-specific PRA has been  
9 comprehensive in scope and in the level of detail.  
10 The scope includes Level 1 and Level 2 PRA for  
11 internal and external initiating events for both full  
12 power and lower power shutdown conditions. PRA was  
13 performed was performed for a single module and used  
14 to develop quantitative or qualitative risk insights  
15 for multiple modules.

16 "Self-assessment of the PRA was performed  
17 to evaluate components with industry standards. The  
18 Committee review focused on the design changes and  
19 their impact on the differences in the risk profile  
20 between US600 DCA and the US460 SDAA. Design changes  
21 most relevant to the core damage frequency or changes  
22 to ECCS, including reducing the number of RVVs from  
23 three to two, the addition of an eight-hour actuation  
24 timer, and the addition of redundant solenoid trip  
25 valves on RRVs and RVVS.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 "These changes result in a small reduction  
2 in ECCS reliability and consequently in a small  
3 increase in the CDF. The most noticeable difference  
4 between the US600 DCA and US460 SDAA risk profile is  
5 the significant reduction in the large release  
6 frequency (LRF). Design changes most relevant to the  
7 LRF are removal of the inadvertent actuation blocks on  
8 the reactor vent valves, addition of low reactor  
9 pressure vessel riser level ECCS actuation signal, and  
10 the addition of Venturi flow restrictors to CVCS  
11 injection and discharge lines to limit maximum brake  
12 flow.

13 "By a fast reduction in system pressure to  
14 atmosphere, these changes limit coolant loss from  
15 brakes outside of containment with failed containment  
16 isolation and allow the event mitigation without a  
17 need for operator action or inventory makeup. This  
18 eliminates the main contributors to the DCA LRF and  
19 results in the SDAA LRF to be practically negligible.

20 "Another design change with possible  
21 impact on the PRA results is the addition of a digital  
22 reactor building crane control system, which would  
23 reduce the potential for operator errors during crane  
24 operation. Due to the lack of final design details  
25 and shutdown plans and procedures, it's premature to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 analyze impacts of this design change.

2 "The Committee is in full agreement with  
3 the staff findings that the PRA is of sufficient  
4 technical adequacy to support the SDAA and that the  
5 Commission's CDF and LRF goals have been met with high  
6 margin. This being said, in order to facilitate  
7 realism in the PRA inputs to plant operational  
8 requirements and programs, we believe that a few  
9 improvements should be considered for future PRA  
10 developments. Some of these are summarized below.

11 "The additional SSCs for human actions  
12 could be discovered relative as measured to the  
13 plant-specific CDF/LRF. Risk importance measures are  
14 also used, and other importance-related questions are  
15 considered. For example, an SSC failure would  
16 increase CDF two orders of magnitude should be  
17 considered in the importance ranking, even though an  
18 underlying absolute delta CDF is less than a selected  
19 value.

20 Second bullet: "To evaluate realistic  
21 uncertainty in the results, the underlying mean values  
22 for the risk measures, the ECCS with high risk  
23 importances should receive a detailed evaluation on  
24 certainties and the applied data common cause  
25 assumptions and passive heat transfer failure

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1       likelihood. In order to justify that point estimate  
2       and mean values are identical, correlated SSCs and  
3       factors like common cause factors treated as dependent  
4       should be evaluated to assure their completeness.

5               Third bullet: "Sensitivities are mostly  
6       calculated for single factors. The combination of  
7       sensitivities are not considered. The overall results  
8       could be very sensitive to underestimating multiple  
9       factors. For example, it could provide a valuable  
10      insight to combine sensitivity to the steam generator  
11      tube rupture, initiating frequency with the  
12      sensitivity to assumptions of single tube rupture on  
13      the single steam generator.

14              "As opposite to above, a few sensitivities  
15      are calculated as big lumps by sensitivities, all  
16      common cause failures, or all human error  
17      probabilities (HEPs). It would be more valuable to  
18      know sensitivities to different common cause groups,  
19      like ECCS or DHRS, or to specific HEPs. The current  
20      SDAA PRA model does not include sequences related to  
21      concerns about the potential for boron dilution and  
22      return to criticality during ECCS operation,  
23      particularly following a LOCA or other events  
24      involving RCS depressurization and inventory  
25      redistribution.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1                   Finally, this is an insert. "While in  
2 change from the previous US600 design, one aspect of  
3 the approach used to meet the intent of the ATWS  
4 requirements is worthy of note. Specifically, the  
5 ATWS discussions in the FSAR do not cite the analyses  
6 that the applicant performed which demonstrate that  
7 the consequences of an ATWS event would be acceptable.  
8 Instead, the FSAR states that the diversity within the  
9 module protection system (MPS) is sufficient to meet  
10 the intent of the ATWS requirements.

11                   "It is unclear to us whether the diversity  
12 within the MPS would be sufficient if the consequences  
13 of an ATWS event had been more severe. For example,  
14 the assessment and diversity within the system covers  
15 only the digital portions of the MPS and does not  
16 address other aspects of design or operation, such as  
17 use of a common supply chain, potential maintenance  
18 errors, potential effects of a common environment, et  
19 cetera.

20                   "We agree that the applicant continues to  
21 meet the intent of the ATWS regulations based on a  
22 combination of acceptable consequences and significant  
23 diversity within the digital portions of the system.  
24 However, for future applications citing NuScale as a  
25 precedent, we use caution accepting diversity within



1 the MPS is sufficient to meet the intent of the ATWS  
2 requirements if the consequences of an ATWS event are  
3 more severe.

4 "As stated in our design certification  
5 letter, the PRA should be updated at the COL stage to  
6 appropriately reflect the risk of boron dilution  
7 events, including associated operator actions. Risk  
8 insights would be better supported when the design is  
9 completed and the COL items are addressed, ITAAC items  
10 are closed, and the plant-specific PRA are completed  
11 before fuel load, including a human reliability  
12 analysis based on natural plant procedures and  
13 experience gained during operator training and plant  
14 simulator exercises.

15 "Subject to the above notes, we conclude  
16 that the results of NuScale's full-scope PRA for the  
17 internal and external events indicate that the NuScale  
18 US460 design will meet the Commission's goals for CDF  
19 and LRF with significant margin.

20 "Summary. The NuScale's small modulator  
21 reactor described in the SDAA is a natural-circulation  
22 pressurized water reactor that incorporates the unique  
23 design and passive safety features, providing enhanced  
24 margins of safety and long coping times without  
25 operator intervention. There is reasonable assurance

1 that in can be constructed and operated without undue  
2 risk to the health and safety of the public. The NRC  
3 staff's final SER for the NuScale US460 SDAA should be  
4 issued. A standard design approval for NuScale US460  
5 application should be issued.

6 "NuScale SDAA is a complete,  
7 well-documented application backed by validated  
8 methodologies and extensive experimental testing.  
9 With the completion of ITAAC, we expect that a license  
10 application based on this comprehensively reviewed  
11 SDAA should be to an expedited review. And we are not  
12 requesting a formal response from the staff to this  
13 letter. Sincerely."

14 Thank you.

15 MEMBER HALNON: So take a break?

16 CHAIR KIRCHNER: Take a break.

17 (Laughter.)

18 CHAIR KIRCHNER: Or a drink of water.  
19 Just an observation, and it's at least painfully  
20 apparent to me reading the letter, it's too long and,  
21 in my opinion, can be significantly condensed and  
22 still transmit the message, at least in this member's  
23 opinion. I can be incorporated in the conclusions and  
24 recommendations.

25 I thank those who gave me input, and with

1       that, I think we should take high-level comments from  
2       members first and proceed from there.

3               MEMBER PETTI:   Well, I have one or two.  
4       I have about five or six.

5               CHAIR KIRCHNER:   And I note one thing,  
6       too, also.   We have input from NuScale, and we can  
7       capture that in the line by line, number of  
8       corrections.

9               MEMBER PETTI:   The first yellow section on  
10      EDAS, I think we have to shorten it based on what we  
11      heard today, something that I think we could do before  
12      we get to line by line.   We have the sentences in  
13      there from the previous review about testing, that  
14      they have completed the testing and we don't have to  
15      -- I don't want to throw it all away.   I want to keep  
16      that because I think --

17              CHAIR KIRCHNER:   Right.

18              MEMBER PETTI:   -- that that's important.

19              In the source term, there's a sentence in  
20      there about the exemption has been approved, but I  
21      gather it really hasn't.

22              CHAIR KIRCHNER:   It hasn't.

23              MEMBER PETTI:   Can't do that, so we got to  
24      get rid of that.   I thought I saw some edits from Tom  
25      that really reduced the whole ATWS section, so I think

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 that is worthwhile considering.

2 And the PRA section, it seems like we  
3 picked up stuff from the previous letter that you have  
4 it highlighted in yellow. I think it --

5 (Simultaneous speaking.)

6 MEMBER ROBERTS: Yeah. That was actually  
7 a placeholder.

8 MEMBER PETTI: -- be consistent with where  
9 we are today. Finally, the last sentence before the  
10 end of the letter is that they meet CDF and LRF with  
11 sufficient margin. I think sufficient is the wrong  
12 word. I would say extensive, ample, but it's large  
13 margin.

14 CHAIR KIRCHNER: Yeah. I may not have  
15 read it correctly. Significant margin.

16 MEMBER PETTI: Significant. I think if we  
17 attack those brief things, we'll be in better position  
18 for going at it line by line. I just note that you  
19 used font 14. If you used our font 16 standard, we'd  
20 be at over 500 lines. This is a lot.

21 MEMBER HALNON: You took my last comment.

22 (Laughter.)

23 MEMBER HALNON: I agree with Dave. For  
24 the court reporter, this is Greg. I don't think that  
25 I was in this morning's meeting.

1           The PRA stuff, it seems like we  
2 intertwined some of the generic stuff that we're  
3 looking at in a couple weeks or a couple meetings from  
4 now. And I think it felt like we were saying that PRA  
5 is not quite good enough because we have these generic  
6 issues. I think we can mention and draw down and say  
7 that we're still looking at some generic issues that  
8 may impact the next PRA but not necessarily make it  
9 sound like it's not out there, especially since with  
10 we kind of embedded a recommendation to better or to  
11 make it include other items during operating  
12 licensing.

13           I came away from that listening to the  
14 reading of it, and I had not digested it, but reading  
15 it made it sound like it was. We've had a couple of  
16 licensees or applicants come in with stuff like that.

17           (Audio interference.)

18           MEMBER HALNON: We could mention it  
19 without going to too much detail. I don't know we  
20 could. It probably came from you and Vesna.

21           MEMBER BIER: Well, it may have come from  
22 Vesna. I don't think the wording came from me. I  
23 think --

24           CHAIR KIRCHNER: It came from Vesna.

25           MEMBER BIER: Okay, thanks. I think

1 there's two separate issues. The thing about, well,  
2 if this thing causes a two order of magnitude  
3 increase, it should be considered significant, that  
4 one, we may want to table and say, you know, the  
5 Committee is looking at how to treat these and may  
6 have a recommendation generically in future or  
7 something.

8 The part about, like, mean value versus  
9 point estimate and make sure you have the correlations  
10 accounted for, that's just a fact. I mean, that's not  
11 a Committee opinion really, so I don't mind keeping  
12 that in, that the PRA should be careful about  
13 addressing this.

14 MEMBER HALNON: Okay. Yeah, I thought  
15 that you were going to talk about those other issues  
16 in much more detail.

17 MEMBER BIER: Yeah.

18 MEMBER HALNON: -- coming up.

19 MEMBER SUNSERI: This is Matt. I have a  
20 couple of thoughts. They probably aren't all that  
21 helpful, but I'm going to say them anyway. I think  
22 the letter is too long. I agree with that but maybe  
23 for a different reason. There's so much technical  
24 detail in it, it reads to me like a safety evaluation  
25 report, like the SER that the staff does. Got a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 section by section breakdown.

2 And to me, while it's technically  
3 accurate, it seems to me it dilutes our kind of review  
4 that is supposed to be at the key issues, like ample  
5 margin on a PRA. Minimal operator actions, good use  
6 of passive features to maintain safety, these are the  
7 things that make NuScale different from the other  
8 things we use. And to me, it just gets all lost in  
9 all the technical breakdown.

10 To me, it's not a matter of just going  
11 into each one of these paragraphs and condensing them  
12 and taking out half of the technical detail, but --

13 MEMBER PETTI: You're basically arguing  
14 whether we need the subsections at all.

15 MEMBER HARRINGTON: You might be able to  
16 take that whole discussion section, make it an  
17 appendix or something, and just have a five-page  
18 letter just going over the, you know, passive safety  
19 features, minimal operator actions, big PRA margin,  
20 you know, the four or five key things. I don't know.

21 MEMBER PETTI: One of the design choices  
22 they made that you now see, as safety analysis  
23 reflects, and that's what you're kind of saying is you  
24 missed that. And we'll work it into the introduction  
25 and background, but I appreciate your perspective.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1                   MEMBER    SUNSERI:           It's    just    one  
2   perspective.

3                   MEMBER BIER:   Yeah.   I kind of agree with  
4   Matt.    I mean, I wouldn't even describe it as a  
5   high-level comment, maybe a zeroth order comment. As  
6   I was listening, when we got to the discussion, I  
7   thought the discussion was going to be a reflection of  
8   what had come before. And instead, the discussion  
9   went kind of on and on and launched into all these  
10   topics that had not really been highlighted earlier in  
11   the letter.

12                   And so I don't know whether it makes sense  
13   to move the whole discussion to an appendix or whether  
14   we have to kind of be selective and maybe pick a few  
15   parts that we think are important enough to keep in  
16   the body of the letter.

17                   MEMBER PETTI:    So I think the real  
18   question is we all wanted to tie it back to the  
19   previous review and show how each of our previous  
20   issues had been closed out, and that's why I think it  
21   is what it is. Should that be the objective of the  
22   letter, I guess, is really what I'm hearing.

23                   MEMBER HARRINGTON:   Well, I mean, you  
24   won't get me arguing against closing the loop. I like  
25   closing the loop. We're on the record, and so we got

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1 to close the loop.

2 I mean, this is like a new design,  
3 though, right? We want to say for this reactor as is  
4 being designed, these are the key reasons why we think  
5 it's safe or that we see as safe, whatever. And the  
6 rest of it is just technical detail. That's a  
7 superficial comment. The technical detail is  
8 important. That's why we're here, right? But, you  
9 know, it's not key, the essential points that we want  
10 to make. We can close the loop whether patching it or  
11 appendix. I don't know how to do it. I'm just kind  
12 of thinking out loud here.

13 MEMBER HALNON: This is Greg. When you  
14 say closing a loop, it sounded like we had some  
15 unfinished safety questions from the DCA. The DCA is  
16 issued. We concluded it was safe to issue.  
17 Therefore, there shouldn't be any loop closure. It  
18 should be --

19 CHAIR KIRCHNER: The staff had carveouts  
20 and we identified, I would say, just concerns is maybe  
21 a better way to put it. Just, you know, for  
22 background, it's probably useful because we have so  
23 many news members to just revisit what happened.

24 We were proceeding almost at lockstep with  
25 the staff as it went through its first review of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 DC application, and that was chapter by chapter, and  
2 we were kind of locked in to SER chapter by chapter.  
3 And we made a decision after that first pass through.  
4 The staff was issuing SER chapters with open items,  
5 and then the process they were using, they were going  
6 to revisit each chapter and close out the open items  
7 to get a finished product.

8 We decided not to do that. That's when we  
9 adopted the approach of saying, "What are the  
10 safety-significant issues in this review that the  
11 Committee should concern itself with and devote time  
12 to?" And those were items identified with EECS valve  
13 performance, steam generator tube integrity, boron  
14 dilution, this matter of how in the DCA they were  
15 proposing to do post-accident containment atmosphere  
16 sampling. And then the overall PRA results.

17 So those were the five focus areas we  
18 identified, and when we did our second pass, we did  
19 look at the chapters for closing out of open items,  
20 but we focused most of our attention on those five  
21 technical areas, so to speak. And some of them were  
22 -- open is not the right way to describe it, but from  
23 the DCA, there were concerns identified.

24 So there was the mention of carveouts, so  
25 there were a few areas, including the steam generator

1 and its integrity, that were carveouts in the DCA  
2 review by the staff where the staff and the applicant  
3 agreed that further effort was needed. For example,  
4 one was ECCS valve testing. So by and large, that's  
5 been completed. There were some changes in the valve  
6 designs. You heard about the IABs being taken off to  
7 the valves.

8 So they've done that testing. They've  
9 done further testing on the steam generator since the  
10 DCA, and then they obviously made several important  
11 design changes to address the issue of boron  
12 distribution and potential dilution in a number of the  
13 transient scenarios, small break and cooldown ECCS  
14 actuation.

15 So the message I was trying to convey was  
16 that significant important design changes were made by  
17 the applicant, not by us, but the applicant deserves  
18 the credit for taking initiative and completing those  
19 testing programs that they had committed to, as well  
20 as making a number of design changes that improved the  
21 performance and took questions off the table, if you  
22 will, from the DCA review to where we are now.

23 So I tried to approach the letter from  
24 that perspective and address in the background -- and  
25 the reason I put most of the design changes in the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 background, again, is these are changes that the  
2 applicant made, improvements and design choices. They  
3 were not the Committee's choices. The applicant  
4 deserves the credit for implementing those and  
5 completing the testing and such. They changed their  
6 approach on the steam generator. They changed the  
7 design as well on the inlet flow restrictors and such.

8 So I was trying in the letter to capture  
9 the significant deltas in the design changes from the  
10 DCA, credit the applicant where due, and then try and  
11 close the loop in terms of what does this mean in  
12 terms of improving the safety of the design? And I  
13 think these, putting aside the PRA results changing,  
14 their changing, we're up there with vary significant  
15 margin to the Commission's safety goals as far as the  
16 PRA results.

17 So we can get into the weeds on the PRA,  
18 but the bottom line is that they have demonstrated  
19 significant margin to the safety goals. I was putting  
20 more of my thought and attention and words -- too many  
21 words, I think -- into how they implemented design  
22 changes and how that improved the overall design of  
23 the plant.

24 So in that sense, I was closing the loop  
25 on where we had left off on the DCA where there were

1 --

2 MEMBER PETTI: Walt, it's only 150 lines  
3 before you get to discussion.

4 CHAIR KIRCHNER: Yeah.

5 MEMBER PETTI: So I don't think that  
6 background -- that's all right where you talk about  
7 it. It's really, I think, the discussion is what is  
8 almost 300 lines. Twice as long as the background.

9 And maybe the answer is moving it to an  
10 appendix, but it has a lot of --

11 (Simultaneous speaking.)

12 CHAIR KIRCHNER: Well, most of this  
13 material came from our chapter memos.

14 MEMBER PETTI: Memos.

15 CHAIR KIRCHNER: So it's there, and some  
16 of them might have additional information that we've  
17 received in the last week. Might warrant being  
18 revised and updated to capture that information.

19 My own sense is, again, I took your input,  
20 so each of these sections under discussion could be,  
21 perhaps, condensed if not made much more succinct.  
22 This is what changed, and this is the impact primarily  
23 in terms of the safety analysis results.

24 MEMBER HALNON: Sorry. Sandra, if you  
25 just go up to 163 real quick, and I'll just give you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 an example of what at least I perceive as being able  
2 to do.

3 So 163 starts the ECCS valve performance.  
4 That first gives you background, what it is, how it  
5 works, what it does. That second paragraph -- go up  
6 to 174 -- that paragraph is really all that's  
7 required. I don't even know if you need to go as far  
8 down as TRACE and all that stuff. When you get down  
9 to that point where it said, "The applicant's accident  
10 analyses appropriately --" this is 180, "--  
11 appropriately reflect the changes made to the ECCS 460  
12 design," what more do we need to say?

13 In my mind, it could be --

14 CHAIR KIRCHNER: You could collapse it.

15 MEMBER HALNON: You could collapse it down  
16 and start with the end of line conclusion of what do  
17 you need to make that conclusion clearer. And then  
18 the rest of the stuff, if you want to put it -- that  
19 probably in the DCA application. I just don't know if  
20 we need to do a tutorial on how the systems work in  
21 order to be able to say the conclusion. I'm not  
22 suggesting we edit it right now. It was just an  
23 example.

24 The portion of the tube steam generator  
25 tube design, we have flow restrictors were installed.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 I mean, what's the delta? The flow restrictors being  
2 pushed the temperature curve, whatever you call that.  
3 And then the accident analysis further addresses the  
4 stability.

5 MEMBER PETTI: The boron section is very  
6 long. There is a lot going on.

7 MEMBER HALNON: Yeah. So I think there's  
8 a lot of information that's -- I don't want to say  
9 redundant, but maybe is --

10 CHAIR KIRCHNER: Extracurricular.

11 MEMBER HALNON: -- low-level of detail not  
12 necessary to support the conclusion.

13 CHAIR KIRCHNER: Let me go around the  
14 table and get input. I'll start with Craig. Craig,  
15 you looked at the ECCS containment, their systems.  
16 The ECCS valve performance, what would you consider  
17 the key takeaway or message that we want to convey  
18 here?

19 MEMBER HARRINGTON: To me, the big piece  
20 there is the closing the loop part to the DCA.  
21 There's a connection from that to PRA issues as well.  
22 To Greg's point, when we started talking about this,  
23 I looked at that section, and the first paragraph is  
24 just something that, yeah, it explains how the system  
25 works, but we really didn't do that in this letter.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 I don't think we do.

2 So kind of agree with Greg's comment about  
3 that, that much of the rest of this could go away. We  
4 might want to keep some form or fashion something  
5 about the greater likelihood of an RVV actuation with  
6 the removal of the IABs and how that ties in with PRA,  
7 but that may not be all that critical, and it  
8 certainly doesn't go with closing the loop to the DCA.  
9 Yeah, a lot of that could come out.

10 Same with the steam generator part. Maybe  
11 we can just succinctly state that these were made to  
12 better manage that issue, the DWO issue, and --

13 MEMBER BALLINGER: Yep.

14 CHAIR KIRCHNER: What do you think, Ron,  
15 on the steam generator?

16 MEMBER BALLINGER: I was wondering that  
17 there are two sets of things that happened between the  
18 DCA and the SDAA, and that is issues related to  
19 safety, the boron dilution, da-da-da, those resulted  
20 in changes of the design. But there's another set of  
21 changes to the design that were simply made to go from  
22 X power to Y power.

23 MEMBER HARRINGTON: Yeah.

24 MEMBER BALLINGER: And I don't think we  
25 need to say anything about that. I would focus on the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1 first set.

2 MEMBER HARRINGTON: Maybe a statement that  
3 that was done.

4 MEMBER BALLINGER: Yeah, yeah. But you  
5 could shorten it up. And that should be reflected in  
6 the conclusions and recommendations, which they're  
7 not. I mean, they're way general. It's a great  
8 thing, we should do it, and all that stuff, but we  
9 really went round and round and round, and the staff  
10 went round and round and round on some of the issues  
11 with the DCA.

12 I don't know. I just wondering whether we  
13 can shorten it up quite a bit by focusing on the  
14 issues that were brought out in the original design,  
15 which they addressed.

16 MEMBER BIER: Yeah. I think I would agree  
17 with that. I mean, certain things like including the  
18 Venturis, it gives a very concrete idea of that the  
19 changes to improve safety were significant, they were  
20 just causing it occur, you know, pencil whipping or  
21 whatever, and the power issue is not really directly  
22 related to safety other than, yes, they appear to have  
23 done it correctly or whatever.

24 MEMBER BALLINGER: I mean, the materials  
25 changes were because they needed to go from one power

1 to another.

2 MEMBER ROBERTS: The EDAS issue was  
3 documented in two relatively long paragraphs because  
4 it took months to get to a conclusion, which I think  
5 we heard a conclusion this afternoon. I'm not  
6 entirely sure that the non-concurrence has been fully  
7 resolved, but it sounds like there's a resolution  
8 that, at least to me, makes perfect sense. For us to  
9 spend a lot of time on something that's not really a  
10 safety issue, it took us a better part of a year to  
11 get to that conclusion, it maybe doesn't warrant any  
12 mention in the letter at all.

13 MEMBER BALLINGER: That discussion might  
14 result in a precedent being set.

15 (Simultaneous speaking.)

16 MEMBER ROBERTS: Yeah. I don't know. The  
17 non-safety with important safety --

18 (Simultaneous speaking.)

19 MEMBER BALLINGER: Yeah.

20 MEMBER ROBERTS: -- or whatever. I don't  
21 know if that's something that's a precedent or just  
22 part of engineering.

23 MEMBER PETTI: May I ask on a question on  
24 the PRA? Is this the first application that we've  
25 seen, the PRA was quote, used, in the design process.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

www.nealrgross.com

1 Did AP1000 use a PRA in the design process?

2 MEMBER DIMITRIJEVIC: Well, everyone did.

3 MEMBER PETTI: No. I mean the legacy  
4 fleet. The legacy fleet doesn't. I'm talking about  
5 the new ones. They have to do. Is this the first  
6 one? I'm not --

7 MEMBER DIMITRIJEVIC: I don't know in the  
8 new process, Dave, but everybody uses PRA to extend  
9 advanced reactors in the design. I would not any say  
10 this was extensively the other issues, the things  
11 which brought some of those changes, because those  
12 scenarios didn't exist in PRA and they still don't,  
13 you know, boron dilution and that. And in general,  
14 issues did not come from PRA, so I mean, you know.

15 But on that perspective, there is nothing  
16 really, you know, special here compared with, you  
17 know, my other experience with advanced reactors. My  
18 main goal in the PRA, so they have low numbers, right?  
19 We should always be uncomfortable with low numbers  
20 because they cannot be realistic. They are often not  
21 realistic. I don't want to say they cannot be  
22 realistic. There is a lot of things that I'm not  
23 really totally 100 percent comfortable, and that's  
24 because I have not looked in thermal hydraulic  
25 analysis behind that.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1           The thing is, like, for example, this  
2           plant cannot have LOCA site containment, which is, you  
3           know, unheard in the industry because it depressurize  
4           fast enough. What does it mean fast enough? What has  
5           to be done to that to be succeed? The things like  
6           that stay in the air, but for example, steam generator  
7           tube rupture is not suddenly -- I apologize for  
8           NuScale. I know it's a failure. But it's I'm so used  
9           to the steam generator tube rupture.

10           So in general, the tube failure is not  
11           really important so much because it does not lead to,  
12           you know, the loss of coolant outside of containment  
13           because it depressurize fast enough, it basically is  
14           no event.

15           So there is a lot of assumptions made  
16           here. My main point in the PRA was this is very big  
17           PRA, a lot of details, but somehow, in the end all of  
18           these should fit together. They miss a lot of points  
19           that will leave anybody who reviews that PRA, who has  
20           a lot of experience, slightly uncomfortable.

21           What made me uncomfortable is that, for  
22           example, you know, ECCS valves, those are like the  
23           most dominant thing in the risk. Those are new  
24           valves. We have to assume their failure rates because  
25           there is no industry data on them, and we can still

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 assume common cause factors for them.

2 So now we assume -- I don't really know  
3 because that's a multi-factor, and I did not look in  
4 details, but I have a feeling approximately seven out  
5 of 100 failures between those valves will be from  
6 common cause. And I have a feeling that that's really  
7 optimistic. If these valves fail, there is a high  
8 chance that they will fail from common cause. These  
9 make them fail in these situations.

10 So there is a lot of assumptions we should  
11 make because it's a new plant and we have so many new  
12 design features, which should be kept in mind. With  
13 data sensitivity, they say all common cause factors  
14 increase to 95, so we don't really know is it from  
15 failure, is it from common cause factors, is it decay  
16 heat removal system?

17 I am very interested in importance of  
18 decay heat removal system, which through all this  
19 discussion I could not really figure out, because  
20 obviously, decay heat removal system was very  
21 important to prevent a LOCA outside containment. And  
22 I had a feeling was important also to prevent these  
23 boron events, but that prevented that, you know, that  
24 things like the looking at this make us thinking that  
25 this thing said okay.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 But if you just change a little in the  
2 sensitive places, you just take a little bit,  
3 suddenly, you can be ten to minus seven. And then  
4 suddenly not everybody will say, "No, that's still  
5 good. It means the goal." But they will not say,  
6 "Oh, okay. Now we don't have to worry about  
7 anything," because it's not true. You should have  
8 important assumptions. You cannot say, "Oh, you know,  
9 in ten to minus nine, nothing is important." That's  
10 not the good engineering.

11 You should really look in detail. So when  
12 I was writing, and I wrote only two pages, I really  
13 didn't really, you know -- I tried to keep that as  
14 small as possible. I wasn't writing to the -- I don't  
15 even know who we writing. I was writing for the  
16 future people when they completing these things,  
17 saying, "Hey, look at the sensitivity combinations."  
18 Don't say something is sensitive to something and then  
19 don't have that considering the uncertainty approach,  
20 and make sure that this is true that no human actions  
21 are important and not any other system are important  
22 even they are providing certain defense.

23 My letter was for the future NuScale  
24 analysts. It wasn't just for Commission to say that  
25 we agree with this SER because I don't think there is

1 the doubts we are here. We are going to prove it in  
2 this meeting.

3 Also, when come on the length of the  
4 letter, okay, we decide in some moment in one thing  
5 the shorter letters are better because they get to the  
6 end or that it's easier for us to write them or  
7 something, you know. If we have to say something, I  
8 think that the letter limits should be the issue. If  
9 we are repeating some things which are known, we  
10 definitely should cut on those. That's my --

11 MEMBER HALNON: The issue was not the  
12 length; it was the dilution of the important points,  
13 not necessarily the length. It could be a  
14 thousand-page letter as long as the important points  
15 are hit, not put in with a bunch of other stuff.

16 MEMBER DIMITRIJEVIC: All right.

17 MEMBER HALNON: I agree with you, though.  
18 You don't strive for shortness. That's not the way.  
19 It's clarity and completeness is the goal.

20 MEMBER DIMITRIJEVIC: All right. Maybe  
21 then we should in this big picture decide what are our  
22 important points and make that those are made.

23 MEMBER HALNON: Yeah. I think we're  
24 probably dancing around that exact point. I did have  
25 one question though for you. Help me understand the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 difference between a very important portion of the PRA  
2 and very important to safety when we're dealing with  
3 very low numbers. Is there a difference there?

4 I realize you cut the grass, there's  
5 always going to be one blade that's higher than the  
6 rest. That's the most important. You got to go back  
7 and get that. But when it's way far from the safety  
8 goal or whatever threshold you want to call it, is  
9 there a difference between very important versus very  
10 important to safety?

11 MEMBER BIER: Let me try and respond to  
12 that, and it may not be the same as Vesna's response.

13 MEMBER HALNON: She'll correct you.

14 (Laughter.)

15 MEMBER BIER: Yeah. She'll say. Yeah.  
16 But I mean, I think part of it is it kind of relates  
17 in a way to what Vesna was talking about of what's  
18 good engineering practice, because if the total risk  
19 is extremely small, it may be that those few tallest  
20 blades of grass are not significant from a public  
21 health and safety point of view.

22 But I think as a risk manager or a plant  
23 manager or whatever, you still want to know which  
24 things should I be the most concerned about, which  
25 things should I be looking out for or tracking over

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1 time or investing in. And it kind of answers that  
2 question of, yeah, your plant looks very safe from  
3 what we can see now, but that doesn't mean, like,  
4 okay, you're done. Hands off, walk away, and don't  
5 look at it again.

6 So that would be part of my answer, but  
7 Vesna, I'm curious to hear what you would say.

8 MEMBER DIMITRIJEVIC: I mean, you know,  
9 the reason, you know, safety and non-safety and  
10 important, not important, I don't really know that  
11 safety was. I was listening carefully to many things  
12 through my Committee meeting to figure out exactly how  
13 the safety versus non-safety is determined. That's  
14 not PRA. PRA is an important, not important because  
15 that safety, you know, you don't write. Either you  
16 satisfy whatever deterministic requirements to be  
17 categorized as safety or non-safety.

18 Now, important for safety, it comes from  
19 how much it contributes to the risk. And so it could  
20 be, you know, like for example. I'm not sure how this  
21 works in the practice, but we don't really have too  
22 many safety system. That mean this plant can operate  
23 without all of those system for very long time because  
24 work with the tech specs, you know, charging on the  
25 other parts which are non-safety, you know, the DC

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 power or something like that.

2 So it basically, this plant will be  
3 totally fine without non-safety system. When it comes  
4 to the --

5 MEMBER HALNON: I wasn't talking about  
6 classification. I was staying strictly in PRA space.  
7 Important versus important --

8 MEMBER DIMITRIJEVIC: All right. Well,  
9 the report tells you including plants if it  
10 contributes to the half of the percent to the risk,  
11 then it's important, and if it is remove, it will  
12 increase risk twice is important. Here, those things  
13 are changed, so if it contributes 50 percent to this,  
14 it's important.

15 And it is dependent on how much  
16 contributes to the risk and how much will risk  
17 increase if it fails or if it's not in operate.

18 MEMBER HALNON: I guess the question was  
19 more if you start with a threshold like this and  
20 adequate safety sign, and you're decades and decades  
21 below that in your numbers, why can't we let it stay  
22 decades and decades below that, say, that's okay  
23 space, as long as --

24 MEMBER DIMITRIJEVIC: You know, Greg,  
25 nobody uses these things. I mean, it's not really

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 that the design plant. This 10 CFR 50.59, it's, you  
2 know, forbidden and unfortunately not used. This  
3 plant has nothing important other than ECCS and, you  
4 know, ultimate heat sinks and reactor vessel and  
5 containment which every plant is important.

6 So it's not that this importance has any  
7 meaning in the plan design. I mean, you know.

8 (Simultaneous speaking.)

9 MEMBER HALNON: Yeah. I understand good  
10 engineering practice, at least judgment and looking at  
11 things like that, knowing what's the most important.  
12 But you connect that up with having to put words on a  
13 paper that translate into a supply chain, a cost, and  
14 a program, and everything else down the road, and you  
15 have to assess, at least in my mind, the cost of that  
16 versus the ability to say you're way below the line  
17 from the standpoint.

18 And we shouldn't have to worry about it  
19 because we designed this plant with such safety margin  
20 that it did that so we don't have to worry. We design  
21 everything such that we worry about everything. We're  
22 never going to get there.

23 I guess that's the discussion down the  
24 road, I guess, when you got to get to the PRA  
25 discussion. You know, mathematically, I get it.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 Conceptually, I get it. Practically, it doesn't work.  
2 So it's just me.

3 MEMBER DIMITRIJEVIC: Okay. Well, there's  
4 one other thing which I just want to tell you that you  
5 should keep in mind. Safety, non-safety, this is  
6 where your price gets it. Important and not  
7 important, that doesn't really put price to the level  
8 safety but the sort of dedicated application which  
9 nobody really is used so far in this industry, and  
10 nobody really knows what price of that is.

11 So I don't think the PRA in this plant  
12 definitely didn't contribute for anything because  
13 anything is important. Anything is not important, but  
14 eventually will contribute to something which will be  
15 between safety classification and non-safety  
16 classification sort of dedicated probably tasks to  
17 show the reliability and things like that.

18 MEMBER HALNON: Well, I get the insights  
19 from PRAs are important, but we're either going to use  
20 them or we're not. And in this situation, I would say  
21 that I didn't even need a PRA. I could have told you  
22 the ECCS is probably the most important piece. I  
23 could have told you from a deterministic perspective  
24 that EDAS is an important system, but it doesn't have  
25 to be safety-related. I could have told you all that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 stuff, and we don't even need to spend the money on a  
2 PRA. Well, to just do the PRA, then suddenly say it  
3 doesn't matter what it says, I think this is  
4 important. Main insights.

5 MEMBER DIMITRIJEVIC: I did not hear you,  
6 Greg. What system you were talking about?

7 MEMBER HALNON: Well, I could have told  
8 you without the PRA that the ECCS system is in just  
9 about every nuclear plant, if not all of them, are one  
10 of the most important systems. So I --

11 (Simultaneous speaking.)

12 MEMBER DIMITRIJEVIC: Well, PRA must have  
13 done --

14 MEMBER HALNON: I didn't need the PRA to  
15 tell me.

16 MEMBER DIMITRIJEVIC: Yeah. Very good.  
17 So let's cancel Chapter 19. I mean, if PRA was done  
18 to tell you what system is important, I mean, Chapter  
19 19 is a part of FSER. What in the 53 to be done  
20 without PRA?

21 MEMBER HALNON: Without PRA? I don't know  
22 if I'd need Chapter 19 if we did the PRA. Oh, never  
23 mind. Let's move on. Again, we're philosophically  
24 talking at this point. Trying to get through this.  
25 Trying to give Walt time to read and make decisions.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 (Laughter.)

2 MEMBER ROBERTS: And Greg, I have maybe a  
3 slightly different answer to what you asked and Vicki  
4 or Vesna. So when I look at the ATWS risk, they have  
5 covered it with a reliable protective system and a  
6 plant that can withstand the loss and scram. Each of  
7 those is robust. How robust are each of those?

8 If you look at the design of the  
9 protective system, it's a single platform, which is  
10 very well designed by a single designer subject to  
11 whatever common cause failures you can dream up for a  
12 common platform. Not all of those have been covered  
13 by the design because it's probably also covered by  
14 the design.

15 So you have an estimate of what the  
16 failure rate might be. You might estimate ten to the  
17 minus eight and that wouldn't be a believable number.  
18 You might estimate ten to the minus five. That might  
19 be a believable number. I don't know. But there's  
20 some scenarios that are going to cause a common cause  
21 failure of a single platform, whereas the NRC table  
22 but the conclusion 40 years ago that you can't ever  
23 count on a common platform. You have to have a second  
24 platform unless the plant could withstand the event.

25 Well, in this case, the plant could

1 withstand the event, so the fact that there is a  
2 highly reliable platform is, you know, basically  
3 gravy. So you could do the analysis and say, well, if  
4 I'm wrong there, no big deal, that the plant is a  
5 plant. Great, good performance.

6 If you had a different plant where you had  
7 your ten to the minus eight model protective system,  
8 but the plant, if it failed, you would go to a  
9 catastrophic state so now you have ten to the minus  
10 eight as your CDF or your LRF, whatever parameter, you  
11 might think that's great. That's well under the  
12 goals. But if you're wrong about the protective  
13 system reliability, you know, that caused quite a  
14 different area.

15 So that's where if you were looking at  
16 these relative statistics, then that will give you  
17 some insights. And yeah, if I'm wrong, you know, I'm  
18 in a place I don't want to be, so maybe I'll go  
19 redesign something else in the plant.

20 MR. HANLON: It sounds all great until you  
21 start actually drawing out what ten to the minus eight  
22 looks like, ten to the minus five. I mean, there's  
23 lots of zeros there.

24 MEMBER ROBERTS: Yep.

25 MR. HANLON: And if you can't believe that

1       there's seven zeros, that's too many, I can't believe  
2       that. Five zeros, I can believe. I don't get it.  
3       From an operator perspective, my mind doesn't go  
4       there. Mathematically, I get it, but practically, it  
5       doesn't make any difference.

6               MEMBER ROBERTS: Right. And historically,  
7       the deterministic requirement is you have a protective  
8       system that's diverse in totality, a diverse system,  
9       or a plant that can withstand it. Here there's kind  
10      of a middle ground.

11             MEMBER HALNON: Well, I just have to --

12             MEMBER ROBERTS: And a middle ground may  
13      be perfectly reasonable, particularly since this  
14      middle ground is a pretty strong case.

15             MEMBER HALNON: I'm just asking if  
16      something comes out ten to the minus eight, just leave  
17      it and move on. If it's ten to the minus five, let's  
18      leave it and move on. But don't sit there and say  
19      it's ten to the minus five in this case, and I believe  
20      it, and ten to the minus eight, but I don't believe  
21      it, so do it anyway. It doesn't make any sense to me.  
22      Either we're going to do it and believe the PRA. It's  
23      low-risk, lots of margin, let's move on. Or we're  
24      going to --

25                       (Simultaneous speaking.)



1                   MEMBER DIMITRIJEVIC: Okay. I not feeling  
2                   great, so I shouldn't defend the PRA, but, you know,  
3                   this is a very specific plant. It's a passive plant,  
4                   and it has features which we are not familiar with.  
5                   I can give you many an examples in the current fleet  
6                   where there is no way that people could predict what  
7                   is the safe system, you know, most important system,  
8                   you know. Like, nobody will say the Seabrook most  
9                   important system is service motor or component  
10                  cooling, which are not even safety systems.

11                  So the thing is that PRA brought some new  
12                  insights discovering these hidden, you know,  
13                  dependencies. Everybody says these generators are  
14                  important, but nobody says service motor is important  
15                  because it cools them or the service motor cools the  
16                  ECCS in Seabrook, which is important for the still  
17                  LOCAs. Things like that are discovered in the complex  
18                  system through the PRA models. I just saying they're  
19                  not really used as much in risk informed application,  
20                  and that's a pity.

21                  Here this is very specific plant relying  
22                  on the passive features, and there is, you know, not  
23                  too much to say. However, those passive features are  
24                  new. We don't have experience. We don't have a  
25                  failure data. We have to learn about that.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1                   MEMBER MARTIN: I can't help but think,  
2                   you know, our jobs should be easier than what we're  
3                   talking about because we're beginning with a design  
4                   that was already approved. Now, some of the things  
5                   that we're critiquing, you know, really go back before  
6                   that, correct?

7                   And then maybe to your point in the  
8                   letter, our methodology, the delta, if we just kind of  
9                   proceed through the deltas and, like, for PRA, are we  
10                  more reliable? You know, those kind of questions that  
11                  were before us as what NuScale has shown us the last  
12                  two years was just, you know, farther away from, you  
13                  know, the threshold they had before in a good sense,  
14                  you know. When it comes to a common A, the power  
15                  uprate, you know, Ron, like I said, we don't need to  
16                  have a lot of that stuff in there.

17                  They provided more evidence on, you know,  
18                  at least in Chapter 15, in deterministic sense that,  
19                  you know, we can say, well, that wasn't there before,  
20                  but now it's now there. And, you know, we like that.  
21                  I think focusing on the deltas gets us through the  
22                  letter, and maybe in that sense, we could filter out  
23                  that it wasn't as important and bring it down by 30  
24                  percent, 25, 30 percent. I think our target is a  
25                  specific number of lines.

1 MEMBER PETTI: But again, to what end?

2 MEMBER SUNSERI: I think the delta review  
3 is a good way to get through the material. But from  
4 our perspective, making a safety statement about this  
5 particular plant, I think it has to be comprehensive.  
6 I think, you know, Dave or Greg or whoever is saying,  
7 we should come out strong on the four or five things,  
8 whatever they are, three, and make this plant safe,  
9 passive designs and all that stuff.

10 Sure, the passive cooling only works if  
11 the ECCS valves couple the system, so that's something  
12 that needs to happen, but, you know, the fact that we  
13 learned that through a delta review doesn't take away  
14 from the fact that that is part of the big picture,  
15 right?

16 I go back to my original statement. I  
17 just lose the big picture the way the letter is  
18 constructed. We had something up front that said,  
19 "Here's why this plant is safe," and then the rest of  
20 the letter supported those four things and then  
21 there's technical detail that's important to have but  
22 not directly related, put it an appendix or knock out  
23 it or whatever we want to do. But, you know, I feel  
24 strongly that our letter has to have a big impact on  
25 why this is safe for all the right reasons, and then

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 the supporting stuff comes in.

2 MEMBER PETTI: I would just note I was  
3 struck, now having looked at TerraPower, little bit of  
4 Terrestrial, knowing what the gas reactor guys are  
5 going to do, looking at this, there's a lot of  
6 commonality in design space to reduce risk. It's  
7 passive, no operator action. You're going to see a  
8 lot of them coming. No need for power for safety  
9 functions to be actuated.

10 We're going to see this over and again, so  
11 we shouldn't be surprised when the PRA says numbers  
12 that are really low. They are designing using the PRA  
13 to make sure the number stays, in their mind, very  
14 low, whatever you want to quantify it. But that's  
15 what they're doing, and coupling it with the inherent  
16 characteristics of each technology, which can be a  
17 little bit different in passive design.

18 MEMBER HALNON: And my point, Dave, is  
19 that we just got to believe it and move on. If we  
20 don't believe it and move on, I mean maybe we find  
21 stuff that's --

22 MEMBER PETTI: Yeah. NuScale spent two  
23 billion dollars to get here from what I'm told. If  
24 that ain't enough, we ought to go home.

25 (Laughter.)

1                   MEMBER PETTI: You know? Because, A, I  
2 don't think any of the others are going to spend that  
3 type of money, you know. It's about as good as you  
4 can do from the engineering perspective, if not a  
5 little bit more than maybe is good enough.

6                   And my go is this didn't all happen by  
7 accident. They made design choices. Design is  
8 everything here in terms of the leverage, and that's  
9 what you want to highlight, I think, is to say, look,  
10 there are important things that were done, whether it  
11 be the SDAA or not, that in part the safety attributes  
12 that Matt says we want on.

13                   You can take out the paragraph on the  
14 source term and the post-accident monitoring because  
15 I don't think it even needs to rise to our letter.  
16 It's a design change they made. I don't think it gets  
17 there.

18                   CHAIR KIRCHNER: It's a very good design  
19 change.

20                   MEMBER PETTI: It is. I mean, it is, but  
21 in terms of the ones that -- if we're going to talk  
22 about any specific things.

23                   CHAIR KIRCHNER: I don't want to harp on  
24 it, but I will because it's an excellent design change  
25 because prior to, they would have opened up

1       containment and risk, not only bypassing containment,  
2       but exposing operators in the course of trying to take  
3       a sample for post-accident atmosphere assessment. By  
4       putting the combiner in, you don't open it up. I  
5       mean, really, it's a major. And it's passive.

6               MEMBER HALNON: In that kind of situation,  
7       there's probably a couple of those.

8               (Simultaneous speaking.)

9               MEMBER PETTI: But then everybody has to  
10       go back and write their section in seven lines.

11              MEMBER HALNON: Yeah. Well, no, you just  
12       go at the end and say --

13              MEMBER PETTI: You know, it's short and  
14       sweet.

15              MEMBER HALNON: -- "In other notable  
16       improvements in a design for risk reduction are --"  
17       bullet, bullet, bullet, bullet. You don't have to  
18       explain what they all are. I mean, I realize these  
19       letters got to stand on their own, but they don't.

20              MEMBER PETTI: Never. You have to go back  
21       and you have to --

22              (Simultaneous speaking.)

23              CHAIR KIRCHNER: And we're going to have  
24       the chapter memos in the --

25              MEMBER PETTI: Absolutely.

1 CHAIR KIRCHNER: -- back, so we could put  
2 those bullets in --

3 MEMBER PETTI: And say, "See chapter --"  
4 Yes.

5 I'm the only who sound like a contrarian,  
6 because I tend to agree with you, but we do not know  
7 anything about the SCDA, the certifying design? We  
8 wouldn't even talking about this thing because it was  
9 just another -- I mean, this was the only plant we  
10 saw. We wouldn't even be writing about this.

11 CHAIR KIRCHNER: No, I hear you. If we  
12 didn't see the DCA, we just saw this, then --

13 (Simultaneous speaking.)

14 MEMBER SUNSERI: Some of the DCA was --  
15 the carveout of the part is -- I don't want to get too  
16 nuanced here -- but, you know, some of it was because  
17 they weren't complete with their design yet. Some of  
18 it was they weren't complete enough to know that there  
19 were problems with their design. So I mean, you know,  
20 not all carveouts were equally made, I guess.

21 And so, you know, whether or not one needs  
22 to be referenced back in this letter to say they've  
23 addressed the point or not, now I'm talking myself out  
24 of it. There's some tying back to the original  
25 letter, but anyway.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1           MEMBER MARTIN: Several of the carveouts,  
2           I mean, they really were truly for the COLA, right?  
3           I mean, they tended to get resolved this second  
4           go-round. So to focus on carveouts, per se,  
5           obviously, would be appropriate by just going back to  
6           the safety questions and the DWOs probably should be  
7           on the list and the boron dilution, sure criticality  
8           on the list.

9           You know, if you don't keep on talking  
10          about PRA and maybe move into the PRA discussion  
11          really focused on design improvements that were made  
12          with insights from PRA, that might knock out ECC  
13          performance and ATWS and maybe even the source term  
14          section. They could have bullets or something like  
15          that that kind of condense the content there all under  
16          the heading of, you know, reliability improvements  
17          gained by PRA insights. I don't know. I'm obviously  
18          spitballing.

19          And then, you know, retain most of the  
20          sections on DWO. And ATWS can be condensed as kind of  
21          Tom had mentioned earlier. What else do we have in  
22          there?

23          CHAIR KIRCHNER: So the boron dilution one  
24          definitely --

25                 (Simultaneous speaking.)



1           MEMBER MARTIN: Of course, yeah. That can  
2           probably more or less stay like it is. It's not going  
3           to get through our line by lines unscathed, of course,  
4           but --

5           MEMBER PETTI: It really needs to be  
6           condensed. The problem is that some of it just to set  
7           it up takes a lot of time because these are subtleties  
8           here from a hydraulic space to get you to understand  
9           it.

10          MR. SNODDERLY: Well, and as, of course,  
11          we've all noted, we have the memos. The challenge for  
12          the final letter is you obviously don't want to repeat  
13          what's in the memos, but there are certainly some  
14          cross-cutting issues that the final letter can kind of  
15          pull all together and integrate.

16          And I think that's what I kind of see you  
17          did, Walt, for both the issues try to bring in where,  
18          you know, Chapter 8, 15, and 19, you know, that always  
19          tries to get in there. Or 5 and 15 with DWO, you  
20          know, those sort of things. I think when you  
21          originally outlined the letter, you identified not  
22          just one person necessarily for sections, sometimes  
23          you had teams that were contributing from their  
24          perspectives of their particular chapters.

25          MEMBER SUNSERI: So in order to move

1 forward, can we maybe take like five minutes to go  
2 around and just list from each member's perspective  
3 what are the key safety things that they see at this  
4 plant, use of passive designs, no need for off-site  
5 electrical power. I mean, everybody has probably got  
6 their one thing or something that they like. And then  
7 we can agree on the list of back out from -- or, you  
8 know, make sure that the letter supports that. I  
9 don't know.

10 MEMBER PETTI: We've already said that in  
11 the previous letter.

12 MEMBER SUNSERI: This is like starting  
13 over. This is a SDAA of a new plant, okay? Nobody is  
14 going to say when they build this plant, "Oh, by the  
15 way, there's a certified design out there." They're  
16 going to reference this one. Has to stand alone,  
17 stand on its own.

18 MEMBER PETTI: So Matt, I had eight design  
19 and operational features. NuScale ensures its safety  
20 through several key design and operational features:  
21 passive heat removal, passive ECCS, reduced stored  
22 energy, low source term, supplemental boron system,  
23 containment bypass minimization, no operator actions  
24 required, and no safety-related --

25 (Audio interference.)

1 CHAIR KIRCHNER: Great list. Well,  
2 obviously I had the list in front of me, and I thank  
3 you, Dave. Yeah. And I tried to make sure in the  
4 background section that I kept each bullet rather than  
5 just putting them in as a list.

6 MEMBER PETTI: And then I put a sentence  
7 after each one to explain what it is.

8 MEMBER DIMITRIJEVIC: Dave, why did you  
9 identify this boron thing as a safety part?  
10 Supplemental boron.

11 MEMBER PETTI: Minimized the potential for  
12 return to power through the emergency boron system.

13 MEMBER DIMITRIJEVIC: I mean, that's in  
14 every plant, you know. And the other thing, did you  
15 put the pool?

16 MEMBER PETTI: Yes. That's in one of the  
17 others. Yeah, it's in the passive heat removal.

18 CHAIR KIRCHNER: Passive heat removal.

19 MEMBER PETTI: "Utilized a large pool as  
20 its ultimate heat sink for passive heat removal  
21 through redundant decay heat removal systems."  
22 "ECCS," I said, "uses highly reliable independent  
23 hydraulic actuation systems on four valves to condense  
24 steam on the containment vessel surface, maintain  
25 sufficient inventory to keep the core covered during

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 all postulated events."

2 I was just trying to think at a high level  
3 what are the takeaways. Restored energy was really to  
4 address ATWS.

5 MEMBER HALNON: If he started a discussion  
6 with that paragraph on those, whatever, and then  
7 finished with some notable deltas between DCA and  
8 SDAA, and then ended it with -- that's really long at  
9 that point -- to support the safety. It's all in  
10 here.

11 MEMBER SUNSERI: Yeah. You could look at,  
12 you know, salvaging a lot of stuff where you need to.  
13 Is there some place very prominent what we feel the  
14 safety case is and what we agree?

15 CHAIR KIRCHNER: Anyone else? Well, then  
16 --

17 MEMBER BALLINGER: You know, I think  
18 Dave's got a great -- that's a great list. We could  
19 probably make this letter very short, putting that  
20 list in their right up front, adding a few words in  
21 the discussion about each topic, and then include a  
22 discussion that address the issues that were brought  
23 up in the earlier design that we brought up in a  
24 previous letter.

25 And that satisfies both the safety that

1       you're talking about, and it suggests or demonstrates  
2       that the issues that were brought up for the earlier  
3       design have been addressed. Those are the key things,  
4       are they not?

5               CHAIR KIRCHNER: Probably, but I would  
6       modify that a little bit. I don't think we have to go  
7       back and look at everything in the previous letter,  
8       only the things that would be relevant to this  
9       particular design.

10              MEMBER BALLINGER: Right. Yeah. Yeah.

11              MEMBER SUNSERI: So, you know, the steam  
12       generator flow vibration, that's a big deal, all  
13       right. That was a --

14              MEMBER BALLINGER: But they had flow  
15       restrictors in the original design.

16              MEMBER SUNSERI: Yeah.

17              MEMBER PETTI: It's different though.

18              MEMBER SUNSERI: That was --

19              MEMBER BALLINGER: But they were  
20       different, but they were still flow restrictors.

21              MEMBER PETTI: Yes.

22              MEMBER HARRINGTON: The difference is  
23       interesting and it's useful, but it's not  
24       determinative for this design. It's just different.

25              MEMBER BALLINGER: Well, it is to the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 extent that they understand the DWO much better, and  
2 the flow restrictors in that design was to deal with  
3 the DWO, right?

4 CHAIR KIRCHNER: On both designs, the --  
5 (Simultaneous speaking.)

6 MEMBER BALLINGER: Yeah, both of them, but  
7 I think they did more analysis.

8 CHAIR KIRCHNER: Well, this is a much  
9 simplified and improved design because -- well, we  
10 don't have to rehash the old design, but that had  
11 significant --

12 (Simultaneous speaking.)

13 MR. BALLINGTON: But the DWO, well, the  
14 sentence in there about the restrictors new design or  
15 whatever that addresses DWO, that's one of your -- on  
16 the list of things.

17 CHAIR KIRCHNER: Okay. Well, I think it's  
18 coming up to break time, and I would propose that take  
19 a break. I will reach out to a few individuals  
20 offline, and I'll go away and take what I've heard and  
21 reformat the letter accordingly, and probably shorten  
22 it considerably at the same time, and try and turn  
23 something around and provide it for your  
24 consideration, if not this evening, tomorrow.

25 Let's look ahead to the rest of our agenda

1 and just discuss how we use our time accordingly. We  
2 had budgeted this afternoon for the NuScale letter  
3 report. Bear with me and I'll get the agenda. We are  
4 scheduled to take up first thing tomorrow the  
5 TerraPower Topical Report on source term. Dave has  
6 cautioned me that that's a long letter also. And  
7 we've got the morning budgeted for that.

8 We have the afternoon for the Seabrook.  
9 I sense from looking at the source term draft letter  
10 report that we will take that whole time and then  
11 some.

12 What's your sense, Greg -- Looking ahead  
13 to tomorrow afternoon, we have the Seabrook and the  
14 ASR topic on our agenda. What's your sense of agenda  
15 timing schedule?

16 MEMBER HALNON: I think that we'll be done  
17 well before 3:00 o'clock. I think it'll be more maybe  
18 a couple hours, given the fact that we have a  
19 presentation by C-10 and there's no presentations  
20 after that. It's just us discussing what our next  
21 steps would be based on the information we received.  
22 So I think we'll be done by the first break.

23 CHAIR KIRCHNER: Okay. So then we could  
24 come back, if we're ready, to either continue the  
25 source term letter -- that might be the right thing to

1 do.

2 And Thursday morning, we have P and P for  
3 starting off the morning. Let me turn to Larry  
4 Burkhart who leads this. Larry, what's your sense for  
5 the agenda --

6 (Simultaneous speaking.)

7 MR. BURKHART: It's fairly short, so I  
8 would be surprised if we went more than two hours for  
9 the P and P. Probably less.

10 CHAIR KIRCHNER: Okay. So that leaves us  
11 Thursday morning and the latter of Thursday morning if  
12 we're efficient on P and P, and then Thursday  
13 afternoon and Friday is set aside right now for letter  
14 reports.

15 MEMBER PETTI: So Walt, do we have all the  
16 NuScale letters done? So we don't have to review any?

17 CHAIR KIRCHNER: No. One, four, eight,  
18 15. They're all in the P and P folder and NuScale  
19 letter.

20 MEMBER PETTI: You're saying that probably  
21 is Thursday.

22 CHAIR KIRCHNER: That's Thursday. But  
23 we're not going to go -- oh, we could do it now.

24 MR. BURKHART: Depends when you want to do  
25 them. If you wanted to do them now, we could.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1 MEMBER PETTI: After break.

2 CHAIR KIRCHNER: We could do them now.

3 MR. SNODDERLY: 8 and 15 are ready. One  
4 hasn't been reviewed by NuScale, but I'm pretty  
5 confident there's not proprietary information and  
6 NuScale could, you know, if they see something, they  
7 can let us know. We should have NuScale's comments on  
8 four tomorrow, so I think four would be better off  
9 done Thursday. Fifteen and eight are ready to go.  
10 You could knock out one of those two.

11 CHAIR KIRCHNER: Come and --

12 MR. BURKHART: Four didn't even have a  
13 proprietary version.

14 MEMBER MARTIN: I'm happy to read them in.  
15 I mean everyone's going to fall asleep by the time we  
16 get to the end if I read it in.

17 MEMBER PETTI: I'm just trying to take  
18 stuff off.

19 MEMBER MARTIN: Absolutely.

20 (Simultaneous speaking.)

21 MEMBER PALMTAG: You have a lot of good  
22 stuff in there that was in the XPC topical report, and  
23 there were some questions about where that goes. It  
24 wasn't quite in 15, and if we take it out of the final  
25 letter, where could we put that? I mean, it was kind

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 of a last minute.

2 MEMBER MARTIN: Nothing says we can't put  
3 it in 15.

4 CHAIR KIRCHNER: We could put it in 15.

5 MEMBER PALMTAG: I wanted to capture that  
6 somewhere because it was a last minute thing. We  
7 didn't really know where to put it. I'm kind of  
8 worried that if we take it out of here, we're losing  
9 it.

10 (Simultaneous speaking.)

11 MEMBER HALNON: Take a break. You come  
12 back. Might as well just make it longer. I mean,  
13 it's not going to get shorter.

14 MEMBER SUNSERI: These memos don't have to  
15 be to the same level of scrutiny either.

16 MEMBER HALNON: Exactly.

17 MEMBER SUNSERI: Just cut the paragraph  
18 and paste it in there.

19 MEMBER BIER: I liked Greg's idea about  
20 that instead of rewriting everything that was already  
21 in the chapter memos, maybe we should just make the  
22 appendix be the chapter memos and then highlight key  
23 points from each. Yeah.

24 CHAIR KIRCHNER: We will do that. They  
25 are all referenced in this letter.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1                   MEMBER BIER:     Yeah, because then it  
2 significantly reduces the amount of editing we have to  
3 do, I think.

4                   CHAIR KIRCHNER: Okay. So 15 and 8 after  
5 the break? All right. Can we be ready to do that,  
6 Mike?

7                   MR. SNODDERLY: Yeah. Yeah.

8                   CHAIR KIRCHNER: Yeah. That's do that,  
9 then. All right. I think it --

10                   (Simultaneous speaking.)

11                   MEMBER PALMTAG: Four is very short, and  
12 there was no proprietary version of Chapter 4, right?

13                   MR. SNODDERLY: I agree with Scott. I  
14 still think we start with 15 and 8, we get those done,  
15 and then do four.

16                   MEMBER HALNON: You could read the Chapter  
17 4 memo right now.

18                   MR. CUMMINGS: I will check to see if  
19 we've reviewed that for proprietary information.

20                   MR. HANLON: We're just worried about  
21 proprietary information and accuracy.

22                   MR. CUMMINGS: Yeah. We're reviewing it  
23 now for proprietary information. This is Kris  
24 Cummings, NuScale.

25                   CHAIR KIRCHNER: Yes. We can always do

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 our part just to --

2 (Simultaneous speaking.)

3 MEMBER HALNON: By the end of the  
4 afternoon, I think we'll have it.

5 MR. BIER: Yeah.

6 MR. SNODDERLY: They said tomorrow. Why  
7 don't we get through 15 and 8, see where we're at.  
8 But I'm with Scott. I'm pretty comfortable that  
9 there's not anything proprietary --

10 (Simultaneous speaking.)

11 MEMBER PALMTAG: It's already 3:15, so  
12 there's not a whole lot of time.

13 CHAIR KIRCHNER: So what time is it now?

14 (Simultaneous speaking.)

15 MR. BURKHART: So Chairman --

16 MEMBER ROBERTS: It's 3:15.

17 MR. BURKHART: -- before you break -- this  
18 is Larry Burkhardt from the ACRS staff -- we have had  
19 the court reporter on, so yes, I recommended we leave  
20 him go, and he can come back tomorrow morning at 8:30.

21 CHAIR KIRCHNER: Okay. Did you get that?  
22 We'll let the court reporter go, and please be back  
23 with us tomorrow morning at 8:30.

24 (Whereupon, the above-entitled matter went  
25 off the record at 3:14 p.m.)

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

### **From Section 8.1.2:**

NuScale stated, in SDAA Part 7, "Exemptions", Section 4, that it requests an exemption from GDC 17 because the design contains no safety-related functions that rely on electric power. NuScale stated that the design of the NuScale Power Plant provides passive safety systems and features to accomplish plant safety-related functions without reliance on electric power, and that the design, therefore, meets the underlying intent of GDC 17 without the need for the electric power systems specified in GDC 17. NuScale further stated that it requests an exemption from the GDC 18 requirements for inspection and testing of electric power systems and the electric power provisions of GDC 33, 34, 35, 38, 41, and 44 to address conforming changes and that the underlying intent of these requirements, to ensure sufficient electric power is available to accomplish the safety functions of the respective systems, is met without reliance on electric power.

In its request for an exemption, NuScale stated that it seeks an exemption because its design does not rely on "safety-related" SSCs. However, the GDCs at issue (GDCs 17, 18, 33, 34, 38, 41, and 44) pertain to SSCs that are "important to safety," not "safety-related" SSCs. Nonetheless, notwithstanding NuScale's focus on safety-related SSCs, the NRC staff finds that the request need not address SSCs that are "important to safety," in that there are no "important to safety" electrical systems in NuScale's design (i.e. all electrical systems are non-safety related and are not important to safety) because they are not needed to "provide reasonable assurance that the facility can be operated without undue risk to the health and safety of the public." NuScale and the NRC staff considered all power systems for the NuScale design, both onsite and offsite. NuScale designated all onsite and offsite electrical systems as non-safety related and determined that there are no other electrical systems that should be classified as important to safety. The NRC staff conducted an audit of the electrical systems in NuScale's design. Based on its review and audit, the staff concurs that none of the electrical systems in NuScale's design are important to safety.

For offsite power, FSAR Section 8.2 states that the passive design of the plant does not rely on AC power and does not require an offsite power system to perform safety-related or risk-significant functions. SER Section 8.2 contains the staff's evaluation of offsite power. SER Section 15.0.0.6.2 states that offsite power is not credited to mitigate Chapter 15 events. Therefore, the staff finds that offsite power is not needed for accident mitigation or safe shutdown and thereby is nonsafety related.

For the onsite AC systems, FSAR Section 8.3 states that the onsite power systems include AC power systems, and the plant safety-related functions are achieved and maintained without reliance on onsite AC electric power. Further, the applicant stated that the onsite power systems do not perform any risk-significant functions. SER Section 8.3.1 contains the staff's evaluation of the onsite AC systems. SER Section 15.0.0.6.2 states that the normal AC power systems are not safety related and are not credited to mitigate Chapter 15 events. Therefore, the staff finds that the onsite AC systems are not needed for accident mitigation or safe shutdown and thereby are nonsafety related.

For the onsite DC systems, in SER Section 8.3.2, the staff used a risk-informed, graded approach to evaluate the quality aspects of the augmented DC power system (EDAS). In SER Section 8.3.2, the staff finds that the EDAS is nonsafety related with augmented quality and is acceptable. Chapter 19 discusses the availability controls related to the EDAS. The staff finds that the augmented quality and availability controls for the DC systems are acceptable. EDAS, with the augmented quality and availability controls, supports a finding that the SDA provides

reasonable assurance of adequate protection of public health and safety. The staff considers EDAS to be a non-safety-related or non-Class 1E SSC that performs an important to safety function, based on its role to protect specified acceptable fuel design limits, as discussed in SER Section 15.0.0.6.2, and there is reasonable assurance the system will function as designed. Therefore, using risk-informed decision-making and a graded approach, the staff finds the onsite DC systems, including the EDAS, are not safety related and have augmented provisions.

Therefore, the staff finds that the NuScale US460 design meets the underlying intent of GDC 17. NuScale further requested an exemption from the GDC 18 requirements for inspection and testing of electric power systems and the electric power provisions of GDC 33, 34, 35, 38, 41, and 44, to address conforming changes. It also noted that the underlying intent of these requirements, to ensure sufficient electric power is available to accomplish the safety functions of the respective systems, is met without reliance on electric power.

Based on the non-Class 1E classification of the onsite and offsite electric power systems, and on the analysis described in Section 8.1.3 to support the staff's findings regarding the criteria in 10 CFR 50.12, "Specific exemptions," the staff finds that the application of these regulations to the NuScale SMR design would not serve the underlying purpose of the rule from which an exemption is being sought or would not be necessary to achieve the underlying purpose of the rule. Accordingly, the staff finds that the requested exemption from GDC 17, GDC 18, and the electric power provisions of GDC 33, 34, 35, 38, 41, and 44, if shown to be applicable and properly supported in a request for exemption by a COL applicant that references the SDA, would be justified and could be issued to the COL applicant for the reasons provided in NuScale's SDAA, provided there are no changes to the design that are material to the bases for the exemption. Where there are changes to the design material to the bases for the exemption, the COL applicant that references the SDA would be required to provide an adequate basis for the exemption.

#### *15.0.0.6.2 Availability of Power*

Normal alternating current (AC) power systems are not safety-related and not credited to mitigate Chapter 15 events. The normal AC power systems consist of the following:

EHVS (high-voltage (13.8-kilovolt (kV)) AC electrical system and switchyard)

EMVS (medium-voltage (4.16-kV) AC electrical distribution system)

ELVS (low-voltage (480-volt (V) and 120-V) AC electrical distribution system)

The onsite DC power systems are not safety-related and are stated to not be credited to mitigate Chapter 15 events in most cases, as described further below. The DC power systems consist of the following:

EDAS (augmented DC power system to supply essential loads) and

EDNS (normal DC power system to supply nonessential loads).

The loss of normal AC power causes the MPS to initiate a reactor trip, actuate the DHRS, and close the containment isolation valves (CIVs). The loss of normal AC power also causes the loss of the EDAS chargers causing the EDAS to rely on backup batteries. If the augmented DC power system (EDAS) supply to the MPS or the ECCS and DHRS valves is lost, the ECCS valves open. Alternatively, at 8 hours after a loss of normal AC power to the EDAS battery chargers, the MPS actuates the ECCS valves causing them to open. If the 8-hour ECCS actuation is manually bypassed during the first 8 hours, the MPS load sheds the ECCS valves at 24 hours, causing them to open. When the EDAS supply is lost or shed or ECCS is actuated, RCS coolant is immediately discharged into containment through the RRVs, and subsequently through the RRVs when the IAB valve operating pressure threshold is reached.

As no power systems in the design are designated as safety-related, several loss of power scenarios are evaluated to ensure that the FSAR Chapter 15 acceptance criteria are met. The applicant evaluated the following loss of power scenarios:

- Loss of normal AC either at the time of the initiating event or at the time of the turbine trip (TT). After 24 hours, the ECCS valves move to their fail-safe open position.
- Loss of normal DC power (EDNS) and normal AC. Power to the reactor trip breakers is provided via the EDNS, so this scenario is the same as a loss of normal AC with the addition of reactor trip at the time power is lost.
- Loss of the augmented DC power system (EDAS), EDNS, and normal AC at the time of the initiating event. This scenario results in a reactor trip, actuation of DHRS, and closure of CIVs. The RRVs move to their fail-safe open position when power is lost, and the RRVs move to their fail-safe open position when RCS pressure drops below the IAB valve operating pressure threshold.

Also evaluated are the scenarios in which power, AC or DC, remains, if the consequences of the event are more limiting.

The FSAR does not evaluate scenarios where EDAS is lost subsequent to an initiating event (after time zero) during the event progression. For AOO events where the system energy

increases over either a short or extended period of time, a loss of EDAS can result in more severe consequences in terms of fuel and containment figures of merit than a loss of EDAS at the time of the initiating event. In these cases, staff determined that the EDAS system is relied on in the safety analysis to mitigate the consequences of the progression of those AOOs by maintaining the ECCS valves closed, thus enabling the ability to achieve safe shutdown of the module (i.e., the safety analysis assumes EDAS functions to maintain the ECCS valves in the closed position and an intact RCPB to allow the DHRS to remove decay heat). Examples of events where EDAS is assumed to remain functional during the entire design-basis period and perform these mitigating functions, includes, but is not limited to, decrease in feedwater temperature (FSAR Section 15.1.1), increase in feedwater flow (FSAR Section 15.1.2), increase in steam flow (FSAR Section 15.1.3), steam pipe failures (FSAR Section 15.1.5), and uncontrolled rod withdrawal at power (FSAR Section 15.4.2). Therefore, the staff concludes that the EDAS is needed to meet the Chapter 15 safety analysis acceptance criteria prescribed in Table 15.0-2 for ensuring the SAFDLs are met by assuring MCHFR is maintained above the CHF analysis limit. The staff notes that failure to meet the SAFDLs, as required by 10 CFR 50, Appenidx A, is not necessarily indicative of a failure to maintain the fuel fission product barrier nor considered a safety-related function. design-specific considerations.

EDAS is classified in the FSAR as a non-safety-related system. Based on the assumed functionality of the system in the safety analysis transients characterized above, the staff assessed whether EDAS meets the definition of safety-related in 10 CFR 50.2. An SSC that is relied on to remain functional during and following a design basis event to assure the capability to maintain a safe shutdown condition is defined as a safety-related SSC. SECY-94-084 defines a safe shutdown condition to be a condition where the reactor is shutdown, decay heat is being removed, and containment of radioactive material is provided. While the SAFDLs are not explicitly referenced in the 10 CFR 50.2 definition of safety-related SSCs, nor are a direct indication of fuel clad damage, they are typically used as the measure to demonstrate safe shutdown through sufficient decay heat removal and containment of radioactive materials during and following AOOs. Demonstration of the safe shutdown criterion ensures that fuel clad damage is unlikely to occur as a result of an AOO and the safety-related SSCs are sufficient to protect this fission product barrier. Accordingly, the staff reviewed and audited engineering documentation to confirm that the fuel fission product barrier would remain intact in the case of EDAS failure during an AOO. The applicant stated that a loss of EDAS is not expected to occur during the life of a module and the staff did not validate this assertion. Nonetheless, NuScale performed MCHFR and peak clad temperature (PCT) analysis of a spectrum of state-points for an ECCS blowdown, which is representative of a loss of EDAS, at a combination of powers, pressures, and temperatures (ML23304A367). This analysis demonstrates that a failure of EDAS at high power, pressure and temperature results [[ ]]. The report concludes that the clad temperature excursion lasts for less than 10 seconds before returning to temperatures less than the initial value; and after this excursion, the transient behaves similarly to the longer-term transient; decreased core power and continuous liquid coverage ensure margin to CHF is maintained over the long-term; and no loss of coolable geometry is anticipated due to low PCT compared to the 2200°F limit. While the staff did not review or approve the post-CHF models utilized in the calculations performed by NuScale, and while other fuel failure mechanisms besides CHF were not explicitly evaluated, these results still provide useful insights into the applicability of EDAS to the safety-related criterion (i.e., whether EDAS is needed to ensure the fuel fission product barrier remains intact). In addition, the staff audited (ML24211A089) NuScale sensitivity calculations of peak containment pressure resulting from various non-LOCA events with subsequent loss of EDAS. The limiting results from these studies indicate a peak containment pressure of [[ ]] which is below containment design pressure. Therefore, based on the above, the staff finds that EDAS does not meet the definition of safety-



related because it is not needed for ensuring a safe shutdown condition of the reactor. Specifically, the staff finds that there is reasonable assurance that the reactor will shutdown, decay heat will be removed, and fuel and containment integrity will be maintained without reliance on EDAS.

As noted above, EDAS is relied on in the safety analysis for ensuring the SAFDLs are met by demonstrating MCHFR is maintained above the CHF analysis limit. Based on its role to protect the SAFDLs, as required by multiple GDCs including GDCs 10 and 34 which are evaluated within this Section of the SER, the staff considers EDAS to be a non-safety-related SSC that performs an important to safety function. SSCs that are relied on to satisfy the GDCs are subject to the quality assurance requirements of GDC 1, "Quality standards and records." GDC 1 specifies that programmatic quality standards for SSCs important to safety provide adequate assurance that these SSCs will satisfactorily perform their safety functions specified in the GDCs. Accordingly, EDAS conforms to consensus standards and augmented quality attributes to ensure the quality of the system is commensurate with the importance of its safety functions. Based on the design, augmented standards, and controls assigned to the EDAS, as documented in the FSAR, the staff finds that there is reasonable assurance the system will function as designed. See Chapter 8 and Chapter 16 of this SER for the staff's detailed review of the EDAS design, augmented quality attributes, and controls. The staff review of the EDAS modeling in the probabilistic risk assessment is in Section 19.1 of this SER.