Official Transcript of Proceedings NUCLEAR REGULATORY COMMISSION

Title:	Advisory Committee on Reactor Safeguards X-Energy Design Center Subcommittee
Docket Number:	(n/a)
Location:	Teleconference
Date:	Tuesday, June 3, 2025

Work Order No.: NRC-0362

Pages 1-256

NEAL R. GROSS AND CO., INC. Court Reporters and Transcribers 1716 14th Street, N.W. Washington, D.C. 20009 (202) 234-4433

1	
2	
3	
4	DISCLAIMER
5	
6	
7	UNITED STATES NUCLEAR REGULATORY COMMISSION'S
8	ADVISORY COMMITTEE ON REACTOR SAFEGUARDS
9	
10	
11	The contents of this transcript of the
12	proceeding of the United States Nuclear Regulatory
13	Commission Advisory Committee on Reactor Safeguards,
14	as reported herein, is a record of the discussions
15	recorded at the meeting.
16	
17	This transcript has not been reviewed,
18	corrected, and edited, and it may contain
19	inaccuracies.
20	
21	
22	
23	
11	l de la constante de

1	UNITED STATES OF AMERICA
2	NUCLEAR REGULATORY COMMISSION
3	+ + + + +
4	ADVISORY COMMITTEE ON REACTOR SAFEGUARDS
5	(ACRS)
6	+ + + +
7	X-ENERGY DESIGN CENTERED SUBCOMMITTEE
8	+ + + +
9	TUESDAY
10	JUNE 3, 2025
11	+ + + +
12	The Subcommittee met via Video
13	Teleconference, at 8:30 a.m. EDT, Robert Martin,
14	Chair, presiding.
15	COMMITTEE MEMBERS:
16	ROBERT P. MARTIN, Chair
17	DAVID A. PETTI
18	RONALD G. BALLINGER
19	VICKI M. BIER
20	VESNA B. DIMITRIJEVIC
21	CRAIG D. HARRINGTON
22	GREGORY H. HALNON
23	WALTER L. KIRCHNER
24	SCOTT P. PALMTAG
25	THOMAS E. ROBERTS

1ACRS CONSULTANT:2DENNIS C. BLEY3		
2DENNIS C. BLEY3DESIGNATED FEDERAL OFFICIAL:5DEREK A. WIDMAYER6	1	ACRS CONSULTANT:
3 A 4 DESIGNATED FEDERAL OFFICIAL: 5 DEREK A. WIDMAYER 6	2	DENNIS C. BLEY
4DESIGNATED FEDERAL OFFICIAL:5DEREK A. WIDMAYER6	3	
5DEREK A. WIDMAYER6	4	DESIGNATED FEDERAL OFFICIAL:
67ALSO PRESENT:8INSEOK BAEK, NRR9PAOLO BALESTRA, X-energy10TIM DRZEWIECKI, NRR11BRIAN FROESE, X-energy12BRIAN HALLEE, X-energy13MILAN HANUS, X-energy14RICHARD RIVERA, NRR15PRAVIN SAWANT, NRR16MATT THOMAS, X-energy17TRAVIS TATE, NRR1819202121222324	5	DEREK A. WIDMAYER
7ALSO PRESENT:8INSEOK BAEK, NRR9PAOLO BALESTRA, X-energy10TIM DRZEWIECKI, NRR11BRIAN FROESE, X-energy12BRIAN HALLEE, X-energy13MILAN HANUS, X-energy14RICHARD RIVERA, NRR15PRAVIN SAWANT, NRR16MATT THOMAS, X-energy17TRAVIS TATE, NRR1819202121232324	6	
8INSEOK BAEK, NRR9PAOLO BALESTRA, X-energy10TIM DRZEWIECKI, NRR11BRIAN FROESE, X-energy12BRIAN HALLEE, X-energy13MILAN HANUS, X-energy14RICHARD RIVERA, NRR15PRAVIN SAWANT, NRR16MATT THOMAS, X-energy17TRAVIS TATE, NRR18	7	ALSO PRESENT:
9PAOLO BALESTRA, X-energy10TIM DRZEWIECKI, NRR11BRIAN FROESE, X-energy12BRIAN HALLEE, X-energy13MILAN HANUS, X-energy14RICHARD RIVERA, NRR15PRAVIN SAWANT, NRR16MATT THOMAS, X-energy17TRAVIS TATE, NRR18	8	INSEOK BAEK, NRR
10TIM DRZEWIECKI, NRR11BRIAN FROESE, X-energy12BRIAN HALLEE, X-energy13MILAN HANUS, X-energy14RICHARD RIVERA, NRR15PRAVIN SAWANT, NRR16MATT THOMAS, X-energy17TRAVIS TATE, NRR18	9	PAOLO BALESTRA, X-energy
11BRIAN FROESE, X-energy12BRIAN HALLEE, X-energy13MILAN HANUS, X-energy14RICHARD RIVERA, NRR15PRAVIN SAWANT, NRR16MATT THOMAS, X-energy17TRAVIS TATE, NRR181201211221231241251	10	TIM DRZEWIECKI, NRR
12BRIAN HALLEE, X-energy13MILAN HANUS, X-energy14RICHARD RIVERA, NRR15PRAVIN SAWANT, NRR16MATT THOMAS, X-energy17TRAVIS TATE, NRR18	11	BRIAN FROESE, X-energy
 MILAN HANUS, X-energy RICHARD RIVERA, NRR PRAVIN SAWANT, NRR MATT THOMAS, X-energy TRAVIS TATE, NRR TRAVIS TATE, NRR 4 4	12	BRIAN HALLEE, X-energy
 14 RICHARD RIVERA, NRR 15 PRAVIN SAWANT, NRR 16 MATT THOMAS, X-energy 17 TRAVIS TATE, NRR 18 19 20 21 22 23 24 25 	13	MILAN HANUS, X-energy
 PRAVIN SAWANT, NRR MATT THOMAS, X-energy TRAVIS TATE, NRR I I<td>14</td><td>RICHARD RIVERA, NRR</td>	14	RICHARD RIVERA, NRR
 16 MATT THOMAS, X-energy 17 TRAVIS TATE, NRR 18 19 20 21 22 23 24 25 	15	PRAVIN SAWANT, NRR
17 TRAVIS TATE, NRR 18	16	MATT THOMAS, X-energy
18 19 20 21 22 23 24 25	17	TRAVIS TATE, NRR
19 20 21 22 23 24 25	18	
20 21 22 23 24 25	19	
21 22 23 24 25	20	
22 23 24 25	21	
23 24 25	22	
24 25	23	
25	24	
	25	

1	CONTENTS
2	Opening Remarks4
3	NRC Opening Remarks8
4	Xe-100 Topical Reports10
5	Transient and Safety Analysis Methodology
6	GOTHIC and Flownex Analysis Code
7	Qualification
8	Xe-100 Topical Reports: Staff Evaluation95
9	Transient and Safety Analysis Methodology
10	GOTHIC and Flownex Analysis Code
11	Qualification
12	Xe-100 Topical Reports:154
13	Mechanistic Source Term Approach, Rev. 3
14	Xe-100 Topical Reports: Staff Evaluation 219
15	Mechanistic Source Term Approach, Rev. 3
16	Adjourn
17	
18	
19	
20	
21	
22	
23	
24	
25	
l	

1	P-R-O-C-E-E-D-I-N-G-S
2	8:30 a.m.
3	CHAIR MARTIN: The time is 8:30. Thank
4	you. The meeting will now come to order. This is a
5	meeting of the X-Energy Design Center Subcommittee,
6	the Advisory Committee on Reactor Safeguards.
7	I am Robert Martin, Chairman of today's
8	Subcommittee meeting. ACRS Members in attendance are
9	Ron Ballinger, Vicki Bier, Craig Harrington, Scott
10	Palmtag, Dave Petty, Tom Roberts, Matt Sunseri,
11	myself. We will also, oh, Walt's here. Walt
12	Kirchner. Sorry, I thought you were out. And Greg
13	might join us, should join us here a little bit later.
14	And ACRS Members in attendance virtually
15	via Teams are Vesna Dimitrijevic. Sorry. We have
16	two, oh, we only have one consultant that will be
17	here, and not immediately. That will be Dennis Bley.
18	He will show up for the source term TR here which
19	that's going to be in the afternoon.
20	If I have missed anybody, either ACRS
21	Members or Consultants, please speak up now. Derek
22	Widmayer of the ACRS Staff is designated federal
23	officer for this meeting. No member conflict of
24	interest were identified for today's meeting. And we
25	have a quorum.

1 During today's meeting the Subcommittee will receive a briefing on three X-Energy topical 2 reports. And the Staff's draft safety evaluations for 3 these reports. 4 Topical reports in order of our discussion 5 today are Transient and Safety Analysis Methodology, 6 Flownex 7 Rev. 2, GOTHIC and Analysis Code Qualification, Rev. 3, the Mechanistic Source Term 8 Approach, Rev. 3. These three topical reports are 9 important to understand the safety basis for the 10 11 Xe-100 small module reactor as we get closer to these reactors being deployed. 12 We're reviewing these topical reports 13 14 because they serve as foundational analysis and qualifying approaches for the safety basis of the 15 Xe-100 reactor. 16 17 The ACRS was established by statute and is governed by the Federal Advisory Committee Act, the 18 FACA. The NRC implements FACA in accordance with our 19 regulations. these regulations and 20 Per the Committee's bylaws, the ACRS speaks only through its 21 published letter reports. All Member comments should 22 be regarded as only the official opinion of that 23 Member, not a Committee position. 24

All relevant information related to ACRS

25

activities, such as letters, rules for meeting participation and transcripts are located on the NRC public website and can be easily found by typing "about us ACRS" in the search field on NRC's homepage. The ACRS consists of the Agency's value of

1

2

3

4

5

6 public transparency and regulation of nuclear 7 facilities provides opportunities for public input and 8 comment during our proceedings. They have received no 9 written statements or requests to make an oral 10 statement from the public. We have also set aside 11 time at the end of the meeting for public comments.

Portions of this meeting may be closed to protect sensitive information as required by FACA, and the Government and Sunshine Act. We have reserved a portion of this meeting at the end of each morning, and afternoon, actually, I think it's just, oh, we do have it posted for morning and the afternoon. Sorry. In the event that this is needed.

Attendance during the closed portion of the meeting will be limited to NRC Staff and its consultants. X-Energy Personnel and Consultants. And those individuals and organizations who have entered into appropriate confidential agreement. We have, we will confirm that only eligible individuals are in the closed portion of the meeting if they are needed.

1	ACRS will gather information, analyze
2	relevant issues and facts and formally propose
3	conclusions and recommendations as appropriate for
4	deliberation by the Full Committee.
5	The transcript of the meeting is being
6	kept and will be posted on our website. When
7	addressing the Subcommittee participants should first
8	identify themselves and speak with sufficient clarity
9	and volume so they may be readily heard. If you are
10	not speaking please mute your computer on Teams or by
11	pressing *6 on the phone. Notice how close I am to
12	the microphone, so use that as a guide.
13	Please do not use the Teams chat feature
14	to conduct sidebar discussions related to the
15	presentation, rather limit use of the meeting function
16	to report IT problems.
17	For everyone in the room please put all
18	your electronic devices in silent mode and mute your
19	laptop computers. And your microphones and speakers.
20	In addition, please keep the sidebar
21	discussions in the room to a minimum since the ceiling
22	microphones, one behind me, are live. For the
23	presenters, your table microphones are unidirectional
24	and you'll need to speak into the front of the
25	microphone to be heard.

1	Finally, if you have any feedback for the
2	ACRS about today's meeting we encourage you to fill
3	out public meeting feedback form on the NRC website.
4	We will now proceed with the meeting. And
5	I call Travis Tate from the Office of Nuclear Reactor
6	Regulation for opening remarks.
7	MR. TATE: Good morning. Can we get the
8	opening remarks slide?
9	(Pause.)
10	MR. FROESE: I can stop sharing. These
11	are my slides. X-Energy slides.
12	MR. TATE: I'll just go ahead. Go ahead,
13	because I got them.
14	Good morning. Thank you, Chair Martin and
15	Committee Members for the opportunity to present today
16	on the evaluation model topical reports for the
17	X-Energy's Xe-100 design. I'm Travis Tate, chief of
18	Advance Reactor Technical Branch 1 in the Division of
19	Advance Reactors and Non-power Production at Utility
20	Facilities, or DANU, in the Office of Nuclear Reactor
21	Regulations.
22	Next slide. Today you will hear X-Energy
23	representatives who will a summary of each of the
24	three of the four topical reports listed on this
25	slide, followed by the NRC Staff who will discuss its
	I

1	review of the topical reports. The fourth topical
2	reported, the reactor core design methods and analysis
3	topical report is not included for ACRS review.
4	The NRC Staff documented its review with
5	the three topical reports discussed today in a trial
6	tip safety evaluation reports dated May the 6th, 2025.
7	These topical reports are referenced in the recently
8	docketed Long Mott Generating Station Construction
9	Permit Application.
10	Next slide please. The Staff's review of
11	these topical reports involve bring it together
12	technical expertise from DANU, the Office of Research
13	and contractor staff. The Staff review was focused on
14	acceptability of the methodology which was used to
15	ensure appropriate implementation to be performed as
16	part of the separate licensing actions.
17	Today you will hear from only a few of the
18	Staff listed in this, in the review. Involved in the
19	review. But they represent the tremendous efforts of
20	a highly skilled review team of technical reviewers
21	reflected on this and the following slides.
22	Next slide. Thank you again for the
23	opportunity to present today. And we look forward to
24	the following discussions to hear your observations
25	and feedback. And with that, now I will turn it over
I	1

1	to X-Energy to begin their presentation.
2	(Pause.)
3	MR. FROESE: Okay. Good morning,
4	everyone. Thank you all for joining. My name is
5	Brian Froese. I am the project manager of our
6	analysis integration team on Project Long Mott, which
7	is our ARDP site.
8	Prior to going through the individual
9	topical report presentations we first wanted to give
10	just a high-level overview of our analysis topical
11	report framework to kind of set the stage for the rest
12	of the day. So with that we've got a lot to cover.
13	I appreciate you all being here, and we'll go ahead
14	and jump in.
15	So as I said, the objective, provide a
16	high-level overview of X-Energy's safety analysis
17	process background on our three topical reports. And
18	a brief summary of the safety evaluations based on
19	audits by the Staff. We've already gone through the
20	names of the topical reports so I won't repeat those.
21	Regulatory basis. I'm sure we'll get into
22	this more throughout the course of the day, but the
23	main ones that we're working today, 10 CFR 50.34,
24	primarily the parts that comprise the components of
25	construction permit application. And that also sets

1	design basis accident, offsite dose limits, 25 rem at
2	the exclusionary boundary and low population zone.
3	And also Reg Guide 1.203, which is our transient
4	safety analysis methodology framework regulatory guide
5	for development of those methods.
6	Wanted to give an overview of our safety
7	analysis process. Generally what happens is there is
8	a design freeze, either design milestone or
9	self-imposed design freeze. Based on that design our
10	PRA Team creates a series of licensing basis events in
11	accordance with NEI 18-04.
12	(Off record comments.)
13	MR. FROESE: Our probabilistic risk
14	assessment team develops a series of licensing basis
15	events. Those are passed to the safety analysis team
16	to do a thermal hydraulic analysis in both Flownex and
17	GOTHIC. And we'll get into the difference in use
18	between those codes later on in later presentations.
19	Key parameters from those thermal
20	hydraulic evaluations are passed to the offsite dose
21	calculation team where we used our in-house develop
22	mechanistic source term code called XSTERM to
23	determine offsite dose. Those offsite doses are then
24	passed to the PRA team, back to the PRA team to do a
25	technical adequacy determination and a licensing
I	1

1	assessment mainly if we meet the 25 rem, 50.34 EAB and
2	LPZ dose criteria. And then we pass through key parts
3	back to the design.
4	It doesn't always work this perfectly. A
5	lot of things are done in parallel, which is generally
6	just the way that the process works.
7	The two boxes on the right-hand side
8	highlighted in green are what three topical reports
9	that we're going to talk about today primarily in this
10	forum.
11	MR. TATE: I have my first question.
12	MR. FROESE: Yes, sir.
13	MR. TATE: How many times have you been
14	through this cycle?
15	MR. FROESE: Approximately three.
16	MR. TATE: Approximately three. Okay. So
17	you got a little bit of maturity, but you probably
18	foresee a few more.
19	MR. FROESE: That's correct.
20	MR. TATE: So have, well. And you, of
21	course you're here and you're supporting the
22	construction permit application, so I'm thinking three
23	is, three is appropriate at this stage. Typically
24	five, six, seven is probably what you need.
25	MR. FROESE: Feels about right.
ļ	I

1	MR. TATE: Feels about right.
2	MR. FROESE: So prior to jumping into the
3	individual topical reports I kind of wanted to anchor
4	our discussion by highlighting a couple of the key
5	safety features of the Xe-100. Three specifically,
6	which also align with three of our required safety
7	functions.
8	The first, control reactivity. The Xe-100
9	can shutdown passively just on inherent reactivity
10	feedback without control rod insertion. Right? So if
11	we ever had to, we can trip the circulators, the core
12	temperature profile changes which changes the
13	neutronics. And you can shutdown reactor power just
14	on inherent reactivity feedback without rod insertion,
15	unlike light water reactors.
16	Similar, control for control heat removal,
17	the Xe-100 can passively remove decay heat through
18	our, what we call our reactor cavity cooling system,
19	or our RCCS. No active components and no operator
20	reactions credibility.
21	So similarly, if we needed to we could
22	trip the circulators, shutdown the reactor just on
23	inherent reactivity feedback, and then decay heat can
24	passively migrate from the pebbles, down to the
25	reflectors, out to the reactor pressure vessel. And
I	1

that radiates to out RCCS, which is a series of water filled stand pipes just passively boil off.

1

2

22

last 3 And the one here, retain radionuclides, reutilize the functional containment, 4 which I'm sure you're aware of. 5 It's our TRISO particles. You retain a significant portion of 6 7 radionuclides during normal operation, as well as licensing basis events. So unlike light water 8 reactor, design basis accidents where you have a 9 potential fuel melt, there is no credible accident for 10 11 our TRISO, TRISO fuel to be able to melt. And as a result those radionuclides stay within the particles. 12 And that leads to considerably lower offsite doses. 13

MEMBER PALMTAG: Before you move on. This is Scott Palmtag. This is, can you go back? This is always one of my questions. But it says it can shutdown passively on inherent reactivity feedback. What do you mean by that? Is that zero power or a new stable power?

20MR. FROESE: It's, it goes down to decay21heat.

MEMBER PALMTAG: Oh.

23 MR. FROESE: So yes, zero fission power. 24 MEMBER PALMTAG: So you're not going to 25 find a new power balance that will balance out the

1	reactivity feedback, it will actually go down to zero
2	power?
3	MR. FROESE: That's my understanding.
4	MEMBER PALMTAG: Thanks, Brian.
5	MEMBER PETTI: Until xenon
6	MR. FROESE: That's correct.
7	MEMBER PETTI: and it will go critical
8	if you haven't put the rods in.
9	MR. FROESE: Yes.
10	MEMBER PETTI: In the gas chamber.
11	MR. FROESE: yes, that's correct.
12	MEMBER PALMTAG: It's usually with the
13	feedback. I'm sorry. Your temperature goes up, your
14	power is going to do down, but it's going to find a
15	new equilibrium. So how do you go down to the zero?
16	MR. FROESE: Hey, Sonat, are you on,
17	online? I think you are. Would you mind
18	MR. SEN: Yes I am, Brian.
19	MR. FROESE: commenting?
20	MR. SEN: It all depends on how much the
21	temperature increase. The temperature will increase
22	and you will get to a certain equilibrium, a new power
23	level, if it's not as much increase in the
24	temperature. And you will get to normal operation
25	conditions with the high power, with the similar

1	temperatures or a little bit higher.
2	But if temperature increase, and there is
3	no cooling, the temperature increases, you will get to
4	zero power until the temperatures cool down
5	significant, which is about 100, 130 hours. So then
6	you will get to a new criticality. So that basically
7	depends on the events.
8	MEMBER PALMTAG: Okay, thank you. I mean,
9	we'll have to see the transient analysis before but
10	it's going to, I'm not sure shutdown passively is the
11	right word to use here. You got to go to a lower
12	power usually.
13	MR. SEN: Yes. That's not exactly, it
14	will go to lower power in every, it will, it's like a
15	normal operating AOO. If you have an AOO you might
16	get to a lower power, but usually like in the events
17	that we analysis for the safety LBEs, that's credible,
18	that usually goes to zero power. Zero fission power.
19	MEMBER PALMTAG: Okay, thank you.
20	MEMBER KIRCHNER: Because xenon builds in?
21	You go to zero power because xenon builds in and heats
22	up your excess reactivity.
23	MR. FROESE: That's correct.
24	MR. SEN: Yes, that's correct.
25	MEMBER KIRCHNER: But once you, once you

1	cool down it can come back to a different power level.
2	It could be a lower power.
3	CHAIR MARTIN: Right. But
4	MR. FROESE: It's varying.
5	CHAIR MARTIN: still
6	MEMBER KIRCHNER: If it's not shutdown.
7	CHAIR MARTIN: it will stay pretty hot,
8	you know.
9	MEMBER KIRCHNER: For a long time.
10	CHAIR MARTIN: Yes. And it probably
11	exceeds the xenon effect so, which is, what, 12 hours?
12	24 hours. So yes. You know, you probably get a few
13	days. The temperature will stay up, you know. I
14	don't
15	MEMBER PETTI: No, it stays hot.
16	MEMBER KIRCHNER: Yes. There is
17	MEMBER PETTI: Yes. And then xenon runs
18	out and you start to go critical, but it's a low
19	critical. It's whatever the RCCS can remove
20	MR. FROESE: That's correct. And we have
21	seen that in our recalculations to look at, if it ever
22	were to go recritical. Which is our safety related
23	storing.
24	MEMBER PALMTAG: If there is no heat
25	removal decay heat will add enough heat in there to

1	keep the temperatures high to keep it shutdown, right?
2	But if there is any heat removal it's going to come
3	down in the power levels.
4	MR. FROESE: Yes, that's understood.
5	Yes.
6	MEMBER PALMTAG: Okay.
7	MR. FROESE: Yes. And sorry, implicitly in
8	talking about this, yes, as Sonat said, I was
9	referring to design basis accidents where you get a
10	higher temperature, core temperature profile. And so
11	that keeps your reactor power lower, at least until
12	xenon.
13	MEMBER PETTI: Can I just ask, is there
14	any rationale to the ordering of this list? I would
15	have thought pertaining to the nuclides would be
16	number one and the other two would be subsidiary. But
17	again, being a fuel person that's my perspective.
18	(Laughter.)
19	MR. FROESE: I appreciate that comment.
20	Thank you.
21	So speaking of doses, I wanted to give a
22	very high-level overview of the components that are
23	including in our offsite dose calculations. That's
24	this table on the left-hand side. We account for the
25	circulating activity that's released and enhance
I	1

1 liftoff of dust, particularly if there is а depressurization and there is dust that lifts off. 2 We account for activity release due to the 3 fuel heating up during the accident. 4 Right? So unlike light water reactors where you potentially melt 5 through, we just have enhanced diffusion that comes 6 7 out of the fuel as they heat up. And we account for that in both what we call the plant transient, or 8 short-term, and long-term portions of the accident. 9 We'll get into those in more detail in the upcoming 10 11 presentations. But just trying to takeaway that it spans the entirety of the event. 12 And then if there is a steam generator 13 tube rupture we also account for steam effects, as 14 well as wash off effects. 15 The figure on the right-hand side is what 16 we call our dose stack-up. This is essentially just 17 the summation of all the different dose components. 18 And the total of that is our offsite dose. We compare 19 that to, we compare that to our offsite dose limits to 20 make sure they're below the acceptance criteria. 21 This is an overview of our topical 22 As noted earlier, we use the NEI 18-04 23 reports. process to determine licensing basis events, which are 24 25 separated into anticipated operational occurrences,

design basis events, beyond design basis events. And 1 then the design basis accidents are prescriptively 2 created from design basis events per NEI 18-04 by only 3 safety related 4 crediting equipment and usinq conservative inputs and assumptions. 5 Supporting the calculation and design 6 7 basis accident offsite doses is our Reg Guide 1.203 design basis accident evaluation model. It's 8 comprised of what will be four licensing topical 9 reports. We have three of them so far today. 10 And so the main one is the TSAM. 11 Ιt primarily covers compliance with Reg Guide 1.203. And 12 a summary of our safety analysis. 13 And supporting that is the GOTHIC Flownex 14 topical report that covers the theory supporting the 15 design basis accident evaluation model, model 16 17 development, code qualification and code QA. 18 And also supporting the TSAM is our mechanistic source term licensing topical report that 19 contains the MST theory. That will feed, what we 20 intend to have, is a future XSTERM specific licensing 21 topical report. 22 The reason that that's not in here today 23 is because it's an in-house developed mechanistic 24 25 source term code. It's still maturing and not quite

1	ready for regulatory review. We're working hard
2	towards that. And once it is we plan to submit a
3	similar licensing topical report just on XSTERM that
4	would feed methods, code qualification and code QA.
5	But that will be the application of those MST methods
6	that are described in the MST.
7	MEMBER PETTI: So what, how do I interpret
8	the appendix to the source term topical event this
9	afternoon?
10	Because it looks, looked to me like a
11	partial theory there. Is that
12	MR. FROESE: That's correct. It contains
13	the
14	MEMBER PETTI: So a lot of it would move
15	into these formal LTRs?
16	MR. FROESE: Yes. The access term LTR is
17	intended to be the application of the MST theory
18	that's presented in that topical report.
19	One really quick clarification, just
20	because it came up at the beginning of our audit with
21	the NRC. Particularly that TSAM and the GOTHIC
22	Flownex LTRs are written in such a way that we
23	generically talk about all licensing basis events in
24	those topical reports. The reason why we did that is
25	because the methods and models we use for PSAR are the

1 same between DBAs and non-DBAs, with the exception of the inputs and the assumptions that are used. 2 So we clarified in our outcome objectives 3 4 of the topical report that we're specifically 5 requesting approval to use these methods for preliminary analysis, but just for design basis 6 7 accidents. Which is in alignment with NEI 18-04 that says to use Reg Guide 1.203 for only design basis 8 accidents. So I just wanted to clarify that in case 9 that question came up. 10 11 This is a summary of our draft safety evaluations. I'm sure we'll get into those in more 12 detail with the staff, but our main takeaways for the 13 per the mechanistic source term, licensing topical 14 report, the NRC Staff concluded the topical report 15 provides a reasonable plan for the development of the 16 MST methodology. So we were very happy with the 17 outcome of that. 18 There were no official limitations and 19 conditions, but they did note that it's limited to the 20 methods and not to the access term code. 21 The GOTHIC and Flownex topical report, 22 main takeaway for us, the NRC Staff approves the use 23 of the topical report for preliminary analysis of 24

Xe-100 design basis accidents, but also aligns with

25

1	our anticipated, our hopeful outcome. So that was
2	good to see.
3	There was one limitation, and that was
4	input parameters will be confirmed during the
5	construction permit application review, which is what
6	we excepted since this was focused on the methods and
7	not on the inputs that were used.
8	And then for the TSAM topical report,
9	there were three limitations and 14 conditions.
10	Rather than going through all 17 I tried to boil these
11	down into three main bullet points that were my, our
12	takeaways.
13	The first is that these, this topical
14	report is limited to preliminary analysis, preliminary
15	design, and preliminary design basis accident
16	selection.
17	The second is that if the existing data is
18	not sufficient for compliance with Reg Guide 1.203,
19	then we would need to fill that gap with research and
20	development.
21	And the third main bullet, speaking of Reg
22	Guide 1.203 is that compliance with that regulatory
23	guide is still in progress. And the limitations and
24	conditions capture that.
25	Key takeaway again here was, subject to
I	1 A State of the second s

the limitations and conditions, use of the evaluation 1 model described in the TSAM is acceptable for 2 consequence evaluation, addressing PDC 19, 10 CFR 3 50.34 through preliminary safety analysis of the 4 design and performance of Xe-100, and to describe a 5 research plan as it's needed. 6 7 CHAIR MARTIN: Brian, this is Bob Martin. Is there a plan to submit a topical, maybe it's 8 already been submitted, related to beyond design basis 9 It says, you know, those related issues, events? 10 11 cliff edge effects, such. There is not currently MR. FROESE: 12 planned a licensing topical report to be submitted on 13 14 beyond design basis events. MEMBER HARRINGTON: Yes, Brian, kind of a 15 related question, similar to your unique limitation 16 17 slide on DBEs versus DBAs. What you said made sense to me, which is, you know, use the same analysis 18 methods but have different inputs for the different 19 classes of training. But I'm wondering what else you 20 would do because you still have a requirement to go 21 produce the consequence curve for all the AOOs and the 22 DBEs and, throughout the whole spectrum. You have to 23 have some analysis methodology to believe those 24 25 results.

1	So if you don't use the reg Guide 1.203
2	what do you use?
3	MR. FROESE: So for PRA there is the PRA
4	technical adequacy standard that's used for non-light
5	water reactors. As I described in the beginning of
6	that, you know, let's circle how many times we go
7	around.
8	The offside doses are feed back into the
9	PRA team to do a technical adequacy determination.
10	And we also do a licensing assessment for 50.34, which
11	is for design basis accidents.
12	So it brings up a good point for, there is
13	some additional analysis for certain PRA aspects to do
14	longer distance max calculations that we're not doing
15	for just the EAB and LPZ, but generally the methods
16	for thermal hydraulics and mechanistic source term,
17	just in the sense of, what is released from a reactor
18	are effectively the same. Yes.
19	To answer your question, it's got to meet
20	the PRA non-light water reactor steam
21	MEMBER HARRINGTON: Okay, thanks. So
22	instead of Reg Guide 1.203, the thermal hydraulic
23	analysis quality is defined by the PRA standard?
24	MR. FROESE: That's correct.
25	MEMBER HARRINGTON: Okay, thank you.
I	1

1 MR. FROESE: Final takeaways. Α tremendous amount of methodology development 2 and analysis has been conducted by X-energy in preparation 3 over the past, particularly over the past several 4 years, in preparation for these topical reports and a 5 construction permit application that was just recently 6 7 submitted for Project Long Mott. We're very proud of the work that we 8 We believe the methods support a strong 9 produced. safety case with considerable margin. But also 10 11 recognizing, we are at the preliminary design phase and there is still work to be done. As an example, we 12 plan on updating our PIRT to evolve based on our

latest PSAR results. 14

13

23

So last thing, we just wanted to thank the 15 NRC Staff for their guiding feedback and some really 16 17 great review. You can tell that we put effort into this audit and into the review. Just very timely 18 engagement, so just wanted to thank them for that. 19

If there are no more questions I think we 20 can jump into the individual topical report sessions 21 with TSAM and then GOTHIC, Flownex. That's all. 22

(Pause.)

MR. HALLEE: Good morning, everyone. It's 24 25 a pleasure to be here with you, and thank you for

1	having us. My name is Brian Hallee. I'm the CPA
2	safety analysis manager for X-Energy for the Xe-100.
3	And for this topic we'd like to walk through the
4	licensing topical report covering the transient safety
5	analysis methodology, or TSAM.
6	So how this presentation will flow.
7	Forgive me for the front matter in setting up the
8	stage here. I'll repeat some of the information Brian
9	Froese just walked through. And then the intent of
10	this is to walk through the TSAM report on how it
11	aligns with the EMDAP elements and steps outlined in
12	Reg Guide 1.203 primarily.
13	If there is time and interest for a closed
14	session, we can walk through demonstration analysis.
15	And then we'll wrap-up with the path forward for the
16	TSAM.
17	So purpose of the TSAM report is primarily
18	to define the evaluation model for the DBA transient
19	safety analysis. We did demonstrate the analysis
20	methodology at a high-level. For example, select
21	example cases in the TSAM and its intended use as a
22	basis for future licensing applications.
23	And in this presentation, primarily
24	interested in outlining the TSAM as it applies to the
25	DBA technology and highlighting alignment to the Reg
	1

1	Guide 1.203, a 20 step, in-depth process.
2	Brian Froese, he mentioned this. Our
3	guiding regulation is 10 CFR 50.34. Offsite dose EAB
4	and LPZ limits and acceptance criteria outlined in
5	that regulation. Key regulatory documents outlined in
6	red here. Reg Guide 1.203 is the chief reg guide that
7	we discuss and align to in the TSAM.
8	Reg Guide 1.233 is also mentioned. As
9	Brian noted we have, we share the methodology in our
10	approach to develop the PRA events for, that support
11	the NEI 18-04 frequency-consequence curve.
12	As far as previous interactions with the
13	NRC, we had a previous NRC safety evaluation written
14	on the TSAM framework back in 2021. This TSAM
15	attempts to address those limitations and conditions
16	that were outlined on that framework.
17	We also have a safety evaluation report on
18	the atmospheric dispersion methodology. So that
19	specific aspect of the TSAM will not be mentioned
20	here. And we have a safety evaluation report on the
21	principle design criteria which were used to design
22	our figures of merit and phenomena.
23	So just teeing up the Reg Guide 1.203
24	guidance. Reg Guide 1.203 is devised into four key
25	elements described here. Establish the requirements
l	

1	of the evaluation model, develop the EMDAP base,
2	assessment base, develop the actual evaluation model,
3	and then assess its adequacy.
4	This figure was taken from the TSAM and
5	just has a quick snapshot of where X-Energy was with
6	the Xe-100 implementation at the time of developing
7	the TSAM and the intent of this presentation as I'll
8	walk through these in detail step-by-step and outline
9	our current status and progress.
10	Just jumping right into Element 1. Step
11	1 is to define the analysis purpose, transient classes
12	and power plant class. Our purpose is to evaluate the
13	plant response for the DBAs, verify the safety-related
14	SSCs meet their safety functions, as Brian mentioned,
15	and comply with 10 CFR 50.34 criteria.
16	Noted here, the NEI 18-04 transient
17	classifications, DBAs are defined as a subset of DBEs
18	that rely only on safety related equipment. So that
19	is primarily the topic for the DBA evaluation model.
20	Further, decomposing the transient
21	classes. So these four groupings are the specific
22	Xe-100 specific transient categories that we analyze
23	to reactivity insertion events, loss of forced
24	cooling, breach events and design basis hazard levels.
25	They can further be decomposed, as shown
I	1

1	here. Status, or the purpose of this slide is noting
2	that in the TSAM we were integrated, all the plant
3	stays operating from full power to shutdown at the
4	time the CPA analyses for these specific events.
5	MEMBER PETTI: Just a question, Brian.
6	MR. HALLEE: Sure.
7	MEMBER PETTI: The difference between
8	overcooling and reactivity accountability and a loss
9	of secondary cooling. The loss of secondary cooling
10	could be an overcooling. And it's a LOCA in the
11	secondary side I assume.
12	MR. HALLEE: Correct.
13	MEMBER PETTI: So in the reactivity one
14	it's some sort of, just higher flow rate on the
15	secondary side? That's how you differentiate that?
16	MR. HALLEE: That's correct.
17	MEMBER PETTI: Okay.
18	MR. HALLEE: Yes. That's a very good
19	question. Yes, main steam line break would actually
20	expand both categories. Yes, that's a good question.
21	I expect most people are familiar with
22	this, but just for completeness here, so defining
23	power plant class, Xe-100 is a 200 megawatt thermal
24	pebble bed high-temperature gas-cooled reactor, helium
25	cooled. It has online refueling pebbles circulating
I	1

1 through the core. We utilize TRISO graphite matrix pebbles and decay heat removal via the radiated 2 passive heat removal. 3 4 MEMBER PETTI: Just a question. So Xe-100, I always through 100 met 100 megawatts 5 electric, and it's 80. Was it at one time 100 6 7 megawatts electric and the evolution things have evolved? This would be like a misnomer? 8 Yes, that's 9 MR. HALLEE: Yes. my understanding, although it must have been several 10 11 years ago. Before my time. MEMBER PETTI: Yes. The other question I 12 had was, if you could talk to your RCCS, it's now 13 water cooled. You know, it's continual debate in the 14 gas reactor community, air versus water. You know, 15 like how did you settle on water? 16 17 MR. HALLEE: I think there were a variety One of them was that the concrete of reasons. 18 temperatures in the reactor building were starting to 19 become challenging with an air-cooled RCCS. And the 20 design began to get more complicated. 21 And also from a shielding standpoint you 22 had to punch some pretty large holes in the reactor 23 building in order to make an air-cooled RCCS work. So 24 25 we found the dose rates during normal operations

1	coming out in the air-cooled RCCS were really
2	challenging to design against. So that's how we
3	landed on a water cooled RCCS.
4	MEMBER PETTI: Thank you.
5	MR. HALLEE: Speak to this a little bit
6	further here in one of the future steps, but this just
7	outlines the major systems of the Xe-100. And the
8	functional containment concept, as Brian mentioned.
9	MEMBER PETTI: So, Brian, there is no
10	shutdown coolant system. Some gas reactors have a
11	shutdown coolant system in addition to RCCS. You
12	don't have a shutdown system. Because your online
13	fuel leg gets hot to do it just because all the
14	pebble. But have you ever heard, probably
15	(Simultaneously speaking.)
16	MEMBER PETTI: Never heard of it, yes.
17	MR. HALLEE: shutdown coolant system.
18	MEMBER PETTI: Because Maddox has another
19	cooling system at the bottom of their vessel for when
20	they fuel and then they, so it would be NS, non-safety
21	related special treatment LMP. But I just don't think
22	you guys have, physically have space to do it.
23	MR. FROESE: No, we don't have SSCs yet.
24	MEMBER PETTI: Okay.
25	MR. HALLEE: Just reiterating the

1	functional containment concept starts with the TRISO
2	codings and PIC and SIC layers surrounding the fuel to
3	maintain the fission gases. Then we have the pebble
4	fuel graphite matrix, the core zone, and then the
5	graphite kernel 3 zone.
6	Helium pressure boundary, which is a
7	passive boundary it would assume normal leakage unless
8	its breached. And then the reactor building
9	infiltration on the building, which we do not credit
10	at all in the DBA evaluation model.
11	MEMBER PETTI: So you have some sort of
12	filters or it's just a generic
13	MR. FROESE: It's just generic HVAC
14	filters.
15	MEMBER PETTI: Okay.
16	MR. FROESE: During a depressurization
17	event you're not putting that through a filtration
18	system, it's coming out really fast.
19	MEMBER PETTI: And then
20	MR. FROESE: But we don't take any credit
21	at all for a reactor building hold-up for deposition
22	like a light water reactor.
23	MEMBER PETTI: And then the kernel is also
24	a barrier, correct? That's not listed here, right?
25	Otherwise you have to assume all the fission products

1	on the coatings, which I don't think you want to
2	MR. FROESE: Yes, that's a good point.
3	MR. HALLEE: Good clarification.
4	CHAIR MARTIN: Another clarification.
5	Your TRISO is proprietary version. I'd like to see
6	that at some time. It's not it's listed right
7	there.
8	MEMBER PETTI: It's an HEI 2, hot.
9	CHAIR MARTIN: Plus I'll let you say that
10	it already aligns with, say the spider plot in the
11	EPRI report in 2020.
12	MEMBER PETTI: I believe it. I believe
13	their design would fit inside the
14	CHAIR MARTIN: Okay.
15	(Simultaneously speaking.)
16	CHAIR MARTIN: But you could still
17	consider it proprietary fuel product.
18	MR. HALLEE: So I reach out to Milan in
19	the back if there is anything on the proprietary
20	front.
21	MR. HANUS: Yes, I'll actually okay, so
22	
23	(Simultaneously speaking.)
24	CHAIR MARTIN: Please say your name first.
25	MR. HANUS: Yes. Yes. I'm Milan Hanus.
I	1
1 I'm the strategic manager of system analysis. And regarding the fuel, the spider plot, that describes 2 the prime way of this chemical, the important 3 capabilities of the fuel, that is proprietary. That 4 is modified version of the HEI spider plots, but I saw 5 the TRISO program. But our version of TRISO-X places 6 7 us for proprietary. CHAIR MARTIN: Okay. Thank you. 8 It's available to be looked at by proprietary session? 9 MR. HANUS: Yes. We can, yes. 10 11 CHAIR MARTIN: I mean, we'll see a topical report on this at some point, correct? 12 MR. HALLEE: We do have a --13 (Simultaneously speaking.) 14 MR. FROESE: The staff --15 MR. HALLEE: We do have a fuel -- TRISO-X 16 fuel qualification for --17 18 MR. FROESE: Right, right. (Simultaneously speaking.) 19 CHAIR MARTIN: -- that this a little bit 20 different --21 MR. HANUS: This is based on --22 CHAIR MARTIN: -- and that we'll --23 MR. HANUS: Yes, this is based on --24 25 CHAIR MARTIN: -- see it again?

ĺ	
1	(Simultaneously speaking.)
2	MR. HANUS: but it's modified
3	CHAIR MARTIN: Sure.
4	MR. HANUS: for our purposes.
5	CHAIR MARTIN: Okay, thank you.
6	MR. HALLEE: All right. So we can move
7	into Step 2, which is specify figures of merit. And
8	already mentioned that is our primary figure of merit
9	is radiation dose, total effective dose equivalent of
10	TEDE at EAB. That it tends to meet 10 CFR 50.34
11	requirements. Clearly spell it out is less than 25
12	rem. That also facilitates our comparison with the
13	F-C targets that are defined for the other events.
14	Non-DBA events for 18-04.
15	And Brian listed the figure earlier, in
16	the earlier slides, our calculation components that
17	comprise the figure of merit are listed here as we
18	define them. Actually calculate them discreetly.
19	Some ancillary figures of merit were
20	mentioned in the TSAM topical report. And I've listed
21	them here. And these are largely for verification and
22	demonstration that the assumptions outlined in our DBA
23	model do hold true. So ensuring things like the ASME
24	pressure vessel quantities limits are not breached.
25	So on and so forth. But our primary figure of merit
I	1

1	for the DBA EM is offsite dose.
2	Step 3 is the decomposition of the systems
3	and components and to phases of geometries and
4	processes. The decomposition that was used for the
5	PIRT process is listed here. The phases, fields,
6	geometries, transfer processes were not as discreetly
7	outlined as noted in Reg Guide 1.203. These were
8	largely and inherently delineated in the PIRT
9	phenomena itself.
10	So our intent is another PIRT revision
11	prior to the OLA that will more discreetly lay this
12	step out. But just note that caveat that those
13	transport processes and POs are largely reflected in
14	the PIRT phenomena and result in the physics phenomena
15	that we tend to model for the DBA EM listed here.
16	MEMBER PETTI: Just go back. Question.
17	The combustible gas, it's both air and water, you can
18	get combustible gas, right? Is it only steam
19	generator?
20	MR. HALLEE: Technically yes.
21	MEMBER PETTI: Thank you. So you're going
22	to look at both hydrogen but also carbon monoxide?
23	MR. HALLEE: That's correct.
24	MEMBER PETTI: All right.
25	MR. HALLEE: Step 4 is perform the PIRT

1	process with the phenomena identification ranking
2	table. X-Energy used a traditional approach here.
3	Expert panel with adverse experience. But we also
4	build upon the work that was completed for the NGNP
5	high temperature gas reactor.
6	We organized the phenomena by event
7	categories, developed knowledge levels, ranked
8	importances, and ranked them against our primary
9	figure or merit, which is dose consequence.
10	The event categories listed. We had seven
11	here that were evaluated for the PIRT. Six transient
12	analyses and one normal operating condition analysis.
13	And not, the full PIRT is reflected in
14	Appendix C of the TSAM report. Didn't have that
15	reflected here, but some of the high importance
16	phenomena examples that are associated with these
17	event categories are listed here. Field temperature
18	negative reactivity feedback for control rod
19	withdrawal event for the loss of heat, secondary
20	cooling scenarios, thermal conductivity heat capacity
21	and decay heat generation. And steam-graphite
22	oxidation or steam generator tube rupture events.
23	CHAIR MARTIN: Your PIRT methodology, as
24	I'm sure you're aware that the NRC published a, you
25	know, a temperature gas reactor PIRT, NUREG 6
I	1

1	something. You know.
2	But commonly cited, I believe it's cited
3	here, it's in the document but I'm not a hundred
4	percent sure, was it a delta review approach that the
5	PIRT team took or did you kind of put that to the side
6	and then try to kind of build the PIRT from scratch?
7	What was the strategy there?
8	MR. HALLEE: Yes, so initially for
9	Revision 1 of the PIRT it was a delta approach from
10	the NGNP in the prior high temperature gas reactor
11	PIRTs.
12	For Revision 2 X-Energy largely started
13	from scratch, developed a PIRT specific working groups
14	for each of these seven scenarios and largely built
15	that from the ground up. While also paying knowledge
16	to what was known to be important for the prior PIRT.
17	Prior PIRT effort.
18	CHAIR MARTIN: Okay. So the answer was
19	yes, basically to both.
20	MR. HALLEE: Yes.
21	(Laughter.)
22	CHAIR MARTIN: Now I have picked on
23	another design center for not being transparent with
24	the membership of the PIRT team. I guess it's okay
25	for this stage of the thing, but the NRC is certainly
	1

1	on record of expecting that transparency. And so, I'm
2	closer to, you know, a operating license application
3	or standard design approval.
4	There is expectation, you know, to see
5	these, you know, might understand that they don't have
6	inherent biases. You know, understand the
7	completeness of their expertise and the completeness
8	of the group in general.
9	That you know at least I'm looking out for
10	that. It's common criticism of PIRTs. That these
11	were human, you know, expert. And often times the
12	"expert" and they're subject to subjectivity. And we
13	understand the checks and balances associated with
14	that.
15	MR. HALLEE: Yes. Thank you for the
16	comment. So that takes us to the end of Element 1.
17	So Element 2 of Reg Guide 1.203 is largely
18	focused on development of the assessment base and the
19	V&V back story.
20	So Step 5 is specify the assessment
21	objectives of the V&V base. And the TSAM, we largely
22	not that that is reflective of the reg Guide 1.203
23	intent and want to verify our codes capabilities model
24	phenomena, identify the PIRT, validate those
25	predictions against the data and quantify any biases
ļ	

1	or uncertainties. And as well, establish the
2	applicability to Ex-100 specific geometry conditions.
3	So code specific assessment objectives,
4	those will be covered in code specific V&V LTRs. And
5	I'll just make kind of this high-level objective.
6	CHAIR MARTIN: Real quick. Obviously we
7	have this GOTHIC and Flownex TR after this one. Was
8	there anything else, any other peripheral tool sets,
9	that are integrated with those primary codes or is
10	that pretty much it? Do you have like automation, you
11	know, like input transfers, I don't know. Anything
12	else that might, you know, as an integrated product be
13	subject to V&V?
14	MR. HALLEE: Yes, good question. Yes, so
15	we'll actually touch on that a little bit here as we
16	get into the Element 3
17	CHAIR MARTIN: Okay.
18	MR. HALLEE: and the definition of the
19	evaluation model. We did use some data handling with
20	XSTERM in order to hand off core, or conditions from
21	the thermal hydraulic system codes to our dose code.
22	CHAIR MARTIN: Heat build temperatures and
23	stuff like that.
24	MR. HALLEE: Exactly.
25	CHAIR MARTIN: But do you hand off the
I	1

1 whole transient or do you say, have some inherent conservatisms and just say, well, let's go with heat 2 temperature or something like that? How do you deal 3 with those kinds of uncertainties? 4 And maybe it's a little premature to ask 5 the question like that, but --6 7 MR. HALLEE: Yes. It depends a little bit on the stage of the event. And so, one of the things 8 that we found is we can take a more conservative 9 approach during the initial transient portion of the 10 11 event and be more rigorous in our level of conservatism as you hit the peak fuel temperature out 12 tens of hours into the event. So it kind of is 13 14 situational in that sense. CHAIR MARTIN: Yes. I mean, as I asked 15 earlier, you've been through the cycle three times. 16 17 You get good confidence. But still to hedge against, you know, what changes might come along in cycle 4, 5, 18 6, you know, you want to retain some of that 19 conservatism and have something to give a little bit 20 later if you have to. So that's what it sounds like 21 you're doing. 22 So Step 6 gets to the 23 MR. HALLEE: question of, how does the V&V assessment base scale to 24 25 the Xe-100 prototypic geometry. And for that we

1	outlined in the TSAM that we intend to follow the
2	hierarchical two-two scaling approach. H2TS. It
3	comes with a top-down and a bottom-up approach to
4	scaling. And so there is a four-step process here
5	where we've identified the relevant protocol phenomena
6	in the PIRT. And then we'll perform the top-down
7	scaling to find the dimension of the supply groups and
8	quantify them as similarity between the data in the
9	Xe-100 and then address any distortion factors as
10	needed.
11	This is largely just a plan outlined in
12	the TSAM. And X-Energy is really just commencing this
13	work now. So that is reflective of the status that
14	was outlined in the TSAM.
15	CHAIR MARTIN: I understand that you have
16	no design specific testing planned. That, you know,
17	and ultimately you do that to complete your assessment
18	base. That is still true?
19	MR. HALLEE: Of course.
20	CHAIR MARTIN: Okay.
21	MR. HALLEE: That's true.
22	CHAIR MARTIN: And you want to say
23	anything more about why you feel that that's
24	appropriate or maybe it's, I know we have the other
25	topical, but maybe at a high-level we can explore a
I	1

1	little bit more the other, the other topical.
2	MR. HALLEE: Yes, I'll let Milan, when we
3	get to the MST topical, I think there is some test
4	data that we're looking to get for further
5	qualification of our fuel type. But beyond that, yes.
6	We have a helium test facility that is largely just
7	focused on environment condition qualification of our
8	components but no additional test data that we're
9	seeking for validation of our codes. It's just,
10	expect it's due to the availability of all of the data
11	for this issue
12	CHAIR MARTIN: That's
13	(Simultaneously speaking.)
14	CHAIR MARTIN: you know, some
15	uncertainties probably. Mostly on our operating
16	conditions and somehow you can establish those
17	uncertainties. But anyway, we'll see how that
18	evolves. Again, it's still early.
19	MR. HALLEE: Okay. So wrapping up Element
20	2, the Step 7 through 9 largely are focused on
21	treatment of the experimental data in the V&V tests.
22	And then effects and the test distortions that come
23	out of the scaling analysis.
24	And so, the experimental data piece of
25	this will be discussed in the code specific LTR
I	1

1	presentations as they apply to the V&V efforts there.
2	And then as I just mentioned, the scaling activities
3	are still in progress at the planning stage so no
4	discussion on test distortions yet that were outlined
5	in the TSAM LTR.
6	That takes us to Element 3 which is
7	development, actually develop the evaluation model.
8	And Step 10 notes, establishing the evaluation model
9	development plan.
10	We have multiple work plans that outline
11	the development of the V&V of all these, all the codes
12	that comprise our evaluation model. And then an
13	overall Reg Guide 1.203 plan that ties all these EMDAP
14	activities together and defines our project schedule
15	through OLA. And that plan is intended to be revised
16	to incorporate the staff's feedback on our LTR and CPA
17	as well.
18	And so, overall philosophy is, integrate
19	the approach for Reg Guide 1.203 as we're noting, also
20	with NEI 18-04, we have a system of codes that all
21	work together to address the phenomena that are key to
22	our safety analyses. And then all codes are V&V'd to
23	develop X-Energy's 10 CFR 50 Appendix B, compliant Xe,
24	or quality assurance program.
25	CHAIR MARTIN: One aspect of scaling is
	I contraction of the second

1	that, you know, there is some consistency between, say
2	your core design tools and your TH tools. Don't they
3	go to C it's like a nodalization of your care in
4	particular or are we at some point today? And then
5	how that might align core design.
6	MR. BALESTRA: So can, I'll cover
7	nodalization in the closed session.
8	CHAIR MARTIN: Oh, if we could.
9	MR. BALESTRA: Yes. I have some slides
10	that show nodalization in the closed session.
11	CHAIR MARTIN: Okay. Okay, I will be
12	interested in that. Just at a high-level, more of a
13	confirmation statement, but there is a decent
14	alignment between, say the multidimensional modeling
15	of, from your core design tools and to the thermal
16	hydraulic tools.
17	MR. BALESTRA: And so, as I will show,
18	getting the colleagues' points of the report, you
19	know, I'm going to make some examples of the
20	evaluation case we have. And I'm going to, you know,
21	how they align with the design that we have until it
22	has been
23	CHAIR MARTIN: Do we look, to say, at your
24	peak fuel temperature? Is that at the hurdle level or
25	is it more of an average with sort of multiplier or
l	

1	MR. HALLEE: Yes. Our Flownex model goes
2	down to the kernel level. The GOTHIC model.
3	MR. BALESTRA: Yes. They model the fuel
4	diagram. Then we'll come back over the model, you
5	know, the, at a percent of the pebble in the mesh.
6	And so, and then our, you know, some experiments we
7	used to track the temperature. You know, like with
8	pebble size pediments and make sure the temperature is
9	the base temperature of the pebble in the span built.
10	I'm not sure that
11	CHAIR MARTIN: Well that can be a pebble
12	temperature but really if you get down to the kernel
13	
14	MR. BALESTRA: Yes. That's
15	CHAIR MARTIN: Yes. You have like a
16	separate
17	MR. BALESTRA: We have some verification
18	for that, to validate temperature of the TRISO but,
19	you know, measuring the TRISO temperature is not
20	something that we get it's kind of a, I mean, Dave can
21	confirm that but
22	(Laughter.)
23	MR. BALESTRA: Yes. So point being is
24	that if you measure the base temperature of the pebble
25	you can, it's just conduction through the TRISO and
I	

1	then back to the core, and then the shell of the
2	pebble. You know, the mechanical structure, you can
3	barely
4	CHAIR MARTIN: Well I mean, even with
5	light water reactor fuel you don't measure the center
6	line of
7	MR. BALESTRA: Yes.
8	CHAIR MARTIN: the fuel temperature,
9	right?
10	MR. BALESTRA: Yes.
11	CHAIR MARTIN: It's basically
12	(Simultaneously speaking.)
13	CHAIR MARTIN: Okay. Well, I'll say, I
14	never used Halden to benchmark. I was hoping, you
15	know, my design basis accident
16	MEMBER PETTI: But again, the physical
17	size of the fuel that makes, you know, it practical.
18	CHAIR MARTIN: Right. Right.
19	MEMBER PETTI: I
20	CHAIR MARTIN: But I mean, you can get
21	the, you know, the pebble temperature. And because,
22	like you said, it's conduction.
23	MEMBER PETTI: Yes.
24	CHAIR MARTIN: You know. And then
25	basically back out, you know, of the fuel.
Į	

1	MEMBER PETTI: Yes.
2	CHAIR MARTIN: The peak fuel temperature
3	within the pebble itself.
4	MR. HALLEE: All right. So moving on to
5	Step 11 which is evaluate, or establish the evaluation
6	model structure itself. We've taken a, like Brian
7	alluded to this, we've taken a bit of a unique
8	approach here to where we've divided the evaluation
9	model into two phases.
10	One being the early phase, or what we call
11	the plant transient. And the long-term cooling phase
12	where we use Flownex, the early phase, seconds to
13	hours, and GOTHIC, the long-term phase. Hours to day
14	respectively.
15	So Flownex largely contains, because
16	Flownex is capturing the active plant response, it
17	contains the detailed system nodalization. Both the
18	primary and the secondary contains all the detail
19	model of the controllers. And then provides the
20	boundary conditions for the other downstream codes.
21	GOTHIC is largely focused on the primary
22	and focused on capturing that passive heat renewal
23	that occurs over the many, many hours after the 30
24	days and demonstrating the effectiveness of the RCCS.
25	MEMBER PETTI: So in principle Flownex

1	couldn't do that longer phase?
2	MR. HALLEE: So in principle it could.
3	There is a bit of a lack of efficiency on the
4	subroutine structures of Flownex that make it just
5	less efficient than GOTHIC.
6	MEMBER PETTI: So it takes longer then?
7	MR. HALLEE: Correct.
8	MEMBER PETTI: Okay.
9	CHAIR MARTIN: Or, you know, is there an
10	actual handoff between Flownex and GOTHIC or, you
11	know, do you run the early portion of the transient
12	with GOTHIC and then there is a check? How do you do
13	that?
14	MR. HALLEE: Good question. I actually
15	have a slide on that. Maybe we can jump to that now.
16	So the way we've handled GOTHIC is that
17	it's a bounding assessment of a long-term event that
18	captures a set of Flownex over transient events.
19	Early events.
20	So GOTHIC models the entire event from the
21	initiating event. And we basically defined a limiting
22	initial power or initial stored energy in the core.
23	As well as astounding assumptions to basically ensure
24	that early phase transients that are mapping to GOTHIC
25	are covered entirely by the GOTHIC assessment.
I	

1 So one practical example, that would be main steam line break, feed line break or loss of 2 feedwater. Those would all be mapped to down to PLOFC 3 where we would maximize the stored energy of PLOFC by 4 way of GOTHIC. 5 6 CHAIR MARTIN: Just curious, but if 7 Flownex is, you know, if there is not a code that NRC has ever seen? I mean, certainly it's been around a 8 while and people in the community are familiar with 9 it. Do you have a relationship with the developers of 10 11 Flownex to, say communicate your challenges and maybe get special attention, features to add or are you 12 doing that internally? 13 I mean, that's one option too, depending 14 on your agreement with the Flownex people. I mean, 15 certainly something like this challenge with maybe run 16 17 That's, you know, your miracle method nerds times. out there should be able to tackle that, but, I mean, 18 it's time consuming, it's challenging. 19 It can't be done. Obviously others do it. 20 MR. HALLEE: Yes. 21 CHAIR MARTIN: What is that relationship 22 like? Do you pick up the phone and first name basis 23 kind of thing and --24 25 MR. HALLEE: Yes, absolutely. You know,

1	we have a relationship with the client developers, we
2	have people who worked on Flownex, like Herman in the
3	back, worked at Flownex for a long time doing thermal
4	hydraulic analysis. We have an ongoing contractual
5	relationship with them where they help us with
6	specifically what you're talking about. If there is
7	ever a problem in modeling space, like runtime or
8	CHAIR MARTIN: They're basically
9	considered a partner on the project. All right,
10	that's good to know. It's almost essential.
11	MEMBER HARRINGTON: Can you go back to
12	Slide 22? So you have the TH systems code, which I
13	assume is Flownex. To the next slide. And then it's
14	got a hook, this spatial kinetics code.
15	The slide on Flownex has just point
16	kinetics. So what is the role of point kinetics
17	versus spatial kinetics? Is there another code that
18	you're going to cover in some other topical report
19	that does the spatial kinetic?
20	MR. HALLEE: Yes. So we've used, Brian
21	used the code X-e. It's developed at the University
22	of Michigan. And that code was used to verify the
23	code that FT-100 is actually tightly coupled as a
24	core. So we actually verified that spatial kinetics
25	aren't necessary for the reactivity assertion

1 transients evaluated by the DBA EM. And so that was 2 our decision to use point kinetics going forward in our codes. 3 MEMBER HARRINGTON: Okay, thanks. 4 If I might offer this, possible misleading. So this is 5 basically what you did to come up with your method, 6 7 but then your method itself doesn't have that hook off to do a spatial --8 MR. HALLEE: Yes. Good comment. And then 9 just wrapping up this slide, XSTERM, as we've noted, 10 11 is our X-Energy in-house developed code that is the mechanistic source term calculator and evaluates our 12 offsite dose consequences. 13 So this slide sort of pictorially attempts 14 to describe what I just mentioned. And so we've got 15 a branch, Flownex, which defines the source term 16 temperatures. GOTHIC defines 17 the long-term temperatures. But really as Mr. Martin asks, and it 18 really redefines the whole separate analysis case 19 starting from the initiating event. And then XSTERM 20 is our mechanistic source term code. 21 What I'll jump into here next is the, this 22 tool noted as the FSC tool which actually utilizes 23 XSTERM. And this is our post processor which converts 24 25 thermal hydraulics system core nodal fuel temperatures

into offsite doses.

1

25

2 So how this is accomplished is, XSTERM is pre-evaluated to generate a number of single pebble 3 evaluations at different time and temperatures. 4 We 5 created a database of those temperatures versus doses. And then when a safety analysis is run, be it Flownex 6 7 or GOTHIC is performed, those peak fuel temperatures are mapped against that database and we generate the 8 offsite dose that way. 9

There is number of 10 а conservative 11 assumptions built into that database we've developed. Things like downing dispersion factors that currently 12 aren't site specific. The DBA's, fuel impurity and 13 14 quality metrics are pegged at the design limit values. Time and temperature bounds and transient times, and 15 then pebble power profiles are maximized. So all 16 those conservative assumptions are baked into every 17 DBA source term evaluation that gets mapped using this 18 FSC data tool. 19

20 MEMBER PETTI: So just a question on, I 21 think it's the previous slide. XSTERM is picking up 22 the circulating and the time played out. It gets 23 lifted off, but what was unclear to me was, there are 24 fission products in the matrix, right?

And then under heat up, they may not come

1 from the particles but it may come from fission products in the matrix. They got them doing the 2 operation and then come out are worst in oxidation 3 events. The particles may be okay, but you got that 4 inventory, let's call it at-risk, in the matrix. Is 5 6 that captioned? Because it wasn't really talked about in the documents. 7 MR. HALLEE: Yes. That's correct, yes. 8 All the pre-compiled pebbles are evaluated up to a 60 9 effect of full power year. Well, evaluated to their 10 11 limiting operating conditions. So we're starting from that condition. The pebble one that we performed the 12 fuel. 13 It should be like a 14 MEMBER PETTI: thousand days or whatever the present timing is. 15 MR. HALLEE: Correct. Correct. Good 16 17 question. 18 CHAIR MARTIN: If I missed this, but regard to, you know, the circulation of the fission, 19 the activation products, you have a step where you 20 determine where they might otherwise accumulate. 21 Steam generator for instance. And then is there some 22 account for where they're located? 23 Say in a depressurization event. 24 25 I expect most of them are either in the

1 core or steam generator. And you can kind of give a feel for what fraction kind of leaves the core? 2 3 MR. HALLEE: Yes. So we have a mechanistic XSTERM analysis that does look at where 4 distributed throughout the primary system that is 5 radionuclides. It played it out is the term that we 6 used for that. 7 CHAIR MARTIN: Yes. 8 Due to the temperature 9 MR. HALLEE: inversion that occurs in the steam generator, I said 10 11 a majority of it would occur in the steam generator And our intent actually is, we 12 pressure vessel. developed a tech spec SRTL which is intended to verify 13 that as some periodicity throughout normal operation. 14 But yes, the majority is occurring in the steam 15 generator pressure vessel. 16 17 CHAIR MARTIN: Okay. MEMBER PETTI: Just talking about steam 18 generator I had a question that I couldn't find. 19 Is the helium on the inside of the tubes or the outside 20 of the tubes in the design? 21 MR. HALLEE: Outside of the tubes. 22 MEMBER PETTI: Outside. The steam is on 23 the inside? 24 25 MR. HALLEE: Yes.

1	MEMBER PETTI: Thanks.
2	MR. HALLEE: We noted this. So then we
3	can move on to Step 12, which is developing and
4	incorporate the closure models. And for those not
5	familiar with closure models, it's really just a
6	simplistic model assessment of physics that either are
7	too complicated to model or have diminishing returns
8	if that detail is further, further achieved.
9	One example of that would be the porous
10	media pebble bed assessment for heat transfer in the
11	core. And so, our current status on this, as outlined
12	in the TSAM, is that these are currently under
13	development for all the codes. And I don't believe
14	we're going to get into any details on this, the code
15	specific LTRs, so really these are just largely
16	defined but still undergoing development and
17	assessment for accuracy.
18	CHAIR MARTIN: So when it comes to heat
19	transfer in the core you might expect, at least at
20	some point, you would do an experiment to consider
21	porosity or versus the size of your pebble and what
22	have you. It's a complicated geometry of course.
23	I certainly think the other in-tests
24	previously, are you trying to stay within, say the
25	applicability of those old tests with the size of your
	I

1	pebble or, I mean, do you really depart it much from,
2	you know, the prior work with the pebble design and
3	the core design? Core size.
4	I don't know if there is like a porosity
5	type
6	MR. BALESTRA: Yes, so
7	CHAIR MARTIN: standard that you're
8	trying to hit. What is your figure of merit as far as
9	making sure your design is applicable to prior work?
10	MR. BALESTRA: That's a good. And I would
11	say that, you know, that bullet itself didn't change
12	much from the fuel program. It's still the same size.
13	And so and the pebbles, you know, the pebble size
14	is also comparable to some of the old design that is
15	being deployed during the thermal program.
16	So the correlation, the board, you know,
17	the correlation developed for those kind of reactors
18	are pretty much obliged very well on the design we
19	have.
20	CHAIR MARTIN: Okay. So that is
21	MR. BALESTRA: Relatively speaking.
22	CHAIR MARTIN: you know, internal
23	design spec, you know, to target some appropriate
24	range based on prior work
25	MR. BALESTRA: Yes.
I	1

1	CHAIR MARTIN: you know.
2	MR. BALESTRA: Yes.
3	MR. HALLEE: All right, that takes us to
4	the last element which is assessing the evaluation
5	model for its adequacy. And so, largely in the TSAM
6	we noted that the components of Element 4 which are
7	the code, the final code V&V input uncertainty
8	treatment similarity and scale evaluations and
9	ultimate quantification of the bias largely still in
10	progress.
11	One key facet, or key component on the
12	four that we did get, go into detail on is the model
13	uncertainty and input at certain treatment. And so
14	I'll spend of the rest of the discussion here
15	outlining what did for uncertainty quantification.
16	So our uncertainty analysis methodology
17	looked at lots of different types of uncertainty
18	material properties for reactor physics, model
19	specific scenarios, specific uncertainties and then
20	kind of I&C control logic set point uncertainties.
21	We utilized a, I think a bit of a unique
22	approach here to define our uncertainty. And then
23	sort of come up with uncertainties by deduction, which
24	is called a PK PIRT or phenomena and key parameter
25	identification ranking table process which is really

1	an extension of the traditional PIRT process. And we
2	use it to identify what are the key code inputs or
3	parameters that are effecting our figure of merit,
4	which is outside dose.
5	CHAIR MARTIN: This PK PIRT approach, is
6	this something invented or is this something that's
7	been peer reviewed or
8	MR. HALLEE: Our understanding, this is
9	traditionally used in Canadian CNSC assessments for
10	reactor applications.
11	CHAIR MARTIN: Something you can borrow?
12	MR. HALLEE: Yes.
13	CHAIR MARTIN: Okay.
14	MR. HALLEE: So what this has allowed us
15	to do is to enable uncertainty quantification on a
16	more targeted basis. Specifically that assisted our
17	long-term heat-up case analysis uncertainty because of
18	the just resource time consuming costs of running the
19	30-day evaluations. Past heat removal cases
20	This approach supported deterministic
21	conservative or best estimate plus uncertainty
22	approach. And I will get into how we achieved, how we
23	pursued that further here.
24	So just to kind of step through how the PK
25	process works. We start with the high and medium rank

phenomena outlined in our PIRT. Link those to the models that are applicable to, the specific transient categories, and then decompose the phenomena into model parameters. Or what our actual inputs so we can tune into the code to qualify the code.

1

2

3

4

5

25

We then have an expert panel re-rank those 6 7 parameters so that we're working with the high and potentially medium rank parameters that can be 8 adjusted into code. Assign them in uncertainty 9 distributions and then perform either individual 10 11 sensitivities to understand how, what's the delta for a figure of merit for altering each of these 12 parameters to their worst case tolerance or perform 13 just a worst case stack up analysis for all the 14 inputs. And estimate our uncertainty either way. 15

CHAIR MARTIN: So you highlight there in 16 1, identify high and medium ranked phenomena. Did you 17 do state of knowledge evaluation as well and the how 18 did that factor into this determination because 19 ultimately you're looking for, I mean, if it's high, 20 and there is also a high state of knowledge, you know, 21 often times those are really the simple ones. 22 It's the ones that are most state of knowledge 23 in particular that end of being your risk guidance. 24

MR. HALLEE: Yes, that's a good question.

1	It was ultimately a judgment call, but state of
2	knowledge was evaluated during this process.
3	CHAIR MARTIN: Okay. But you didn't come
4	up with a term that I've used in the past, which are
5	borrowed from Gary Wilson who I consider the father of
6	PIRT to an extent, but is just risk perspective. And
7	it's a metric that corporates the ranking of both the
8	importance and state of knowledge. But did you use
9	something like that or how did you integrate that
10	state of knowledge into your evaluation?
11	MR. HALLEE: Yes. So the PK PIRT process
12	was largely just expert panel driven. And so, there
13	is a, we developed a report for each transient
14	category and basically walked through the PIRT and had
15	justification written for inclusion or exclusion of
16	each phenomena. And that included the importance
17	ranking and state of knowledge ranking. Just a
18	judgment call by the expert panel.
19	MEMBER PALMTAG: This is Scott Palmtag.
20	So you have an estimate overall uncertainty. I assume
21	that's numerical calculations once you got your
22	uncertainties out of each of your parameters and you
23	run a whole bunch of numerical methods. Have you done
24	this or is this something you're going to do?
25	MR. HALLEE: We have done this.

1	MEMBER PALMTAG: Okay.
2	MR. HALLEE: Yes, that is correct.
3	MEMBER PALMTAG: And that's a very
4	expensive calculation. How many Monte Carlo cases
5	have you run?
6	MR. HALLEE: So actually the, defining the
7	PK PIRT process allows us to distill down, we distill
8	down, that's the number seven input parameters that
9	are key drivers for the particular event. What we
10	would do is then run one case potentially with all
11	seven of those parameters, get to their worst case
12	tolerance limit and that becomes our conservative
13	assessment for uncertainty. So it's actually
14	MEMBER PALMTAG: But now
15	(Simultaneously speaking.)
16	MEMBER PALMTAG: simplifies the
17	analysis.
18	MEMBER PALMTAG: You can't always tell
19	which ones, which direction things go on it. There
20	are some transients that, you know, one parameter, you
21	know, one direction is going to be bad, another one
22	is, so what do you mean
23	MR. HALLEE: So
24	MEMBER PALMTAG: case? If you've
25	picked seven parameters and worse case, so you didn't

1	do like a Monte Carlo you just
2	MR. HALLEE: No, we did not perform Monte
3	Carlo analysis. And that's a good comment. So, as a
4	way to backstop that we did perform individual
5	sensitivity analysis for each
6	MEMBER PALMTAG: Single parameter.
7	MR. HALLEE: parameter. And that also
8	helped us identify what are any correlating parameters
9	that, you know, might alter each other as we, if you
10	were to alter them together. So we could define with
11	each individual sensitivity analysis, what was the
12	impact on temp, peak fuel temperature and then add all
13	up and see how that compared to the overall worse case
14	tolerance stack of analysis. If they aligned well we
15	knew one. If there was limited correlation between
16	parameters, and then two, we had sort of the worst
17	case direction identified by performing those
18	sensitivity analysis.
19	MEMBER PALMTAG: Can you do those
20	separately for each transient?
21	MR. HALLEE: Correct.
22	MEMBER PALMTAG: Did you use a screening
23	criteria to say, certain parameters don't need to be
24	touched even if the PIRT team came back and, you know,
25	hard to image they would say this is high and that
I	1

ĺ	
1	something, you know, wasn't confirmed as high in the
2	sensitivity, although it does happen. But did you
3	come across those situations where you just said, ah,
4	this particular parameter, this particular phenomena,
5	you know, doesn't move the needle, we don't need to
6	treat it?
7	And so as a consequence you reduce your
8	set that you ultimately consider, yes. So
9	MR. HALLEE: Yes.
10	MEMBER PALMTAG: what was that
11	screening criteria?
12	MR. HALLEE: I hesitate to throw a hard
13	number out. I know for the control rod withdrawal
14	event that's one that comes to mind as I think we
15	ended up with like 14 different parameters and
16	ultimately found that there is really only four or
17	five that drive that event.
18	MEMBER PALMTAG: Usually four or five.
19	Whatever you're looking at
20	MR. HALLEE: Yes.
21	MEMBER PALMTAG: it's only four or
22	five.
23	MR. HALLEE: Yes. So there was, it's a
24	bit of a judgment call, again, by the PK PIRT panel.
25	I don't think we had a hard limit that said if it's
l	

1	more than three percent we're going to throw it out.
2	It's a bit of a judgment call.
3	MEMBER PALMTAG: Okay. All right, I'll
4	reserve what I'm thinking right now for later.
5	MR. HALLEE: So the last comment I want to
6	make here is that that approach that I mentioned,
7	where we take the worst case tolerance, stack-up and
8	applied it, that applies to every single constituent
9	of the offsite dose that we analyzed for the safety
10	analysis with one exception, the DLOFC.
11	Since that's our limiting event we wanted
12	to understand, maybe not so quite conservative,
13	understanding of what the fuel temperature of that
14	case would be. And so what we did was we applied a
15	root some of squares method to understand what a 95th,
16	95th percentile would be for that event. And so we
17	ran each of those individual sensitivity analyses to
18	their two sigma value, and then get the statistical
19	analysis to understand, you know, the combinatorial
20	effect. What's the 95th percentile for that case
21	since it is our limiting event.
22	MEMBER PETTI: So just to be clear, you
23	didn't, you didn't run, you know, I've seen pebble bed
24	stuff in the literature with a sister code where you
25	ran with a wrapper around the codes and you do all of
I	1

1	this. You didn't do that to come up with that?
2	MR. HALLEE: Correct.
3	MEMBER PETTI: I just worry that this
4	approach isn't going to be conservative. I mean,
5	everything at its worst condition, so
6	MR. HALLEE: And
7	MEMBER PETTI: that's good. It means
8	it will probably have margin.
9	MR. HALLEE: Yes.
10	MEMBER PETTI: At least you can afford to
11	do that. But sometimes I worry that it covers up, you
12	know, it hides, there's more margin there than even
13	that would suggest because crudeness, I guess, of the
14	approach.
15	MR. HALLEE: That's a very
16	(Simultaneously speaking.)
17	CHAIR MARTIN: To Dave's point. On about
18	conservative. Not only you have conservatisms in your
19	model parameters but you stylize these events,
20	correct? In those categories, correct?
21	MR. HALLEE: Yes.
22	CHAIR MARTIN: And of course you have to
23	take, you know, stylizing there are generally
24	conservative assumptions that maybe combine, you know,
25	a plant state conditions are similar but different,

1	where you might have multiple failure type
2	considerations. Yes. And so, you're nodding your
3	heads, so I'm looking for that confirmation
4	MR. HALLEE: That is correct.
5	CHAIR MARTIN: that even the stylized
6	is our basis events.
7	If you really took those events as you
8	articulate them for, you know, these design basis
9	events and then went back to a PRA you might find that
10	there, the likelihood of those particular ones you
11	selected are maybe less likely than reality, may even
12	fall into the category of beyond design events.
13	MR. HALLEE: Yes. That's exactly right.
14	CHAIR MARTIN: Have you done that
15	exercise? I mean
16	MR. HALLEE: Yes.
17	CHAIR MARTIN: that's kind of
18	MR. HALLEE: I think one clear example of
19	that would be for the DBA, CPA analysis, DBA. It will
20	be assumed double ended guillotine break of this main
21	steam line break for our main steam line break event.
22	And PRA has demonstrated that as an incredible event
23	that we would see some smaller size that would not
24	necessarily see the effects that the main steam line
25	break that we see in our DBA event. That's one
I	1

1	example.
2	CHAIR MARTIN: And that depends on this
3	one. I mean, you do cover like single-failure
4	criteria. You really talk about that. But that's
5	all, those are still classic deterministic treatments
6	and state of analysis base you've covered?
7	MR. HALLEE: That's correct.
8	CHAIR MARTIN: And so then you would, for
9	every category you've done a search for single-failure
10	criteria?
11	MR. HALLEE: Yes. I guess the only thing
12	I'd add is that NEI 18-04
13	CHAIR MARTIN: Doesn't
14	MR. HALLEE: doesn't require additional
15	failure
16	(Simultaneously speaking.)
17	MR. HALLEE: It's rolled into the PRA.
18	CHAIR MARTIN: Right.
19	MEMBER PETTI: The PRA is correct. You've
20	done multiple to figure out which one is the worst.
21	And that would be, you know, you effectively get a
22	single-failure rate.
23	CHAIR MARTIN: Right. Right.
24	MEMBER PETTI: I've had this argument with
25	previous Members on this Committee about

1	single-failure criteria.
2	CHAIR MARTIN: But you haven't with me.
3	(Laughter.)
4	MEMBER PETTI: No.
5	CHAIR MARTIN: I'm more deterministic than
6	most, but
7	MEMBER BIER: Do you plan to talk more
8	about what the two bottom bullets on that slide or
9	should I ask my questions now?
10	MR. HALLEE: No. There is an example
11	application of this
12	MEMBER BIER: Okay.
13	MR. HALLEE: in the closed session. If
14	
15	MEMBER BIER: Okay. So I'll hold the
16	questions till then.
17	MR. HALLEE: Okay. All right, so that
18	takes us to the wrap up. So, yes, the TSAM was
19	largely focused on defining our evaluation model and
20	aligning it with Reg Guide 1.203 while also noting
21	that it's intended to be used for the NEI 18-04
22	methodology. And that we intend to validate the codes
23	we've selected. And as I mentioned in the closed
24	session, we can walk through an demonstration analysis
25	that was outlined in the TSAM.
I	·
1	And going forward, we do plan to complete
----	--
2	the V&V of all these codes, finalize the MST
3	methodology, as Brian noted, deliver XSTERM specific
4	LTR on that code, and address any NRC feedback on our
5	methodologies and CPA to support the OLA. Thank you.
6	Any questions?
7	MEMBER PALMTAG: You're running a little
8	early here.
9	MEMBER PETTI: Well I had a question but
10	I can't remember if it's in this topical or the
11	appendix of the Flownex.
12	MR. HALLEE: It's easy to blur, that's why
13	I wanted to put them back-to-back.
14	MEMBER PETTI: Yes.
15	(Simultaneously speaking.)
16	MEMBER PETTI: I think it was DLOFC
17	calculated some peak temperatures that were outside of
18	the lists, as I understand it, the historic database
19	on U02 and the AGR database. So, and without having
20	seen the fuel qualification topical, are there plans
21	to do testing to cover that?
22	MR. HALLEE: Yes, that's where I'll defer
23	to Milan, I think when we're going to discuss some of
24	the MST
25	MEMBER PETTI: We can talk about it later
I	1

1	if that's better. In more context.
2	MR. HALLEE: That was an appendix in the
3	TSAM.
4	MEMBER PETTI: It was?
5	MR. HALLEE: And we'll walk through that
6	example in the closed session.
7	MEMBER PETTI: Right. And it's, the fuel
8	may be fine but there is just no data to support it at
9	this point.
10	MR. HALLEE: We'll visit that.
11	MEMBER PALMTAG: Bob, we're running early,
12	but there is only 15 minutes. We're scheduling for a
13	closed session so we might, it sounds like we may take
14	more
15	CHAIR MARTIN: Oh, we're good.
16	MEMBER PALMTAG: than 15 minutes.
17	CHAIR MARTIN: All right. I guess if
18	there is, are there any other questions that we want
19	to tackle here so we can save some for closed session?
20	Just take a normal break.
21	You don't think we need, you really don't
22	see the slack in the schedule
23	MEMBER PETTI: There is no slack.
24	MR. HALLEE: No slack.
25	MEMBER PETTI: The GOTHIC and the Flownex

ĺ	
1	are good to go in the next 20 minutes.
2	CHAIR MARTIN: Oh, okay. I'm sorry. I
3	guess I was assuming that was over here. Oh. I'm
4	reading it a little bit different.
5	MEMBER PALMTAG: You just got the whole
6	thing in here.
7	MEMBER PETTI: You have a 24 slide
8	presentation.
9	CHAIR MARTIN: Yes.
10	MR. HALLEE: Yes.
11	CHAIR MARTIN: I still think it's probably
12	good break point to, okay. So let's get back together
13	in 15 minutes. Let's call it 10:10. Meeting
14	recessed.
15	(Whereupon, the above-entitled matter went
16	off the record at 9:53 a.m. and resumed at 10:10 a.m.)
17	CHAIR MARTIN: Okay. Recess over. We're
18	going to move onto the next topic of GOTHIC and
19	Flownex. X-energy?
20	MR. BALESTRA: Good morning, everyone.
21	I'm Paolo Balestra. I'm manager of nuclear safety at
22	X-energy. It's an honor to be here today. Thank you,
23	everyone, for listening, and I'm looking forward for
24	your impressions.
25	So, today I'm going to talk about the
	I contraction of the second

1 licensing topical report for Flownex and GOTHIC and Flownex analysis code qualification. 2 the The presentation is going to go through the purpose of the 3 Then we are going to do an overview on the 4 LTR. regulatory requirements and guidance. 5 And then, obviously, an overview on the safety analysis model. 6 7 I will give more about the Flownex code Then qualification and the GOTHIC code qualifications. And 8 then conclusions. 9

So the purpose of the LTR, as you may 10 11 know, is to describe the methodology and theory behind GOTHIC and Flownex supporting the Xe-100 Safety 12 Analysis Evaluation Models. Reference, the LTR 13 reference code manuals and some of the validation and 14 verification efforts, and the qualification plans of 15 It does not detail any specific code both tools. 16 17 executions or categorization of all analyses. So questions on specific (audio interference) discuss 18 them in the closed session. And the conclusion of the 19 LTR is that the two codes can support the transient 20 and safety analysis for the Xe-100. 21

The outcome is that the NRC review and approve the GOTHIC and Flownex models for the use in DBA analysis evaluation for the Xe-100.

25

Okay. Now we go on the overview of the

regulatory requirements. So, we already discussed about --

1

2

MEMBER PALMTAG: This is Scott Palmtag. 3 Before you get started, I didn't really see a good 4 description in the TRs, but can you just tell us a 5 little bit about GOTHIC and Flownex? 6 I mean, 7 obviously there are third-party software companies that support them. GOTHIC is pretty well known; 8 Flownex maybe not so much, but they are a fairly large 9 company. Are they all NQA-1? Are you relying on 10 11 their NQA-1 or do you have your own commercial dedication or --12

MR. BALESTRA: So -- for GOTHIC you know like we are relying on that. So we audited their NQA-1 procedures, you know, and they're compliant. So we are relying on their NQA-1. And the same goes then for Flownex. So, like, they've been developing the NQA-1 compliant procedures.

MEMBER PALMTAG: So they're both NQA-1 development. You're relying on their NQA-1, auditing, it, and then you did your own validation -- or verification and validation of their specific cases? MR. BALESTRA: Yes, auditing GOTHIC and Flownex is just for (audio interference). MEMBER PALMTAG: So there's a much -- what

1	I want to say, there's much broader validation and
2	verification for other applications
3	MR. BALESTRA: Yes, yes.
4	MEMBER PALMTAG: for both of these
5	codes?
6	MR. BALESTRA: Yes.
7	MEMBER PALMTAG: All right. Thank you.
8	CHAIR MARTIN: Yes, one thing about the
9	NQA-1 with GOTHIC, and it probably has evolved, but it
10	was created initially for containment analysis in
11	light water reactors. And its V&V was focused on that
12	particular application. And I assume you're going to
13	get into it, but if there are test problems that are
14	specific to gas reactors, obviously that's maybe
15	they even incorporated that into their V&Vs and it's
16	really and part of its NQA-1, relates to its
17	application here, but once upon a time
18	high-temperature gas reactors was not part of their
19	focus and it was and so it wouldn't necessarily
20	translate and you'd have to do the commercial
21	rededication for this application.
22	MR. BALESTRA: You are absolutely correct.
23	There has been development in the last few years and
24	as we are going to see in the next slides that some
25	specific cases that will be performed in GOTHIC case,
l	I

1	specific case for (audio interference) test reactor to
2	complement the already big set that has been used to
3	verify and validate in GOTHIC.
4	CHAIR MARTIN: Question?
5	MR. FROESE: Yes, I guess I'd also just
6	tie in here that we're closely coupled with the
7	Numerical team that develops the GOTHIC software.
8	They're on the call today, so that would be the other
9	resource.
10	MR. BALESTRA: So you have already seen
11	the other presentation on the regulatory requirement
12	that we are following and the guidance in Reg Guide
13	1.203. Just want to add that additional NRC guidance
14	come from the advanced reactor application review
15	roadmap and other HTGR licensing experience, like the
16	General Atomics MHTGR, and the NGNP from NGNP from
17	which we got the PIRT, starting point for our PIRT
18	analysis, and Exelon/PBMR.
19	Okay. So, as has already been mentioned
20	we use two codes for two different phases of the
21	transients: So the short-term transient phase and the
22	long-term transient phase. Short-term transient phase
23	is defined as the period at which the SSCs are
24	actively responding to an initiating event involving
25	forced cooling or depressurization. The long-term
	I

1	transient phase is defined as the period at which
2	passive heat transfer begins and no additional active
3	plant response to the initiating event are considered.
4	So for the short-term, as we said before,
5	we're going to use Flownex and it's used modeling
6	primary system and key secondary systems coupled
7	together. And GOTHIC is used for the long-term
8	transient analysis supporting extended simulations and
9	passive cooling requirements. So
10	MEMBER PETTI: Paolo?
11	MR. BALESTRA: Yes?
12	MEMBER PETTI: Just a question that each
13	of those was it seven LBEs, they use both? There
14	are no transients that are short-term so that they
15	would stay in the Flownex box early and you wouldn't
16	use GOTHIC?
17	MR. BALESTRA: So I would say that yes,
18	but not in the sense that there are some so, the
19	one that you mentioned, yes, like, they all end in BOC
20	or POC scenarios, right? But then there are also
21	operational occurrence, you know, there are other
22	transients that they end up with active cooling. So
23	the Flownex is not because we don't go in the passive
24	phase, so some LBEs. But for DBAs, yes.
25	MEMBER PETTI: So I'm thinking about the
	I

1	steam generator tube rupture. Can Flownex handle the
2	steam
3	MR. BALESTRA: Yes. Yes, we do the
4	short-term transient with Flownex and we model the
5	rupture and the steam flowing through the primary
6	system and mixing with helium.
7	MEMBER PETTI: And then outside of the
8	primary system in the vault, the citadel, you know,
9	the
10	MR. BALESTRA: Yes, the way which we model
11	it right now is which we model the reactor (audio
12	interference) is like through a conservative boundary
13	condition that is basically atmospheric pressure with
14	filled with air so that we maximize the
15	depressurization. And we also conservatively estimate
16	the (audio interference) that happens after so that
17	MEMBER PETTI: I'm more interested in the
18	condensation of the steam, the model, when gets into
19	the reactor building through the relief valve into
20	whatever volume that is
21	PARTICIPANT: So the design is no.
22	MR. BALESTRA: Yeah, we don't have a
23	reactor building model (audio interference) with these
24	models for DBAs.
25	MEMBER PETTI: It just may be important
l	

1	for the source term. We'll get back to it when we
2	talk about the source term. So I have a particular
3	phenomenon in mind and that may be a phenomenon you
4	maybe need to consider.
5	MR. BALESTRA: We can yes, we can
6	(audio interference).
7	And so talking about Flownex, it models
8	reactor kinetics and thermal-hydraulic phenomena
9	through the point kinetics. It uses a combination of
10	1D finite volumes and 2D axi-symmetric discretization
11	to model the reactor. And obviously it solves the
12	partial differential equations for mass, energy, and
13	momentum conservation using (audio interference). And
14	it predicts basically the system response of the
15	primary and secondary heat transport systems.
16	Going into the components of the model,
17	pebble bed and the de-fueling chute are modeling using
18	porous media approximation that is a very well-known
19	approximation used for pebble bed, proven multiple
20	times (audio interference). And the Kugeler-Schulten
21	correlation is used for convective heat transfer when
22	we have yes, for modeling, basically, the heat that
23	moves from the pebble to the helium. And then we have

Zehner-Schlunder correlation based on the A3-3

effective pebble bed conductivity using

24

25

1 graphite as a conductive material. And, obviously, in 2 the reactor we have also the point kinetic that us 3 parameters calculated by VSOP for simulating the 4 neutronic response.

5 Then moving into the steam generator, we 6 have -- the steam generator is modeled with 1D 7 components and it assumes uniform radial steam 8 temperature. And that has been proved in previous 9 design like THTR. And Xe-100 uses a very similar 10 design to THTR steam generator, so we can assume 11 (audio interference) assumption.

The Reactor Cavity Cooling System is 12 modeled through some sort of -- some boundary 13 14 conditions and it's designed to have at least 72 hours of boil-off volume. The material properties are 15 obviously temperature-dependent. There 16 is а 17 particular attention to graphite that considers irradiation -- degradation-induced aging effect. So 18 we map that and we take into account for (audio 19 interference). 20

21 MEMBER BALLINGER: This is Ron Ballinger. 22 I have a question. Are the material properties also 23 time-dependent?

24 MR. BALESTRA: So time-dependent in the 25 sense of --

1	MEMBER BALLINGER: On the steam generator
2	side. Tubing, for example.
3	MR. BALESTRA: That's and, Richard, are
4	you can you answer that question?
5	MR. RIVERA: Yes, I'm here. No, for the
6	steam generator tubes you would not have a
7	time-dependency involved. I assume you're talking
8	about as you raise and lower temperatures and
9	potential for cycling effects? Is that what you're
10	getting into?
11	MEMBER BALLINGER: Yes, that for sure.
12	MR. RIVERA: Yes. No, that would be
13	something that would have to be monitored
14	independently. And then if there were a certain
15	material property that we'd want to look at because a
16	certain quantity of operational time has elapsed, then
17	we'd have to plug in those specific properties in a
18	material properties table to evaluate them.
19	MEMBER BALLINGER: Thank you.
20	MR. RIVERA: No problem.
21	CHAIR MARTIN: For clarification, so
22	Flownex is run for 72 hours?
23	MR. BALESTRA: No, that's the that's
24	just the RCCS, how it was designed.
25	CHAIR MARTIN: Okay.
Į	

1	MR. BALESTRA: But usually Flownex run for
2	hours. That's the timeline.
3	CHAIR MARTIN: Hours meaning less than 12
4	or something?
5	MR. BALESTRA: No, like a few hours. One,
6	two, three hours maximum.
7	(Simultaneous speaking.)
8	CHAIR MARTIN: short-term transient and
9	a little heat-up.
10	MR. DERCHER: There's a defined set of
11	criteria that we prescribe that ends the transition
12	from the Flownex phase. Essentially, it's when the
13	plant's not actively responding and it's unique to
14	each event.
15	(Simultaneous speaking.)
16	MR. DERCHER: Two really quick things on
17	that. Ron, just recall that we don't credit
18	safety-related heat removal through our steam
19	generator, right? Our safety-related means of heat
20	removal are through RCCS. So just wanted to point
21	that out.
22	And, Dave, to answer your question
23	sorry, should have thought about this at the time
24	if you have a tube rupture event, that gets piped
25	directly out of the building so you're not going to
	I. Contraction of the second se

1	have condensation inside the reactor building. We
2	have a relief valve from the bottom of the steam
3	generator that pipes directly out to the environment.
4	MEMBER PETTI: Oh, okay.
5	MR. BALESTRA: Thanks.
6	CHAIR MARTIN: One other little detail.
7	Material properties, anything proprietary? Are these
8	standard databases?
9	MR. BALESTRA: So
10	CHAIR MARTIN: Like the BISON database or
11	is there anything unique?
12	MR. BALESTRA: Andrew, do you know the
13	answer to that question?
14	MR. DERCHER: As far as where material
15	properties are coming from? Is that the question?
16	MR. BALESTRA: Yes, are they proprietary?
17	MR. DERCHER: For certain you know, I
18	don't want to I want to err on the side of caution
19	here because some might be proprietary. Honestly, I
20	don't know that they all are, but as far as I'm
21	just going to pick on the steam generator tube if
22	we're going to grab a material property. The alloy
23	that's used as far as the material properties when
24	you're looking at thermal conductivity, heat
25	capacitance, et cetera, we would go to let's say the

1	vendor for that and ask for those properties. So
2	we're plugging in real properties. But I because
3	I'm not 100 percent sure about the proprietary nature
4	of all the material properties, I don't want to go
5	there.
6	MEMBER PETTI: I would say probably
7	this is Dave some of the graphite stuff, even the
8	testing results are proprietary in agreements between
9	countries. There's a bunch of irradiations in Europe
10	that you have to be part of to get access to it. I
11	think the U.S. data tends to be more open.
12	MR. DERCHER: And you touched on graphite
13	and that I specifically stayed away from that
14	because yes, that's
15	MEMBER PETTI: Yes, that one's it
16	complicated.
17	CHAIR MARTIN: And I expected graphite.
18	One challenge that I've seen in my experience with
19	design projects like this is material properties
20	the consistency of material properties being used
21	within the design centers you'll have your design
22	folks. They'll go off and find their own data that
23	they'll use. And then the safety folks will use their
24	own. And who knows you know, a partner will use
25	their own. And so there's and it sounds like
I	

1	there's really no effort to standardize among the
2	project.
3	MR. BALESTRA: Periodically I check, like,
4	that all the groups use the same properties
5	MR. DERCHER: And we do have a couple of
6	generic material reports that we try to use throughout
7	the X-energy design.
8	(Simultaneous speaking.)
9	MEMBER PETTI: With graphite it depends on
10	the grade. Each company
11	CHAIR MARTIN: It depends on the margin
12	available, too, and kind of what your goal is. How
13	granular do you want to get.
14	MR. DERCHER: I would also state that
15	it's interesting that Scott brought up, because I
16	presented at various ANS conferences for X-energy
17	where we've been asked specifically about sharing
18	material property data, standardizing it. And I'm
19	usually directed to remain rather tight-lipped about
20	that. So that's why I'm not going into too much
21	detail about it.
22	CHAIR MARTIN: I think Oded wanted to make
23	a quick remark here.
24	MR. DORON: Yes, hi. I'm Oded Doron, the
25	VP of Engineering at X-energy. I want to just add a

general point because you're making a good point. We are looking to actually centralize material data at X-energy, creating a dedicated materials team and moving toward having materials handling. So your concern is valid and being addressed.

Let's talk a little bit MR. BALESTRA: 6 7 It's a hybrid code that bridges gap about GOTHIC. between CFD and one-dimensional thermal-hydraulic 8 analysis. The purpose of this is to actually increase 9 the level of accuracy just in selected region of your 10 11 model so that you can keep the run time like fast enough for the scope of the calculations. And GOTHIC 12 is very flexible and used also for RCCS performance 13 14 evaluation and design and reactor building environmental conditions that as Bob pointed out was 15 the original scope of the code. 16

17 The reactor use the same correlation used in Flownex. The reactor component has a little bit 18 simplified to obviously run to -- up to 30 days of 19 simulations. One example of simplification is that 20 the cone region of the pebble bed is not explicitly 21 modeled. But is a low-power region. It's not going 22 to change the results significantly. 23

And the steam generator is uses the same approximation uniform radial heat transfer and use 30

1	axial subdivisions that has been defined using
2	nodalization sensitivities.
3	The reactor cavity cooling system again is
4	a boundary condition that is based on a stand-alone
5	RCCS model that informed the reactor model for
6	inform the boundary condition of the reactor model.
7	And reactor building, as I mentioned
8	before, is not explicitly modeled. We have a boundary
9	condition that impose atmospheric pressure and
10	contains air to maximize the air ingress during the
11	accident as a conservative approach.
12	Okay. Flownex code qualification. In the
13	LTR the three manuals three most important manuals
14	are reported. It is worth mentioning that Flownex is
15	developed using NQA-1 quality standards and there's
16	over 40 person-years dedicated of V&V. There's
17	obviously ongoing improvement thanks to international
18	conferences specific for HTGR analysis that will
19	include the pedigree of the code.
20	There are some of the accident that we
21	discussed before. And, obviously, all the phenomena
22	on these accident are important for to be for
23	defining the validation. And, obviously, the primary
24	metric is the dose at exclusion area boundary, but,
25	obviously, GOTHIC influence don't calculate that and
	·

we have to use the quantities and the significant impact of the subsequent dose. So we have assessed those quantities and one of them, for example, is the fuel temperature.

1

2

3

4

And these are some of the validation case 5 6 that, Bob, you were talking about before. And for 7 example, this is the verification effort for the pebble temperature. As we said, we cannot measure the 8 TRISO temperature, so we have to use some numerical 9 solutions to compare the model that we have in Flownex 10 11 (audio interference) equation. And we use the step power increase in that yield 1D conduction model, and 12 compared this to Flownex, and we saw that there's a 13 14 bias from spatial discretization, how many (audio interference) from the center to the top of the 15 pebble. 16

17 that that bias in But. we saw the temperature of the fuel decreased with the power 18 levels. And that's basically what happens after the 19 shutdown. So we have low power, so the bias gets very 20 small and (audio interference). So we come up with 21 the best trade-off between like accuracy and fast 22 downtime. 23

Another big case for -- another big exercise that we've been done for validating the 1 Flownex is HTR-10. And this will be used for 2 validating heat transfer phenomena, you know, radiation, conduction, and convection. During the --3 in the benchmarking, there are some ex-core location 4 temperature measurement, and the simulation that has 5 been done with Flownez already showed very good 6 7 agreement with the results.

Another very important case is SANA, 8 because like SANA actually measured the pebbles base 9 temperature different axial location in the experiment 10 during (audio interference) circulation condition. 11 And that has been done with a wide range of 12 temperature. And the pebble to the point that we did 13 for is same size, six centimeter. And even in this 14 case Flownex was comparing very well and we used as 15 metrics L-infinity and L-2 models. 16

17	Other v	validatio	on case	es are
18	MEMBER	PETTI:	Paolo?)
19	MR. BAI	LESTRA:	Yes?	
20	MEMBER	PETTI:	Just	a question.
			_	

25

HTR-10 benchmark besides -- the comparison to data you said was good. I assume it was also -- it compared very well with the other codes as well because it was an EIEA benchmark, right?

MR. BALESTRA: Yes. We did uncertainties

On the

1	over like the other participants.
2	MEMBER PETTI: Sure. Right.
3	CHAIR MARTIN: Uncommon for us to see
4	L-infinity, L-2 norms. Those are just the standard,
5	simplest metrics, like rooting some squares and
6	right?
7	MR. BALESTRA: Yes. Okay. Other cases to
8	validate when we have a break, right? So we have to
9	validate the pressure loss model. So we have a case
10	in which a pressure vessel a valve in a pressure
11	valve was open and the (audio interference) time was
12	measured. And even in this case Flownex was
13	matched the experimental data fairly well.
14	Other experiment another experiment is
15	the Mass Flow in Compressible Gas Network. So it's
16	complex gas networking which valves were change and
17	were closed or open or regulated to change the flow
18	configuration. And even in this case, Flownex was
19	able to match both the C-state and the transient space
20	between the opening and closing of the valve.
21	And then transient temperature in heat
22	exchanger. This one is an experiment we did heat
23	exchanger. The inlet temperature was changed from 26
24	to 60 degree. And even in this case Flownex was able
25	to match closely the results. And these are just like

1	some of them. There is more, I just wanted for
2	sake of time, I didn't want to go through all of them.
3	GOTHIC code qualifications. Same here.
4	In the LTR we have the two most important manual for
5	GOTHIC. All the effort most of the effort for the
6	validation and verification of GOTHIC is reported in
7	the GOTHIC Qualification Report that is released
8	together with every new version of the code and
9	includes, obviously, comparison analytical solutions
10	and experimental data from integral and separate
11	effect test facilities. There is a wide range of
12	phenomena covered in that report like natural
13	convection, heat/mass transfer, aerosol behavior, and
14	more.
15	The planned applications. Again, here we
16	have SANA, HTR. In addition to those two, there's
17	also NSTF. That's very, very old data that can be
18	used to validate with the cooled RCCS. And additional
19	applications. Not part of they not part of the
20	current (audio interference). Texas A&M University,
21	1/28th scale of NGNP HTGR reactor building. Then we
22	have the famous HTGR facility at Oregon State that can
23	provide very good data for (audio interference)
24	transients. And obviously worth mentioning, the
25	Framatome Applied GOTHIC to evaluate HTGR design

1	building and a building response.
2	CHAIR MARTIN: Very good may be a little
3	of exaggeration, but it's been highly analyzed and
4	assessed.
5	(Simultaneous speaking.)
6	CHAIR MARTIN: Sat in a lot of meetings
7	with Robbie Kyle, so
8	MR. BALESTRA: Okay. Yes, in conclusion
9	we can say that these are to the two version of the
10	code that are in use under NRC-approved Quality
11	Assurance Program at X-energy that is conforming in 10
12	CFR 50, Appendix B, and the ASME NQA-1-2015. We
13	thought in the LTR we discussed like the methodology
14	and theoretical basis for the two codes. And in
15	conclusion we would say that GOTHIC and Flownex will
16	support the Xe-100 transient safety analysis
17	evaluation model, pending NRC approval for the
18	preliminary design.
19	CHAIR MARTIN: A question regarding the
20	relative extent of V&V held by developer on
21	high-temperature gas reactor applications between
22	GOTHIC and Flownex. I would expect Flownex is maybe
23	more extensive than GOTHIC when it comes to
24	high-temperature gas reactor benchmarks. Or have you

25 pulled and kind of aligned those two in a code-to-code

1	comparisons?
2	MR. BALESTRA: So I would say that Flownex
3	started earlier, so there's way more work. Also in
4	the open literature, if you look at about it. But
5	GOTHIC is catching up. So as you have seen like there
6	is repetition, right? So all the cases that has been
7	run for Flownex that we will be they will be run
8	for GOTHIC too at X-energy. But also these specific
9	cases, like Texas A&M, Oregon State, and these are
10	1. So (audio interference).
11	CHAIR MARTIN: But certainly more to be
12	done. I had asked about code-to-code comparisons.
13	Have you done some of those?
14	MR. BALESTRA: We have done some.
15	Obviously, perfect match is impossible because
16	discretization and so on, but we saw that the
17	simplification that we introduced in GOTHIC make a
18	more conservative solution of running (audio
19	interference).
20	CHAIR MARTIN: That supports, say, a claim
21	that your evaluation model, overall, is conservative
22	against realistic-type simulations. I appreciate
23	that.
24	What I didn't see was I guess a PIRT
25	focus. I don't know if you feel like that's more of

1	a proprietary content.
2	MR. BALESTRA: So, the scope of the LTR is
3	you know, we have a V&V plan that is (audio
4	interference) that's very detailed how we came up with
5	all the cases. The LTR is more show that it's
6	the codes are NQA-1 and the models can be used (audio
7	interference). So we can discuss more.
8	CHAIR MARTIN: Okay. You said it was a
9	company technical report that goes into those other
10	details?
11	(No audible response.)
12	CHAIR MARTIN: Okay. Thanks. Further
13	questions from the Committee?
14	Seeing none, I guess we can move on to the
15	staff. We're going to have a quick changeover, so
16	give us just a second while we get everything together
17	for the staff.
18	MR. DRZEWIECKI: Okay. Are we ready to
19	start?
20	CHAIR MARTIN: Yes.
21	MR. DRZEWIECKI: Yes, so I'm Tim
22	Drzewiecki. I'm the leader of your Xe-100 design
23	center. This morning we're going to over the staff's
24	review of the transient safety analysis methodology,
25	at least in this session, and then we'll over the

1	GOTHIC and Flownex qualification.
2	Could have the next slide, please? So as
3	far as the staff's presentation first we're going to
4	go over just some background on this topical report as
5	well as some that are related to this, highlight the
6	reg basis as identified by the staff.
7	Going to the staff's view approach, then
8	we'll just summarize our findings associated with the
9	EMDAP process. Then go into some other areas that
10	were certain limitations associated that were
11	inherited from other topical report that are
12	disposition in this review as just kind of
13	highlighting the scope of the consequence analysis as
14	applied for this topical report. And then go into
15	staff conclusions.
16	Can I have the next slide, please? So as
17	far as background, there's a predecessor topical
18	report to this. That was a safety analysis
19	methodologies framework that was submitted in October
20	'21. Staff's SC was issued in March '23. That SE had
21	identified four limitations associated with being
22	clear on the figures of merit, doing a finalized PIRT,
23	as well as code assessment and just define the models
24	used.
25	So this topical report that was submitted

1	in April '24 and then resubmitted earlier this year,
2	it does include a section which dispositions those
3	four limitations. The updated topical report that was
4	sent in in March, it included some of the markups that
5	were identified during the course of the audit, but
6	there were no RAIs issued either on this topical
7	report or any of the ones that are at issue today. It
8	was all handled through the audit process.
9	As far as scope, Section 1.5 of this
10	topical report
11	CHAIR MARTIN: Can you give us some
12	insight on what they said about identification of
13	figure of merit recently, your first bullet?
14	MR. DRZEWIECKI: Yes. Oh, you means in
15	terms of what was stated inside of the topical report
16	safety evaluation?
17	CHAIR MARTIN: Yes.
18	MR. DRZEWIECKI: Well, I would just say
19	that it was carried over in terms of it was not clear
20	what the figures of merit were when they first did
21	that one framework. And I'll say that remains the
22	case up to date
23	CHAIR MARTIN: Oh, okay.
24	MR. DRZEWIECKI: as you will see in the
25	course of this report.
l	

1	CHAIR MARTIN: All right.
2	MR. DRZEWIECKI: So as far as the scope,
3	Section 1.5 of the topical report, it does clarify
4	that they were seeking approval to use the methodology
5	for the preliminary analysis for the Xe-100 and
6	particularly for design-basis accidents.
7	As stated before, this topical report is
8	one of four and it's the high-level one that was
9	submitted. So this was reviewed at the same time as
10	the GOTHIC and Flownex qualification, which you will
11	hear as part of this session this afternoon. We will
12	discuss the source term topical report and then there
13	is the core design methods which is that one is not
14	subject to this meeting today, so it's not
15	highlighted.
16	Any questions on the background so far?
17	(No audible response.)
18	MR. DRZEWIECKI: Next slide, please? So
19	as far as the reg basis and again, this is
20	identified by staff it's got a little more on
21	fidelity than what was stated in the topical. The
22	first one here is 50.34(a)(1)(ii)(D), which that
23	requires an applicant for a construction permit to
24	perform a postulated fission product release to
25	evaluate some of the consequences. Then there is

1	50.34(a)(4) that requires preliminary analysis and
2	evaluation of your design. And that is generally
3	associated with some of the principle of design
4	criteria and the design-basis that are derived from
5	it.
6	So, staff identified several of the PDC
7	10, which is your reactor design startles, inherent
8	feedback, things like that. So these were areas where
9	we would expect that these kind of methodologies would
10	be used to support findings in your that's part of
11	your safety analysis.
12	CHAIR MARTIN: You'd also expect a unique figure
13	of merit associated with every PDC or
14	MR. DRZEWIECKI: Could be, yeah.
15	CHAIR MARTIN: RFDC.
16	MR. DRZEWIECKI: Yes. So that would be
17	yeah. As we look at that process you'll see that we
18	had the same observations.
19	But so as far as this is our first
20	condition. So, because this was reg basis, it was
21	identified based on the design description as provided
22	inside of TSAM. So that was preliminary. So anybody
23	who may (audio interference) this topical report will
24	need to verify, you know, the reg basis using TSAM is
25	still relevant here, just to kind of clarify what
I	

1	findings are going to be made or what findings are
2	going to be supported by this methodology.
3	Can I have the next slide, please? So
4	this one I want okay. So this one I think is kind
5	of special to a construction permit, so I want to be
6	clear on this one. 50.34(a)(8). This is what
7	requires having an R&D Program such that any kind of
8	safety questions on SSCs would be resolved for
9	before you complete construction of the plant.
10	One part of that is that there is a rule,
11	50.43(e) about having sufficient data to assess the
12	analytical tools that you use (audio interference)
13	safety of your plant. That rule applies to almost
14	everything. It applies to somebody who wants an
15	operating license, really anything under 52, but it
16	does not apply to a construction permit. The staff
17	issued guidance. This is a part of the RCAP guidance,
18	so Reg Guide 1.253, that tries to clarify this.
19	And so that language at the bottom that
20	notes that for construction permit application the
21	requirements under 40.53(e) to ensure that you have
22	sufficient data on the safety features of your design
23	and to assess analytical tools does not apply to a
24	construction permit. Therefore, you don't necessarily
25	need a fully-approved evaluation model, but there are

1	findings that we do have to make. We want to have
2	some feeling that there is adequate margin in your
3	design, but they don't have to be with fully
4	unassessed model.
5	MEMBER PETTI: That would have to happen
6	in the OL submission?
7	MR. DRZEWIECKI: Yes. And the intention
8	is to so why I bring this up here and why this is
9	called out, because it's called out early in the
10	safety evaluation. You can see that there's lots of
11	staff conditions on the and they are tied to this
12	regulation. But the intention that because at the
13	CP stage we want to have confidence that there's going
14	to be R&D plans in place to answer those questions so
15	that when the OL comes in, we'll have the answers.
16	MEMBER PETTI: So can like for
17	something like seismic sometimes at the CP the design
18	is no even firm enough. Does that also apply like in
19	the external event, the specificity that you don't
20	necessarily have to have an analysis? The analysis
21	could seriously evolve because the design could
22	evolve.
23	MR. DRZEWIECKI: Yes, we think that so
24	I'm hesitant to answer the question, but I'll tell you
25	what my opinion is at this time. This is a subject
Į	I

1 that is going to evolve as we review the current CP. And that is certain features -- you can't change the 2 3 site. And so we want to ensure that there is sufficient understanding of the design-basis that 4 you're designing the plant to, similar to what we do 5 like for Part 52 where we have a section where we know 6 7 that you designed your plant a certain -- say peak ground accelerations or like response spectra. So we 8 plan to pursue that information to know that what are 9 you designing to and why do you think you have margin? 10 11 So while we understand it's subject to change, we want to ensure that we at least have targets that are 12 reasonable. 13 MEMBER PETTI: Because one of their events 14

was seismic and it surprised me that you could do an 15 analysis at the CP stage that you felt good about, 16 just given the state of the design. I agree, you 17 should be able to identify your peak ground 18 acceleration and all of that, but through the actual 19 analysis, at least the ones that we've seen, are 20 fairly sophisticated by a lot of design information. 21 Thanks. 22

23 MR. DRZEWIECKI: Are there any more 24 questions on this particular slide? This is one thing 25 that I thought may be somewhat new to this topic.

1	(No audible response.)
2	MR. DRZEWIECKI:
3	Okay. Next slide, please? So as far as the
4	review approach we followed the EMDAP process because
5	it was clear that that's what they were using. EMDAP,
6	the evaluation model of development and assessment
7	process, is outlined in Regulatory Guide 1.203. And
8	it was pretty clear that that's what they're using.
9	EMDAP, so everyone knows, it's a 20-step systematic
10	process broken up into four elements. So the staff's
11	safety evaluation, what we tried to do was to map
12	those elements and steps into certain portions of the
13	SE.
14	And so going down to the last bullet here,
15	Section 2.1 of the Tech Evaluation, it attempts to map
16	information inside of TSAM to various section of the
17	SE. The reason being is that we felt we were finding
18	information that would address a certain step in
19	various portions. So we're trying to move everything
20	into that portion and then assess that one step into
21	one spot. We hope that would improve readability,
22	legibility of the SE. So if you have any feedback on
23	that, we can use that going forward.
24	Section 2.2 of the SE. It does go back to
25	that 50.34(a)(8) point as it was called over and over
l	

again. And then steps 2.3 through 2.6 follow the EMDAP elements. 2.7 goes into the limitations that were identified in the framework. And then 2.8, kind of just clarifies the scope for which the consequence analysis as described inside of TSAM is used or approved to try to set the limits on it versus what's in the actual source term document.

Next slide, please? Okay. So now we're 8 going to step through all the EMDAP elements. I want 9 to take a moment to try and describe what I'm trying 10 11 to show with the color coding. So what's in the box is where staff thinks they are in the process. In the 12 legend on the right, if it's green, we believe that 13 14 was fully addressed. We can check that step off. If it's yellow, it's mostly there. There's significant 15 information, significant work done. If it's orange, 16 we think that they've started the process. And it's 17 red, there's -- we didn't find anything in that time. 18 So going through it now, if I look at step 19 1, as far -- which is to go through and specify the 20 purpose, transient class, and the power plant class, 21 our plant class it's pretty clear that this is for the 22 Xe-100. There is a list of events that are identified 23 in Section 11.2. We would clarify that those were the 24

-- I think the basis for the design-basis accidents.

25

1

2

3

4

5

6

7

1	That list is derived from a full power-up PRA. And so
2	for reasons as described in the safety evaluation,
3	that list did appear to be it wasn't clear it was
4	final or if it was preliminary.
5	It's not the same list there as what is in
6	the (audio interference) CPA. So we had a condition
7	on that that anybody who would reference this should
8	go through give us the list of DBAs and justify why
9	this topical report is used there. And there's just
10	also we have a first limitation just kind of
11	clarifying that this is only for a construction
12	permit.
13	CHAIR MARTIN: But yes, as a
14	clarification, I mean you have these color-coded
14 15	clarification, I mean you have these color-coded statements related to how complete it is, but this is
14 15 16	clarification, I mean you have these color-coded statements related to how complete it is, but this is not relative to what's necessary for a CP. It's
14 15 16 17	clarification, I mean you have these color-coded statements related to how complete it is, but this is not relative to what's necessary for a CP. It's relative to what we eventually hope to get with a
14 15 16 17 18	clarification, I mean you have these color-coded statements related to how complete it is, but this is not relative to what's necessary for a CP. It's relative to what we eventually hope to get with a MR. DRZEWIECKI: Yes, for an OL, for like
14 15 16 17 18 19	clarification, I mean you have these color-coded statements related to how complete it is, but this is not relative to what's necessary for a CP. It's relative to what we eventually hope to get with a MR. DRZEWIECKI: Yes, for an OL, for like a full design that could you use for a COL or an
14 15 16 17 18 19 20	<pre>clarification, I mean you have these color-coded statements related to how complete it is, but this is not relative to what's necessary for a CP. It's relative to what we eventually hope to get with a MR. DRZEWIECKI: Yes, for an OL, for like a full design that could you use for a COL or an operating license.</pre>
14 15 16 17 18 19 20 21	<pre>clarification, I mean you have these color-coded statements related to how complete it is, but this is not relative to what's necessary for a CP. It's relative to what we eventually hope to get with a MR. DRZEWIECKI: Yes, for an OL, for like a full design that could you use for a COL or an operating license. CHAIR MARTIN: Hopefully, at this stage,</pre>
14 15 16 17 18 19 20 21 22	<pre>clarification, I mean you have these color-coded statements related to how complete it is, but this is not relative to what's necessary for a CP. It's relative to what we eventually hope to get with a MR. DRZEWIECKI: Yes, for an OL, for like a full design that could you use for a COL or an operating license. CHAIR MARTIN: Hopefully, at this stage, that if it was just related to CP, the green,</pre>
14 15 16 17 18 19 20 21 22 23	<pre>clarification, I mean you have these color-coded statements related to how complete it is, but this is not relative to what's necessary for a CP. It's relative to what we eventually hope to get with a MR. DRZEWIECKI: Yes, for an OL, for like a full design that could you use for a COL or an operating license. CHAIR MARTIN: Hopefully, at this stage, that if it was just related to CP, the green, right? Yes?</pre>
14 15 16 17 18 19 20 21 22 23 24	<pre>clarification, I mean you have these color-coded statements related to how complete it is, but this is not relative to what's necessary for a CP. It's relative to what we eventually hope to get with a MR. DRZEWIECKI: Yes, for an OL, for like a full design that could you use for a COL or an operating license. CHAIR MARTIN: Hopefully, at this stage, that if it was just related to CP, the green, right? Yes? MR. DRZEWIECKI: Well, I would say</pre>

1	permit guidance. So we're just evaluated it. It's
2	really there for really something that would be even
3	for I would say it definitely has like a LOCA-type
4	tinge to it, but mostly from a hydraulics, but I would
5	say it's really there for like design certifications
6	and operating licenses. So this sets the path. I
7	don't know if I want to would say that call it
8	green because it would just change
9	CHAIR MARTIN: Right. It really wasn't
10	envisioned for this kind of
11	MR. DRZEWIECKI: Yes.
12	CHAIR MARTIN: Yes. So I appreciate that.
13	MEMBER PETTI: That also implies there was
14	a lot of flexibility in what's accepted at the CP
15	stage.
16	MR. DRZEWIECKI: Yes. Yes.
17	MEMBER PETTI: It's that usual certainty
18	versus flexibility problem.
19	MR. DRZEWIECKI: Yes.
20	CHAIR MARTIN: But you could probably take
21	the regulatory basis statement that you highlighted a
22	few slides back and extend it to some of these other
23	elements an steps and come with a similar statement
24	about level of completeness.
25	MR. DRZEWIECKI: Yes.
1	CHAIR MARTIN: And you said what
----	--
2	relative to code V&V it was really looking at the plan
3	moving forward to truly make all these steps green.
4	MR. DRZEWIECKI: Yes, yes.
5	CHAIR MARTIN: And so by taking a
6	structured approach like Reg Guide 1.203, that
7	obviously is a big part of establishing a plan.
8	MR. DRZEWIECKI: Okay. So as far as step
9	2, yes, those are for the figures of merit. It was
10	clear that they were going to use acceptance criteria
11	for dose and as far as that acceptance criteria is
12	consistent with the regulation. There was other
13	information that described figures of merit that
14	didn't appear to be consistent through our topical
15	report.
16	And then as well as standards as well
17	as quantitative standards of acceptance, as you had
18	mentioned, those were not provided whether or not you
19	had the figures of merit say for example whether it
20	was fuel temperature or structural temperature or
21	things like that. Those were not there such that
22	and it's called out that you may want to use surrogate
23	figures of merit. For example, Flownex and GOTHIC,
24	they don't actually calculate dose. So when you're
25	trying to set the target to inform what your PIRT

1	panel and things like that, are there other figures of
2	merit they should be informed by?
3	So this led to our Condition 3, that an
4	application referencing this topical report must
5	subscribe how surrogate figures of merit will be
6	assessed as part of a relevant R&D program, or justify
7	that you don't need them.
8	CHAIR MARTIN: I mean, one thing we maybe
9	should have covered with the applicant was like vessel
10	temperature because more often than not that is more
11	limiting than fuel with high-temperature gas reactors.
12	So I take it you really didn't see that. Or to what
13	extend did you press them on that as a figure of
14	merit?
15	MR. DRZEWIECKI: I would say the
16	conversation that happened during the audit yes, I
17	mean, Pravin may want to weigh in here. Yeah, there
18	was a lot of discussion on what's your actual figure
19	of merit? And we never really, I don't think, got to
20	a clear answer. But Pravin might be able to
21	MR. SAWANT: Yeah, my name is Pravin
22	Sawant. So, yes, we did talk about that, like dose is
23	kind of a surrogate figure of merit, like where do
24	your parameters start to that will calculate using,
25	say, GOTHIC/Flownex, that goes into those analyses,

1 that kind of -- those kind of parameters kind of becomes figures of merit for GOTHIC/Flownex, for 2 example. So, looking at that, it appears that -- like 3 those temperature distributions for materials in core, 4 like fuel and reactor and reactor vessel would become 5 a figure of merit for GOTHIC/Flownex type of 6 7 calculations. But I agree, like there was -- as our 8

9 condition here indicates, it's still not very clear,
10 but we can see that overall approach at this stage.

11 CHAIR MARTIN: Well, I mean, besides fuel, 12 anything that you might be concerned with from a 13 engineering standpoint, anything that could break, you 14 know, core supports, obviously I mentioned the vessel, 15 your control mechanisms or what have you, those are 16 all figures of merit, right? Because once something 17 breaks, the problem changes, right?

And so looking at the fuel particularly with this design, where we've seen lots of margin, you have to start looking at these other things because that really is the limit. It's not -- it may not be the fuel. It's when something breaks.

23 MEMBER PETTI: Could possibly pressurize 24 the (audio interference). It's not the fuel. It's 25 things like the control rod that drive mechanisms, how

1 they're attached to the vessel that are ASME allowables. Because of the natural circulation you 2 can get how helium in places that you don't hot 3 helium. So it's things like that. And at this point 4 they might need more than one figure of merit because 5 they don't know until they get the design really 6 7 finalized, which -- what's going to happen where. MEMBER BALLINGER: With respect to the 8 vessel outside the core, it's all defined by the 9 codes. If it's designed according to The ASME. 10 11 Division 5 or whatever the new Section 3, those are the figures of merit. 12 MEMBER PETTI: But which one will be 13 limiting I guess is (audio interference). 14 MR. So I think (audio 15 DRZEWIECKI: interference) would be because we did identify say 16 PDC, which covers your design-basis for the pressure 17 boundary. And so we would expect that that would kind 18 of come in here and that would have its own acceptance 19 So if you're going to use these 20 criteria. 21 methodologies to assess -- to show that you meet PDC 30 in a design-basis associated with it, then you 22 would have to go through and identify those. 23 Can I have the next slide, please? So as 24 25 far as step 3, this is the step to go through and

1	identify the systems, components, phases, geometries,
2	fields, processes that you should model. This is
3	partially addressed through the PIRT process as
4	described. We identified this through the audit, but
5	we didn't see this information inside of this topical
6	report itself. And there was a slight departure that
7	we uncovered from Reg Guide 1.203 in the fact that it
8	doesn't appear that they're doing a system B
9	composition or a hierarchal system decomposition.
10	So this is one condition of a CP
11	application that would reference TSAM. It must
12	clarify systems, components, phases, geometries,
13	fields, and processes that must be modeled in the EMS
14	part of a relevant R&D Program.
15	And I'll say as far as this presentation
16	we're not going into all the details in the safety
17	evaluation for time's sake, but there's obviously more
18	description for the bases of all these conditions in
19	there.
20	Going onto step 4, which is the actual
21	PIRT process. So we did see the importance levels
22	called out for certain events inside of this topical
23	report. Furthermore, it did describe the process. It
24	described a seven-step process. Staff did compare
25	this versus the NGNP PIRT. Staff were involved NRC

1	and sponsored by the NRC in NUREG/CR-6944. That's a
2	nine-step process. We noted a few differences in the
3	SE. It wasn't the basis for our approval or not. It
4	was just something to compare to.
5	But some of the reasons why this would not
6	agree is because the first three steps are not fully
7	addressed, and those were inputs into the PIRT
8	process. We did not see a knowledge base described as
9	well as knowledge levels described inside of the SE,
10	which would inform what you need for your (audio
11	interference).
12	CHAIR MARTIN: You did not see the state
13	of knowledge?
14	DR. DRZEWIECKI: We did not, we did not.
15	CHAIR MARTIN: It's kind of contrary that
16	I asked that question.
17	DR. DRZEWIECKI: Well, I think they did
18	it. It was just not described in a topical report.
19	So, it was yes, so, that's a different so, the
20	information could be there, but it was just not in
21	this.
22	CHAIR MARTIN: Yes, certainly a very
23	important part of the process to identify the risk
24	items.
25	DR. DRZEWIECKI: So, as far as and,

1	yes, and then, as column number four described, you
2	know, to see if this methodology uses two
3	characteristics in time periods. There's the
4	short-term phase and then, the long-term phase.
5	And it wasn't clear, this was promulgated
6	and used in the PIRTs. And it wasn't broken up there,
7	so we didn't receive information.
8	So, some those are some of the reasons
9	why this is how it's labeled like it is.
10	So, we have a condition that, you know,
11	and if somebody who would reference this topical
12	report wants to incorporate a suitable knowledge base,
13	assess knowledge levels of associated phenomena, and
14	address the characteristic time periods as part of a
15	relevant R&D program.
16	Next slide, please?
17	Are there any questions on this part?
18	Okay, so, going into Step 2, this is the
19	development of the assessment base. So then, Step 5
20	which specify the objectives of the assessment phase.
21	There's a high level of discussion in this
22	topical report on the plans for some of the codes that
23	are part of this suite. However, not a lot it
24	wasn't clear whether it was going to be our based
25	and information and TSAM. It is partially addressed

1	in the GOTHIC and flux qualification and will be
2	discussed in other presentation.
3	Going down to Step 6 which is to perform
4	scaling analysis and identify similarity to criteria.
5	So, it is described that they're following
6	the H2TS methodology which is referenced in Reg Guide
7	1.203.
8	It also clarifies that decode accuracy and
9	validation activities and will be addressed on a case
10	by case basis.
11	There are other sections that describe
12	how, you know, a code could be assessed through being
13	the base and similarity ratios. Staff didn't make any
14	findings on those approaches because just similarity
15	ratios, on their own, are not sufficient to
16	demonstrate, but you have, you know, an evaluation
17	model in order to quantify the uncertainty associated
18	with it.
19	So, we have a condition here that somebody
20	who would reference this topical report also assess
21	the EM using a range of experimental data whose
22	non-dimensional numbers bound the values applicable to
23	this design or provide alternative justification for
24	development R&D program.
25	And we also call out a limitation, but the
	·

1	approval is really just restricted to the use of the
2	H2TS scaling methodology. But there's no specific
3	scaling or associated data that was assessed.
4	Next slide, please?
5	Okay, so, continuing on, Step 7 is to
6	identify existing data or perform integral effects
7	testing or separate effects testing to complete the
8	database.
9	That was generally not addressed in TSAM,
10	but it is partially addressed because of Flownex and
11	will be discussed in the following presentation.
12	Step 8 is to evaluate the effects of the
13	IET distortions and SET scaleup capability.
14	Again, there offer the general H2TS
15	scaling methodology which partially addresses this.
16	There's no findings made on the distortion analysis as
17	previously discussed.
18	And we didn't, you know, identify any
19	information on the SET scaleup capability.
20	So, this is a condition here that, you
21	know, somebody who would reference the topical report
22	must include evaluation of effects of IET distortion,
23	SET scaleup capability as part of the R&D program.
24	Step 9 to determine experimental
25	uncertainties, this we didn't see information either

1	in TSAM or in GOTHIC Flownex. So, this is the this
2	is our tenth condition that you must, you know,
3	evaluate experimental uncertainties associated with
4	R&D program model assessment.
5	Next slide, please?
6	Okay, so, moving on to Element 3, this is
7	to the actual to go through and develop the EM.
8	Step 10 is to have your plan. And so,
9	essentially in 12, it clarifies that all the
10	activities described in TSAM are performed in
11	accordance with the Quality Assurance Program
12	Description, or QAPD, which has been reviewed and
13	approved by the NRC staff.
14	And so, as far as the information that is
15	usually called out to address this step which is, you
16	know, a documentation requirements, the programming
17	standards, configuration control.
18	This is generally done under the QAPD.
19	So, staff found this to be fully addressed.
20	Also, during the audit, we did see that
21	they do have some procedures to address, you know,
22	software QA and those items as well. So, that was
23	called out in the audit summary.
24	Going down to Step 11 to establish the
25	evaluation model structure, Figure 22 in this topical
I	1

1 report, it shows some of the interfaces, the analysis 2 methodology. And Section 5 of this topical report 3 summarizes the codes that are used within it, 4 including the core design methodology, source term, 5 stress GOTHIC and Flownex, as well as the Flownex 6 7 screening criteria. This topical report also states that the 8 final sets of conditions and interfaces will be 9 outlined in a future submittal. So, this is -- it 10 11 appears to be preliminary. They also have their own limitation in 12 this topical report that it has to be used with the 13 three other topical reports, specifically, to be used 14 in combination with GOTHIC Flownex, the source term 15 topical report, and with the core design and methods 16 topical report. 17 CHAIR MARTIN: Question again, I can kind 18 of relate both that Step 11 and 10, regarding kind of 19 configuration for full procedures, did you see 20 procedures for how to prepare modeling -- models with 21 those? 22 And then, how to perform analyses? 23 Were there those kind of instructions that 24 25 they could pass on to their analysts?

1	DR. DRZEWIECKI: Are you referring to kind
2	of like ensure and calculation procedure type thing?
3	CHAIR MARTIN: Well, I did have I mean,
4	there's always a high level calculation procedure,
5	right, that's supposed to cover the whole
6	organization.
7	But then, specific to performance and
8	stage analysis, specific to the use of these codes,
9	you know, there's the practice, you know, the
10	practice, you know, goes back to how to establish a
11	best estimate method. So, they can go back to, you
12	know, CSAU code scaling for the uncertainty document
13	in the late '80s, the expectation that you try to
14	eliminate user errors. Right?
15	And some of the subjective decision making
16	as much as, you know, practical.
17	So, the recommendation came that comes
18	out of that is that you would have procedures that,
19	you know, guide an analyst so that, you know, you can
20	get a different analyst and still kind of get the same
21	result.
22	Did you see that in their QA program?
23	DR. DRZEWIECKI: I did not, I did see V&V
24	procedures.
25	CHAIR MARTIN: Okay.

1 DR. DRZEWIECKI: But we -- I don't -well, they were not examined in detail. And as far as 2 the execution of these procedures to actually do 3 individual calculations, I would say that probably 4 would not have planned to look at those as part of, 5 you know, the methodology at this stage, maybe during 6 7 like a QA inspection down the road, but I'll ask Pravin to see if he saw anything else. 8 MR. SAWANT: No, I mean, yes, for now, we 9 relied upon their promise to follow their QA --10 11 program. So, X-energy has already received approval of their QA approach and that's the QA process that 12 you would follow. And that's what we limited our 13 14 review to. They did list these alternative 15 calculation procedures, so that their other colleagues 16 17 in the topical. But we didn't go beyond that point. CHAIR MARTIN: Okay, I don't know if 18 X-energy wanted to jump in? I'll give you the 19 opportunity, in the interest of fairness. 20 Well, of course, there's 21 MR. FROESE: procedures, for their guidelines, or instructions, you 22 know, those things all kind of, we follow on 23 configuration control. 24 25 We see the analysis performed for these

1	topical reports follows our analysis procedure 2AP3.2
2	which demonstrates compliance with that QA program.
3	That's the
4	CHAIR MARTIN: The analysis procedures
5	that are kind of generic across the organization or
6	MR. FROESE: Yes.
7	CHAIR MARTIN: Okay, so, it's okay.
8	You can kind of create a hierarchy and be
9	specific to each discipline, but at this point, it's
10	still kind of broadly applicable. So, kind of gives
11	a feel for it?
12	MR. FROESE: Yes, that's correct. There's
13	some
14	(SIMULTANEOUS SPEAKING)
15	MR. FROESE: degrading like, for
16	instance, there's scoping counts that we could do for
17	
	design analysis versus the safety analysis
18	design analysis versus the safety analysis calculations are considerably more compliant.
18 19	design analysis versus the safety analysis calculations are considerably more compliant. CHAIR MARTIN: Certainly, it needs some
18 19 20	design analysis versus the safety analysis calculations are considerably more compliant. CHAIR MARTIN: Certainly, it needs some depth there.
18 19 20 21	design analysis versus the safety analysis calculations are considerably more compliant. CHAIR MARTIN: Certainly, it needs some depth there. MR. FROESE: Yes, consistent with, you
18 19 20 21 22	<pre>design analysis versus the safety analysis calculations are considerably more compliant. CHAIR MARTIN: Certainly, it needs some depth there. MR. FROESE: Yes, consistent with, you know, other light water reactor in QA1 applications.</pre>
18 19 20 21 22 23	<pre>design analysis versus the safety analysis calculations are considerably more compliant. CHAIR MARTIN: Certainly, it needs some depth there. MR. FROESE: Yes, consistent with, you know, other light water reactor in QA1 applications. CHAIR MARTIN: I will tell you that more</pre>
18 19 20 21 22 23 24	<pre>design analysis versus the safety analysis calculations are considerably more compliant. CHAIR MARTIN: Certainly, it needs some depth there. MR. FROESE: Yes, consistent with, you know, other light water reactor in QA1 applications. CHAIR MARTIN: I will tell you that more mature organizations that get to the OL stage, they</pre>
18 19 20 21 22 23 24 25	<pre>design analysis versus the safety analysis calculations are considerably more compliant. CHAIR MARTIN: Certainly, it needs some depth there. MR. FROESE: Yes, consistent with, you know, other light water reactor in QA1 applications. CHAIR MARTIN: I will tell you that more mature organizations that get to the OL stage, they take their QA program and it's hierarchal you start</pre>

1	off at the high level that addresses, you know, NQA1
2	at its most basic.
3	But then, there'd be discipline usually
4	has translates that into what they do. And you get
5	a sharper look at that those processes.
6	Again, it's all about assuring that the
7	user has the minimal effect on the outcome.
8	Go ahead.
9	DR. DRZEWIECKI: Yes, so, as far as the
10	last bullet on this slide, it talks about, you know,
11	as far as TR, it does clarify the fact there, you
12	know, it was a planned transient phase that was
13	discussed, that's evaluated with Flownex and then, the
14	long-term of fast cooling phase which evaluated with
15	GOTHIC as well as XSTERM.
16	Next slide, please?
17	Staying inside of Step 11, this goes to
18	two Flownex screening criteria which is, you know, one
19	aspect of this model. And so, it does describe the
20	closed reading criteria as a response surface that
21	converts to the Flownex calculated pool temperatures
22	into the conservative dose estimate.
23	Staff does agree, you know, there's a
24	reasonable of approach for estimating dose associated
25	with a diffusion driven phenomena from the fuel, but
	1

1 it was unclear, based on information in its topical 2 report, you know, what of the radionuclide of release 3 mechanisms that are accounted for by the Flownex 4 screening criteria.

Also, we did not see actual screening criteria. We just saw it described as a response surface.

5

6

7

So, we had two conditions associated with 8 this that someone would use for screening criteria 9 with TSAM, must provide a justification for their use 10 11 on a case by case basis to ensure that they're the appropriate radionuclides covering release 12 mechanisms for an event, as well as to clarify, you 13 know, what are the screening criteria that are used 14 that would justify the use of FSC in lieu of actually 15 performing XSTERM calculations. 16

17 So, as far as staff did make a statement here that subject to conditions 11 and 12 as well as 18 the limitations and conditions provided with inside of 19 TSAM that we conclude that it address that this EMDAP 20 or would address this step because the codes used in 21 the evaluation model have been identified and the 22 interface -- initial interfaces have been described. 23 Going on to Step 12, we did not see 24 25 information inside of TSAM that would address this

1	step. However, it is partially addressed in the
2	GOTHIC and Flownex topical report.
3	During the audit, staff did note
4	statements that there are a few closure models still
5	under development or are being validated.
6	So, this has a condition 13 that someone
7	could reference in this topical report must describe
8	how enclosure models will be developed or incorporated
9	into the evaluation model, either directly or by
10	reference as part of a relevant R&D program.
11	Next slide, please?
12	We're going into Element 4. This is to
13	assess model adequacy.
14	So, it is so, I'll just make clear that
15	these are not addressed in this topical report, but
16	they will be addressed in a future submittal.
17	There is a condition placed with inside of
18	this topical report that states that the evaluation
19	model are described cannot be used for a final safety
20	analysis until the validation and verification of the
21	code have been done and approved by NRC staff.
22	There is some information relevant to
23	EMDAP Step 20 to determine evaluation of model biases
24	and uncertainties. This is that one PK process that
25	was described in X-energy's presentation.
I	I

1 Staff did not make any findings or determinations -- or I'll say, staff were unable to 2 determine that that methodology is appropriate for 3 reasons specified to the safety evaluation. 4 There were certain things that were 5 screened out and, you know, maybe not justified. So, 6 that's all described in detail in the SE what some of 7 the concerns were there. 8 Condition 14 was added to address this. 9 Basically, all of Element 4 that CP application 10 11 referencing this topical report must describe how the evaluation model assessment will be addressed, either 12 directly or incorporated by reference as part of a 13 14 relevant R&D program. So, that's the EMDAP steps. Are there any 15 questions on the assessment against EMDAP at this 16 17 point? Okay, next slide, please? 18 So, as far -- essentially going back to 19 the predecessor, this is an earlier frame work topical 20 report that, again, it was submitted in October '21, 21 SE was issued in March '23. 22 It had four limitations basically saying 23 that you have go through and identify what are your 24 25 figures of merit, you know, finalize your PIRT, do the

1	verification and validation, and justify how the
2	models are used.
3	So, in 2.5, it has information inside this
4	topical report how those four limitations are
5	addressed within TSAM.
6	NRC staff did determine that the report
7	TSAM does not fully address those limitation.
8	However, going forward, an applicant that would
9	reference TSAM would not have to refer back to the
10	previous topical report that all limitations and
11	conditions are provided in TSAM supersede the old
12	conditions.
13	Next slide, please?
14	So, this is going into the scope of the
15	radiological consequence assessment. So, TSAM
16	information associated with radiological consequences
17	is pretty high level and, with the exception of the
18	Flownex screening criteria, is really limited to
19	thermal fluids assessment.
20	We did not identify information in this
21	topical report to address radionuclide production,
22	transport, dispersion, and conversion to radiological
23	dose.
24	So, this is the staff's third limitation,
25	just clarifying the approval of this TR for

1	radiological consequence analysis is limited to the
2	thermal fluids inputs used in radionuclide used in
3	radiological consequence analysis and the general use
4	of Flownex screening criteria.
5	CHAIR MARTIN: But we wouldn't expect
6	that, though. I mean, really
7	DR. DRZEWIECKI: Not really.
8	CHAIR MARTIN: I mean, that's all in XS
9	term, right?
10	DR. DRZEWIECKI: It is, it is. And so,
11	I'll say, now, some of this has to do with like how
12	staff works to try to be efficient, you know, with the
13	next person.
14	Because, generally, you know, whenever
15	this is going to be referenced, a very easy thing to
16	do is to go look at what are the conditions and
17	limitations associated with this topical report
18	without having to go through and read all the details
19	of the safety evaluation.
20	So, this is, just to make it clear, so
21	it's just so that anybody who would use this would not
22	would know, you know, don't look for, you know, you
23	know, any of the details here.
24	CHAIR MARTIN: And you mentioned thermal
25	fluid assessment, do you expect temperatures and flow
ļ	

1	rates and pressure as being useful downstream?
2	DR. DRZEWIECKI: Yes.
3	CHAIR MARTIN: So, you can, of course,
4	track or, you know, do the transport problem, but that
5	should be more or less all that's necessary.
6	DR. DRZEWIECKI: Next slide, please?
7	So, as far as staff's conclusions, we do
8	approve the use of this topical report for the
9	preliminary analysis of DBAs for the Xe-100 subject to
10	the 3 limitations and 14 conditions.
11	And the reasons for that is because of the
12	use of this EM as described performed, you know, we
13	inform radiological consequence analysis, so it can
14	support findings associated PDC 19 as well as
15	50.34(a)(1).
16	And then, as well as it could be used to
17	support findings associated with 50.34(a)(4)
18	specifically, to the relevant PDC because CP
19	applications, one, are not required to provide
20	evaluations of safety margins using approved
21	evaluation models in accordance with, you know, Reg
22	Guide 1.203, pursuant to the limitations as described
23	in this topical report 13.2, as well as staff's
24	conditions.
25	Sufficient justification would be provided

1	in a CP application or during the associated safety
2	review to ensure that the codes used in the evaluation
3	model are reasonably capable of analyzing DBAs for the
4	Xe-100 design.
5	Additionally, and pursuant to the
6	conditions 2 through 14, somebody who referenced this
7	would be capable of meeting the requirements under 10
8	CFR 50.34(a)(8) to describe an R&D program to resolve
9	any safety questions associated with the of the
10	evaluation model applicability to the Xe-100 because
11	it would comply with Reg Guide 1.203.
12	CHAIR MARTIN: Are you done?
13	DR. DRZEWIECKI: Well, just, I mean, the
14	only thing I wanted to say was just, you know, was
15	just this last bullet that we do expect that this
16	topical report is going to make any kind of CPA
17	application work, any kind of construction permit on
18	review more efficient.
19	That's it.
20	MEMBER PETTI: So, I have a lot of
21	philosophical questions.
22	This is the second non-light water review
23	that we've seen of this approach.
24	Contrasted, we just finished NuScale with
25	topical reports. Again, that's a COL application, so
I	1

1	it's all there, everything's there.
2	My general concern with the advanced
3	reactor models, it's nowhere near the amount of data
4	and experiments for these advanced technologies with
5	the water.
6	But I anticipate that they'll be
7	monitored, and if there are smart designers out there,
8	I hope significant monitoring.
9	Can that trade off in terms of meeting the
10	details of 1.203?
11	You know, yes, this is good, I mean, it
12	isn't perfect scaled. Yes, that doesn't work. But
13	you know, I've got this big margin. I'm not sitting
14	on the edge of something like, you know, an advanced
15	light water reactor which is really where 1.203 kind
16	of evolved from.
17	Are there those flexabilities in the
18	structure? Because I just worry, we've talked about
19	you, you read some of our letters, you'll see us
20	hinting at this. But you are the guys that are going
21	to end up making those discussions is that is that
22	process, you know, okay that
23	DR. DRZEWIECKI: Oh, yes, sir.
24	MEMBER PETTI: But the obviously, there's
25	margin that compensates for the fact that they don't

1	meet, you know, every little dot of this Reg Guide.
2	DR. DRZEWIECKI: Yes, that is true. And
3	so, I would say that there are pieces of this Reg
4	Guide that I don't think are overly prescriptive.
5	Some pieces aren't, some pieces are.
6	But in terms of we're always going to
7	apply, you know, all the risk informed approach.
8	We're always going to consider is there margin? Is
9	there performance pieces that could be done that could
10	inform you? Things you could do such that you could
11	monitor things.
12	So, we're always going to do that and
13	we're always going to use those as we do these
14	assessments.
15	So, but in terms of that, I mean, you
16	know, there is some data out there that we think we
17	can use, we actually use quite a bit here, at least
18	for gas reactors and maybe, you know, some other
19	designs. So, we do plan to leverage that to inform,
20	you know, our understanding.
21	We also may need to do things as well like
22	where we have uncertainty, maybe we can leverage our
23	own research to see, you know, can we get to the same
24	conclusions?
25	So, we have plans in place. We are aware
I	1

1 of these challenges. And I'll say, in this area, I think we'll get into more of that during this first 2 term discussion and what we plan to do going forward, 3 at least near term. 4 But I'll say this, in terms of the 5 construction permit phase, there is a lower bar, for 6 7 I mean, you don't need to have the assessment sure. model --8 (SIMULTANEOUS SPEAKING) 9 MEMBER PETTI: -- even at DOL that, you 10 know, I mean --11 DR. DRZEWIECKI: Yes, where you have the 12 13 _ _ 14 MEMBER PETTI: -- there's a 1,000 page topical report from NuScale on validating the LOCA 15 methodology. 16 17 DR. DRZEWIECKI: Yes. MEMBER PETTI: And it was, you know, plot 18 after plot against data, you know, just endless 19 against. You know, don't, you know, but I look at 20 that and I think, you know, and they spent a lot of 21 22 money. And I look at that for these where, you 23 know, there will be some much margin, although there 24 25 was a lot of margin in NuScale.

1	I sometimes worry that I think, you know,
2	that that the risk-benefit there. It might not
3	have been, you know, in hindsight, but it should have
4	been.
5	But that's what I worry about, you know,
6	going forward.
7	MR. SAWANT: And consider, you know, it
8	can also be a question on Reg Guide 1.203. We, in the
9	case of us and Reg Guide 1.203, it is a highly
10	scalable and one can look at it as abstract
11	guidance that way.
12	There is a really large margin in Reg
13	Guide 1.203 that allows the like high conductivity
14	approach and, you know wants to, you know, make the
15	margin really like tight and they can more link, you
16	know, better regulations and better answers in the
17	quantification.
18	So, that way, Reg Guide 1.203 is quite
19	flexible. And what it uses is like complete guidance
20	on thinking about methodology in complete sense.
21	MEMBER PETTI: A frame work in
22	completeness, that sort of thing. That's good, thank
23	you.
24	DR. DRZEWIECKI: Well, but, you know, I
25	think we already noted that it doesn't give you
I	I. Contraction of the second se

1	something explicit relative to construction permit
2	application study to this. Right?
3	(SIMULTANEOUS SPEAKING)
4	DR. DRZEWIECKI: And this
5	CHAIR MARTIN: You know, you're kind of
6	out there with that ambiguity trying to sift through
7	what is necessary. I don't know if there's a lesson
8	learned there that you might recommend as Reg Guide
9	1.203 needed to be updated to have something that
10	helps reviewers like yourselves get through the
11	challenge?
12	DR. DRZEWIECKI: Well, I that might
13	yes, I would say with DANU, we are definitely talking
14	about what we can do in this area. Now, because,
15	okay, you know, you read a review for a valid topical
16	report can take time. Right?
17	And so, we're trying to find ways that we
18	can be perhaps more performance based, maybe do more
19	things less in licensing space. And what I mean by
20	that is, you know, we can do our safety reviews,
21	that's one piece.
22	We can do LARs, we can inspection, we can
23	do other things. So, maybe we can look at it at a
24	higher level and then, look at the details through
25	audits but not having to do everything and assess
I	1

1	everything in safety evaluations.
2	Those are just some ideas. But I'll say,
3	are we going to revise it? I think we're thinking
4	about how we can accelerate it.
5	If you have thoughts there, it would, you
6	know
7	(SIMULTANEOUS SPEAKING)
8	MEMBER PETTI: you know, as a band aid.
9	Right? And then, eventually, if you decide
10	DR. DRZEWIECKI: Yes.
11	MEMBER PETTI: that you've got enough
12	to make to change the Reg Guide, change the Reg
13	Guide, whatever you you know, you have an ISG.
14	I think these, you know, the challenge and
15	X-energy, there'll be a lot of lessons learned, I'm
16	sure and you guys will capture them and filter them
17	down.
18	MS. SAWANT: But at this stage, what we're
19	doing is at least trying to see if our work is
20	guaranteeable to address the elements in that and what
21	is planned. So, that like it's not just like looking
22	at what's there. We are also looking at what's
23	planned. That gives us like the 10 CFR 50.34 request
24	to see like if we are in really good confidence and
25	it's like eventually are a reactor.

1	MEMBER PETTI: I'm glad you mentioned that
2	early in the presentation.
3	MR. SAWANT: 34(e).
4	MEMBER PETTI: That's an important point.
5	MR. THOMAS: So, this is Matt, and I'm
6	kind of responding to Dave here.
7	I guess in my mind, his I think of
8	this, you know, how can you improve deficiency of
9	1,000 review a 1,000.
10	My question would be is, why do you have
11	to have a 1,000 page report to document what they want
12	to do? Is there regulatory efficiencies on the other
13	end that the applicant doesn't have to provide a 1,000
14	page report to justify something that should be pretty
15	a methodology that should be straightforward?
16	Yes, you don't have to answer that.
17	DR. DRZEWIECKI: Yes, I'll just say, I've
18	been on both sides of the use of Reg Guide 1.203 and
19	I do think that there could be ways to make it more
20	clear and streamlined. Because I think that I
21	believe that there's been some misinterpretations of
22	it or maybe doing too much.
23	MR. SAWANT: I'll still argue that it's
24	scalable Reg Guide and if agree really large margin,
25	then you can really can address all the limits that
I	1 A State of the second s

1	are really small documentation.
2	It's all about like how much margin there
3	is and how much confidence you want in your answers.
4	MEMBER PETTI: That's the right answer.
5	I mean, so we should expect. The problem is,
6	sometimes that doesn't flow to the top as you read the
7	full Reg Guide. You look at everything.
8	We sometimes lose the forest for the
9	trees. It's all about safety margin. Right? And it
10	clearly, on both sides, whether it be the applicant
11	might by having to address in this all the stuff, and
12	even the SEs, you know. What's the high level summary
13	here? What's the margin at the highest level?
14	DR. DRZEWIECKI: Can I have the next
15	slide? This is just to kind of wrap things, if it's
16	okay.
17	Richie, may I have the next slide?
18	Yes, this is just, you know, kind of a
19	summary of where we think everything is today. So,
20	and which, you know, what we're saying, that's okay
21	for a CV and so, that's what we're saying.
22	And so, I'll stop there and then we can
23	transition to the GOTHIC and Flownex review whenever
24	we're ready.
25	CHAIR MARTIN: Go ahead.

1 MR. SAWANT: So, let me re-introduce myself. My name is Pravin Sawant, a Senior Nuclear 2 Engineer in DANU. 3 I will talk about the evaluation of 4 X-energy GOTHIC and Flownex --5 CHAIR MARTIN: Oh, we've got the wrong 6 slides. 7 MR. SAWANT: I'll just -- we can start. 8 9 Yes, so, it starts here, initial quantification topical. 10 The -- there it is there. 11 DR. RIVERA: Trying to get it to show the 12 right screen, I apologize. 13 MR. SAWANT: Okay, this topical at this 14 stage by our contractor -- on this -- and we have some 15 contractor people also online, specifically, Roger 16 Walsh participating in this review. 17 So, next slide? 18 So this is our presentation. I'll quickly 19 go through the background, regulatory basis, and our 20 21 evaluation approach -- Then, I'll talk about our evaluation of GOTHIC and Flownex codes and input 22 23 models. 24 And then, and Flownex GOTHIC 25 quantifications.

1	We'll briefly talk about GOTHIC and
2	Flownex documentation, configuration control, and
3	quality assurance.
4	And finally, the limitation and
5	conditions, and conclusions.
6	Next?
7	So, the provides the quantification
8	codes and describes preliminary Xe-100 input models
9	that they have designed.
10	And we looked for the preliminary design
11	basis accident analysis.
12	The topical also summarized completed and
13	planned validations and also describes the quality
14	assurance approach for these codes.
15	And this topical, which we are calling
16	GFQ, our topical release, supports this TSAM
17	methodology in this presentation.
18	And as we saw in the accelerator
19	presentation, Flownex is used for short-term response
20	and for long-term response. I'll not go through
21	those details.
22	And external request to review, and I'll
23	pull that this course on the preliminary DBA analysis.
24	So, this evaluation is focused on
25	evaluating the adequacy of these codes for preliminary
I	1

1	DBA analysis.
2	Next slide?
3	I'll not go through the details of the
4	regulatory specifics. It's the same as TSAM, 10 CFR
5	50.24 for a construction permit application
6	preliminary analysis.
7	And Regulatory Guide 1.233 and 18-04 which
8	all the risk informed performance based technology
9	inclusive guidance for non reactors. Specifically
10	as evaluation of limitation in the 18-04 states that
11	DBA analysis are expected to satisfy Reg Guide 1.203
12	and that process. And that's what we followed in that
13	guidance, again, for review of this topical report.
14	Next slide?
15	And our approach in like quality EMDAP
16	steps and not all EMDAP steps are addressed in the
17	topical. We saw in Tim's presentation that Element 1
18	is exclusively addressed in the TSAM topical.
19	And some steps under Element 2 and 3 are
20	also addressed in the TSAM topical.
21	So, we will look at like only the steps
22	that of Element 2 and Element 3 that were addressed
23	in GOTHIC and Flownex topical, and Element 4, there is
24	applicable review evaluation is essentially not
25	addressed at this stage.
	I

1	So, the scope of the review here is to
2	review GOTHIC and Flownex codes and Xe-100 input
3	models against Steps 11 and 12 of EMDAP, review of
4	documentation, configuration control, and quality
5	assurance approach of Step 10 of EMDAP.
6	And review of elements of GOTHIC and
7	Flownex qualifications using EMDAP Steps 5 and 7.
8	And again, like review says, the review
9	focused on evaluating the adequacy of GOTHIC and
10	Flownex codes, input models, and validations for
11	preliminary DBA analysis.
12	Next?
13	So, let's start with like evaluation of
14	GOTHIC and Flownex codes and input models. And the
15	object is to confirm adequacy of GOTHIC and Flownex
16	codes and input models or preliminary analysis of DBAs
17	Xe-100 design.
18	So, what we looked at is we wanted to
19	confirm that the GOTHIC and Flownex codes are capable
20	of modeling important phenomena transient phenomena
21	for Xe-100 design and also to confirm the GOTHIC and
22	Flownex input models represent important instances in
23	Xe-100 of model and has adequate nodalization,
24	boundary conditions, and initial plant state
25	conditions and controls are specified consistent with
I	1

1	preliminary nature of the design.
2	And again, like here, all these EMDAP
3	steps, there is no specific coding that are used.
4	Essentially, what we are looking is the other steps
5	are addressed are preliminary DBA analysis.
6	Next?
7	This slide summarizes Flownex code and
8	input model. So, X-energy already talked about some
9	of that on Flownex code. As a summarization, the
10	code is it's been there for a long time I think,
11	since the 80s, but new to us.
12	It's not been, to my knowledge, not been
13	reviewed by NRC for any methodology previously. But
14	it appears that there is quite a bit of work done with
15	Flownex in gas reactor work.
16	So, I will not go through the other
17	details, but yes, the code itself has a standard
18	closure models, you know, in single stage and friction
19	and heat transfer closure models.
20	What we observed that they do have more
21	specific closure models that are needed for
22	preliminary pressure drop or heat transfer modeling
23	analysis of porosity variations.
24	We didn't critically review these closure
25	models in this review. But we did look at like they
I	1

1 do have a unique closure models needed for their 2 design. 3 For the Xe-100 Flownex input model, they, 4 again, like because the core has the ability to use 5 their network modeling approach that has node size 6 limits that allows them to represent the whole plant 7 as they have the ability to model the new products 8 using the approach and I believe to model consistent 9 response. 10 So, basically, Xe-100 design is 11 represented entirely using Flownex. We have seen 12 models from primary system, secondary system as well 13 as balance of one side model and control systems. 14 And specifically for as a reflector and 15 pressure vessel, they are representing at 2-d axial 16 and radial nodalization. As X-energy presented 17 earlier is represented as bounding condition at 18 this stage and is the safety of model to derive this 19 part of the condition. 20 Next slide? 21 For GOTHIC code and input model, GOTHIC 22 code, as mentioned during earlier presentat		
2 design. 3 For the Xe-100 Flownex input model, they, 4 again, like because the core has the ability to use 5 their network modeling approach that has node size 6 limits that allows them to represent the whole plant 7 as they have the ability to model the new products 8 using the approach and I believe to model consistent 9 response. 10 So, basically, Xe-100 design is 11 represented entirely using Flownex. We have seen 12 models from primary system, secondary system as well 13 as balance of one side model and control systems. 14 And specifically for as a reflector and 15 pressure vessel, they are representing at 2-d axial 16 and radial nodalization. As X-energy presented 17 earlier is represented as bounding condition at 18 this stage and is the safety of model to derive this 19 part of the condition. 20 Next slide? 21 For GOTHIC code and input model, GOTHIC 22 code, as mentioned during earlier presentation, it's 23 been widely used in nuclear safety ana	1	do have a unique closure models needed for their
3For the Xe-100 Flownex input model, they,4again, like because the core has the ability to use5their network modeling approach that has node size6limits that allows them to represent the whole plant7as they have the ability to model the new products8using the approach and I believe to model consistent9response.10So, basically, Xe-100 design is11represented entirely using Flownex. We have seen12models from primary system, secondary system as well13as balance of one side model and control systems.14And specifically for as a reflector and15pressure vessel, they are representing at 2-d axial16and radial nodalization. As X-energy presented17earlier is represented as bounding condition at18this stage and is the safety of model to derive this19part of the condition.20Next slide?21For GOTHIC code and input model, GOTHIC22code, as mentioned during earlier presentation, it's23been widely used in nuclear safety analysis and in NRC24has also approved many methodologies based on GOTHIC25codes. So, it has wide range capabilities and can	2	design.
4again, like because the core has the ability to use5their network modeling approach that has node size6limits that allows them to represent the whole plant7as they have the ability to model the new products8using the approach and I believe to model consistent9response.10So, basically, Xe-100 design is11represented entirely using Flownex. We have seen12models from primary system, secondary system as well13as balance of one side model and control systems.14And specifically for as a reflector and15pressure vessel, they are representing at 2-d axial16and radial nodalization. As X-energy presented17earlier is represented as bounding condition at18this stage and is the safety of model to derive this19part of the condition.20Next slide?21For GOTHIC code and input model, GOTHIC22code, as mentioned during earlier presentation, it's23been widely used in nuclear safety analysis and in NRC24has also approved many methodologies based on GOTHIC25codes. So, it has wide range capabilities and can	3	For the Xe-100 Flownex input model, they,
5 their network modeling approach that has node size 6 limits that allows them to represent the whole plant 7 as they have the ability to model the new products 8 using the approach and I believe to model consistent 9 response. 10 So, basically, Xe-100 design is 11 represented entirely using Flownex. We have seen 12 models from primary system, secondary system as well 13 as balance of one side model and control systems. 14 And specifically for as a reflector and 15 pressure vessel, they are representing at 2-d axial 16 and radial nodalization. As X-energy presented 17 earlier is represented as bounding condition at 18 this stage and is the safety of model to derive this 19 part of the condition. 20 Next slide? 21 For GOTHIC code and input model, GOTHIC 22 code, as mentioned during earlier presentation, it's 23 been widely used in nuclear safety analysis and in NRC 24 has also approved many methodologies based on GOTHIC 25 codes. So, it has wide range capabilities and can	4	again, like because the core has the ability to use
6limits that allows them to represent the whole plant7as they have the ability to model the new products8using the approach and I believe to model consistent9response.10So, basically, Xe-100 design is11represented entirely using Flownex. We have seen12models from primary system, secondary system as well13as balance of one side model and control systems.14And specifically for as a reflector and15pressure vessel, they are representing at 2-d axial16and radial nodalization. As X-energy presented17earlier is represented as bounding condition at18this stage and is the safety of model to derive this19part of the condition.20Next slide?21For GOTHIC code and input model, GOTHIC22code, as mentioned during earlier presentation, it's23been widely used in nuclear safety analysis and in NRC24has also approved many methodologies based on GOTHIC25codes. So, it has wide range capabilities and can	5	their network modeling approach that has node size
7 as they have the ability to model the new products 8 using the approach and I believe to model consistent 9 response. 10 So, basically, Xe-100 design is 11 represented entirely using Flownex. We have seen 12 models from primary system, secondary system as well 13 as balance of one side model and control systems. 14 And specifically for as a reflector and 15 pressure vessel, they are representing at 2-d axial 16 and radial nodalization. As X-energy presented 17 earlier is represented as bounding condition at 18 this stage and is the safety of model to derive this 19 part of the condition. 20 Next slide? 21 For GOTHIC code and input model, GOTHIC 22 code, as mentioned during earlier presentation, it's 23 been widely used in nuclear safety analysis and in NRC 24 has also approved many methodologies based on GOTHIC 25 codes. So, it has wide range capabilities and can	6	limits that allows them to represent the whole plant
8 using the approach and I believe to model consistent 9 response. 10 So, basically, Xe-100 design is 11 represented entirely using Flownex. We have seen 12 models from primary system, secondary system as well 13 as balance of one side model and control systems. 14 And specifically for as a reflector and 15 pressure vessel, they are representing at 2-d axial 16 and radial nodalization. As X-energy presented 17 earlier is represented as bounding condition at 18 this stage and is the safety of model to derive this 19 part of the condition. 20 Next slide? 21 For GOTHIC code and input model, GOTHIC 22 code, as mentioned during earlier presentation, it's 23 been widely used in nuclear safety analysis and in NRC 24 has also approved many methodologies based on GOTHIC 25 codes. So, it has wide range capabilities and can	7	as they have the ability to model the new products
9 response. 10 So, basically, Xe-100 design is 11 represented entirely using Flownex. We have seen 12 models from primary system, secondary system as well 13 as balance of one side model and control systems. 14 And specifically for as a reflector and 15 pressure vessel, they are representing at 2-d axial 16 and radial nodalization. As X-energy presented 17 earlier is represented as bounding condition at 18 this stage and is the safety of model to derive this 19 part of the condition. 20 Next slide? 21 For GOTHIC code and input model, GOTHIC 22 code, as mentioned during earlier presentation, it's 23 been widely used in nuclear safety analysis and in NRC 24 has also approved many methodologies based on GOTHIC 25 codes. So, it has wide range capabilities and can	8	using the approach and I believe to model consistent
10So, basically, Xe-100 design is11represented entirely using Flownex. We have seen12models from primary system, secondary system as well13as balance of one side model and control systems.14And specifically for as a reflector and15pressure vessel, they are representing at 2-d axial16and radial nodalization. As X-energy presented17earlier is represented as bounding condition at18this stage and is the safety of model to derive this19part of the condition.20Next slide?21For GOTHIC code and input model, GOTHIC22code, as mentioned during earlier presentation, it's23been widely used in nuclear safety analysis and in NRC24has also approved many methodologies based on GOTHIC25codes. So, it has wide range capabilities and can	9	response.
11 represented entirely using Flownex. We have seen 12 models from primary system, secondary system as well 13 as balance of one side model and control systems. 14 And specifically for as a reflector and 15 pressure vessel, they are representing at 2-d axial 16 and radial nodalization. As X-energy presented 17 earlier is represented as bounding condition at 18 this stage and is the safety of model to derive this 19 part of the condition. 20 Next slide? 21 For GOTHIC code and input model, GOTHIC 22 code, as mentioned during earlier presentation, it's 23 been widely used in nuclear safety analysis and in NRC 24 has also approved many methodologies based on GOTHIC 25 codes. So, it has wide range capabilities and can	10	So, basically, Xe-100 design is
12models from primary system, secondary system as well13as balance of one side model and control systems.14And specifically for as a reflector and15pressure vessel, they are representing at 2-d axial16and radial nodalization. As X-energy presented17earlier is represented as bounding condition at18this stage and is the safety of model to derive this19part of the condition.20Next slide?21For GOTHIC code and input model, GOTHIC22code, as mentioned during earlier presentation, it's23been widely used in nuclear safety analysis and in NRC24has also approved many methodologies based on GOTHIC25codes. So, it has wide range capabilities and can	11	represented entirely using Flownex. We have seen
13as balance of one side model and control systems.14And specifically for as a reflector and15pressure vessel, they are representing at 2-d axial16and radial nodalization. As X-energy presented17earlier is represented as bounding condition at18this stage and is the safety of model to derive this19part of the condition.20Next slide?21For GOTHIC code and input model, GOTHIC22code, as mentioned during earlier presentation, it's23been widely used in nuclear safety analysis and in NRC24has also approved many methodologies based on GOTHIC25codes. So, it has wide range capabilities and can	12	models from primary system, secondary system as well
14And specifically for as a reflector and15pressure vessel, they are representing at 2-d axial16and radial nodalization. As X-energy presented17earlier is represented as bounding condition at18this stage and is the safety of model to derive this19part of the condition.20Next slide?21For GOTHIC code and input model, GOTHIC22code, as mentioned during earlier presentation, it's23been widely used in nuclear safety analysis and in NRC24has also approved many methodologies based on GOTHIC25codes. So, it has wide range capabilities and can	13	as balance of one side model and control systems.
15pressure vessel, they are representing at 2-d axial16and radial nodalization. As X-energy presented17earlier is represented as bounding condition at18this stage and is the safety of model to derive this19part of the condition.20Next slide?21For GOTHIC code and input model, GOTHIC22code, as mentioned during earlier presentation, it's23been widely used in nuclear safety analysis and in NRC24has also approved many methodologies based on GOTHIC25codes. So, it has wide range capabilities and can	14	And specifically for as a reflector and
16and radial nodalization. As X-energy presented17earlier is represented as bounding condition at18this stage and is the safety of model to derive this19part of the condition.20Next slide?21For GOTHIC code and input model, GOTHIC22code, as mentioned during earlier presentation, it's23been widely used in nuclear safety analysis and in NRC24has also approved many methodologies based on GOTHIC25codes. So, it has wide range capabilities and can	15	pressure vessel, they are representing at 2-d axial
<pre>17 earlier is represented as bounding condition at 18 this stage and is the safety of model to derive this 19 part of the condition. 20 Next slide? 21 For GOTHIC code and input model, GOTHIC 22 code, as mentioned during earlier presentation, it's 23 been widely used in nuclear safety analysis and in NRC 24 has also approved many methodologies based on GOTHIC 25 codes. So, it has wide range capabilities and can</pre>	16	and radial nodalization. As X-energy presented
this stage and is the safety of model to derive this part of the condition. Next slide? For GOTHIC code and input model, GOTHIC code, as mentioned during earlier presentation, it's been widely used in nuclear safety analysis and in NRC has also approved many methodologies based on GOTHIC codes. So, it has wide range capabilities and can	17	earlier is represented as bounding condition at
<pre>19 part of the condition. 20 Next slide? 21 For GOTHIC code and input model, GOTHIC 22 code, as mentioned during earlier presentation, it's 23 been widely used in nuclear safety analysis and in NRC 24 has also approved many methodologies based on GOTHIC 25 codes. So, it has wide range capabilities and can</pre>	18	this stage and is the safety of model to derive this
20Next slide?21For GOTHIC code and input model, GOTHIC22code, as mentioned during earlier presentation, it's23been widely used in nuclear safety analysis and in NRC24has also approved many methodologies based on GOTHIC25codes. So, it has wide range capabilities and can	19	part of the condition.
For GOTHIC code and input model, GOTHIC code, as mentioned during earlier presentation, it's been widely used in nuclear safety analysis and in NRC has also approved many methodologies based on GOTHIC codes. So, it has wide range capabilities and can	20	Next slide?
code, as mentioned during earlier presentation, it's been widely used in nuclear safety analysis and in NRC has also approved many methodologies based on GOTHIC codes. So, it has wide range capabilities and can	21	For GOTHIC code and input model, GOTHIC
 been widely used in nuclear safety analysis and in NRC has also approved many methodologies based on GOTHIC codes. So, it has wide range capabilities and can 	22	code, as mentioned during earlier presentation, it's
has also approved many methodologies based on GOTHIC codes. So, it has wide range capabilities and can	23	been widely used in nuclear safety analysis and in NRC
25 codes. So, it has wide range capabilities and can	24	has also approved many methodologies based on GOTHIC
	25	codes. So, it has wide range capabilities and can
1 model lumped parameter approach to model three 2 representation. Again, like closing relations, other than 3 standard closing relations, they do have pebble bed, 4 pressure drop, and heat transfer specific closing 5 relations. 6 7 Input model, again, like they have a presentation of primary and secondary systems, 8 including cross over vessel of piping represented in 9 GOTHIC model, steam generator model with some new 10 11 details that allow them to model the steam generator rupture scenario. 12 Again, like core and reflector and vessel 13 14 region modeled with the axillary mesh. Let me see, and then, the whole core is 15 represented using cylindrical geometry and they 16 neglected kind of the conical sections in the core. 17 RCCS is, again, modeled as a bounding 18 condition. It's like a heat flux temperature 19 dependent on heat flux. They used GOTHIC stand-alone 20 GOTHIC modeling for RCCS to derive this -- condition. 21 And as X-energy already talked about, like 22 steam generator is modeled with 1-D approach just the 23 axial nodalization put on primary and secondary side. 24 25 Next slide?

ĺ	
1	So, these are the conclusions that we
2	reached and the conditions that we reached after
3	making our GOTHIC and Flownex codes and input models.
4	So
5	CHAIR MARTIN: So, the first bullet there,
6	earlier, Tim noted in regard to the EMDAP, I think
7	Step 3 where you do the kind of the decomposition and
8	you had system components, constituent phases, field
9	equations, you know.
10	So, clearly, the codes have those sort of
11	things. But you didn't see the one to one mapping
12	between their methodology and the outcomes of the
13	PIRTs and whatever to code models and all of that?
14	Because, yes, this is also the phase of,
15	well, I guess, when it comes to phases, you know, Dave
16	asked the question earlier about, you know, steam
17	generator ruptures or what have you.
18	Did you spend much time on that particular
19	transient? And of course, how it solves that problem,
20	you know, with basically two component helium water?
21	MR. SAWANT: So, for now, we didn't go
22	into a lot more details. But what we have seen is
23	that they have those event categories and risks and
24	first sign of phenomena are inside of all those event
25	categories.
I	·

Eventually, when they do address the relevant core of EMDAP where they have to, you know, stitch together all of these things like important phenomena, then core models correlations and then corresponding safety evaluations and make -- looking at all of these and make conclusions about capability and address any gaps and --

1

2

3

4

5

6

7

25

So, we expect that when they're addressing 8 the input code, they would combine all these aspects. 9 Right now, what we have seen, like looking at just 10 11 input model and, in general, the code and what's happening in the code, that the code has a preliminary 12 integrations and closure models that also they work 13 for this type of design, their input model does have 14 important necessary presenting a very good model. 15

So, it's a really high level review and observation at this stage, but we expect like when they address EMDAP code, they would, you know, combine all this understanding and inform the methodology like if there are any limitations, gaps, those would be addressed after the applicability evaluation.

But yes, for now, again, like our preliminary model, that's what we were looking for in like overall code and overall input models.

That basically covers this slide.

1	We did impose, again, like obvious
2	limitations that we are offering codes only within the
3	analysis and we are not offering and specific inputs
4	for the that are in the model Xe-100 models.
5	Next slide?
6	So, looking at GOTHIC and Flownex
7	evaluations, again, like Element 2 and that Element 2
8	has test, but GFQ topical addressed only two
9	steps, the 5 and 7 like scaling analysis, distortion
10	analysis, or determination of experimental
11	uncertainties, did these steps like 6, 8, 9 which will
12	really allow them to show the applicability of
13	experimental data for their design, but not addressed
14	at this stage.
15	So, we looked at only Steps 5 and 7 which
16	is basically Step 5 is addressed by the evaluation
17	metrics that they showed us in GFQ topical which kind
18	of shows mapping of high ranked phenomena and selected
19	SET, IETs and analytical validations they have.
20	And our observation is that, at least for
21	GOTHIC, that measured validations are really part of
22	the developmental assessments of these codes.
23	There is they do inform us that they
24	plan to validate GOTHIC against more specific
25	applicability for RCCS which is from the NSTF
I	1 I I I I I I I I I I I I I I I I I I I

1	But we like we'll talk about some of the
2	validations that they're like very specific
3	validations for gas reactors and specifically Flownex,
4	but with GOTHIC we have seen plans for the
5	validations.
6	Next slide?
7	So, for Flownex validations, again, like
8	the validation metrics included a number of SETs,
9	IETs, and analytical benchmarks. These are what I
10	have shown on this slide are what we think that are
11	important validations.
12	It appears that these validations for
13	majority of high ranked phenomena in their validation
14	metrics.
15	What is this high temperature gas cooled
16	reactor test, HTR-10, which is really reactor, 10
17	megawatt reactor, so it's obviously a highly
18	applicable test.
19	SANA SET has data related to the pebble
20	bed heat transfer and pressure drop system preliminary
21	test and highly applicable as a steady state and less
22	transient data. And pebble bed micro model is more
23	related to the single phase gas integral system models
24	or single phase gas systems.
25	We do see like no coverage for some of the

1	phenomena that their outlet plenum flow
2	distribution or flow reversal in core as well as the
3	phenomena that I think Tim had talked earlier in
4	distribution and concentration of moisture in primary
5	system.
6	For modeling, it appears that they are
7	looking at like where it links of CMD.
8	For the distribution and concentration of
9	moisture, they do point out some gas mixing type of
10	validations but not any dedicated specific validation.
11	And they do plan to, again, perform
12	additional validations against HTR-10 transient data.
13	I think what they showed us in the topical was
14	represented against tested HTR-10 data and some
15	additional Flownex analytical simulations.
16	So, the determination is that the EMDAP
17	Steps 5 and 7 are address for preliminary analysis.
18	We see that the evaluation metrics is covering a lot
19	of high ranked phenomena.
20	I mean, like we didn't do a critical
21	review, it was more like we didn't critical review all
22	these validations and tried to see what is the
23	applicability range or preliminary range code of these
24	validation or we expect that addressing Element 4,
25	they will, you know, cover this analysis like to
I	1 A State of the second s

1	determine if there is any validation gap and address
2	that validation gap.
3	Next?
4	For GOTHIC validations, again, like I
5	think it's been there in the period for some time,
6	there are a significant number of these. And right,
7	the validation metrics is measured in options in
8	legacy validations.
9	They do have a lot of those legacy
10	validations do cover validations related to physics
11	and related to the gas phase transport. So, it's
12	many of them are quite relevant.
13	But what we see is they're applying
14	validations against HTR-10, SANA and NSTF data are
15	quite important. And these are at this stage,
16	these are planned validations. And they, again, like
17	similarly lack of coverage for those three phenomena
18	that we saw for Flownex.
19	But overall, we determined that steps
20	EMDAP Steps 5 and 7 are addressed for preliminary
21	analysis because we saw some validations and we saw
22	planned formulating against important data.
23	So, again, like we expect that when
24	element core, we can see address the observations from
25	those valuations.
l	

1	Next slide?
2	On the GOTHIC and Flownex documentation,
3	configuration and QA, our review was, again, at the
4	high level. But we noted that what GOTHIC and Flownex
5	codes are doing are following EM QA1 qualifications
6	program and they also do have like upload quality
7	assurance topical, NRC approved topical that they
8	stipulated that they followed all these evaluation
9	models based on GOTHIC and Flownex codes.
10	In terms of documentation, we did see
11	documentation for evaluation modeling requirements,
12	methodology and code and user manuals. Scaling
13	report, uncertainty analysis and final assessment
14	reports are currently not available.
15	Our overall determination is that the plan
16	is to follow their approved X-energy quality assurance
17	program and the current documentation is adequate for
18	the preliminary CP applications.
19	And this is the limitations and conditions
20	that staff imposed on the topical that GFQ TR is
21	limited to the applicability of these codes in
22	accordance with the modeling features described in the
23	topical for preliminary analysis of Xe-100 design.
24	And the review of input parameters into
25	these models is expected to be performed as part of
ļ	1

1	the review of CP application.
2	And so, in conclusion, again, like we find
3	that what Flownex and input models that are described
4	in the topical addresses EMDAP Steps 11 and 12
5	adequately, again, like for preliminary approval.
6	We also determined that the, again, like
7	documentation and their configuration control for a QA
8	approach section for similar address EMDAP Step 10 for
9	preliminary analysis.
10	And the nodalization, modeling
11	assumptions, boundary conditions are having described
12	consistent with preliminary nature of the Xe-100
13	design.
14	And validations against SET, IET, and
15	analytical assessments have been described adequately
16	for the preliminary approval and we do see their plan
17	for completing important validations in the future.
18	So, this is our conclusion that GOTHIC and
19	Flownex codes and input models and validations are
20	adequate for preliminary analysis.
21	CHAIR MARTIN: Okay, that's it.
22	I've bitten my tongue because I think we'd
23	like to have a closed session to, one, address the
24	question I had on nodalization. I'm curious about
25	that and offered that and maybe one or two PIRT
I	1

1	questions.
2	MEMBER PETTI: Should we wrap up into that
3	in a second?
4	MEMBER BIER: Yes.
5	CHAIR MARTIN: And just have one?
6	MEMBER PETTI: Just have one meeting.
7	CHAIR MARTIN: We can do that, I guess.
8	MEMBER PETTI: I think that, because, you
9	know, it's such a as no one leaves or runs away.
10	I think that'd be good.
11	CHAIR MARTIN: Okay, we can certainly do
12	that as well.
13	Then, are there any other questions from
14	the committee?
15	On the line, Vesna?
16	(NO AUDIBLE RESPONSE)
17	CHAIR MARTIN: Okay, I think then we can
18	conclude.
19	MEMBER DMITRIJEVIC: I'm good, I'm sorry,
20	I didn't really disconnect my microphone. But I'm
21	good, I don't have any questions, thanks.
22	CHAIR MARTIN: Thank you, Vesna.
23	And I think we can conclude this morning
24	session. And then, recess for lunch.
25	Given that we're going to postpone this
ļ	1

1 closed session, instead of the 1:15 that's listed 2 here, we can go to 1:00 or are we tied to this 1:15, 3 Larry? MR. BURKHART: We can go to 1:00, if you 4 -- do you want to take public comments at all? 5 CHAIR MARTIN: Well, I figured we'd just 6 7 defer everything to the -- it's all -- I mean, we could. 8 Does anybody have --9 (SIMULTANEOUS SPEAKING) 10 11 MR. BURKHART: I'll tell you what, let's give an opportunity and while we're on the subject. 12 CHAIR MARTIN: Certainly. 13 14 So, what I've been advised is that we give opportunity for public comment on the transient safety 15 analysis methods report and on the GOTHIC and Flownex 16 topical reports. 17 18 So, if there's anyone from the public, please use your -- raise your hand in the Teams 19 function there. We'd be happy to listen to what you 20 have to offer. 21 Okay, 15 seconds has gone by, is that 22 enough? 23 Okay, so not hearing any public comments, 24 25 I think we can then move to recess until after lunch

1	and convening at 1:00 p.m.
2	(Whereupon, the above-entitled matter went
3	off the record at 12:03 p.m. and resumed at 1:01 p.m.)
4	CHAIR MARTIN: Okay. All right. I'll try
5	this again. We're back with X-energy. And now we are
6	going to hear the third of three topicals that we are
7	going to cover today. This one is mechanistic source
8	term approach. Milan, is it you handling this
9	presentation?
10	MR. HANUS: Yes. Good afternoon. I hope
11	everybody had a good lunch and a good break. And I
12	appreciate you coming back here and having me present
13	the mechanistic source term approach for X-energy data
14	for the safety analysis operation.
15	My name is Milan Hanus, and I am the
16	strategy manager at X-energy. And as you have heard
17	before, the recommendation of the mechanistic system
18	models is part of a bit of the trend or movement, ask
19	of X-energy. So that's why we're still working the
20	hand of analysis, which I will be presenting.
21	So I appreciate all the as part of the
22	Department of Energy project. And let's jump into the
23	presentation.
24	And so I will start with an overview of
25	the mechanistic system project that X-energy took and

then develop into the models that we propound and questions and answers.

Before I start, just a reminder, there will be quite a bit of acronyms and abbreviations. You have the presentation. At the end of the presentation there is a list of acronyms so if you need to look at the back, just go to that last slide and it's an explanation of all the abbreviations.

And now let us include a little bit of 9 what we are talking about. The particular point -- we 10 11 submitted the particular point to ask for approval of models, mechanistic system models. 12 The topical report does not include any core development and/or 13 presentation details that will be part of the upcoming 14 XSTERM Topical Report. So this topical report is 15 based focusing solely on the models themselves. 16

17 The document, from looking at the phases, the mechanistic system topical report, obviously 18 develop the risk-informed performance based-licensing 19 basis report which defines the events that we ask 20 input in from the system perspective. The design 21 safety analysis methodology 22 consent that is particularly a point that you've heard about in the 23 morning. 24

And then we have the Xe-100 design

25

1

2

3

4

5

6

7

8

1	details. And we also mentioned the TRISO-ISO pebble
2	fuel methodology, fuel quantification methodology
3	part, which outlines the methodology for fuel prepared
4	to be a version of the TRISO fuel.
5	And the last document is the atmospheric
6	dispersion and dose calculation methodology, which
7	basically discuss how we (audio interference) to these
8	and convert it into the dose (audio interference).
9	The mechanistic source term approach is,
10	as I mentioned, based on the performance-based design,
11	based on the NEI 18-04 guideline. We follow some
12	additional guidelines originally developed for the
13	light-water reactors, but more recently adjusted or
14	modified for advanced non-light-water reactors.
15	So, the regulatory guidance SECY-93-092
16	was one of the main guidelines that we followed. We
17	are seeking approval of our approach to model the
18	source term (audio interference) and transport to
19	other radionuclide barriers and (audio interference)
20	to get the diffusion coefficients and other important
21	aspects of the source term.
22	The Xe-100 source terms are
23	event-specific. So the source terms are built-up for
24	each event depending on what systems are activated,
25	basically, in those events. And they account for the
I	I

1	passive design features of the Xe-100 reactor and
2	model in detail the mechanistic release and transport
3	of the radionuclides from the point of origin out to
4	other radionuclide barriers and out of the plant
5	(audio interference) for the environment.
6	CHAIR MARTIN: Milan?
7	MR. HANUS: Mm-hmm?
8	CHAIR MARTIN: With a mechanistic source
9	term, as the name would otherwise suggest, you'd
10	expect a mechanistic approach, but yet there is still
11	some stylization, right, of the events and how you
12	establish the initial conditions, boundary conditions.
13	They incorporate some of the conservatisms or inherit
14	some of the conservatisms from the conservatisms that
15	are in the safety analysis and then broadly these
16	are not, say, best estimate or is that treated it's
17	still kind of a single calculation associated with a
18	single calculation on the safety analysis side?
19	MR. HANUS: So the mechanistic source term
20	is built from all the contributions to the source
21	term. And they do assume that there are
22	conservative assumptions based on the actual event
23	itself. But they are built up from several
24	contributions. It's not like one single value. It's
25	a mechanistic way of simulating all the what we
I	

1	should release and potential pathways of the
2	radionuclides depending on the conditions. And we
3	CHAIR MARTIN: Depending on the conditions
4	as predicted
5	MR. HANUS: As predicted by
6	(Simultaneous speaking.)
7	CHAIR MARTIN: Inheriting kind of the
8	conservative aspects of the original safety analysis.
9	MR. HANUS: Yes.
10	CHAIR MARTIN: The thermal-hydraulics
11	analysis.
12	MR. HANUS: Yes, that's correct.
13	CHAIR MARTIN: But then, after that, it's
14	more out of best estimate or mechanistic I mean,
15	I'm sure there are uncertainties you are going to
16	treat. You know, you are going to treat some of those
17	at least the more dominant ones, you know, in the
18	appropriate conservative direction.
19	MR. HANUS: Yeah, that's correct.
20	So, as I mentioned, as we heard before,
21	the safety case of Xe-100 is reliant on the functional
22	containment metallurgy concept. So we have multiple
23	radionuclide release barriers, starting from the fuel
24	container to the left here to the TRISO coating
25	barriers of the matrix that holds the particles in
I	1

place, to the helium pressure boundary in the middle part of the left picture, to the reactor building. It's also a radionuclide release barrier even though we found out the majority of radionuclides is held within the first order of release barriers. So we don't credit the reactor building as a safety system. The right picture shows more schematically

1

2

3

4

5

6

7

the phenomena that these two potential release (audio 8 interference) in case of accidents like breaks into 9 the pressure boundary. And (audio interference) the 10 11 potential addition to the source term release, the blue, condensation, deposition, settling, these are 12 the other phenomena that could prevent the release out 13 to the environment. But they are modeled as well in 14 our methodology. 15

16 CHAIR MARTIN: I was just going to say, on 17 the previous side there, I see dust, of course, 18 mentioned. I would expect that to be a relatively low 19 state-of-knowledge phenomena. And what are you doing 20 about characterizing dust, specifically?

21 MR. HANUS: For dust, I have special 22 slide. But I can state now that it's based on 23 operational experience from mainly the AGR reactor. 24 But we also found out that the dust activities are the 25 major contributor to the whole source term, so.

1	So, the Topical Report describes in detail
2	the mechanistic source term models in seven
3	appendices, basically. The particular appendices are
4	listed on the left, A through G. Each of the models
5	is taking describing part of the source term.
6	So the FPM is a fuel performance model
7	which describes the (audio interference) of particle
8	failures due to increased temperatures or radiation.
9	The thermodynamics model describes the temperature and
10	the thermodynamic conditions that (audio
11	interference), so the temperature, the flow rates, the
12	pressure changes.
13	SOLM and the GASM models, these two
14	models, are radionuclide release models. The first
15	one, the SOLM, is a time-dependent concept model which
16	basically retrieves all the diffusion equation for the
17	release of the radionuclides from the spherical
18	pebbles, of the particles and pebbles.
19	The GASM is a simpler steady-state model
20	originally developed for gaseous radionuclides only.
21	And we use that model to develop to kind of coordinate
22	the diffusion coefficients for the SLRM model for the
23	gases, which are not this data was missing from the
24	original set of diffusion coefficients that you got
25	from the IAEA documents. I'll get into more details
I	1

1

2

3

4

5

6

7

8

The DUSTM model is the model for the dust production in the core. And the HPBM model is the model that basically takes the radionuclides released from the pebbles and the dust and computes the transport to the pressure boundary. So all these phenomena are seen before the deposition, liftoff, and so on.

9 We also have a corrosion model for the gas 10 events. And the last two models here, KSIM and TRITM, 11 I also include it in our source term methodology, but 12 we did not specifically ask the NRC to approve these 13 models since they are not part of the DSEM.

14 The KSIM model is basically a plant 15 simulator, which we can evaluate the point kinetics 16 and fast transients.

17 The TRITM model is -- we use it more for scoping analysis, especially for the (audio 18 interference) needs, because tritium is not a big dose 19 contributor, but it's important for if you are trying 20 to you get the heat for steam processes (audio 21 interference) through the steam generator tubes. 22

All these models have some kind of (audio interference) in that they are codes that exist, legacy codes. But X-energy found that it's difficult

1 to combine all these codes, and many of these codes are old codes that we don't have to contact of the 2 3 original developers anymore. We needed to be more -to have more control over the code, over the 4 correlations for our purposes. So that's why we 5 decided to develop our own source term analysis code 6 7 called XSTERM, which is currently under development and implements the models that are presented in this 8 Topical Report. 9 MEMBER PETTI: So let me ask my question. 10 11 In terms of the fuel performance, which is really the heart of everything --12 MR. HANUS: It is. 13 14 MEMBER PETTI: I have major problems with your approach in three areas. Let me talk about them. 15 Most of the models are UO2-based. They don't happen 16 in UCO. They have been engineered out of UCO. 17 For instance, the amoeba effect, the good 18 and outlook model, there is no CO in these particles, 19 so there is no CO corrosion. So I don't understand 20 what validating a bunch of models that are applicable 21 to this fuel system means or gets you for the 22 down-the-road. 23 Even the one model that you are using that 24 25 comes out, let's call it, the American lineage of

1 fuel, the tracking, the IPYC tracking that's in PARFUME, has been engineered away. That mechanism is 2 not what happens in UCO fuel. 3 Second, you talk about wanting to validate 4 against the AGR data. You're not the first. 5 There are others that have said the same thing. They were 6 7 not designed -- those experiments weren't designed for validation. And the failure mechanism that was found 8 common in both irradiations and heating tests, nobody 9 models. There is no code today that can model it. In 10 11 fact, DOE has taken it upon themselves to make it a problem 12 challenge in their advanced modeling simulation program. And they're still -- it's 13 incredibly difficult to model.

And, finally, some of the individual 15 material properties that are in the models, 16 17 thermal-mechanical properties, which determine the failure of the layers, the values you are using are 18 coming out of the German lineage. The American data 19 have, I call it, more functionality. You've got point 20 estimates, and they just vary with fluence. The U.S. 21 data is temperature-influenced. And you put those all 22 together you get different -- you can get very 23 different answers. Okay? So there's a lot of 24 25 uncertainty.

14

1 The strength data that you talk about in the appendix, I have not seen, Martin, UCO TRISO have 2 anywhere near that strength in salt and carbide. 3 So there's these differences when you pull 4 from the historic that make it difficult. 5 INL has done a lot of work looking at which material 6 7 properties matter, and it's a handful. It's five properties. It's the strength of the layers. It's 8 the shrinkage of the graphite. And it's the creep of 9 The creep of the pyro-carbon is the pyro-carbon. 10 11 highly uncertain. There is only seven data points made in the entire data set. 12 And so I put all that together, and I 13 14 said, I think you are in a spot that you won't be able to validate these, or the validation you do may not 15 constitute a true validation of what you are trying to 16 model, which is your UCO TRISO. 17 It seems to me it would be easier to 18 accept the failure fractions in the Topical Report, 19 put some margin on it, and say, our service conditions 20 are bounded by the tests. Here is my failure rates. 21 That's my model. And then you go from there from 22 fission product releases. I think you ought to at 23 least consider it as Plan B going forward here. 24 25 Because I've thought about this for much

longer than any of you guys have been involved in TRISO fuel. I've thought -- 15 years I have been thinking about this. And it is one of the reasons why the U.S. program looks the way it does. It is heavily empirical.

1

2

3

4

5

I had the same ideas when I started. 6 Ι 7 mean, PARFUME, which is, you know, I was one of the people working on it. Very mechanistic for its time. 8 But the more you looked at it, the more you kept 9 going, this is going to be really difficult, if not 10 11 impossible. The AGR program tried to measure material properties again, and they failed. 12 Tried multiple times, multiple institutions. It's just the scale of 13 14 the samples. Okay, let's make a bigger sample. Ιt doesn't look like a coating layer. Well, then you get 15 an answer that isn't right. And there is enough data 16 in the literature to convince yourself, you have got 17 to do it on the real material, and that's really 18 difficult. 19

How they did it in the old days is beyond me, but, you know, there is data out there. So I look at all of that, and I go, when you put on your licensing hat, this may be a very high risk with -you know, when there is a simpler empirical approach that I think can get you to the same point. Because 1 really what you care about is, you know, the modeling 2 of the fission products and the diffusion, which is, 3 in principle, a simpler task than modeling all the 4 failures.

5 Similarly, just think about this 6 statistically. You are going to calculate a failure 7 probability of 10 to the minus 7. I heard pressure 8 vessel failure. We never see pressure vessel failure. 9 It never happens. It's engineered away.

For 10 to the minus 7, do you know how 10 11 many particles you need to irradiate to validate 10 to the minus 7? It's more than we have ever irradiated 12 in the world, probably. You know, so there's all 13 14 these sort of problems that I see that, when you stack them up, step back and say, is that really the 15 smartest approach? Or is there a way to do it simpler 16 and still keep you moving forward? So that's sort of 17 the recommendations. 18

MR. HANUS: I appreciate the comment. And you are right. It's very difficult to validate a diffusion fuel failure model. This is, you know, one of the reasons why we went back to some of our own quantification kind of testing, you know, the UCO particles under test now with INL.

25

But, yes, that would take time. The data

1 that we have data available are UO2 pebbles or UCO 2 capsules or compacts, which have different geometry. 3 That's many uncertainties that (audio interference) in 4 our approach.

5 And we will take this into account. I 6 appreciate your suggestion. Yeah, (audio 7 interference) model (audio interference) it certainly 8 couldn't hurt to validate that approach as well. 9 Thank you.

10 CHAIR MARTIN: I'll ask a much tamer 11 question, on the previous slide. I appreciate this 12 slide. It's one of the better ones, because it kind 13 of relates to the phenomena you view as important. 14 And you tie it into, of course, the historic database 15 that is otherwise captured in these codes.

I wonder if, you know, UO2 aside, the 16 17 correlations, models and correlations that you are using in XSTERM, ultimately do they fall back to maybe 18 one of these codes one way or another? Maybe with the 19 exception, of course, of dust. But you basically 20 cherry-pick, you know, here are the codes that are 21 similar? Because, of course, your code is not as old 22 as all of these other codes that are on here. You 23 have the benefit, of course, of looking -- and then 24 25 some would be, you know, different among the ones that

1 might otherwise apply to these different settings. Or did you go off on your own on some correlations that 2 are really outside of a user experience base? 3 MR. HANUS: It is a mix of both. So, we 4 did take into account the correlations used in some of 5 these codes, especially PARFUME, PANAMA, these codes. 6 7 We, in several cases, connect in more detail to (audio interference). We started with -- we used that 8 correlation as a basis, but evaluated it in our 9 operating conditions and found that -- or, you know, 10 11 with other experimental data that it was originally evaluated. And we found out that (audio 12 not interference) by modifying the correlation by using 13 different coefficients but the 14 same functional dependence, for example. 15 (Simultaneous speaking.) 16 17 CHAIR MARTIN: -- there's a lot of empiricism, and you've identified conditions that 18 maybe your plant might be at and found the data that 19 might be more appropriate to do the fitting and stuff 20 like that. 21 did. (audio 22 MR. HANUS: We And interference), many of our correlations are based on 23 data fitting and digitization of the report (audio 24 25 interference) releases or temperature dependencies as

1	a form of just (audio interference) take of an
2	experiment.
3	So, in many cases digitize those and
4	convert it into a functional dependence and but it
5	is basically a mixture. We have our own. And in some
6	cases we have our own proprietary correlations. In
7	many cases we used original correlations from previous
8	old codes. And in some cases there are modifications
9	on those, as well.
10	CHAIR MARTIN: Okay. Maybe save a
11	question for the staff, but how they evaluated, you
12	know, their methods to come up with new models and
13	correlations. Thank you.
14	MR. HANUS: So, the XSTERM code, this is
15	just a brief slide about the code itself. It's the
16	evaluation model for quantification of Xe-100 source
17	terms, implementing the methodology presented in this
18	Topical Report. And it's developed under our QA
19	program. The goal is to get NQA-1 qualification of
20	the code and use it for the final safety analysis
21	report and operations.
22	Currently, the code the functionality
23	of the code has been developed, but at this point we
24	are updating the verification and validation,
25	uncertainty quantification, trying to get confidence
I	I construction of the second se

1	in the results. Having (audio interference), you
2	know, getting proper data, as was mentioned before,
3	for the FPM model, for example.
4	And so the verification and validation is
5	planned in four phases currently, to basically observe
6	and validate the different main phenomena. Activity
7	release and transport in Phase 1, reactor temperature
8	and power in Phase 2, the dust production and dust
9	settling in Phase 3. And Phase 4 is the last phase of
10	validation, the corrosion as well as the tritium
11	release and (audio interference).
12	So now we have model relating to the
13	actual models. There are seven models. They are
14	integrated to the most the basic model that
15	influences all the others is the thermal-hydraulics
16	model. Most of the other release mechanisms depend on
17	temperature, so it's the THM model, so I start with
18	that. It uses data from the VSOP, the neutronics
19	data, as input, as well as the Flownex global, the
20	flow rate from Flownex, to calculate boundary
21	condition. And the THM model provides temperature
22	distribution throughout the particle pebble and
23	conditions through the reactor to basically all the
24	other models.
25	The model is capable of creating

1 temperatures within a single fuel element or in the These two models are used to (audio 2 fuel core. interference) of the model. When it was (audio 3 interference) calculations, which is used, for 4 example, in the FSC, Flownex Screening Criteria 5 calculations where we take one pebble under given 6 conditions and calculate the release rates from the 7 pebble. 8 The full core calculation is part of a 9 fully integrated XSTERM calculation, if I talk about 10 the recommendation itself. This is used to obtain the 11 steady state event basically in the plant from which 12 the transients can start later on. 13 The single fuel in that calculation can 14 use either the (audio interference) or the (audio 15 interference), which is how we model the compacts, of 16 AGR compacts, mainly for the validation purposes. 17 CHAIR MARTIN: Clarification. THF is the 18 MOOSE-based code? THM? 19 MR. HANUS: No, THM is thermal-hydraulics 20 model. It's just --21 CHAIR MARTIN: So, I mean, MOOSE, their 22 thermal-hydraulic module, they call it THM. It's just 23 a coincidence? 24 25 MR. HANUS: It's a coincidence, yeah.

1	CHAIR MARTIN: Okay. That's unfortunate.
2	(Laughter.)
3	(Simultaneous speaking.)
4	MEMBER PETTI: We just figured that out.
5	MR. HANUS: So we are using the methods in
6	the core. (Audio interference) can do about a mode of
7	heat transfer, so we are using the conductive heat
8	transfer models for pebbles, the
9	Zehner-Bauer-Schluender model, the convection based on
10	the Kugeler-Schulten correlation, as referred to in
11	the previous presentations. Stefan-Boltzmann law for
12	radiative heat transfer.
13	We take into account the decay heat using
14	the German standard, DIN-25485. And the
15	thermal-dynamic or the thermal calculations in our
16	methodology issue from the single layer of the
17	particle all the way through the reactor nodes, and we
18	model the conduction and these other phenomena
19	throughout, all the way to the reactor.
20	MEMBER PETTI: Just a question. In the
21	particle, the buffer shrinks and a gap opens up. Do
22	you model the heat resistance of that gap?
23	MR. HANUS: We don't. If
24	MEMBER PETTI: Some do.
25	MR. HANUS: We don't. We model the the
I	I contraction of the second

(audio interference) section we model, but not the 1 buffer. 2 3 MEMBER PETTI: Shrinkage. And the net 4 result is a gap. (Simultaneous speaking.) 5 MEMBER ROBERTS: Well, I mean, you could 6 7 some sort of effective thermal connectivity. I mean, 8 as we've said a couple times, everything is empirical based. 9 (Simultaneous speaking.) 10 11 MEMBER ROBERTS: And if you qot correlations from a database that, you know, had that 12 condition, then --13 MEMBER PETTI: At this power density the 14 effect is not going to be as great. Prismatics, it's 15 always about 50 degrees, 40 degrees. The lower power 16 density is probably 50 to 30, which given the 17 uncertainties, it's middle at least. 18 MEMBER BALLINGER: It's basically a 19 statistical gap, in the sense that we're not dealing 20 with a symmetric kernel here. 21 MEMBER PETTI: Correct. 22 MEMBER BALLINGER: So it's not --23 MEMBER PETTI: You'll see them on one 24 25 side, but not the --

1	CHAIR MARTIN: For thermal radiation, are
2	there kind of standard view factors you use or do you,
3	you know, explicitly calculate a view factor based on
4	some assumptions of where the pebbles are? How
5	sophisticated is that?
6	MR. HANUS: No, (audio interference).
7	CHAIR MARTIN: Is it pebble to pebble or
8	pebble to wall?
9	MR. HANUS: Pebble to helium to wall,
10	basically.
11	(Simultaneous speaking
12	MEMBER PETTI: I would imagine it can't be
13	that large in the pebble bed, one pebble next to
14	another, the temperature difference is not that large.
15	(Simultaneous speaking.)
16	CHAIR MARTIN: I mean, I guess, in theory,
17	you could do it to the coolant itself, but that would
18	be trivial. But, okay. So something there to capture
19	maybe the effect between the pebbles closest to the
20	wall.
21	MR. HANUS: Yes.
22	MEMBER PETTI: I just have to ask.
23	Schulten is "the" Schulten, I'm assuming. The father
24	of pebble beds. He must have been a young engineer
25	that he worked on the convective heat transfer
I	1

1	coefficient.
2	(Laughter.)
3	(Simultaneous speaking.)
4	MEMBER BALLINGER: He might be that old.
5	MEMBER PETTI: He might be one of the ones
6	involved, yeah. It's great to have a correlation
7	named after you.
8	(Laughter.)
9	MEMBER PETTI: He's a giant.
10	MR. HANUS: So as I mentioned before, the
11	method of properties are based on similar the reports
12	and the digitization of the cast that is just an
13	example of further the conduction based on the
14	feature and fluence.
15	But the point is that the methodological,
16	the procedure is like I would refer you to the
17	computations as dependence system here and the
18	temperature of the properties of the failure
19	temperature calculation are dependent on the
20	temperature itself. So some limitations there.
21	And we use the VSOP data as an input.
22	There is specific bodies actually of the data behind
23	this and those sets mainly for leading to the next
24	part to get the power and light densities.
25	But, you know, the VSOP nodalization is
I	I construction of the second se

1 the VSOP uses a different number of axial layers. You know, the ideal rate. But the heat transfer equations 2 in another model when of the same amount of axial 3 layers to make it simpler and based on that being 4 between the VSOP model and our model. But the size of 5 that -- thatdata is from Flownex and that is due to 6 7 the core mass and height. Everything else is computed is in the source system belt. 8

And that is the algorithm. 9 It is very We have completed the dynamic parameters so 10 simple. 11 the temperature single nodes and the nodal conditions of the temperature surface only conditions where the 12 pebble temperatures and the pebble matrix temperatures 13 14 surface-only conditions for the trace particle temperatures and disintegrated over time to each 15 steady state or next time step. 16

Now the particle failure probability 17 model, it takes as an input the particle temperatures 18 and provides the fair and accurate depictions back to 19 the model. That's all into GASM. Here to make sure 20 it's a failure, base particles based on all these 21 And even before, some of the phenomena are 22 models. not important for these two particles. But we still 23 calculate and validate that. So it's an agreeable 24 25 contributions.

1	We do include this model for our
2	validation against order to experiments. So we
3	perform some validations against HFR, public
4	validations, in which case we want to be as close as
5	possible to that experiment.
6	MEMBER PETTI: So on that model, it would
7	be very interesting to validate against AGR2, UO2.
8	There were capsules of UO2 in that experiment. And I
9	would guarantee you that model would way underpredict
10	what was observed.
11	There is significant CO corrosion in the
12	destroys the carbon layer at 1,600 degrees. It's one
13	of these oddities about the German pebble testing. It
14	was fine. But it was not good. So let's call it
15	modern UO2. The U.S. program never really spent a lot
16	of time with it because UCO is the focus, but there's
17	data out there published by the program that shows
18	significant corrosion. It would be interesting to
19	compare what the model said.
20	MR. HANUS: There is actually a validation
21	plan. The plan to perform so far if the AGR found
22	experiment.
23	MEMBER PETTI: But those are all UCL.
24	(Simultaneous speaking.)
25	MEMBER PETTI: This is one is the UO2.

1	Where you expect carbon monoxide so you can check that
2	model against it. And I think it could give you a
3	headache.
4	MR. HANUS: And there's also the models.
5	We got to hold these models and in that particular
6	board, I think, if anyone is interested to talk more
7	into the position.
8	Now the fission, the phenomena of fission
9	to go visit the temperature, surface inputs to these
10	models, those results. In this case to the next kind
11	of next transfer calculation in the HPBM.
12	Focusing on the SOLM model, this image
13	because this model solves the direct fission equation.
14	It must be a good geometry, and we are taking into
15	account the direct fission recoil and the connective
16	activation production terms and balances them with the
17	HM terms by means of decay and activation and
18	transformation to another guide.
19	And the equation in this model, there are
20	equations for each of the isotopes set out in test.
21	The risk of isotopes is based on the engine program.
22	The most important classes of engine type has been
23	identified particles consequence. So we have, again,
24	a model time to put itself.
25	CHAIR MARTIN: You are stating it there
1	about your list of radionuclides from the NGMP
----	---
2	program. So you did not do your own design specific
3	evaluation to be dated? Okay.
4	MR. HANUS: Yes, given the product type
5	that elevates the dose contributions from the
6	isotopes. But it was based on the initial set was
7	based on NGNP.
8	MEMBER PETTI: Which was based on kind of
9	a synthesis both in U.S. and German, you know. What
10	did the safety analyses find as being important?
11	MEMBER KIRCHNER: Could you go back two
12	slides, please?
13	MR. HANUS: The slides here?
14	MEMBER KIRCHNER: The fission product
15	model phenomenon. So I'm looking at all of that.
16	What is dominant?
17	MR. HANUS: So it depends on the
18	temperatures. At higher temperatures, the thermal
19	decomposition usually is the ultimate effect
20	MEMBER PETTI: Very high temperatures.
21	MEMBER BALLINGER: You've really got to
22	get very
23	MEMBER KIRCHNER: 2,000 degrees is very
24	high.
25	MEMBER PETTI: Higher than you ever
	I

1	dreamed of.
2	MR. HANUS: Otherwise
3	MEMBER PETTI: Under normal operation, I
4	think is where Walt is going, right?
5	MEMBER KIRCHNER: Is it defects or is it
6	more failure of the
7	MR. HANUS: Defects also have at the
8	rate of so the
9	MEMBER KIRCHNER: If it's defects, I don't
10	see how you validate your models. That's
11	predominantly from the mechanistic failure of the
12	particle then you could validate your model. But if
13	it is dominated by defects and other things, then you
14	can't infer from you are not looking at this stuff
15	microscopically. You are looking at it statistically.
16	So if the latter one dominates, then your efforts on
17	the former areas are better bounded
18	MEMBER PETTI: My sense is that the
19	defects and the cracking of pyro-carbon the defects
20	come in. you get what you get out of each factor,
21	right?
22	MEMBER KIRCHNER: Yeah, with each factor.
23	MEMBER PETTI: And so what's called the
24	source term from that, and then you get some failures
25	underirradiation, most likely cracking. All the
	I

1 others should be really small. And they tend to be kind of in the same neighborhood. 2 MR. HANUS: Yeah. So in normal rating 3 conditions, we don't go beyond the manufacturing 4 defects basically. Whatever, you know, is -- we are 5 doing the best for the manufacturing defects. 6 The 7 failure factors don't go beyond that. MEMBER PETTI: But because of the material 8 properties they use, I agree with them. But if you 9 use the U.S. material properties, you will get a 10 11 different answer. You will get cracking at low temperature because the creep coefficient goes down so 12 you can't relieve the stress. So this is what I'm 13 talking about, some of the nuances of the models that 14 look okay but are not necessarily conservative. 15 MEMBER KIRCHNER: But if the defects are 16 dominating then --17 MEMBER PETTI: Defects usually 18 are dominating. 19 20 MEMBER KIRCHNER: Then you wouldn't be able to validate the model. 21 MEMBER BALLINGER: There's an old British 22 saying called being too cute by half, which means you 23 overspecify the problem to the extent that you should 24 25 because you just don't know. And what you eventually

1	have to do is just do irradiations, run it.
2	And that's so much margin. That's what
3	allows you to do this because you have got a huge
4	amount of margin so that even if you are too cute by
5	half, you are okay.
6	MEMBER PETTI: That's why the AGR
7	radiations contains over 300,000 particles. It is to
8	demonstrate in the U.S. the approach was design
9	away remove every failure mechanism you know
10	through change in particle design, change in
11	fabrication or limiting the surface conditions. So
12	you cut the grass as low as you could.
13	Now you just need a large population to
14	irradiate to convince yourself that that failure rate,
15	that minimum statistical failure rate, you can live
16	with. And that's what AGR did basically. It's an old
17	GA design approach because they didn't want to live
18	with some of the failure makers, particularly in a
19	prismatic. There are hot spots in the core then. I
20	call them bad neighborhoods where the particles don't
21	want to live.
22	MEMBER BIER: I have kind of a follow-up
23	question. This is Vicki Bier. A follow up broader
24	version of Walt's question of what are the dominant
25	failure modes? And I don't know if you guys are the
	1

1 right vehicle to answer it or somebody from this 2 morning. You mentioned that you were on roughly 3 your third significant redesign and update of the PRA 4 analysis. Have those changes been mostly because of 5 safety problems, mostly because of, like, operational 6 7 efficiency for the utility, mostly because of, you know, maintainability and configuration issues? 8 Or what is kind of the big drivers of the evolutions? 9 MR. FROESE: This is Brian. I would say 10 11 evolutions in design have driven a lot of the PRA iterations. 12 MR. HANUS: So just to complete the SOLM 13 14 model, it calculates the ISO calculations throughout all the layers of the TRISO as well as the (audio 15 interference). And for the safety evaluations, you 16 calculate the release to birth ratios for all the 17 releases of transients. 18 MEMBER PETTI: So just a guestion because 19 it wasn't clear. For iodine and tellurium, there's no 20 measurements out there. There's very few. You are 21 going to assume that they are like noble gas. 22 MR. HANUS: For iodines --23 MEMBER PETTI: For iodines and telluriums, 24

25 right? Those are some of the isotopes on the list.

1	MR. HANUS: Yes. For tellurium, we
2	assumed some various evidence, and we do have iodine
3	coefficients IAEA tech doc.
4	MEMBER PETTI: The German data showed it
5	was just like noble gas.
6	MR. HANUS: Then, yeah
7	MEMBER PETTI: There's no
8	MR. HANUS: It didn't that's what
9	MEMBER PETTI: There's more data under
10	most of those diffusion coefficients than the iodine,
11	is just a handful.
12	MR. HANUS: Yeah, that's what we have
13	seen.
14	MEMBER PETTI: I mean, the other well,
15	you are going to get there in a couple slides.
16	MR. HANUS: So the diffusion coefficients
17	are based most on the IAEA tech doc. We did
18	additional research studies of two of different
19	features kind of getting statistical evaluation of the
20	coefficients of all the usual type of temperature
21	dependence of diffusion coefficients but next is the
22	IAEA tech doc.
23	And we use zero surface bounding
24	conditions of sorption into from the gas.
25	CHAIR MARTIN: So that document is not

1	going to have diffusion coefficients for all the
2	radionuclides?
3	MR. HANUS: No.
4	CHAIR MARTIN: So how did you fill in that
5	gap?
6	MR. HANUS: We assumed the diffusion based
7	on the chemical properties of the
8	CHAIR MARTIN: Categories
9	MEMBER PETTI: It's in my draft letter
10	because there are groupings that are natural that I
11	think you guys will probably use. But you are silent
12	in the report. So it's worth if you read it, that
13	one is going to get updated on the next one to be very
14	explicit about how you are going to group fission
15	products because everybody has to do that.
16	MR. HANUS: So for the (audio
17	interference) basically methods I used to make a
18	solution for in comparison I used BDF2 backwards
19	difference method. And we had used the simplest, the
20	main connector is also for the solution of these
21	equations. For this vehicle we tried to use simple
22	cross-examination of the methods we used for the more
23	complicated geometries.
24	MEMBER PETTI: I just want to let you know
25	that the U.S. program has looked at those diffusion

coefficients, compared them to AGR measurements and also talked to the German folks who developed those diffusion coefficients. This was well over a decade ago.

1

2

3

4

And buried in some of those diffusion coefficients are particle failures, okay? So the cesium diffusion coefficient in silicon carbide has some particle failures in it, which means it is not pure diffusion. So it overestimates.

10 So there is all sorts of stuff hidden in 11 the weeds there. But it just -- when you are trying 12 to do this sort of an approach, they kind of took an 13 empirical approach and backed out of diffusion 14 coefficient that when you look at it you go, oh, there 15 was some particle failures there, you know.

Because what they did is they used the code directly with their licensing body. They didn't try to build up, like what you are trying to do, which is what the U.S. was trying to do as well.

20 CHAIR MARTIN: It should be conservative. 21 MEMBER PETTI: It should be conservative, 22 yeah, absolutely. But if you are close, then it's 23 irritating, right? The U.S. is working really hard to 24 try to get new diffusion coefficients, but it's 25 painful. It's a lot of work.

1	MR. HANUS: So the GASM model has been
2	originally developed for making the releases of the
3	gases under steady-state conditions. It is based on
4	semi developed solutions equations for the spheres.
5	And you can see the nuclides.
6	It assumes that obviously that the gaseous
7	isotopes have very short half-lives so it neglects the
8	transfer to the intact coatings and it also takes into
9	consideration the basis, failed particles and heavy
10	metal contamination.
11	This model is kind of used in our
12	methodology had to escape the SOLM model that we are
13	trying to obtain the diffusion coefficients for the
14	gases, which we did not have available because of the
15	nature of the studies. So essentially solved the
16	steady-states from GASM. And solved the steady-state
17	the actions of steady-state in the SOLM as well and
18	compared the results to get the definition for the
19	SOLM model for gases.
20	The GASM model is based on two models,
21	Rollig and Richards. And we obtained a temperature at
22	which we switched models based on the experiment
23	results.
24	In one temperature range, one model gets
25	better matching the results of the experiment. In the

1	other temperature range, the other model gives us
2	better results. And so we combine these two models.
3	MEMBER PETTI: So let me just ask a
4	question here. I was surprised that I know both
5	those models. The Richards model is wonderful but it
6	gets so many adjustable parameters that I think you
7	could shoot a large cannon through it.
8	The Rollig model is simpler. And I am
9	used to that.
10	But the U.S. program measured in AGR 34.
11	You don't hear about it. It's published. It's out
12	there. R/B as a function of temperature for failed
13	particles for seven different noble gas isotopes.
14	Really short-lived stuff to the stuff you are mostly
15	worried about.
16	A, that's a data set that you might want
17	to consider to validate or B, it's a correlation. You
18	can just avoid again, avoid all this validation and
19	go, whoops avoid all this validation and go
20	directly to using the empirical correlation, which is
21	a fit to the data.
22	So, again, that's out there. It's
23	published. I will have the reference in the letter.
24	But it's UCO data. It's not UO2 data, you know. And
25	it's over a very wide range of temperatures, tons of
	I contraction of the second

1

2

3

4

5

6

7

25

MR. HANUS: The dust production model is a very simple model based on the pictures provides the dust production data in the HPBM, the initial boundary. And as I mentioned, it is based on the measurements under the pebble-bed reactor AVR, the AVR German reactors.

8 And we have used this so the -- the AVR 9 has also validated this calculation. So we used one 10 data set to obtain the parameters needed for the 11 model, that the AGR used to validate its values.

So the model, the graphite and the metallic dust production basically from AVR and to control the diffusion as well. And we modeled on the sizes of particles, the dust particles on the system.

And so the model is based on -- the main 16 17 product is the dust production rate parameter at which is jointly dependent but acting and then so we are 18 using the (audio interference). And the production 19 of, of course, is temperature dependent. 20 This is where we need to get the input from DHM. 21 And load pressure on the pebbles and other parameter, which is 22 based on the silo pressure formula which will record 23 gains for the pebbles in other model. 24

The dust production rates in the

1	reactivity control system is based on the production
2	rates of the we specify as an input. And give us
3	the best production rate, which is essentially the
4	amount of dust generated in each location of the core
5	or the plant.
6	MEMBER PETTI: So in terms of you kind
7	of normalized things to match AVR, which is great. But
8	from a size perspective, do you model what the size is
9	or do you just assume it's the same size as what was
10	measured in AVR.
11	MR. HANUS: Yes, we model the same size as
12	distribution.
13	MEMBER PETTI: Yeah, it makes sense to me.
14	MR. HANUS: It's more basically.
15	MEMBER KIRCHNER: So it scales? First,
16	how big is your reactor diameter in height, vis-a-vis
17	AVR? Just the first order.
18	MR. HANUS: So, if you know (audio
19	interference) that information so 2.5 meters times
20	almost 10 meters, the height of the reactor.
21	MEMBER KIRCHNER: Much bigger than AVR.
22	MR. HANUS: It is bigger. It's a
23	different spec ratio from
24	MEMBER KIRCHNER: So how would things like
25	control rod abrasions scale given that you've got a

1	much deeper pebble bed to push the control rods in?
2	Is that the kind of abrasion you are talking about?
3	MR. FROESE: The rods don't go directly to
4	the pebble bed of our reactor.
5	(Simultaneous speaking.)
6	MEMBER KIRCHNER: In the reflector.
7	MEMBER PETTI: There is also data on Fort
8	St. Vrain.
9	MEMBER KIRCHNER: That's how I was going
10	to say
11	MEMBER PETTI: Which is a way bigger
12	reactor than any of the so my sense is that the
13	graphite dominates over the metal.
14	MEMBER KIRCHNER: What are the
15	similarities in the graphite firing and coatings of
16	the pebbles vis-a-vis AVR.
17	MR. HANUS: So we used the
18	MEMBER KIRCHNER: Harder, is it basically
19	a harder coating?
20	MEMBER PETTI: Same. Well, it depends on
21	AVR had so many different pebbles, so many
22	generations. And they did change the heating
23	schedules that it is hard to, you know, they are all
24	going to have one heating schedule for their pebbles.
25	But I don't know if you guys are doing the lower
I	1 A State of the second s

1 temperature or the higher temperature heating of the pebbles and that may get into proprietary stuff. 2 different 3 You know, there is two 4 temperatures that the Germans use. And the higher temperature gets you better conductivity but potential 5 damage to silicon carbide. So the U.S. program said 6 7 no, we are going to stick with the lower one. MR. HANUS: So to the question of graphite 8 and metallic analysis and pick a value within the 9 experiment, which states and reports the percentage of 10 11 metallic dust to graphite dust. So this is how we estimated the metallic dust production rate increase. 12 prediction is based on the graphite The dust 13 14 production in the core. And all these models, specifically dust 15 production that results from the pebbles as well as 16 17 the temperature in the core surface inputs to the pressure boundary model, which models a bunch of 18 phenomena that accounts for nuclides to the UAM. 19 So we model the reads from the pebbles. 20 SOLM model, deposition of components, rate to dust, 21 for the initial containment of the dust for elemental 22 radionuclides that have been taken out under surfaces 23 back into the circulating helium for sorption and 24 25 de-sorption of the radionuclides.

1 The model is one dimensional even though we allow the component nodes of all the different 2 inputs so (audio interference) the model. But the 3 equations are essentially one dimensional so a (audio 4 5 interference) kind of system. And affecting the helium is the take back because that acquires all the 6 7 dust from one nuclide to the other. And we have a model of all this. And then opposite these. 8

MEMBER PETTI: Let me ask a question here. 9 Is the dust a dense aerosol or a really light aerosol 10 11 or somewhere in between in terms of the grams per cubic meter that's suspended. Let me just say I ask 12 it because this phenomenon that's not modeled, it 13 14 seemed like each particle size doesn't know the other particle size exists. There is no particle to 15 particle interactions so there is no agglomeration 16 17 that occurs because if there is enough of them, they will agglomerate, and they will settle. 18

19 Similarly, if there is enough of them, 20 there could be an electrostatic affect. Consider this 21 -- I would call this a sparse aerosol model because 22 they don't interact. They don't know that there are 23 other particles around them. An element of node and 24 size.

25

MR. HANUS: Yes. In our model they don't

1	even do even though earlier we performed we had
2	accommodation model. And based on the returned
3	backlog in there, and we found out it doesn't affect
4	the overall results. So this will be
5	MEMBER PETTI: It must be a very sparse
6	aerosol.
7	MR. HANUS: And this occurrence
8	complicated the result so
9	MEMBER PETTI: For sure. For sure.
10	So the other question is back in the NGNP
11	days, INL took the AVR dust and the size and put it
12	into MELCOR. Never published it. Should have. And
13	in fact you had a DLOFC. All of the dust came out and
14	settled in what's called the citadel around the
15	reactor.
16	And then the fission products came out in
17	the second heat-up. And so it said to me that timing
18	is everything in that it looked to me like at the time
19	that you could do a lot of sensitivity studies and
20	maybe convince yourself that the dust is not as
21	important. It is a bogeyman potentially.
22	MR. FROESE: I was actually going to
23	interject a little bit earlier, but I didn't want to
24	interrupt Milan. That is one of the things that we
25	are finding as well. Dave, it even kind of goes back

1 to your point about how much margin is available under Req. Guide 1.203. And one of the things that we are seeing 4 in our preliminary safety analysis is that even if you conservatively released all of the dust that is inside 5 of the primary loop and it is considerably below, 6 7 somehow that could even feasibly occur, it is released. It is still considerably over more than an 8 order of magnitude less than the offsite dose limit, 9

2

3

10

11

you know, what level of validation is required? MEMBER PETTI: The other thing you could

consider, which is another way to bound it, assume all 12 the fission products are in a vapor phase. There is 13 14 no dust. You run your calculations. You assume it's all dust when you run your calculations. If you don't 15 get a big difference. It tells you all that dust 16 stuff isn't really, really important. 17

MR. FROESE: That kind of goes back to my 18 first slide when I said our PIRT is planning to 19 evolve. That's one of the things we are going to be 20 21 looking at.

Because this could be a 22 MEMBER PETTI: deep hole. 23

It really can. And at the 24 MR. FROESE: 25 end of the day, it doesn't make a difference in terms

1	of dose.
2	MEMBER PETTI: Exactly, exactly.
3	MR. FROESE: It's one of the
4	simplifications that we're
5	MEMBER KIRCHNER: I would be surprised
6	that it would make a big difference. You are
7	presenting very elegant models. And you are chasing
8	this. I would bound it and just move on.
9	MR. FROESE: We have been
10	MEMBER KIRCHNER: Don't complicate your
11	system models with this.
12	MR. FROESE: I appreciate that comment.
13	We have been having those exact same conversations.
14	MEMBER PETTI: You have a technical basis
15	because you want your questions, right? So you looked
16	at it.
17	The other thing I would say is that the
18	liftoff models, there is a lot of data. You don't
19	cite Comity. You are aware of the Comity experiments
20	in France. Again, that's a no dust. I don't think
21	there is any dust in Comity. But there is documents
22	out there that have really good data as a function of
23	flake size, how much was lifted off.
24	And then just generally suspension of
25	metallic, maybe even the aerosol literature. I was
I	1

1	also an aerosol guy in my past. There is tons of
2	literature out there for data if you feel you need
3	that to validate.
4	You know, simple pipe experiments. I will
5	cite a couple to get you started, but there is a lot
6	of data out there that wasn't talked about that if you
7	feel you need to go there, there is non-nuclear stuff
8	out there that can help.
9	MR. FROESE: Please do. Thank you.
10	MR. HANUS: I will, the particle mass
11	transfer, as we alluded to earlier, is modeled in the
12	(audio interference) and particle of the changes
13	between the phases. The main phase that we use as a
14	background, the helium gas secreting kind of
15	depositing the dust and the dust secreting the
16	isotopes and the whole model is multiphase model,
17	multiphase exchanges as shown in the previous
18	pictures. Again solved as a time dependent method,
19	using the specific method for time stepping.
20	MEMBER PETTI: The sorption makes it pretty
21	stiff, though.
22	MR. HANUS: Yes.
23	MEMBER PETTI: Very stiff.
24	MR. HANUS: And, again, sorption doesn't
25	appear to be the main game changer as the results use

1 a solution and the different sorptions. And the last model presented here is the 2 corrosion model, which is based on a simple rate 3 equation and, again, here, the input guide the 4 corrosion model depending on the temperatures and it 5 provides the phases between the Oak Ridge bounding 6 7 model. And we do have models for all these 8 conditions. So we modeled the enhanced releases from 9 these two kernels, the pyro-carbon coating and the 10 matrix. But as we found out, the strength has not 11 affected the 12 overall dose results. That's importantly. 13 MEMBER PETTI: Let me -- this is one where 14 I disagree. The paper said you don't assume any 15 particle failure on moisture ingress. There is no 16 data to support that view. 17 Full stop, the U.S. has had this in their 18 fuel development programs going back to MHTGR in 1993. 19 They are finally, the U.S. program has its furnace. 20 This is beyond the core furnace in Germany. Core just 21 did fission gas. But that is not what we are worried 22 about here. It's all about cesium and strontium and 23 iodine. And well steam at the high pressures that can 24 25 be predicted on a steam generator tube rupture cause

1	particle failure. And so that is going to be tested
2	experimentally. That is probably one thing that would
3	really change how you have to think about this.
4	MR. FROESE: I can maybe add onto that.
5	One of the things that we found in doing our steam
6	generator tube rupture oxidation calculations was that
7	the penetration depth through the fuel free zone, the
8	steam wasn't getting to the particles past that 5
9	millimeter mark at the temperatures. We were seeing
10	in tube rupture events. So that was one of the
11	reasons why that statement was
12	MEMBER PETTI: Okay. I mean, I could
13	believe that if that were the case.
14	MR. FROESE: Yeah.
15	MEMBER PETTI: But there will be
16	experimental data certainly, you know certainly not
17	for your CP, but for your OL. And on UCO, again, in
18	compact form from the U.S. program to look at that.
19	Both air, although steam is probably higher.
20	MR. FROESE: We definitely would be
21	interested in looking at that. But, yeah, that is the
22	reason why.
23	MEMBER KIRCHNER: Can you repeat that
24	because this is pretty important.
25	MR. FROESE: Yeah.
	I

1	MEMBER KIRCHNER: You are saying that the
2	5 millimeter overcoat, pyrolytic carbon on the pebble
3	does not fail in the accident scenarios you were
4	looking at a high temperature with steam?
5	MR. FROESE: What I said was that steam
6	diffuses in through the fuel free zone through the
7	matrix and that it is going to get that it is going
8	to react with the fuel free zone and not penetrate
9	past the 5 millimeter fuel fee zone before it
10	potentially reaches particles.
11	MEMBER PETTI: Because it is consumed?
12	MR. FROESE: Because it is consumed in the
13	chemical reaction.
14	MEMBER KIRCHNER: The steam is consumed?
15	MR. FROESE: Yeah.
16	MEMBER KIRCHNER: But you have got a huge
17	reservoir of steam in your system, in your steam
18	generator. If you blew down, for example, the primary
19	and then the steam generator tubes failed as a result
20	or consequential failure or not, that steam generator,
21	depending on how much inventory it has and the
22	isolation valve closing time, et cetera, is going to
23	backfill your primary system, and I don't think you
24	are going to be lacking steam mortar.
25	MR. FROESE: We do that explicit
I	I. Construction of the second s

1	calculation in both Flownex and Gothic.
2	MEMBER KIRCHNER: Okay.
3	MR. FROESE: What helps us is that the
4	circulators trip pretty quickly. And so if there is
5	additional steam that gets into the
6	MEMBER KIRCHNER: The steam can find its
7	way through the whole system with or without the
8	circulators.
9	MEMBER PETTI: To me the other issue is
10	I know the story on air. Everything gets held up in
11	the lower plenum. So I believe the. But even if you
12	think you have calculated a lot of assumption, the
13	partial pressure of oxygen let's say FZP, fuel free
14	zone particle intervention of, will be very low. But
15	at that low pressure, you get the oxidation of silicon
16	carbide changes. So you don't get SIO2. You get SIO.
17	MR. FROESE: When you say oxygen, just to
18	make sure I understand, do you mean steam?
19	MEMBER PETTI: Steam, yeah, but
20	MR. FROESE: Okay.
21	MEMBER PETTI: It is oxygen that is going
22	to be the reactive component, right?
23	MR. FROESE: And then you meant air
24	MEMBER PETTI: No, this is true in air,
25	too. But the oxygen that gets to the particles may
ļ	

1	be, you know, it's like six atmospheres of steam if I
2	remember from MHTGR. You might have, you know, 0.1
3	atmosphere, so even lower.
4	There is a point at which you can start to
5	react. It looks like it's zero because you started
6	really high. It's a real small residual. But it can
7	attack the silicon carbide and produce SIO instead of
8	SIO2. SIO2 is a glass. Everything is protected. You
9	go to SIO, and it evaporates.
10	The Japanese there is tons of papers
11	out there in the literature on this. And this is a
12	big deal. And it is really hard, I believe, to do
13	something without looking at it experimentally to see
14	whether or not you really can get there. What saves
15	you is that the reaction kinetics vary with pressure
16	to some power.
17	And so at those low pressures, the rate
18	could be very slow. But then, again, you know, you
19	only know fuel expended.
20	MR. FROESE: I guess the last thing I
21	would just add is that the amount of steam that can
22	get into the core relative to the total weight of
23	graphite in the fuel is small, especially compared to
24	what still stays inside the steam generator.
25	What we found is we hit potentially it
ļ	1

1	would hit flammability limits before oxidizing a large
2	portion of our pebble. It's the hydrogen generation
3	that we are most concerned with.
4	MEMBER PETTI: I hope that's the case
5	because MHTGR PRA looked at this extensively.
6	MR. FROESE: Yup. We're well aware of
7	there.
8	MEMBER PETTI: What they told us that
9	there is tons of sensitivity analyses that aren't in
10	that document that show that you can go from it looks
11	good to it looks bad. So you've got to really make
12	sure you've mapped out the parameter space
13	effectively, the connection space.
14	MR. HANUS: So, yes, this is the end of
15	the presentation. And this our overall source term
16	calculation methodology and anymore questions, please
17	ask.
18	MEMBER PALMTAG: This is Scott Palmtag.
19	You didn't mention point kinetics at all. It was in
20	the topical report.
21	MR. HANUS: Yes, here, we do have point
22	kinetics for submitting the transients and essentially
23	getting this initial steady-state for the transient
24	calculations.
25	In the topical report, we include that
I	l

ĺ	
1	model in a separate appendix. We do include it as an
2	overall description in one of the sections.
3	MEMBER PALMTAG: It's a rather unique way
4	of solving kinetics equations.
5	MR. HANUS: It is. I mean, it is a
6	collection of kinetics models basically connected
7	through
8	MEMBER PALMTAG: I am not even sure that
9	is going to work. I will hold my judgment until I see
10	the results. But you may just want to put in a 2D
11	kinetic model in there instead of trying to validate
12	that this unique way of solving in point kinetics on
13	a part-by-part basis is going to work.
14	I think you are going to spend more time
15	trying to convince people that that works rather than
16	just putting in the 2D diffusion.
17	MR. HANUS: Yes. And what we will
18	achieve undoubtedly is that we don't even need that to
19	do diffusion if we just use the simple kinetic
20	approach.
21	This is mostly (audio interference). We
22	had this model initially of, you know, and validate.
23	And at this moment, we are advising (audio
24	interference) to approve this model it was under
25	MEMBER PALMTAG: It just seems like this
I	

1is going to be more more trouble to validate2MR. HANUS: At the moment that3submitted the topical report, it was under rev4whether we need it or not. We felt the ne5include it there just as a section because it6the whole metallurgical piece the same of7interference) that we mentioned at the TTM even t8we do not ask approval because we don't use it is9safety evaluation calculations.10But you are right. We11interference) the diffusion model.12MEMBER PALMTAG: Okay. I still13another couple of general questions. So we t14about the uncertainties. And Dave has talked15that, the uncertainties in these models validatin16But when you started this reactor, it is sort17first of its kind reactor, are you going to ha	it. t we ision ed to makes audio hough n the
2 MR. HANUS: At the moment that 3 submitted the topical report, it was under rev 4 whether we need it or not. We felt the need 5 include it there just as a section because it 6 the whole metallurgical piece the same of 7 interference) that we mentioned at the TTM even the 8 we do not ask approval because we don't use it is 9 safety evaluation calculations. 10 But you are right. We 11 interference) the diffusion model. 12 MEMBER PALMTAG: Okay. I still 13 another couple of general questions. So we the 14 about the uncertainties. And Dave has talked 15 that, the uncertainties in these models validation 16 But when you started this reactor, it is sort 17 first of its kind reactor, are you going to ha	t we ision ed to makes audio hough n the
3 submitted the topical report, it was under rev 4 whether we need it or not. We felt the ne 5 include it there just as a section because it 6 the whole metallurgical piece the same of 7 interference) that we mentioned at the TTM even t 8 we do not ask approval because we don't use it i 9 safety evaluation calculations. 10 But you are right. We 11 interference) the diffusion model. 12 MEMBER PALMTAG: Okay. I still 13 another couple of general questions. So we t 14 about the uncertainties. And Dave has talked 15 that, the uncertainties in these models validatin 16 But when you started this reactor, it is sort 17 first of its kind reactor, are you going to ha	ision ed to makes audio hough n the
 whether we need it or not. We felt the need include it there just as a section because it the whole metallurgical piece the same of interference) that we mentioned at the TTM even the we do not ask approval because we don't use it is safety evaluation calculations. But you are right. We interference) the diffusion model. MEMBER PALMTAG: Okay. I still another couple of general questions. So we that, the uncertainties. And Dave has talked that, the uncertainties in these models validation but when you started this reactor, it is sort first of its kind reactor, are you going to have the same of the	ed to makes audio hough n the
 include it there just as a section because it the whole metallurgical piece the same of interference) that we mentioned at the TTM even the we do not ask approval because we don't use it is safety evaluation calculations. But you are right. We interference) the diffusion model. MEMBER PALMTAG: Okay. I still another couple of general questions. So we the about the uncertainties. And Dave has talked that, the uncertainties in these models validation But when you started this reactor, it is sort first of its kind reactor, are you going to have 	makes audio hough n the
 6 the whole metallurgical piece the same of interference) that we mentioned at the TTM even to we do not ask approval because we don't use it is safety evaluation calculations. 10 But you are right. We interference) the diffusion model. 12 MEMBER PALMTAG: Okay. I still another couple of general questions. So we to about the uncertainties. And Dave has talked that, the uncertainties in these models validation But when you started this reactor, it is sort first of its kind reactor, are you going to had the sector. 	audio hough n the
7 interference) that we mentioned at the TTM even t 8 we do not ask approval because we don't use it i 9 safety evaluation calculations. 10 But you are right. We 11 interference) the diffusion model. 12 MEMBER PALMTAG: Okay. I still 13 another couple of general questions. So we t 14 about the uncertainties. And Dave has talked 15 that, the uncertainties in these models validation 16 But when you started this reactor, it is sort 17 first of its kind reactor, are you going to has	hough n the
8 we do not ask approval because we don't use it is 9 safety evaluation calculations. 10 But you are right. We 11 interference) the diffusion model. 12 MEMBER PALMTAG: Okay. I still 13 another couple of general questions. So we to 14 about the uncertainties. And Dave has talked 15 that, the uncertainties in these models validation 16 But when you started this reactor, it is sort 17 first of its kind reactor, are you going to has	n the
9 safety evaluation calculations. 10 But you are right. We 11 interference) the diffusion model. 12 MEMBER PALMTAG: Okay. I still 13 another couple of general questions. So we t 14 about the uncertainties. And Dave has talked 15 that, the uncertainties in these models validation 16 But when you started this reactor, it is sort 17 first of its kind reactor, are you going to had	audio
10But you are right.We11interference) the diffusion model.12MEMBER PALMTAG: Okay.I still13another couple of general questions.So we t14about the uncertainties.And Dave has talked15that, the uncertainties in these models validation16But when you started this reactor, it is sort17first of its kind reactor, are you going to ha	audio
11 interference) the diffusion model. 12 MEMBER PALMTAG: Okay. I still 13 another couple of general questions. So we to 14 about the uncertainties. And Dave has talked 15 that, the uncertainties in these models validation 16 But when you started this reactor, it is sort 17 first of its kind reactor, are you going to has	JAGGTO
12 MEMBER PALMTAG: Okay. I still 13 another couple of general questions. So we t 14 about the uncertainties. And Dave has talked 15 that, the uncertainties in these models validatin 16 But when you started this reactor, it is sort 17 first of its kind reactor, are you going to ha	
13 another couple of general questions. So we t 14 about the uncertainties. And Dave has talked 15 that, the uncertainties in these models validation 16 But when you started this reactor, it is sort 17 first of its kind reactor, are you going to ha	have
 about the uncertainties. And Dave has talked that, the uncertainties in these models validatin But when you started this reactor, it is sort first of its kind reactor, are you going to ha 	alked
 15 that, the uncertainties in these models validation 16 But when you started this reactor, it is sort 17 first of its kind reactor, are you going to have 	about
 But when you started this reactor, it is sort first of its kind reactor, are you going to have 	git.
17 first of its kind reactor, are you going to ha	of a
	ve
18 what kind of monitoring are you going to have?	Are
19 you going to have some kind of dust monitori	ng, a
20 plate monitor? How did you are you goi	ng to
21 measure these things to know they're right?	
22 MR. FROESE: This is Brian. I woul	d say
23 our played-out deposition or played-out	and
24 circulating activity is going to be controlled k	
25 SARRDL, our specified acceptable radionuclide re	y our

1	limit. It's going to capture circulating and
2	deposited activity.
3	The methodology or detection mechanism
4	that we use to monitor the plate-out is still being,
5	frankly still being finalized. We have a helium
6	services system that would measure circulating
7	activity.
8	MEMBER PALMTAG: Okay, and what about
9	somewhere dust, are you going to announce some sort of
10	measurement on dust, or?
11	MR. FROESE: We'll have dust filters and
12	we're also planning to measure steam generator
13	activity.
14	MEMBER PALMTAG: It's dust activity that
15	matters, but if.
16	MR. FROESE: Yeah, we're planning to
17	measure steam generator deposition activity. The
18	exact means that we are going to use is still being
19	finalized, whether that's a monitor placed outside the
20	steam generator or probe or something. We're still in
21	the process of finalizing that.
22	MEMBER PALMTAG: Okay, I'm glad to hear
23	that. Only one other minor thing is your decay heat
24	model is based on the German standard. Just a
25	suggestion, you might want to put in the ANS standard.

1	It might make your NRC review a little better, because
2	no one's really familiar with the German model but
3	everyone's pretty familiar with the ANS standard.
4	Just a suggestion, you might want to
5	consider replacing that model.
6	MEMBER PETTI: So you don't know yet, but
7	you probably will have a plate-out file of some type
8	to monitor metallic.
9	MR. FROESE: No. We are - so we are not
10	committing to a plate-out probe right now. We are
11	evaluating options for measurement of plate-out inside
12	of the steam generator. At the top of the list is
13	trying to use an external monitor to look inside of
14	the steam generator.
15	MEMBER PETTI: Because yeah, because I
16	mean, look, putting something on a purification system
17	that's way too far away to get any answer that means
18	anything. Okay.
19	MR. FROESE: Yeah, I agree.
20	MEMBER PALMTAG: So you may not have a
21	plate-out probe, but you are going to have some way of
22	measuring, is that my understanding?
23	MR. FROESE: That's correct.
24	MEMBER PETTI: The plate-out probes were
25	like right above the core, as I remember it.
I	1

1	MR. FROESE: Yeah, I mean, we talked with
2	a lot of folks that have past plate-out probe
3	experiences, that there was troubles with that.
4	MEMBER PETTI: Absolutely. (Simultaneous
5	speaking.)
6	MR. FROESE: Yeah, so we're trying to look
7	at alternatives for that that are more practical.
8	MEMBER PETTI: You should be able to
9	measure cesium and silver. Strontium, you can't, it's
10	a beta, so.
11	MR. FROESE: Yeah, there - really in the
12	weeds here - but I think there was some work of trying
13	to measure some of the noble gasses using the daughter
14	products as a predictor.
15	MEMBER PETTI: Yeah, but they decay so
16	quickly compared to 90 it may not - yeah, there's a
17	lot of old tricks.
18	MEMBER KIRCHNER: So can members ask other
19	members questions
20	
21	CHAIR MARTIN: Feel free, Walt.
22	MEMBER KIRCHNER: Well, Dave, you know,
23	based on your experience, this is a very elegant model
24	that's being proposed. But why I was asking the
25	question about defects, if that dominates, or even if

1	it's a significant fraction, then there's no way you
2	can validate these detailed models for the other
3	mechanics from a macro results, even when they start
4	operating. So
5	PARTICIPANT: Too many adjustable
6	parameters.
7	MEMBER PETTI: Yeah, no.
8	MEMBER KIRCHNER: Yeah, so my sense is
9	can't you simplify your life for yourself by taking a
10	correlation, an empirical approach to bounding the
11	performance based on AGR data of UCO kernel fuel with
12	these specs as you're in the spec range? And then as
13	a function of temperature and time, etc., then sort
14	that out.
15	So the defects would be a function of
16	MEMBER PETTI: Well, you fix it once you
17	get out of QC.
18	MEMBER KIRCHNER: That's what you're going
19	to get out of QC when you run
20	MEMBER PETTI: So the staff would have
21	(Simultaneous speaking.)
22	MEMBER KIRCHNER: - production, yeah.
23	MEMBER PETTI: But whatever they're using
24	bounds what you get.
25	MEMBER KIRCHNER: Right, so you hit that,
I	1

1	that's like a one input, and then put an empirical
2	correlation in place for the time, temperature
3	dependent performance.
4	MEMBER PETTI: That's what the purpose of
5	
6	MEMBER KIRCHNER: And burnup.
7	MEMBER PETTI: - of the EPRI topical was,
8	which was here I empirically measure failure rates,
9	live on bounds. Take some margin because there's
10	always a design versus an expected, all that stuff,
11	right.
12	MEMBER KIRCHNER: Right, take that margin
13	
14	MEMBER PETTI: And go. Now, what it makes
15	us - the big, next big concern is dust. But it sounds
16	like, I mean, if you actually have to validate all
17	this, that's really complicated. If you can convince
18	yourself that dust is not an issue, the problem is
19	simple.
20	MEMBER KIRCHNER: Yeah. But then in Bob's
21	swim lane, 1.2 over 3, I mean, how would you validate
22	this?
23	MEMBER PETTI: Oh, again, this is my
24	MEMBER KIRCHNER: At the microscopic
25	mechanistic level.

ĺ	
1	MEMBER PETTI: 1.2 over 3 (Simultaneous
2	speaking.) when applied to this technology.
3	MEMBER KIRCHNER: You mean you're really
4	depending on batch-made fuel even in AGR or small
5	batches.
6	MEMBER PETTI: AGR 2 was production, what
7	is now considered production.
8	MEMBER KIRCHNER: Considered production.
9	MEMBER PETTI: But yeah, no, it's - as I
10	said, I spent 10, 15 years thinking about it, and I
11	said you just can't go there. But you can go back and
12	read the earliest NGNP data, and it was all the
13	radiation's plan for this. And they died when NGNP
14	died. But I look at it now and I go there's got to be
15	a better way.
16	MEMBER KIRCHNER: Forty years ago, we
17	would have done just, we would have just bracketed the
18	data correlation empirical
19	MEMBER PETTI: Right, exactly.
20	MEMBER KIRCHNER: With the fuel form at
21	hand, that would be become the input for your
22	It's not up there. FTM module.
23	MEMBER PETTI: I mean, even the detailed
24	diffusion equation that's by net element, you can use
25	an analytic solution. It's not that difficult.

1	That's the thing, though, you know, it's simple booth
2	diffusion. All you're doing is you're doing it
3	numerically. I can write down the equation. It's the
4	same diffusion coefficient.
5	You get answers that are, you know, the
6	same. You know, all that precision is a little bit of
7	an overkill relative to when you ask yourself what's
8	the true uncertainty, you know, it's the fusion
9	coefficients.
10	Yeah, so I always thought, similarly, all
11	the pebble stuff, if it were up to me, I'd pick three
12	pebbles. I'd pick the worst trajectory, assume it
13	always, the pebble goes all the way down the worst
14	trajectory, all this time.
15	Then pick an average, whatever that means,
16	and then pick like a min or something, you know. And
17	say those are my three pebbles the bottom of the core,
18	and they just run three calculations. Something like
19	that.
20	MR. FROESE: Yeah, it's a great point.
21	I'd say it's a, one of the things that we're working
22	through is the balance between, yes, dust in
23	NEI-18-04, which we've been challenged to do to not
24	excessively put in too much conservatism into our
25	analyses, which could potentially drive, you know,
I	1

1	drive costs on safety systems and such. Versus, you
2	know, the fastest path to
3	MEMBER KIRCHNER: But that very
4	conservatism is the whole basis for the functional
5	containment approach. So
6	MEMBER PETTI: And again, the V&V burden,
7	it should not be underestimated. For the time and
8	cost getting to the OL. CP, yeah, not a problem.
9	There's a lot there that if you just, you know,
10	extract the relevant physics, put it on a piece of
11	paper, I think it's more transparent to the regulator.
12	And I can tell you, you know, that there
13	are other people using TRISO fuel, and some of them
14	are going that way. And I think the micro guys are
15	going to go to something simple too, because they're
16	even smaller.
17	But I think actually these simpler
18	versions can even be used here, even though it's a
19	bigger reactor. I mean, just give you a number, all
20	this plate-out stuff, do you know what the fourth same
21	grain safety analysis assumed?
22	And this was approved. One percent of the
23	gas activity plated it out for a pass. Now how many
24	passes that gas goes, right. You could make it one
25	one-hundredth that, you're going to get the same
I	•

1	answer because there's so many passes.
2	That was what was done in, what, 1970s, I
3	guess. That was considered acceptable. They don't
4	have to model all that stuff, you know, particularly
5	if you could if you could take a detailed model
6	with all the absorption isotherms, and show that in
7	the end, you know.
8	So you could do a side calculation that
9	doesn't need all that validation, but then just do
10	something really simple. Everybody loves models, I
11	understand that.
12	CHAIR MARTIN: Okay, so have we exhausted
13	questions for X-energy?
14	MEMBER PETTI: Let me just make sure I've
15	hit on everything that I something letter that
16	Oh, here's the other one. Again, this is why I was
17	talking about steam condensation.
18	There are some fission products like
19	inside there are some fission products in the
20	matrix then when the steam gets in there, you will
21	convert the cesium and strontium to cesium hydroxide
22	and strontium hydroxide, which are volatile. They'll
23	stay with the steam.
24	And I always argued, okay, it'll condense
25	in the building or whatever it is. But now you tell
I	1
1	me that you've got a line that is going to spew it
----	---
2	outside the reactor.
3	MR. FROESE: Yeah, we do include the
4	fission product from oxidized graphite as a result of
5	steam generator 2 ruptures in our in
6	MEMBER PETTI: So the fission products
7	residing in the matrix are assumed to be full?
8	MR. FROESE: Yes.
9	MEMBER PETTI: Okay, because that wasn't
10	clear. Okay. Oh, I can take that out.
11	MEMBER KIRCHNER: How much material at
12	risk is there in that? In other words, fission
13	product in the inventory. What contribution would
14	that be?
15	MR. FROESE: Generally what we've seen in
16	the amount of fission product inventory in the matrix
17	material is low compared to offsite DBE dose limits.
18	That's what we've seen thus far in our
19	MEMBER PETTI: And you're saying like 25
20	rem?
21	MR. FROESE: Yeah, compared to 25 rem,
22	it's
23	MEMBER PETTI: One rem, when you have to
24	do the.
25	MR. FROESE: Yeah, so it's below one rem,
I	1 I I I I I I I I I I I I I I I I I I I

1	even compared to
2	MEMBER PETTI: Because that's the one
3	that's going to
4	MR. FROESE: For EPC yeah.
5	MEMBER PETTI: Limit with your EPC. And
6	they're on the order of, let's say 10 to the minus 5,
7	right. All the defects, put them together, all the
8	incremental failure that you get after radiation
9	accidents, you know, 3, 4, 5, 10 to the minus 5,
10	something in that range. Worst case, 10 to the minus
11	4 of the inventory, you know. And a lot of that's out
12	in the matrix because
13	PARTICIPANT: In the matrix, yeah.
14	MEMBER PETTI: But again, if you do a
15	detailed pebble, it might be in the matrix in the
16	middle versus on the edge. So there's something there
17	that probably helps you.
18	CHAIR MARTIN: What's the size of your
19	site that you're have assuming for these preliminary
20	calculations?
21	MR. FROESE: The preliminary boundary, low
22	population zone and emergency planning zone are all
23	currently set at 400 meters from the building lineup
24	that would - that other credible events could occur.
25	MEMBER PETTI: MHTGR was either 400 or
I	1

1	450, I can't remember. And one rem was always iodine,
2	but they had a lot of the tension of cesium and
3	strontium in the graphite.
4	And they were worried about the steam
5	wash, the wash-off effect. Because the strontium -
6	cesium I think it would be okay. And the dose from
7	the strontium may be a problem. But that's where -
8	that's some of the higher uncertainties in the
9	diffusion coefficients in strontium and cesium.
10	But you're a smaller core now. I mean,
11	MHTGR was, you know, about 350 megawatts. This is 80.
12	So well, yeah.
13	CHAIR MARTIN: You mentioned tritium
14	earlier in the presentation. Wouldn't expect to be a
15	huge contributor here, but if you want to follow up
16	with that earlier thought.
17	MR. FROESE: Currently tritium is not
18	included in our safety analysis dose calculation,
19	similar to light water light water reactors.
20	There's normally some estimate of the potential
21	inventory, and we're still in the process of
22	confirming that other activation-type products are
23	minor contributors compared to offsite dose limits.
24	MEMBER PETTI: I guess that in terms of
25	tritium, right, there's three sources, ternary

1	fission, activation, the helium isn't helium four?
2	No, there are only three. And then, impurities, the
3	graphite. So they're worried about this in the old
4	days, because graphite had a lot of impurities.
5	I don't believe today graphite has a lot
6	of impurities. I used to hear about that all the time,
7	it drove me crazy. Modern technology, the graphite's
8	very good. And the others are very small contributors
9	compared to the graphite because there's a lot of
10	graphite.
11	MR. FROESE: Yeah, where a lot of this
12	concern comes from is just for this particular reactor
13	using the steam and making sure that (simultaneous
14	speaking.) the tritium vibration
15	MEMBER PETTI: So we looked at this in
16	NGNP. Your outlet is 750, right?
17	MR. FROESE: Yes, 750.
18	MEMBER PETTI: Yeah, if you - your
19	permeation rates will be really low unless you get a -
20	you got to stop moving towards 850, 900 for sure. If
21	you just - I don't remember what metallic alloy it
22	was. But there's good data on permeation rates
23	through those materials. Plus there'll probably be an
24	oxide on the inside that'll be a barrier. Whether you
25	can count on that.

1	MEMBER KIRCHNER: And this, with helium as
2	a coolant, you don't get much of that reduction in
3	MEMBER PETTI: Yeah, no, no, this is not
4	like
5	MEMBER KIRCHNER: Salt
6	MEMBER PETTI: - salt systems, where you
7	can get a lot, yeah. That's why I was surprised when
8	I saw it, because it shouldn't be an issue.
9	CHAIR MARTIN: Okay, we exhausted
10	questions? Ready for the staff. Okay, let's take a
11	moment and switch over.
12	MR. DRZEWIECKI: Other members on the team
13	are no longer with the NRC. People thought they were
14	involved in this review. I will say that this is an
15	area that we see as basically highly important because
16	basically doing, you know, your dose calcs for your
17	site are something that we want to basically flesh out
18	as part of as part of the CP application.
19	But this is a risk that we're going to
20	carry into CP application. So this topic report and
21	staff's review did not fully address these areas, but
22	we'll get into that in this presentation. Can I have
23	the next slide, please?
24	So first I'll go through, you know, just
25	some of the background in terms of, you know, where

1	this report fits in with the other ones and how some
2	of - and how some of the - some of the updates were
3	done on this topical report.
4	Going to the reg basis, highlight the
5	scope of the staff's review. Do a quick summary of
6	the staff's review. And then just - and our
7	conclusion. Can I have the next slide, please?
8	So this was a largely submitted in May '24
9	and was updated earlier this year. That update
10	includes items that were - that were identified during
11	an audit. That includes updates to Section 1.5, which
12	introduction to 7.1, which is the conclusions. Just
13	to clarify that this is just for a preliminary
14	analysis.
15	They corrected typos. And then there was
16	a update to this Appendix H, which shows all the model
17	interfaces, which is on the next slide, please. So
18	this wasn't updated, this wasn't changed. And so this
19	was also shown in a previous presentation.
20	The model interfaces as described. It
21	does appear to be a preliminary, somewhat simple
22	change. For example, there are models that are
23	described in this topical report. In the previous
24	version they were in this figure, and then they were
25	pulled out. But that's the kinetics model as well as
	I

1	the - as well as the tritium models.
2	So it's highlighting that this, it's
3	unclear because this is the final version of these
4	interfaces. Next slide, please.
5	Just some background. This is just, you
6	know, some of the material that staff is very much
7	aware of. There's been a lot of work done in the area
8	of a source term analysis, especially on the gas
9	reactors. I imagine these look very familiar,
10	especially to, you know, Dr. Petti. Surely, you know
11	all the NGNP PIRTs, both in accident analysis as well
12	as for the fuel.
13	The white papers that came out of the
14	Idaho, there's a EPRI threshold topical, a report.
15	The one, I don't know if the committee is as familiar
16	with the joint work that was done by the NRC and by
17	the CNSC, that's the Canadian regulator, to
18	effectively take the fuel qual - the fuel qual
19	framework that was outlined on the new regulatory 246
20	and try to exercise that with the help of PNNL
21	oversight.
22	But that being said, all the background
23	information, it wasn't really brought to bear during
24	the course of this review. But just highlighting that
25	this is something that we're familiar with and we plan
	I

1 to carry this on as we go through on the CPA review to engage some of the details of the models. Next slide, 2 3 please. 4 So this is going to the right basis. Again, this is the regulatory basis identified by 5 staff, so it's somewhat different in the SC versus 6 7 what is in the actual topical report. Just going to a higher level of fidelity maybe. 8 One is 50.34(a)(1), of course doing a 9 partial interest product release for the offsite 10 11 consequences. 50.34(a)(4) to do a preliminary evaluation. Of the systems, staff identified some of 12 the PDC that are relevant to this area, including 10, 13 14 that's the SARDDL specified several radiological release rates. Sixteen, that's your functional 15 containment. Nineteen, that's your control room. 16 17 And then, again, bringing in 50.34(a)(8). This is about having a R&D program in place so that 18 you can answer questions that have to be answered to 19 pretty much assess available tools such that you'll 20 have that information in place for the OL before you 21 can begin construction. Next slide, please. 22 As far as the scope of the staff's review, 23 describes Section 4.2 other models 24 that are 25 implemented into the excess term code are used to

calculate dose consequence for licensee basis events. That's the LBEs, which also includes design-basis accidents, which are a subset of LBEs, in accordance with NEI-18-04.

5 The staff reviewed the MST modeling approach to address radionuclide transport to support 6 7 preliminary analysis of the Xe-100. But the review is limited to and focused just on high-level physical 8 phenomena of interest and whether the approach and 9 methods could reasonably support a future licensing 10 11 action.

12 Reasons for that is the design is preliminary. The development and assessment of the 13 models is in progress or is planned. And the - so, 14 yeah, so the evaluation models within the excess term 15 for acceptability will be conducted during the review 16 of an application that relies on this. 17

So right now, we're looking at the Long Mott generating station, within that CP review. So we're going to carry this review as far as some of the details of these models into that review. Next slide, please.

Yeah, so this should be old news here. This is just as far as, you know, some of the barriers to radionuclide release. Just want to highlight some

1	things in case it wasn't made clear in the previous
2	presentation. There's obviously with the fuel
3	particle there on the left, actually it's the fuel
4	pebble with the fuel particles inside of it.
5	That's the bulk of the functional
6	containment, I would say. So within the fuel itself,
7	you have the kernel. You have your or silicon
8	carbide and your pick layers. And then you have the
9	fuel matrix and the fuel-free zone outside of that.
10	And so that's also shown on the right
11	figure there. Outside of there, you have the helium
12	pressure boundary. And there is a reactor building,
13	you know, with filtration and all that. But that is
14	not credited in the safety analysis or as part of
15	source term. Next slide, please.
16	Okay, so now going through the actual
17	models, there are three that I'm going to talk a
18	little more about or some of the things that were
19	noticed by staff. The one thing, as far as
20	thermodynamics calculation model, this is all the
21	temperatures in the fuel, both in the pebbles and the
22	particles. So you know, a multi levels of heat
23	transfer there, as well as the core components.
24	So staff doesn't - this is seen as an area
25	of high importance because, you know, this is going to

1 calculate all your fuel temperatures, which, you know, some of the release mechanisms are going to be driven 2 by diffusion, which is temperature-dependent. So this 3 is an area that we're going to look at or plan to look 4 at as of the PSAR on review. 5 I will state that over the course of this 6 7 review, I think there was some misunderstanding as far as the role of this module, of this model versus what 8 is done inside of the safety analysis methodology. 9 What I mean by that is the use of GOTHIC and Flownex 10 11 versus what is done here. So there is some confusion there. And so 12 that's why a detailed review was not done on this 13 14 model as part of a - as part of this methodology. So we'll be looking at that basically over the PSAR. 15 MEMBER PALMTAG: My impression, of the THM 16 is simpler, you know, because of course it's solving 17 a different problem. They're just tracking more 18 things because of loading and it doesn't need the same 19 kind of TH that GOTHIC and Flownex would otherwise 20 conduct. 21 22 MR. DRZEWIECKI: It was. As was brought up, as far as the point kinetics model this is KSEM. 23 it's described as 2-D axisymmetric geometry 24 So simulating transient behavior of the core. 25

1	It further states that you know, point
2	kinetics is applied to each cell individually. There
3	are many cells in the model and the flux profile is,
4	you know, going to be reshaped between time shifts
5	using A, B, the fusion kernel.
6	So that description of point kinetics,
7	I'll just say it did appear somewhat different than
8	what I'd be used to. I don't know what I venture
9	different Palmtag here. But I think he brought that
10	up. It does look a little novel to what we've seen
11	before, which is kind of, you know, just having a
12	zero-D model with a single eigenvalue value that, you
13	know, wouldn't have, you know, that kind of coupling.
14	Surely aware of things like exact point
15	kinetics, but I'm not sure if that's where this is
16	going. Anyways, just wanted to highlight that the use
17	of this model, it was relied upon, but I expect that
18	to be justified for a number of issues. So it
19	couldn't, you know, so we could have some questions
20	there as basically a recipient view.
21	CHAIR MARTIN: Yeah, Scott, your ears
22	should have been burning.
23	MR. DRZEWIECKI: So I'm not sure if my
24	comments there resonate with kind of highlighting
25	that. It did look like the way the point kinetics

1	model was described was a little novel. That being
2	said, we did not dig into any of the details of this
3	model, so. Next slide, please.
4	Okay, third item, kind of talk about, you
5	know, this is the - this is a tritium model. This was
6	under development, so that wasn't, you know, a lot of
7	details in here. And so just trying to highlighting
8	the fact that it was just used, and you know, you're
9	going to have to clarify.
10	The other models, which I won't go in, I
11	won't read these off, but I'll just kind of highlight
12	them. As far as particle failure to probability
13	model, you know, solid transport modification model.
14	Gas transport model. The dust model.
15	Then we have a pressure boundary model and
16	a boric corrosion model. This is just kind of
17	summarizing what those are. I think we went over
18	those, so we can go to the next slide, kind of go into
19	what staff said about that.
20	As far as those models, those last six
21	models are highlighted here, and there's nine total.
22	But these three. So the staff did make a - they did
23	determine that these address phenomena that appeared -
24	that we needed to predict the source term to support
25	preliminary - to support preliminary analysis.

That's because the models rely on previous modeling experiments. I'm sorry, previous modeling operational experiments from the gas-cooled reactors, such as AVR. Based on staff's experiments -- based on staff's experience with LWR and non-LWR source term analysis, there were no gaps that were - that were seen.

However, there are sections of this 8 topical report that seems like this model could be -9 are subject to change. So staff did not perform a 10 11 detailed technical review on any of the models within this topical report, specifically access term. And so 12 there's conclusions regarding no made the 13 acceptability of any of these models as part of this 14 topical report. 15

16 CHAIR MARTIN: Did it go ace as far as -17 use the word, you know, assess, verify, or what have 18 you of the methods that they used to come up with some 19 of their proprietary models and correlations? At 20 least make sure that it was, you know, got the 21 appropriate standard approach to the use of new 22 information, new data.

23 MR. DRZEWIECKI: Yeah. So doing - it's 24 hard for me to answer that question because some of 25 the people that were involved in that are no longer

1

2

3

4

5

6

7

1 here. And so I can state that what was kind of passed on didn't see a lot of detailed, you know, detailed 2 assessment that was documented. And so this is what 3 4 we had. It was kind of a like a fail flaw review 5 is what it looked like. And that was not seen. And 6 7 so that's why we're going to carry this, yeah, into the CP review. 8 MEMBER HALNON: This is Greg Halnon. 9 Ι wasn't in this morning for - I guess the burning 10 11 question I have just from listening to the little I did is what value did this topical report provide to 12 us if you can't make any conclusions. You got to 13 read, look at all this stuff when it comes to the CP 14 perspective anyway. 15 MR. DRZEWIECKI: So I'll say this: if in 16 17 the previous presentation that was on TSAM, I did make a point to highlight that even though some information 18 is - is preliminary, going through that exercise, at 19 least for safety analysis methods, it did, I think 20 it's going to give us some efficiencies when we go 21 into the CP review. 22 Whether or not I can state that here 23 because we didn't go into the details. For example, 24 25 on the TSAM topical report, for the safety analysis

I	
1	methods, we had gone through and identified, you know,
2	many conditions that we think are going to basically
3	kind of streamline our ability to write our safety
4	evaluation over the course of the CP review.
5	I can't make that same conclusion here
6	because a lot is left undone. Other than it gave us
7	a first look at these models. But I'm not making our
8	conclusions. It's hard to say that we gained
9	efficiencies in the CP review.
10	MEMBER HALNON: Given the fact that the
11	people that did the review are no longer here, so the
12	wisdom and thought processes that they used to make
13	these non-conclusions don't even carry forward to your
14	CP review. That's the impression I got.
15	MR. DRZEWIECKI: Next slide, please.
16	Okay, yeah. And then as far as Section 6 of this
17	topical report, it does clarify that the V&V is
18	underway to ensure the excess term is qualified to
19	support final safety analyses. Validation plans are
20	developed to cover high- and medium-ranked phenomena
21	that are identified through the PIRT process.
22	A phenomena model by XSTERM were extracted
23	from an earlier version of the PIRT process. Staff
24	does determine, you know, that that assessment process
25	is acceptable because the identification of code

requirements through a PIRT process, that's an established approach that's called out in Reg Guide 1.203.

1

2

3

However, staff was unable to assess the adequacy of the V&V plan because the plan is not based on the latest PIRT information. Again, we didn't see information describing the knowledge level of the phenomena identified in the PIRT. And the plan looked like it was preliminary and subject to change. Next slide please.

11 So as far as staff's conclusions, we stated that this topical report provides a reasonable 12 plan for the development of the MST methodology for 13 the source term methodology. That's because those six 14 models, know, failure probability 15 you model, sub-probability model, so on, that are within XSTERM, 16 they appear to cover phenomena needed to predict the 17 source term to support preliminary analysis and 18 evaluation of the design. 19

The TR does describe an acceptable approach to V&V for code assessment based on the PIRT process. But the staff are making no conclusions regarding the acceptability of the models within XSTERM for the source term analysis because the models are still under development.

1 The detailed technical review of the individual models was not completed as part of this 2 review. And the details regarding a key phenomena ID 3 with the PIRT process are not provided in this topical 4 report. And models and associated validation plans 5 are preliminary and subject to change. 6 7 So staff expects that a detailed technical of the XSTERM models and its applicability to the 8 Xe-100 reactor will be addressed as part of our 9 review, the licensing part, as part of the licensing 10 application that would reference this report. And 11 that would include a Long Mott CPA. 12 CHAIR MARTIN: We mention it for, of 13 14 course, you know, it's the CP's it's, you know, it created ambiguity about, you know, what exactly is the 15 right, you know, what measure of completeness. 16 You know, it's -- you can't expect 100% done at this 17 stage. Obviously the more, the better. 18 And I do think statements of general 19 applicability, I'll use the word fatal flaws, you saw 20 no fatal flaws. Even though there's an expectation 21 that -- but you know, design will change and be very 22 -- prove their methods. I think you can look at, say, 23 like their design models and then make a statement 24 25 about their applicability today.

1 So you could strengthen a statement, say the SE, saying that, you know, we took a look at them. 2 We pulled the thread a little bit to the data that 3 they were based on. And there was no obvious flaws 4 Well, you can make an applicability 5 with it. statement, you know, without, you know, any more 6 7 information, qualified by the fact that of course all is subject to change. 8

9 Going much beyond that obviously 10 uncertainties just can't be quantified at this point. 11 They can take conservative approaches. And of course 12 there are degrees in which you can do that, we've 13 discussed a few of those today.

But applicability really all, you know, I've been thinking about it as we go on it. You know, the applicability statement, about the only thing you can really do at this point and have decent confidence going forward.

19 Ultimately the risk is on the applicant, 20 you know. That, you know, getting our shot at all 21 this, and you know, it gets obviously more serious, 22 you know, the farther along we go on this.

But through all those big events, you know, what I saw, you know, and general applicability, except, with your exception of that UO2 fuel, Dave.

1	But a lot of the things that, you know, that were
2	presented look familiar in my own experience with gas
3	reactors.
4	To some extent, and now I'm getting a
5	little preachy, but you know, I look at the MST
6	approach in general and I still feel like, you know,
7	those, it's maybe still a better tool as a
8	verification for simpler approaches.
9	That of course, you know, Dave, you were
10	hitting on earlier, that there is a TRISO topical,
11	EPRI topical out there that provides a firm foundation
12	on you know, failure rates. And you could come up
13	with a simpler model and then backstop it with the
14	details that you have prepared in XSTERM.
15	I don't know, I guess I have nothing more
16	to add on that. And I invite other members to
17	MEMBER KIRCHNER: Seems to me I'd like to
18	make an observation, if I may. I appreciate the
19	applicant in the staff's review and where you are. I
20	mean, trying more and more to do things in parallel so
21	we don't have a fully developed and accepted EN
22	methodology for this source term.
23	So what does that mean for the CPA that's
24	coming up? It seems to me the pebbles are the pebble.
25	They're going to be made to the spec. So let's assume

1to first order that they can - they've got the quality2assurance and control. So they make the pebble and3the fuel, TRISO fuel, to the spec.4Then what do we do for the CPA? It seems5to me you bound the problem with the maximum6hypothetical accident release as the source term, and7then demonstrate, based on design options, whatever8figures merit, mainly time and temperature, that9you're below that. And you can then meet whatever10they set, like the 400 meter exclusionary boundary and11so on at one rem, or whatever metrics are going to be12used going forward with the CP.13Because you're not going to validate this14stuff in that timeframe. And the CP application's at15hand. So it seems to me at least that's where we are.16We or the staff would look at this bound,17you know, but the potential at least might be look at18the mechanisms that - the functional containment, how19it performs. And then do an estimate of what the dose20is at the boundary.21And then you iterate on your design22choices. But the fuel is the fuel, that's a given.23I don't expect that to change.24So Dave, am I missing something?25MEMBER PETTI: That's right. I mean, if		
2 assurance and control. So they make the pebble and 3 the fuel, TRISO fuel, to the spec. 4 Then what do we do for the CPA? It seems 5 to me you bound the problem with the maximum 6 hypothetical accident release as the source term, and 7 then demonstrate, based on design options, whatever 8 figures merit, mainly time and temperature, that 9 you're below that. And you can then meet whatever 10 they set, like the 400 meter exclusionary boundary and 11 so on at one rem, or whatever metrics are going to be 12 used going forward with the CP. 13 Because you're not going to validate this 14 stuff in that timeframe. And the CP application's at 15 hand. So it seems to me at least that's where we are. 16 We or the staff would look at this bound, 17 you know, but the potential at least might be look at 18 the mechanisms that - the functional containment, how 19 it performs. And then do an estimate of what the dose 20 is at the boundary. 21 And then you iterate on your design 22 choices. But the fuel is the fuel, tha	1	to first order that they can - they've got the quality
3 the fuel, TRISO fuel, to the spec. 4 Then what do we do for the CPA? It seems 5 to me you bound the problem with the maximum 6 hypothetical accident release as the source term, and 7 then demonstrate, based on design options, whatever 8 figures merit, mainly time and temperature, that 9 you're below that. And you can then meet whatever 10 they set, like the 400 meter exclusionary boundary and 11 so on at one rem, or whatever metrics are going to be 12 used going forward with the CP. 13 Because you're not going to validate this 14 stuff in that timeframe. And the CP application's at 15 hand. So it seems to me at least that's where we are. 16 We or the staff would look at this bound, 17 you know, but the potential at least might be look at 18 the mechanisms that - the functional containment, how 19 it performs. And then do an estimate of what the dose 20 is at the boundary. 21 And then you iterate on your design 22 Choices. But the fuel is the fuel, that's a given. 23 I don't expect that to change.	2	assurance and control. So they make the pebble and
4Then what do we do for the CPA? It seems5to me you bound the problem with the maximum6hypothetical accident release as the source term, and7then demonstrate, based on design options, whatever8figures merit, mainly time and temperature, that9you're below that. And you can then meet whatever10they set, like the 400 meter exclusionary boundary and11so on at one rem, or whatever metrics are going to be12used going forward with the CP.13Because you're not going to validate this14stuff in that timeframe. And the CP application's at15hand. So it seems to me at least that's where we are.16We or the staff would look at this bound,17you know, but the potential at least might be look at18the mechanisms that - the functional containment, how19it performs. And then do an estimate of what the dose20is at the boundary.21And then you iterate on your design22choices. But the fuel is the fuel, that's a given.23I don't expect that to change.24So Dave, am I missing something?25MEMBER PETTI: That's right. I mean, if	3	the fuel, TRISO fuel, to the spec.
5to me you bound the problem with the maximum6hypothetical accident release as the source term, and7then demonstrate, based on design options, whatever8figures merit, mainly time and temperature, that9you're below that. And you can then meet whatever10they set, like the 400 meter exclusionary boundary and11so on at one rem, or whatever metrics are going to be12used going forward with the CP.13Because you're not going to validate this14stuff in that timeframe. And the CP application's at15hand. So it seems to me at least that's where we are.16We or the staff would look at this bound,17you know, but the potential at least might be look at18the mechanisms that - the functional containment, how19it performs. And then do an estimate of what the dose20is at the boundary.21And then you iterate on your design22choices. But the fuel is the fuel, that's a given.23I don't expect that to change.24So Dave, am I missing something?25MEMBER PETTI: That's right. I mean, if	4	Then what do we do for the CPA? It seems
 hypothetical accident release as the source term, and then demonstrate, based on design options, whatever figures merit, mainly time and temperature, that you're below that. And you can then meet whatever they set, like the 400 meter exclusionary boundary and so on at one rem, or whatever metrics are going to be used going forward with the CP. Because you're not going to validate this stuff in that timeframe. And the CP application's at hand. So it seems to me at least that's where we are. We or the staff would look at this bound, you know, but the potential at least might be look at the mechanisms that - the functional containment, how it performs. And then do an estimate of what the dose is at the boundary. And then you iterate on your design choices. But the fuel is the fuel, that's a given. I don't expect that to change. MEMBER PETTI: That's right. I mean, if 	5	to me you bound the problem with the maximum
7 then demonstrate, based on design options, whatever 8 figures merit, mainly time and temperature, that 9 you're below that. And you can then meet whatever 10 they set, like the 400 meter exclusionary boundary and 11 so on at one rem, or whatever metrics are going to be 12 used going forward with the CP. 13 Because you're not going to validate this 14 stuff in that timeframe. And the CP application's at 15 hand. So it seems to me at least that's where we are. 16 We or the staff would look at this bound, 17 you know, but the potential at least might be look at 18 the mechanisms that - the functional containment, how 19 it performs. And then do an estimate of what the dose 20 is at the boundary. 21 And then you iterate on your design 22 Choices. But the fuel is the fuel, that's a given. 23 I don't expect that to change. 24 So Dave, am I missing something? 25 MEMBER PETTI: That's right. I mean, if	6	hypothetical accident release as the source term, and
8 figures merit, mainly time and temperature, that 9 you're below that. And you can then meet whatever 10 they set, like the 400 meter exclusionary boundary and 11 so on at one rem, or whatever metrics are going to be 12 used going forward with the CP. 13 Because you're not going to validate this 14 stuff in that timeframe. And the CP application's at 15 hand. So it seems to me at least that's where we are. 16 We or the staff would look at this bound, 17 you know, but the potential at least might be look at 18 the mechanisms that - the functional containment, how 19 it performs. And then do an estimate of what the dose 20 is at the boundary. 21 And then you iterate on your design 22 choices. But the fuel is the fuel, that's a given. 23 I don't expect that to change. 24 So Dave, am I missing something? 25 MEMBER PETTI: That's right. I mean, if	7	then demonstrate, based on design options, whatever
 9 you're below that. And you can then meet whatever they set, like the 400 meter exclusionary boundary and so on at one rem, or whatever metrics are going to be used going forward with the CP. Because you're not going to validate this stuff in that timeframe. And the CP application's at hand. So it seems to me at least that's where we are. We or the staff would look at this bound, you know, but the potential at least might be look at the mechanisms that - the functional containment, how it performs. And then do an estimate of what the dose is at the boundary. And then you iterate on your design choices. But the fuel is the fuel, that's a given. I don't expect that to change. MEMBER PETTI: That's right. I mean, if 	8	figures merit, mainly time and temperature, that
10 they set, like the 400 meter exclusionary boundary and 11 so on at one rem, or whatever metrics are going to be 12 used going forward with the CP. 13 Because you're not going to validate this 14 stuff in that timeframe. And the CP application's at 15 hand. So it seems to me at least that's where we are. 16 We or the staff would look at this bound, 17 you know, but the potential at least might be look at 18 the mechanisms that - the functional containment, how 19 it performs. And then do an estimate of what the dose 20 is at the boundary. 21 And then you iterate on your design 22 choices. But the fuel is the fuel, that's a given. 23 I don't expect that to change. 24 So Dave, am I missing something? 25 MEMBER PETTI: That's right. I mean, if	9	you're below that. And you can then meet whatever
11 so on at one rem, or whatever metrics are going to be 12 used going forward with the CP. 13 Because you're not going to validate this 14 stuff in that timeframe. And the CP application's at 15 hand. So it seems to me at least that's where we are. 16 We or the staff would look at this bound, 17 you know, but the potential at least might be look at 18 the mechanisms that - the functional containment, how 19 it performs. And then do an estimate of what the dose 20 is at the boundary. 21 And then you iterate on your design 22 choices. But the fuel is the fuel, that's a given. 23 I don't expect that to change. 24 So Dave, am I missing something? 25 MEMBER PETTI: That's right. I mean, if	10	they set, like the 400 meter exclusionary boundary and
 used going forward with the CP. Because you're not going to validate this stuff in that timeframe. And the CP application's at hand. So it seems to me at least that's where we are. We or the staff would look at this bound, you know, but the potential at least might be look at the mechanisms that - the functional containment, how it performs. And then do an estimate of what the dose is at the boundary. And then you iterate on your design choices. But the fuel is the fuel, that's a given. I don't expect that to change. MEMBER PETTI: That's right. I mean, if 	11	so on at one rem, or whatever metrics are going to be
13Because you're not going to validate this14stuff in that timeframe. And the CP application's at15hand. So it seems to me at least that's where we are.16We or the staff would look at this bound,17you know, but the potential at least might be look at18the mechanisms that - the functional containment, how19it performs. And then do an estimate of what the dose20is at the boundary.21And then you iterate on your design22choices. But the fuel is the fuel, that's a given.23I don't expect that to change.24So Dave, am I missing something?25MEMBER PETTI: That's right. I mean, if	12	used going forward with the CP.
 stuff in that timeframe. And the CP application's at hand. So it seems to me at least that's where we are. We or the staff would look at this bound, you know, but the potential at least might be look at the mechanisms that - the functional containment, how it performs. And then do an estimate of what the dose is at the boundary. And then you iterate on your design choices. But the fuel is the fuel, that's a given. I don't expect that to change. So Dave, am I missing something? MEMBER PETTI: That's right. I mean, if 	13	Because you're not going to validate this
 hand. So it seems to me at least that's where we are. We or the staff would look at this bound, you know, but the potential at least might be look at the mechanisms that - the functional containment, how it performs. And then do an estimate of what the dose is at the boundary. And then you iterate on your design choices. But the fuel is the fuel, that's a given. I don't expect that to change. So Dave, am I missing something? MEMBER PETTI: That's right. I mean, if 	14	stuff in that timeframe. And the CP application's at
We or the staff would look at this bound, you know, but the potential at least might be look at the mechanisms that - the functional containment, how it performs. And then do an estimate of what the dose is at the boundary. And then you iterate on your design choices. But the fuel is the fuel, that's a given. I don't expect that to change. So Dave, am I missing something? MEMBER PETTI: That's right. I mean, if	15	hand. So it seems to me at least that's where we are.
17 you know, but the potential at least might be look at 18 the mechanisms that - the functional containment, how 19 it performs. And then do an estimate of what the dose 20 is at the boundary. 21 And then you iterate on your design 22 choices. But the fuel is the fuel, that's a given. 23 I don't expect that to change. 24 So Dave, am I missing something? 25 MEMBER PETTI: That's right. I mean, if	16	We or the staff would look at this bound,
18 the mechanisms that - the functional containment, how 19 it performs. And then do an estimate of what the dose 20 is at the boundary. 21 And then you iterate on your design 22 choices. But the fuel is the fuel, that's a given. 23 I don't expect that to change. 24 So Dave, am I missing something? 25 MEMBER PETTI: That's right. I mean, if	17	you know, but the potential at least might be look at
19 it performs. And then do an estimate of what the dose 20 is at the boundary. 21 And then you iterate on your design 22 choices. But the fuel is the fuel, that's a given. 23 I don't expect that to change. 24 So Dave, am I missing something? 25 MEMBER PETTI: That's right. I mean, if	18	the mechanisms that - the functional containment, how
20 is at the boundary. 21 And then you iterate on your design 22 choices. But the fuel is the fuel, that's a given. 23 I don't expect that to change. 24 So Dave, am I missing something? 25 MEMBER PETTI: That's right. I mean, if	19	it performs. And then do an estimate of what the dose
And then you iterate on your design choices. But the fuel is the fuel, that's a given. I don't expect that to change. So Dave, am I missing something? MEMBER PETTI: That's right. I mean, if	20	is at the boundary.
22 choices. But the fuel is the fuel, that's a given. 23 I don't expect that to change. 24 So Dave, am I missing something? 25 MEMBER PETTI: That's right. I mean, if	21	And then you iterate on your design
 I don't expect that to change. So Dave, am I missing something? MEMBER PETTI: That's right. I mean, if 	22	choices. But the fuel is the fuel, that's a given.
24So Dave, am I missing something?25MEMBER PETTI: That's right. I mean, if	23	I don't expect that to change.
25 MEMBER PETTI: That's right. I mean, if	24	So Dave, am I missing something?
	25	MEMBER PETTI: That's right. I mean, if

1	they're looking for and confidence that the dose is
2	low
3	MEMBER KIRCHNER: Low.
4	MEMBER PETTI: there was an expert
5	opinion-based model that I we developed in NGNP
6	which did in nuclear technology. It only went to
7	curies, and it had prismatic pebble bed. Higher
8	temperature, the old high temperature machines, the
9	750 machines.
10	You can look at those doses. There's an
11	ion level report that goes all the way to dose. We
12	just stopped at curies. And you can meet one rem.
13	MEMBER KIRCHNER: You could meet the one
14	
15	MEMBER PETTI: You could meet one rem.
16	MEMBER KIRCHNER: yeah.
17	MEMBER PETTI: So I believe I can. It's
18	just a matter of, you know, you just don't want the
19	death by a thousand splits to get there.
20	MEMBER KIRCHNER: No, that's what I'm
21	saying.
22	MEMBER PETTI: The applicant, you know, I
23	mean that's just, there's so many things you can down
24	too many rabbit holes. And today I can write your
25	four equations to show you what the answer is. And
l	I

1	I've been preaching this to the micro community about
2	this is not rocket science, this can be done fairly
3	simply.
4	So, and again, I think you can actually
5	apply here because these machines are still, you know,
6	they - I guess they're an SMR, but they're kind of,
7	they're on the small side of SMR. Certainly about
8	micros.
9	MEMBER KIRCHNER: So I guess I don't know
10	where that ends up at. But at least from my
11	perspective, it seems to me like we are so used to
12	Part 52, where - where people come in with a design
13	that's essentially complete. We don't know how to
14	deal with one that's starting from a construction
15	phase and going to like a Part 100, Part 50 approach,
16	which always is in the open.
17	So unless there is some safety concern,
18	which I haven't heard one today, then they're in their
19	rights to go on with building the plant and then have
20	all this stuff come together at the end when you get
21	the operating license. Just like a Part 50 process
22	does.
23	So you know, what's the release to the
24	public and all that stuff? That comes later.
25	MEMBER PETTI: I think, you know, that was
	I

1 - we have these same arguments with Kairos, right. It was just, you know, a CP, but it was a test reactor. 2 So that's why some of the questions about where's the 3 line for a CP for a power reactor. I had to have in 4 my mind with the Kairos experience knowing what the 5 answer is there. You know, how different. 6 7 And you know, my opinion is you go back to MHTGR days, design was well advanced beyond what we've 8 seen here. And it seems like CPs are moving to less 9 design completion and pushing more to the OL. 10 Not just X-energy, all the - we've seen other applicants 11 advance the same thing. 12 So you know, is there a line in which the 13 14 staff feels, you know, uncomfortable. To me the question is, you know, what are your design criteria. 15 You do those. What are the safety functions, what are 16 the systems that implement those safety functions? Do 17 they look reasonable? 18 And then, you know, the accident analysis. 19 I mean, we haven't seen the details. But certainly 20 the ones they identified are the ones identified in 21 every gas reactor that I've ever seen. 22 So you know, I can see putting together a 23 story for the CP that that's not an issue. I just was 24 25 wondering if the staff had any red line. Because I

1	think I can check off affirmative on that higher level
2	stuff and the systems stuff.
3	MEMBER KIRCHNER: Well, I don't think
4	we've seen the floor yet. I think it's can put the
5	floor of detail and continue
6	(Simultaneous speaking.)
7	MEMBER PETTI: Yeah, yeah.
8	MEMBER KIRCHNER: Rather than the other
9	around. And then they started with NuScale, which was
10	the design, and that's what we're used to. It's all
11	online.
12	MEMBER PETTI: That's the POL
13	(Simultaneous speaking.)
14	MEMBER HALNON: Why there's so many, you
15	know, limitations and conditions in this thing,
16	because, you know, those are promissory notes
17	essentially for the applicant to, you know, do these
18	things and demonstrate compliance and satisfactory
19	results in the end, not at the beginning.
20	MEMBER KIRCHNER: Right, but if you're
21	doing concurrent R&D, which we'll see in, I presume
22	that the staff one more time for this application when
23	it comes in, will build a so-called Appendix A, which
24	lists the things that either have to be demonstrated
25	experimentally or completed and so on.
I	1

1	The only danger I see here, Tim, is that
2	I don't know that you can really get through with that
3	matrix of models and V&V them by the time you want to
4	build and license, the operating license. I'm worried
5	about that.
6	PARTICIPANT: I don't think they have to.
7	MEMBER KIRCHNER: I don't think they have
8	to either, I'm not saying that. But I'm saying that
9	you put something up like this, with a very ambitious
10	V&V challenge in front of you, you probably don't need
11	it for making a adequate safety determination, if you
12	can show that for a bounding set of events, that the
13	public dose is acceptable, acceptably low.
14	And I'm just wondering where we are.
15	Usually, you know, you want to have the box checked,
16	that EM methodology checked. It's approved for going
17	ahead and doing all your analyses. I just worry that
18	they don't get there with this complicated
19	presentation.
20	MR. DRZEWIECKI: Well, yeah, yeah. So one
21	I thought was green actually the safety was basically,
22	you know, like the overarching structure of the
23	interfaces basically like the large codes that are
24	being used, you know, whether BSOB, FUB, your GOTHIC,
25	and you know, Flownex, all that stuff.

1	I do want to highlight, so one thing, you
2	know, being handed, it would have been helpful if this
3	methodology and the associated review had progressed
4	further to retire perhaps some of the risks that we're
5	taking into the CP review.
6	Because this is an NEI-18-04 review, which
7	is a risk-informed review. So doing the calculation of
8	the consequences, which is where this is being used,
9	is going to be important. Because that's going to
10	inform how you classify your SSCs, how you assess
11	defense-in-depth, and that is being evaluated.
12	And so this is an area that we do see as
13	something that, you know, we emphasized going into the
14	CP review. And we have, you know, some plans in
15	place, such that we can not only, you know, do this
16	review, but do some of our own independent
17	calculations using, you know, basically, you know,
18	things like a scale and MELCOR, those kind of things.
19	So just to make sure that we can assess these risks to
20	give us a good feel that we're all on the same track.
21	MEMBER PETTI: Just remember that the
22	MELCOR source term calculations that were done years
23	ago for HTGRs had failure fractions that are a factor
24	of 50 to a factor of 100 higher, you know. When I saw
25	those numbers, I was like what planet are you on.
I	·

1 That's not what the database tells us. The database 2 tells us a really good story. So you know, don't spend time to figure 3 4 out, it's right there, you know. I'm hoping everybody can calculation diffusion the same. 5 It's not a difficult problem. So we've done benchmarks under the 6 7 IAEA on that stuff, and everybody gets the same answer. It may not be the right answer, but they keep 8 getting the same answer. 9 They ran UO2 and it all No, they do. 10 11 worked well. Then they ran UCO and it didn't match the data because the data all derive from UO2. 12 CHAIR MARTIN: Somewhere we kind of 13 14 touched on the tools, right, Tim. You mentioned scale and MELCOR. You know, earlier this year we wrapped up 15 our review of, you know, the progress that Research 16 has made, you know, to support these kind of rules, 17 these kind of reviews. 18 So at what point would you kick off the 19 preparation of kind of audit analyses with the tools 20 that Research has come up with? 21 MR. DRZEWIECKI: Well, I'll say this. 22 Ι mean, it started a while ago. 23 CHAIR MARTIN: Well, we would have like a 24 25 MELCOR model and you have --

1	MR. DRZEWIECKI: Ah, yeah. In fact, so
2	there were a couple, you know, there was, you know,
3	public workshops going back a few years where there
4	was a series of, you know, of generic models that were
5	built of gas reactors and across the board with the
6	intention of having those in place such that you could
7	just go through and you know.
8	CHAIR MARTIN: Well, with design-specific
9	information. So, like you've begun doing the tweaks
10	for X-energy?
11	MR. DRZEWIECKI: Not yet because we don't
12	have the, you know, any of that information, I think,
13	of those tweaks yet. But those are stuff that we're
14	planning on doing.
15	So yeah, because it basically was brought,
16	you know, are we doing this review or when it starts.
17	It has started. You know, it's been docketed, I think
18	what, two weeks. So I mean, it was docketed. But the
19	extent this letter went out, I think we already
20	mailed. So we're rolling, and
21	CHAIR MARTIN: So it would be kind of a
22	part of the CPA review is to start having some of
23	these kind of audit calculations done.
24	MR. DRZEWIECKI: We do have those plans in
25	place. That is that we have, you know, a research

1	assistance request in place, user need request in
2	place. So we, you know, we have plans to leverage.
3	MEMBER PETTI: You have pebble bed models,
4	as I recall, and they were benchmarked against the
5	pebble bed benchmark that IAEA have. You know,
6	they're designed really similar. So get a huge
7	jumpstart on putting in the design specifics and their
8	differences.
9	No, those have been invaluable, I think,
10	for the staff. Even it's not the exact design, there's
11	lot of commonality in each technology class that you
12	see.
13	MR. DRZEWIECKI: Yeah. I'll say during the
14	Kairos CP review for Hermes 1, they were used there.
15	They were leveraged there. And it gave staff, you
16	know, a lot of confidence having that - having that
17	independent check.
18	CHAIR MARTIN: Kind of, yeah, we should do
19	a public comments at this time. So if there's anybody
20	online or of course in the room, representing yourself
21	public in some matter. This is your opportunity to
22	speak up and offer a comment to the committee.
23	So if you're interested, just raise your
24	hand using the Teams function or tap me on the
25	shoulder, or whatever. I'll give you 15 seconds. Is
I	

1	that too little?
2	Don't be shy. Okay, so it sounds like we
3	haven't - we don't have any public comments here.
4	So I snuck in two of my questions that I
5	thought would be in the closed and got the answers
6	that I wanted related to phenomena specifically and
7	related to the - from radiation and dust. I think she
8	covered dust pretty well.
9	The only other thing was the, kind of the
10	nodalization detail. For me, I can probably just pull
11	the thread a little bit late on here. I don't have to
12	have closed session.
13	MEMBER PETTI: I had just two questions
14	that I'm not sure needs closed session if I don't talk
15	about the specific numbers. But if I just talk about
16	it in general. I will let X-energy decide if I ask
17	the question.
18	The - in one of the appendices is the spec
19	numbers. And they are significantly lower than what
20	the Germans ever achieved and have ever been achieved
21	in the U.S. The U.S.'s is a compact, high-packing
22	fraction, very different geometry. Do you know which
23	table I'm talking about?
24	MR. HANUS: What numbers are those?
25	MEMBER PETTI: Defect.
ļ	

1	MR. HANUS: Oh, defect actions.
2	MEMBER PETTI: Yeah, you've got, it's the
3	table that's got the AGR numbers. And then it's got
4	X-energy. And of course the actual numbers are in
5	brackets. But the numbers are significantly lower than
6	the Germans ever achieved, that AGR ever achieved.
7	And at a higher confidence level than is standard.
8	You know the table I'm talking
9	MR. HANUS: Yes, I know, yeah.
10	MEMBER PETTI: Those imply, because it's
11	at the higher confidence, that the mean has to be even
12	lower. And I'm trying to I mean, if you've if
13	TRISO X has done stuff and demonstrated it, like,
14	great. And I can imagine, you know, in a pebble low
15	packing fraction, that could have lower defects than
16	a 40% packing fraction compact. That wouldn't
17	surprise me in the least.
18	But I was just, you know, understand that
19	they're significantly below anything that's been
20	achieved, even in China today.
21	MR. HANUS: So this comes from another
22	fuel development team. And I don't know if anyone is
23	on the call who could comment on that for us. The
24	system developers, it's an input.
25	MEMBER PETTI: Right, no, if you can get
	1

1	there, that's going to help you a hell of a lot all
2	the way down the line.
3	MR. FROESE: I think this is something we
4	take back to the fuel committee.
5	MEMBER PETTI: I think that's fine, you
6	know. Because I'm learning the same letters that the
7	staff needs to check. I mean, that is everything
8	that's on the defects, right. And so you got to be
9	absolutely sure that they can consistently produce to
10	that.
11	CHAIR MARTIN: Be careful.
12	MEMBER PETTI: My second question is
13	something I forgot to ask. Do the models account for
14	the breathing of the of the vessel? Understand
15	what I say, right. In that DURC, you blow it out,
16	right, and then there's still the core heats up, it's
17	still expelling. And then the core starts to cool
18	down and it pulls back.
19	And so the fission product release stops
20	when the flow regresses. Do you guys credit that or
21	take that into account?
22	MR. FROESE: Yes, that's correct. It's
23	one of the reasons that supports a 72-hour
24	safety-related duration on our CCS, is exactly from
25	that phenomena. And after the core hits its peak
I	1

1 temperatures, you start to get that volume, that's your contraction back in that keeps the fission 2 products inside of the reactor. 3 MEMBER PETTI: Right, not --4 MR. FROESE: That's the model that's 5 GOTHIC. 6 7 MEMBER PETTI: Okay, because it didn't talk about that. But it's -- in this nuclear 8 technology paper, we have people who were working for 9 I think PBMR at the time. And the numbers were 10 significant in terms of reduction as a physical 11 phenomenon. 12 The problem comes with validating that 13 behavior could again be something that could be 14 challenging. I believe it. I mean, you can do -15 we're doing some simple calculations in teams to 16 17 either show actually happens. 18 Okay, those are my questions. CHAIR MARTIN: Satisfied ourselves we 19 don't need a closed session? 20 MEMBER BIER: I think Bob, you may still 21 want to have a closed session for the morning's 22 topics, or? 23 CHAIR MARTIN: Well, like I said, mine 24 25 were morning-related. And I snuck in.

1	MEMBER BIER: Yeah, I didn't really sneak
2	mine in. I suppose we could come back to the earlier
3	slide and see if people can answer the question in a
4	non-proprietary environment, but.
5	CHAIR MARTIN: Ask.
6	MEMBER BIER: So this was with regard to
7	the uncertainty methodology about extreme value
8	analysis and mean squared error. And I can't remember
9	who the presenter was at the time, I'll just look at
10	the mic.
11	So I guess I had two questions. One is
12	was that - was the extreme value analysis done using
13	the statistical method of extreme value three theory,
14	which is kind of a standard known method that
15	extrapolates from data? Or is that just kind of an
16	informal description of what was done, you picked some
17	extreme values to test insensitivity or whatever?
18	MR. HALLEE: This Brian Hallee. It was
19	the latter. So a straight value, meaning you take
20	each input
21	MEMBER BIER: Got it.
22	MR. HALLEE: - to its two-signal limit,
23	and then it would just stack.
24	MEMBER BIER: Perfect, thank you. And the
25	other question I had, which is not meant as a
	1

1	critique, I'm just trying to like figure out, but I'm
2	wondering whether it makes sense to do something like
3	mean squared error when the results are to begin with
4	kind of arbitrarily conservative or whatever. Is it
5	meaningful in that context?
6	And not that there's necessarily anything
7	wrong with doing it, but it just seems kind of like
8	well, maybe it - you know, I'm not sure what you get
9	out of doing that if the results have, you know,
10	varying levels of conservatism, etc., that you're
11	combining.
12	MR. HALLEE: Yeah, I would agree with
13	that. I think we're - it's little bit said 95
14	percentile, we're going to use that in floats and that
15	it's a reduction of a conservative method but it's
16	not a true 95-95 and how we're - and how that's being
17	defined.
18	MEMBER BIER: Okay.
19	MR. HALLEE: Sort of a reduction of
20	over-conservatism, if you will.
21	MEMBER BIER: Okay, so you did it kind ad
22	hoc, just in order to have some way of bringing in the
23	extremely wide bands to a more manageable level, but
24	it's not like some validated methodology that you're
25	hanging your hat on and going to use going forward
I	1
1	necessarily or whatever.
----	--
2	MR. HALLEE: We're still exploring the
3	exact statistical method we'll apply for the LRA,
4	that's correct.
5	MEMBER BIER: Okay. And I guess that
6	answers my questions and then I don't need a closed
7	session for an example. Thanks.
8	MEMBER PETTI: I had another one, just, you
9	had talked about it. In the example calculation in the
10	DLOFC, the fuel got really hot, well above the
11	database. Just no fig leaf for the staff that - it was
12	a sample calculation so I didn't put a lot of weight
13	in it. But if that number is what you get, that's
14	problematic because you're outside the testing range.
15	PARTICIPANT: Yeah, with a sample, you
16	could do just about anything and like the sample for
17	the temperature is lower too. The question doesn't
18	come up.
19	CHAIR MARTIN: All right. Not going to go
20	to closed session, so maybe this is the last shot at
21	questions.
22	MEMBER PETTI: Well, I think we're going
23	to have some discussion about what letters we're going
24	to write.
25	CHAIR MARTIN: Oh, of course. Remember,
	I

1	this is a subcommittee, not full.
2	I think you've already tipped your hat
3	about what you're going to do. I as far as the morning
4	session, I think just a summary report would be
5	sufficient. So but why don't you tell us what you're
6	thinking
7	MEMBER PETTI: Well
8	CHAIR MARTIN: - this afternoon.
9	MEMBER PETTI: - to be consistent with the
10	other applicants, we always write a letter on source
11	term. So I plan to write a letter and encapsulate
12	largely the concerns that identified and recommend
13	that they look at, at least for the OL, I can't CP
14	something something simpler. Whether they do that
15	in parallel I'm not going to give a script, but you
16	know.
17	I think they can get to the goal line in
18	a lot easier way, is basically.
19	Point out other data sources that weren't
20	in the paper so if they want to go start chasing
21	things, this data
22	CHAIR MARTIN: Yeah, it's kind of a
23	MEMBER PETTI: - either the staff or the
24	CHAIR MARTIN: unprecedented
25	recommendation coming out of the ACRS that you could
I	1

1	actually be simpler. I think there's probably more
2	examples of the other direction.
3	MEMBER PETTI: I'm just here to help.
4	PARTICIPANT: I would suggest that we
5	really should do that. I think it's - we should avoid
6	excessive pontification because we know it.
7	MEMBER KIRCHNER: I think we have to be
8	careful we don't get out of our swim lane, because if
9	we recommend a certain path, they take that path, and
10	we don't like the results, then we are culpable.
11	MEMBER HALNON: This fuel has enormous
12	margin. There's a lot of data out there to start
13	with, especially for gas reactor fuel. It's got a lot
14	of margin. Is there a reason to suggest that very
15	sophisticated models need to be applied when the
16	uncertainty bounds on those models and the potential
17	for verification are essentially zero?
18	And they don't need it. I mean, that's
19	really the key thing I think, they don't need it.
20	MEMBER KIRCHNER: The key thing is going
21	to be production quantities with low defects.
22	MEMBER HALNON: Yeah.
23	MEMBER PETTI: That's all been.
24	MEMBER KIRCHNER: I can tell you that
25	firsthand because I've bought fuel from GA 40 years
1	

1	ago to the MHTGR spec. And be careful about your
2	spec. Don't over-specify beyond what you need because
3	you may put yourself in a situation where in front of
4	the NRC you can't meet your spec.
5	MEMBER HALNON: And the EPRI document is
6	quite good.
7	MEMBER KIRCHNER: I think that's an
8	adequate spec. If you're going beyond that, you
9	should have some reason perhaps economic which I don't
10	know or some other design issue that you're
11	addressing. Otherwise, over-spec'ing the fuel may be
12	a trap for the actual manufacturing of production
13	quantities of fuel.
14	CHAIR MARTIN: One thing I think Matt is
15	touching is, we can't be in the consultant mode.
16	MEMBER KIRCHNER: No.
17	CHAIR MARTIN: And certainly provide some
18	opinions on complexities and whatnot. But remember,
19	we're looking at the TR that's in front of us, not
20	what we hoped to have seen and/or the CP that's coming
21	down the pike. So we just got to be careful that
22	we're not providing indirect direction, if you will.
23	MEMBER PETTI: Pontification.
24	CHAIR MARTIN: I mean, the comments are on
25	the record. They're listening to them. They can apply
	1 A State of the second s

1	what they feel is required. But the onus to
2	demonstrate safety is on the applicant and the NRC to
3	verify, not for us to give a pathway forward.
4	However, I hope that they've certainly taken your
5	comments to heart.
6	MEMBER KIRCHNER: Well, the thing that's
7	a little bit different here is this is, you know, this
8	is the poster child for functional containment. So
9	you really have to deliver on the particle fuel, and
10	I guess that's enough said.
11	CHAIR MARTIN: Well said.
12	CHAIR MARTIN: We'll certainly see more
13	fuel down the road.
14	Okay, have we covered everything?
15	MR. BURKHART: If I can just ask a
16	question. So this is Larry Burkhart from the ACRS
17	staff. So a letter on mechanistic source term? Do
18	you want a presentation by the applicant and the
19	staff, or no?
20	CHAIR MARTIN: I don't think - everybody's
21	
22	MEMBER PETTI: They can certainly just
23	listen in now.
24	MR. BURKHART: Okay, I don't see.
25	PARTICIPANT: It's not like you're
l	1

1	traveling a long distance (Simultaneous speaking.)
2	PARTICIPANT: Opportunity to go through it
3	and look at a draft for proprietary information.
4	PARTICIPANT: We won't catch you all cold.
5	MR. BURKHART: Exactly.
6	CHAIR MARTIN: Yeah, I just want to make
7	it clear to the staff and the applicants that you're
8	invited to listen in to the deliberations. You will
9	get a version to clear for proprietary before we bring
10	it up. And then if the committee has any questions
11	for the staff or for the applicant during the
12	deliberations.
13	PARTICIPANT: And you can actually, you
14	can attend as well. I mean, it's a public meeting.
15	You don't just have to listen in. In the proprietary,
16	if you see factual - when you get it, if you see any
17	factual errors, point that out to the ACRS staff
18	members or the NRR staff members.
19	CHAIR MARTIN: Okay, well, I'd like to
20	thank X-energy, and of course the staff for their
21	presentations and the time and effort that they put in
22	to create the presentations. With that, I'll adjourn
23	the meeting.
24	(Whereupon, the above-entitled matter went
25	off the record at 3:24 p.m.)
	I





Department of Energy Acknowledgement and Disclaimer

This presentation was prepared as an account of work sponsored by an agency of the United States Government. This material is based upon work supported by the Department of Energy under Award Number DE-NE0009040. any agency thereof. The views and opinions of authors expressed herein do not necessarily state or reflect completeness, or usefulness of any information, apparatus, product, or process disclosed, or represents product, process, or service by trade name, trademark, manufacturer, or otherwise does not necessarily Neither the United States Government nor any agency thereof, nor any of their employees, makes any constitute or imply its endorsement, recommendation, or favoring by the United States Government or that its use would not infringe privately owned rights. Reference herein to any specific commercial warranty, express or implied, or assumes any legal liability or responsibility for the accuracy, those of the United States Government or any agency thereof.

energy

Ø

Objective & Regulatory Basis

Objective: Provide a high-level overview of X-energy's Safety Analysis process, background on the 3 Licensing Topical Reports (LTRs), and summary of each LTRs Safety Evaluation Report (SER) based on audits by the staff.

- 1. Transient and Safety Analysis Methodology
- 2. GOTHIC and Flownex Analysis Codes Qualification
- 3. Mechanistic Source Term Approach

Regulatory Basis: In part: 10 CFR 50.34 and RG 1.203

Overview of the Safety Analysis Process

2) PRA Develops Licensing Basis Events IAW NEI 18-04

LBEs

1) Design Freeze

3) Thermal Hydraulic Analysis of LBEs in Flownex & GOTHIC

Capability & Reliability Targets Special Treatment Reports SSC Classifications

Core Temperatures vs. Time Core Power vs. Time Steam Ingress (if applicable)

4) Determine Offsite Dose in XSTERM

5) PRA Technical Adequacy Determination, Licensing Assessment

Doses







K energy

© 2024 X Energy, LLC, all rights reserved



Overview of Dose Components



*If Applicable

Kenergy





K energy

© 2024 X Energy, LLC, all rights reserved



One Unique Clarification

LBEs: Non-DBAs vs. DBAs

- Methods and models are the same for PSAR, but inputs are different
- This led to several technical discussions during the initial NRC review
- "Outcome Objectives" specifically requests approval to use these methods for preliminary analysis of Design Basis Accidents
 - Application only to DBAs aligns with NEI 18-04

	P
je se	
1	

Draft Safety Evaluation Report Summaries

Safety Evaluation Report	Limitations & Conditions	Key Takeaways
Mechanistic Source Term Licensing Topical Report	None, noting this is limited to the methods and not XSTERM	"The NRC staff Concludes that X-energy's TRprovides a reasonable plan for the development of the MST methodology."
GOTHIC & Flownex Analysis Codes Qualification Licensing Topical Report	 Limitation that input parameters will be confirmed during Construction Permit review Certain TSAM limitations also apply 	"The NRC staff approves the use of TR…for the preliminary analysis of Xe-100 DBAs"
Transient and Safety Analysis Methodology Licensing Topical Report	 3 Limitations, 14 Conditions: Limited to preliminary analysis, design, DBA events, etc. Research and development may be needed if existing data isn't sufficient RG 1.203 compliance still in progress 	 Subject to the limitations and conditions, use of the EM described in the TSAM is acceptable: For consequence evaluations addressing Xe-100 PDC 19 & 50.34 For preliminary safety analysis of the design and performance of Xe-100 To describe a research plan to resolve safety questions regarding EM applicability to the Xe-100

energy



Final Takeaways

- A tremendous amount of methodology development and analysis has been conducted by X-energy in preparation for these topical reports and the Construction Permit Application
- We are proud of the work produced, and believe these methods will support a strong safety case with considerable margin to dose limits
- We are at the preliminary design phase and there is still work to be done
- PIRT will evolve based on latest PSAR results
- Thank you to the staff for your guiding feedback, effort put into this review, and timely engagement





Additional Slides





Overview of Safety Analysis XSTERM Applications









Department of Energy Acknowledgement and Disclaimer

This presentation was prepared as an account of work sponsored by an agency of the United States Government. This material is based upon work supported by the Department of Energy under Award Number DE-NE0009040. any agency thereof. The views and opinions of authors expressed herein do not necessarily state or reflect completeness, or usefulness of any information, apparatus, product, or process disclosed, or represents product, process, or service by trade name, trademark, manufacturer, or otherwise does not necessarily Neither the United States Government nor any agency thereof, nor any of their employees, makes any constitute or imply its endorsement, recommendation, or favoring by the United States Government or that its use would not infringe privately owned rights. Reference herein to any specific commercial warranty, express or implied, or assumes any legal liability or responsibility for the accuracy, those of the United States Government or any agency thereof.



4. Walk through Status of EMDAP Elements 1 -> 4 3. Evaluation Model Development Approach 5. Demonstration Analysis 1. Introduction & Purpose 2. Regulatory Framework

6. Conclusions & Path Forward

7. Questions



Introduction & Purpose

Purpose of the TSAM Report:

- Define the evaluation model (EM) for DBA transient safety analysis of the Xe-100 reactor ----
- Demonstrate analysis methodology for select example cases [proprietary] <u>5</u>
- Support future licensing applications . .

Presentation Objectives:

- Summarize X-energy's methodology for DBA transient and safety analysis of the Xe-100 reactor
- Highlight regulatory alignment to RG 1.203



Regulatory Framework

Applicable Regulation:

10 CFR 50.34 - Contents of applications; technical information

Key Regulatory Documents:

- RG 1.203: "Transient and Accident Analysis Methods"
- RG 1.233: Endorses NEI 18-04 approach for licensing basis development

Previous Interactions with NRC:

- NRC SE on Rev. 1 of TSAM framework (ML23086C082)
- Previous limitations being addressed in current methodology
- NRC SE on Rev. 2 of Atmospheric Dispersion Methodology (ML24242A251)
- NRC SE on Rev. 3 of Xe-100 Principal Design Criteria (ML24284A012)



KG1.203 - Evaluation Model Development Approach

Evaluation Model Development and Assessment Process (EMDAP):

- RG 1.203 EMDAP implementation for Xe-100
- Four major elements:
- Establish requirements for EM capability
- Develop assessment base
- Develop evaluation model
- Assess EM adequacy







Step 1: Define Analysis Purpose and Transient Classes and Power plant Class

Analysis Purpose:

- Evaluate plant response for Design Basis Accidents (DBAs)
- Verify performance of safety-related SSCs to meet required safety functions
- Demonstrate compliance with previously mentioned regulatory requirements and guidance
- Quantify radiological consequences for comparison with 10CFR50.34 acceptance criteria

Transient Classification Approach:

- NEI 18-04 Framework Implementation:
- AOOs: Anticipated events expected in plant lifetime (>10⁻² per plant-year)
- DBEs: Unlikely events during plant lifetime (10⁻⁴ to 10⁻² per plant-year)
- DBAs: Deterministic events derived from DBEs with only SR SSCs credited
- BDBEs: Very unlikely events $(5 \times 10^{-7} \text{ to } 10^{-4} \text{ per plant-year})$

Henergy

Step 1: Define Analysis Purpose and Transient Classes

Xe-100 Specific DBA Transient Categories:

- Reactivity-Initiated Events:
- Control rod withdrawals/ejections
- Overcooling (via MSLB)

Loss of Forced Cooling Events:

- Pressurized loss of forced cooling (PLOFC)
- Depressurized loss of forced cooling (DLOFC)
- Loss (or degradation) of secondary cooling (LOSC)

Primary System Breach Events:

- Small, medium, and large depressurization events
- Steam generator tube leaks/ruptures
- Other Events:
- External hazards Seismic

Integration with Plant States:

 Analysis covers all operating modes from full power to shutdown © 2025 X Eneray. LLC. all rights reserved







Power Plant Class:

- high-temperature gas-cooled reactor 200 MWt (80 MWe) pebble bed
- Helium coolant at 6 MPa, 260°C inlet, 750°C outlet
- Online refueling with pebbles circulating through core
- TRISO fuel in graphite matrix pebbles
- Decay heat removal via passive systems





Power Plant Class:

Major systems:

- Reactor System (RS)
- Steam Generator System (SGS)
- Helium Circulator System (HCS)
- Reactor Cavity Cooling System (RCCS)
- Fuel Handling System (FHS)





Power Plant Class:

Functional Containment:

Multiple barriers to radionuclide release:

- 1. TRISO coatings
- 2. Pebble fuel matrix
- 1. Fuel core
- 2. Fuel-free zone
- Helium pressure boundary (intact (normal leakage) unless breached)
 - Reactor building + filtration (not credited in DBA EM)

Kenergy



◎ 2025 X Energy, LLC, all rights reserved


Element 1: Establish Requirements for EM

Step 2: Specify Figures of Merit

Primary FOM for Xe-100:

Radiation dose (TEDE) at Exclusion Area Boundary (400m)

- Addresses 10 CFR 50.34 regulatory requirements (EAB Dose < 25 rem TEDE)
- Facilitates comparison with F-C targets from NEI 18-04 •

FOM Calculation Components:

- Initial HPB circulating inventory release
- Fuel heat-up induced releases
- Lift-off of plated-out activity
- Long-term passive cooling releases
- Event-specific mechanisms (e.g., steam-off/wash-off for SGTRs)



Element 1: Establish Requirements for EM

Step 2: Specify Figures of Merit

Supplementary DBA FOMs for Xe-100:

Environmental Conditions

- Informs environmental qualification for SR SSCs
- **Reactor Fuel Temperature**
- Demonstrates compliance with qualified fuel temperature limits
- Reactor Fuel Time-at-Temperature
- Ensures fuel doesn't exceed time-temperature limits
- Total Core Reactivity
- Demonstrates subcriticality and reactivity control
- **Total Reactor Power**
- Demonstrates controlled power and absence of oscillations
- Flammable Gas Production
- For SGTR events to prevent flammable concentrations
 - **ASME Pressure Vessel Quantities**
- Demonstrates meeting ASME BPVC criteria

the assumptions / modelling decisions applied in the DBA EM are valid. These FOMs assisted in defining PIRT phenomena and ensure

Element 1: Establish Requirements for EM

Step 3: Identify Systems, Components, Phases, Geometries, and Processes

Key Systems and Components Modeled:

- Reactor System (RS)
- Fuel pebbles and TRISO particles
- Graphite reflectors (side, top, bottom)
- Reactor vessel metallics
- Control and shutdown rod systems
- Hot gas duct system

Heat Transport Systems

- Steam generator tube bundles
- Helium circulators
- Helium pressure boundary
- Primary loop pressure relief system
- Secondary side fluid systems

Safety-Related Passive Systems

- Reactor cavity cooling system
- Reactor building structures (not credited for RN retention)
- Functional containment barriers

Phases, geometries, fields, transport processes considered in PIRT phenomenon, although not explicitly delineated in TSAM.









6	A.

Element 2: Develop Assessment Base

Step 5: Specify Assessment Objectives Assessment Approach:

Reflective of RG1.203 intent

- 1. Verify code capabilities to model key phenomena
- 2. Validate predictions against appropriate data
- 3. Quantify model biases and uncertainties
- 4. Establish applicability to Xe-100 design conditions

Code-specific Assessment Objectives will be discussed in the respective code LTR discussion later.

Element 2: Develop Assessment Base

Step 6: Perform Scaling Analysis

Scaling Methodology Overview:

- Follows H2TS methodology with top-down and bottomup approaches
- Focuses on ensuring experimental data adequately represents Xe-100

Four-Step Scaling Process:

- **1. Identify Relevant and Critical Phenomena**
- 2. Define Key Characteristics and Dimensionless Groups
 - Assess Similarity Between Test Data and Xe-100
- 4. Address Distortion Factors

Current Status:

- Methodology defined in Section 6.5 of TSAM report
- More detail contained in standalone scaling analysis plan
 - High and Medium ranked phenomena defined
- Initial identification of dimensionless groups in progress
- Planning for similarity assessment and accuracy scaling



Element 2: Develop Assessment Base

Steps 7-9: Experimental Data and Effects of Test Distortions

Notes:

- Experimental data will be discussed during the respective code-specific LTR presentations
- Scaling activities remain in progress no discussion of distortions in LTRs ц Сі





Element 3: Develop Evaluation Model

Step 10: Establish Evaluation Model Development Plan Multiple work plans exists outlining the development and V&V of EM codes. An overall RG1.203 plan ties all EMDAP activities together, creates project schedule for completion.

Development Philosophy:

- Integrated approach combining RG 1.203 methodology with NEI 18-04 framework
- System of codes working together to address all necessary phenomena
- Quality-assured development following X-energy's QAP (XEQAPD-NP, Rev. 3)
- High-level LBE analysis flowchart ightarrow





Element 3: Develop Evaluation Model

Step 11: Establish Evaluation Model Structure

Overall EM Structure:

- Integrated modeling approach with multiple specialized codes
- Two-phase analysis approach: "plant transient" and "long-term cooling"

Code Functions and Interfaces:

- Flownex: Models plant transient phase (seconds to hours)
- Detailed system nodalization
- Core, primary, and secondary system thermal-hydraulics
- Point kinetics for reactivity effects
- Provides boundary conditions for other codes
- **GOTHIC**: Models long-term cooling phase (hours to days)
- Passive heat removal
- Effectiveness of RCCS
- **XSTERM (X-e developed code)**: Calculates source term and dose consequences

VIST LTR 000632

Mechanistic source term calculations





© 2025 X Energy, LLC, all rights reserved



Element 3: Develop Evaluation Model



K energy

2025 X Energy, LLC, all rights reserved

XSTERM -- Flownex Screening Criteria (FSC) Tool

- Converts T/H system model nodal fuel temperatures into offsite doses
- Provides the fuel heatup (radionuclide diffusion) contribution to the offsite dose FOM

Conservative assumptions built-in for DBAs:

- Dispersion factors $(\chi\chi/QQ)$ and fuel impurity/quality
 - Time-at-temperature bounds transient times
 - Pebble power profile under fission maximized

Database of Avg. Pebble Temperature vs. Dose

> XSTERM Single Pebble Evaluations

> > Results: Peak Fuel Temperatures





GOTHIC Analysis Stream (Long-term Transients)





Element 3: Develop Evaluation Model

Step 12: Develop or Incorporate Closure Models

Current Status:

 While some closure models are specified, the closure models for the EM codes (XSTERM, Flownex, GOTHIC) are still under development and undergoing assessment for accuracy and capability





Element 4 – Assess Evaluation Model Adequacy

Objective of Element 4

Demonstrate that the Evaluation Model (EM) adequately models relevant plant behavior under transient and accident conditions.

Key Components of Element 4

- Code Verification and Validation (V&V)
 - Discussed in code-specific LTRs
- Model Uncertainty and Input Uncertainty Treatment
 - Assessment Against Measured Data
 - Discussed in code-specific LTRs
- Scaling and Similarity Evaluations
 - Incomplete
- Quantification of Bias and Uncertainty
 - Incomplete
- <u>Note</u>: TSAM LTR indicates these steps are in-progress and will be supplemented in future submittals.



Element 4 – Assess Evaluation Model Adequacy

Uncertainty Analysis Methodology

Types of Uncertainties Addressed:

- Material Properties
- Reactor Physics
- Model and Scenario (e.g. HCS coastdown rate)
- Control Logic, setpoint, and measurement (e.g. Reactor power measurement)

Phenomena and Key Parameter Identification and Ranking Tables (PKPIRTs):

- Extension of traditional PIRT process
- Identifies key parameters (i.e. code inputs) affecting figures of merit
- Allows targeted uncertainty analysis
- Enables UQ to be performed on time/resource-consuming long-term heatup cases
- Supports both deterministic-conservative and best-estimate-plus-uncertainty

approaches

energ)



Element 4 – Assess Evaluation Model Adequacy

Uncertainty Analysis Methodology (cont.)

PKPIRT Process:

- 1. Identify high/medium ranked phenomena
- 2. Link to models in analysis code
- 3. Decompose into model parameters
- 4. Identify high ranked parameters

Norst-case Tolerance Stack-Up

- 5. Assign uncertainty distributions
- Perform individual sensitivity analyses or worst-case stack-up analysis
- 7. Estimate overall uncertainty



Approach:

- Apply extreme value analysis for key parameters
- Perform Root-sum-of-squares (RSS) Statistical combination of uncertainties for limiting long-term event (DLOFC)

😽 energy

© 2025 X Energy, LLC, all rights reserved



Conclusions & Path Forward

Conclusions:

- Evaluation model defined and developed following RG 1.203 approach
- Integration with NEI 18-04 methodology
- Computer codes selected and being validated
- Demonstration analyses applied in TSAM LTR confirm methodology
 - Can be discussed in closed session

Path Forward:

- Complete V&V of all analysis codes
- Finalize mechanistic source term methodology, publish XSTERM code LTR
- Complete full suite of licensing basis event analyses
- Address NRC feedback on methodology for OLA



Acronym List

- AOO Anticipated Operational Occurrence
- **ASME** American Society of Mechanical Engineers
 - BDBE Beyond Design Basis Event
- **BPVC** Boiler and Pressure Vessel Code
- **CFR** Code of Federal Regulations
- **CPA** Construction Permit Application
- CRW Control Rod Withdrawal
 - **DBA** Design Basis Accident
- **DBE** Design Basis Event
- **DLOFC** Depressurized Loss of Forced Cooling
 - DOE Department of Energy
- EAB Exclusion Area Boundary
 - EM Evaluation Model
- **EMDAP** Evaluation Model Development and
 - F-C Frequency-Consequence **Assessment Process**
 - FHS Fuel Handling System
 - FOM Figure of Merit
 - FP Fission Product
- FSC Flownex Screening Criteria
 - HCS Helium Circulator System
- HPB Helium Pressure Boundary
- HTGR High-Temperature Gas-cooled Reactor
 - H2TS Hierarchical Two-Tiered Scalinc
 - LBE Licensing Basis Event
- -OSC Loss of Secondary Cooling
 - - -PZ Low Population Zone
- LTR Licensing Topical Report
- MSLB Main Steam Line Break

- **MST** Mechanistic Source Term
 - MWe Megawatts electric
 - MWt Megawatts thermal
- **NEI Nuclear Energy Institute**
- **VGNP** Next Generation Nuclear Plant
- **VOC** Normal Operating Conditions
- NRC Nuclear Regulatory Commission
- **OCTP** Operational Characteristic Time Period
 - **OLA** Operating License Application
 - PDC Principal Design Criteria
- PIRT Phenomena Identification and Ranking Table
 - PKPIRT Phenomena and Key Parameter
 - PLOFC Pressurized Loss of Forced Cooling dentification and Ranking Table
 - - PRA Probabilistic Risk Assessment
 - QA Quality Assurance
- **QAP** Quality Assurance Program
- RCCS Reactor Cavity Cooling System
- RG Regulatory Guide
 - RN Radionuclide
- **RPV** Reactor Pressure Vessel
 - RS Reactor System
- RSS Root-Sum-of-Squares
 - SE Safety Evaluation
- SGS Steam Generator System
- SGTR Steam Generator Tube Rupture
 - SR Safety-Related
- SSC Systems, Structures, and Components
 - **I/H** Thermal-Hydraulics

- **FDE** Total Effective Dose Equivalent
 - **TRISO** TRi-structural ISOtropic
- **FSAM** Transient and Safety Analysis Methodology
 - UCO Uranium Oxycarbide
- UQ Uncertainty Quantification
- V&V Verification and Validation
- XEQAPD-NP X-energy Quality Assurance Program Description - Non-Proprietary
 - XSTERM X-energy Source Term (code name)
- x/Q Chi over Q (atmospheric dispersion factor)









© 2025 X Energy LLC, all rights reserve



Department of Energy Acknowledgement and Disclaimer

This presentation was prepared as an account of work sponsored by an agency of the United States Government. This material is based upon work supported by the Department of Energy under Award Number DE-NE0009040. any agency thereof. The views and opinions of authors expressed herein do not necessarily state or reflect completeness, or usefulness of any information, apparatus, product, or process disclosed, or represents product, process, or service by trade name, trademark, manufacturer, or otherwise does not necessarily Neither the United States Government nor any agency thereof, nor any of their employees, makes any constitute or imply its endorsement, recommendation, or favoring by the United States Government or that its use would not infringe privately owned rights. Reference herein to any specific commercial warranty, express or implied, or assumes any legal liability or responsibility for the accuracy, those of the United States Government or any agency thereof.



- Purpose & Scope of the LTR
- Overview of the Regulatory Requirements & Guidance
- Overview on the Safety Analysis Models
- Flownex Code Qualification
- Gothic Code Qualification
- Conclusions

Doc ID No. 008565 Revision: 3 Date: 10-Mar-2025	•	port	cones		X-19						d without the Company's prior
opical Report sis Codes Qualification	erg)	Topical Re	ation	008585	XE00-GL-GL-GL-GL-GL-GL-GL-GL-GL-GL-GL-GL-GL-	8	Proprietary	Approved	10-Mar-2025	XE-100	reproduced, disclosed, or use
Xe-100 Licensing Tr GOTHIC and Flownex Analys	en 🔀	-100 Licensing	Qualific	Document ID Number :	Configuration Classification :	Revision :	Security Classification :	Status :	Date Created :	roject	erty of X Energy, U.C. The content may not be :



Purpose & Scope of the LTR

- Describes methodology and theory behind GOTHIC and Flownex analysis codes supporting the Xe-100 Safety Analysis Evaluation Model (EM)
- References code manuals, current validation and verification efforts, and qualification plans of both tools
- Does not detail specific code executions or categorization of all analyses
- The conclusions will support the Transient and Safety Analysis (TSA) of the Xe-100

Outcome Objective

NRC review and approval of GOTHIC and Flownex models for use in Design Basis Accident (DBA) evaluation



- Purpose & Scope of the LTR
- Overview of the Regulatory Requirements & Guidance
- Overview on the Safety Analysis Models
- Flownex Code Qualification
- Gothic Code Qualification
- Conclusions

Doc ID No: 006585 Revision: 3 Date: 10-Mar-2025		t Jes									t Company's prise
pical Report is Codes Qualification	ergy	Fopical Report x Analvsis Coc	ation	008585	XE00-61-61-61-61-61-52	3	Proprietary	Approved	10-Mar-2025	XE-100	eproduced, disclosed, or used without the
nsing Top	Č	ng T	ifica						•		ay not be re
Xe-100 Lice GOTHIC and Flowney	Ű	LOO Licensi IC and Flov	Qual	cument ID Number	nfiguration Classificatio	vision	curity Classification	atus	ate Created	oject	r of X Energy, LLC. The content m



Overview of the Regulatory Requirements - Regulatory Guidance

Regulatory Requirements: GOTHIC and Flownex support Xe-100 safety analyses aligned with NRC requirements under 10 CFR Parts 50, 52, and 100 (e.g. Construction Permits, Early Site Permits, Reactor Site Criteria)

Regulation of Advanced Reactors, RG 1.203, RG 1.233, RG Key Regulatory Guidance: Policy Statement on the 1.253 Additional NRC Guidance: DANU-ISG-2022-01 – Advanced Reactor Application Review Roadmap, U.S. HTGR Licensing Precedents (GA-MHTGR, NGNP, Exelon/PBMR)





- Purpose & Scope of the LTR
- Overview of the Regulatory Requirements & Guidance
- Overview on the Safety Analysis Models
- Flownex Code Qualification
- Gothic Code Qualification
- Conclusions

Doc ID No: 008565 Revision: 3 Date: 10-Mar-2025		port	Codes		SL-X						I without the Company's prior
opical Report sis Codes Qualification	erg)	Topical Re	ex Analysis ation	008585	XE00-GL-GL-GL-GL-GL-GL-GL-GL-GL-GL-GL-GL-GL-	3	Proprietary	Approved	10-Mar-2025	XE-100	reproduced, disclosed, or uses
Xe-100 Licensing Tr GOTHIC and Flownex Analys	en	e-100 Licensing	THIC and Flowne Qualific	Document ID Number :	Configuration Classification :	Revision :	Security Classification :	Status :	Date Created :	Project	operty of X Energy, LLC. The content may not be


Overview of Safety Analysis Models.

transient phase and long-term transient phase based on The transient analysis is split in two phases, the short-term

the system response:

- Short-term transient phase is defined as the period at which SSCs are actively responding to an initiating event, involving forced cooling or depressurization
- Long-term transient phase is defined as the period at which passive heat transfer begins and no additional active plant responses to the initiating event are considered
- Flownex is used for short-term transient analysis modeling primary system and key secondary systems
- **GOTHIC** is used for long-term transient analysis, supporting extended simulations and passive cooling requirements









Overview of Safety Analysis Models – Flownex Transient and Safety Analysis



Flownex

- Used for Xe-100 safety analysis, modeling reactor kinetics and thermal-hydraulic phenomena
- Uses a combination of **1D Finite Volume** and **2D axi**
 - symmetric discretization to model the reactor.
- Solves the partial differential equations for mass, energy and momentum conservation equations to obtain the mass flow, pressure, and temperature distributions
- integrated with the **primary** and **secondary heat transport** It predicts the overall system response of the reactor when systems for safety analyses



Overview of Safety Analysis Models – Flownex Transient and Safety Analysis



- Reactor: The pebble bed and the defueling chute are modeled using porous media approximation
- The Kugeler-Schulten correlation is used for the convective
 - For the effective pebble bed conductivity, the Zehnerheat transfer between pebbles and helium
- Schlünder model is used with A3-3 graphite as conductive material
 - Point kinetics with input parameters provided by VSOP to model the neutronic response



Overview of Safety Analysis Models – Flownex Transient and Safety Analysis



- produces a uniform radial steam temperature, enabling the Steam Generator (SG): The SG model relies on a design that use of a 1D discretized model. Uniform steam temperature was demonstrated in the THTR, which used a similar design
- passive, water-cooled system, providing <u>at least</u> 72 hours of Reactor Cavity Cooling System (RCCS): The RCCS is a boil-off volume.
- dependent, in addition graphite properties account for irradiation-Material Properties: Material properties are temperature induced aging effects



Overview of Safety Analysis Models – GOTHIC Transient and Safety Analysis



GOTHIC

- Hybrid code that bridges gap between CFD and onemultidimensional regions where needed while keeping dimensional thermal-hydraulic analysis, using simulations relatively fast
- Purpose of this model is to provide a relatively fast running tool to support long term transient phase dose estimates
- Performances as well as Reactor Building environmental The code is currently used also to study the RCCS conditions during the accident scenarios



Overview of Safety Analysis Models – GOTHIC Transient and Safety Analysis



- Reactor: Same correlations used in the Flownex model
- Simplified model for running 30 days simulations
- σ E.g. the **cone region** of the pebble bed is **not explicitly modelled** since it is low power production region
- uniform radial heat transfer using 30 axial subdivisions; determined Steam Generator: Helium and water/steam sides are modeled with based on nodalization sensitivities
- Reactor Cavity Cooling System: Heat removal from the RPV outer surface is modeled trough a **boundary condition** based on a stand-alone RCCS GOTHIC model results
- depressurization events assume atmospheric pressure to maximize Reactor Building: The reactor building is not explicitly modeled; depressurization and air ingress



- Purpose & Scope of the LTR
- Overview of the Regulatory Requirements & Guidance
- Overview on the Safety Analysis Models
- Flownex Code Qualification
- Gothic Code Qualification
- Conclusions

xe-100 Utensing Topical Report HIC and Flowner: Analysis Codes Qualification Licensing Topical Rep and Flownex Analysis C Qualification LD Number 2005 ton Classification LD Number 2005 Les Approved ted 10 Mine-2005 Les Approved ted 20 Mine-200	Dec ID No: 008585 Revision: 3 Date: 10-Mar-2025		ort Codes									out the Company's prime
Ac - Ioo Licensing To Action to the standing of the standing	pical Report s Codes Qualification	ergy	Copical Rep x Analysis C	ition	008585	X-19-19-19-19-19-003X	8	Proprietary	Approved	10-Mar-2025	XE-100	produced, disclosed, or used with
Ac 100 Lice Intre and Flowmen- and Flow Qual lossification lassification ted	Analysi	Ĉ	ng T	ifica						••		y not be re
60) e-1000 IHIC 2 Revision Revision Revision Project Project	Xe-100 Lice GOTHIC and Flowney	Ð	e-100 Licensi THIC and Flov	Qual	Document ID Number	Configuration Classificatio	Revision	Security Classification	Status	Date Created	Project	operty of X Energy, LLC. The content m



Flownex code qualification – Manuals



FLOUNDENT MULATION ENVIRONMENT

General User Manual

- Manuals: Flownex Simulation Environment Manual, Flownex -ibrary Manual, Flownex Theory Manual
- Flownex Development: Developed under NQA-1 quality standards, Over 40-person years dedicated to V&V
- **Ongoing Improvement:** M-Tech actively participates in enhance Flownex's capabilities and meet HTGR analysis international conferences (CRP-5, ICAPP, HTR-TN) to requirements



M-Tech





The following accident scenarios and associated phenomena have

been postulated for the validation of Flownex:

- Loss of Feedwater (LOFW)
- Circulator Trip or Loss of Forced Cooling (LOFC)
- Primary Side Depressurization Events
 - Steam Generator Tube Rupture (SGTR)
 - Seismic Events (SE)
- (EAB). Parameters predicted by Flownex which have a significant The primary metric is dose at the Exclusion Area Boundary

impact on subsequent dose assessments should therefore be considered as candidates for validation (e.g. Fuel Temperature)



Flownex code qualification – Flownex Fuel Temperature Validation Exercise Report



- Pebble Temperature Verification: A numerical problem based on **increases**; fuel temperature prediction accuracy depends on **spatial** discretization, bias decreases at lower power levels such as postthe PBMR design pebble (similar to Xe-100) involving **step power** reactor trip conditions.
- relevant to Xe-100 due to similar core design and operating conditions. despite differences in power, size, and flow conditions, is considered HTR-10: Validation focuses on heat transfer phenomena using temperature measurements at selected **ex-core locations**, which
- SANA: pebble surface temperature predictions are validated across a wide temperature range and locations under steady and transient resistance correlations, with accuracy assessed through L $^\infty$ and L 2 conditions using established pebble bed heat transfer and fluid norm metrics.









- Pressure in Branched Network: Validation involved opening a valve downstream piping, measured from 387 kPa to atmospheric. Flownex connected to a **pressure vessel** to generate a pressure wave in the predictions matched experimental data
- Mass Flow in Compressible Gas Network: An experiment validated mass 102.36 kPa. Valve adjustments created different flow configurations, with flow predictions in a complex piping network using air at 0.045 kg/s and simulation results closely matching measured pressures.
 - matched experimental data for both convective and conductive heat transfer increased from 26°C to 60°C in one stream. Flownex predictions closely Transient Temperature in Heat Exchanger: Water temperature was



- Purpose & Scope of the LTR
- Overview of the Regulatory Requirements & Guidance
- Overview on the Safety Analysis Models
- Flownex Code Qualification
- Gothic Code Qualification
- Conclusions

Doc ID No: 005555 Revision: 3 Date: 10-Mar-2025	>	aport	s Lodes		X-19-						ed without the Company's prior
opical Report is Codes Qualificatio	erg	Topical Re	x Analysis ation	008585	XE00-GL-GL-GL-GL-	3	Proprietary	Approved	10-Mar-2025	XE-100	reproduced, disclosed, or use
x Analys	Ľ	Bu	ifica						••	<u>=</u>	ay not be n
Xe-100 Lice GOTHIC and Flowne		e-100 Licensi	HIC and FIO	Document ID Number	Configuration Classificatic	Revision	Security Classification	Status	Date Created	Project	operty of X Energy, LLC. The content n



GOTHIC code qualification – Manuals



- User Manual, GOTHIC Thermal Hydraulic Analysis Package Manuals: GOTHIC Thermal Hydraulic Analysis Package Technical Manual
- **GOTHIC Qualification Report** documents extensive V&V across single/two-phase flow cases and is updated with each release
- Validation & Verification scope includes:
- Analytical solution comparisons (e.g., flow between plates, 1D conduction)
- Experimental data from separate and integral effect tests facilities
- Validation phenomena covered: natural convection, stratification, heat/mass transfer, aerosol behavior,...







- **Planned Applications**
- **SANA Pebble Bed Temperature Prediction**
- HTR-10 Integrated Effects Benchmark
- **Argonne NSTF RCCS Validation**
- **Additional Applications:**
- Texas A&M University: Modeled a 1/28-scale NGNP HTGR reactor building test facility to analyze depressurization scenarios, including air ingress phenomena, validated against experimental data
- **Oregon State University:** Benchmarked GOTHIC using asymmetric heating test data from the High Temperature Test Facility (HTTF) during pressurized conduction cooldown
- Framatome: Applied GOTHIC to evaluate HTGR design and building response



- Purpose & Scope of the LTR
- Overview of the Regulatory Requirements & Guidance
- Overview on the Safety Analysis Models
- Flownex Code Qualification
- Gothic Code Qualification
- Conclusions

Doc ID No: 008565 Revision: 3 Date: 10-Mar-2025		ort odes									ut the Company's prior
ical Report Codes Qualification	ergy	opical Repo Analvsis C	tion	008585	XE00-61-61-61-61-52	8	Proprietary	Approved	10-Mar-2025	XE-100	anduced, disclosed, or used withou
nsing Top (Analysis	č	ng T vnex	ifica						•••		ay not be rep
Xe-100 Lice GOTHIC and Flowner	U U	e-100 Licensi HIC and Flov	Qual	Document ID Number	Configuration Classificatio	Revision	Security Classification	Status	Date Created	Project	perty of X Energy, LLC. The content m



- Program (QAP) based on XEQAPD-NP Revision 3, conforming to 10 CFR versions currently in use under NRC-approved Quality Assurance GOTHIC v8.4a(QA) and Flownex v8.16.0.5518 are the software 50 Appendix B and ASME NQA-1-2015
- Methodology and theoretical basis are detailed in the LTR
- GOTHIC and Flownex will support the Xe-100 TSA Evaluation Model



ADVANCED REACTOR READY Xe-100 Evaluation Model Topical Reports ACRS Meeting of the X-Energy Design Center Subcommittee **NRC Staff Opening Remarks** June 3, 2025



https://www.nrc.gov/reactors/new-reactors/advanced.html

Scope and Use of Topical Reports	Topical Reports:	 Xe-100 Licensing Topical Report Transient and Safety Analysis Methodology 	Xe-100 Licensing Topical Report GOTHIC and Flownex Analysis Codes Qualification	Xe-100 Licensing Topical Report Mechanistic Source Term Approach	 Xe-100 Licensing Topical Report Reactor Core Design Methods and Analysis (Not included in ACRS review) 	Planned use:	 These topical reports are referenced in the recently docketed Long Mott Generating Station Construction Permit Application 	2 Uniced States Nuclear Regulatory Commission Protering Pools and the Functionment
----------------------------------	------------------	---	---	--	--	--------------	--	--

eam	
Ľ,	
iev	
Rev	

- Transient and Safety Analysis
- Tim Drzewiecki, Senior Reactor Systems Engineer, Xe-100 Review Lead
 - Tracy Radel, Senior Nuclear Engineer
- Pravin Sawant, Senior Nuclear Engineer
- Santosh Bhatt, Senior Nuclear Engineer
- Denise McGovern, Senior Project Manager
 - Dan Beacon, Senior Project Engineer
- Ian Jung, Senior Reliability and Risk Analyst

- GOTHIC/Flownex Qualification
- Pravin Sawant, Senior Nuclear Engineer
 Tim Discours Contor Properties
- Tim Drzewiecki, Senior Reactor Systems Engineer
 - Ashley Smith, Senior Nuclear Engineer
- Denise McGovern, Senior Project Manager
- Walter Touche, Energy Research Inc. (ERI)
- Mohsen Khatib-Rahbar, ERI



 \sim

Review	r Team
 Mechanistic Source Term Inseok Baek, Reactor Engineer Jason Schaperow, Senior Reactor Systems Engineer (Retired) Tim Drzewiecki, Senior Reactor Systems Engineer Michael Salay, Senior Reactor Systems Engineer, RES Denise McGovern, Senior Project Manager 	 Core Design Methods and Analysis (Not included in ACRS review) Santosh Bhatt, Senior Nuclear Engineer Inseok Baek, Reactor Engineer Inseok Baek, Reactor Engineer Tim Drzewiecki, Senior Reactor Systems Engineer Denise McGovern, Senior Project Manager
	4 United States Nuclear Regulatory Commission Protecting Reople and the Environment

NRC Staff Review of Topical Report (TR) 007834 "Xe-100 Licensing Topical Report Transient and Safety Analysis Methodology" (TSAM)	ACRS Meeting of the X-Energy Design Center Subcommittee June 3, 2025	ADVANCED REACTOR READY Attps://www.nrc.gov/reactors/new-reactors/advanced.htm
---	---	---



Outline

- Background on TSAM and related topical reports
- Regulatory Basis
- Review Approach
- Summary of Technical Review
- Other Limitations (Referenced Topical Report and Radiological Consequences)
- Conclusions



 Limitations identified to address needs for (1) identification of figures of merit, (2) a finalized Phenomena Identification and Nanking Table (PIRT), (3) verification and validation, and (4) justification of the models used. TSAM originally submitted on April 30, 2024 (ML24121A285) with updated submittal on March 14, 2025 (ML25077A288) 	 Includes disposition of the limitations from "Transient and Safety Analysis Methodologies Framework" Updated submittal includes markups identified during regulatory audit Review leveraged the audit process to enable efficient identification of markups such that requests for additional information were not needed 	 TSAM section 1.5 states, "X-energy requested review and approval of the evaluation model to analyze design basis accidents (DBAs) as defined in NEI 18-04 to support preliminary analysis and evaluation of the Xe-100" 	 TSAM is the top-level topical evaluation model report that used in combination with three other topical reports (TSAM section 13.2): Xe-100 Licensing Topical Report GOTHIC and Flownex Analysis Codes Qualification Xe-100 Licensing Topical Report Mechanistic Source Term Approach Xe-100 Licensing Topical Report Reactor Core Design Methods and Analysis 	
	 Limitations identified to address needs for (1) identification of figures of merit, (2) a finalized Phenomena Identification and validation, and (4) justification of the models used. TSAM originally submitted on April 30, 2024 (ML24121A285) with updated submittal on March 14, 2025 (ML25077A288) 	 Limitations identified to address needs for (1) identification of figures of merit, (2) a finalized Phenomena Identification and Ranking Table (PIRT), (3) verification and validation, and (4) justification of the models used. TSAM originally submitted on April 30, 2024 (ML24121A285) with updated submittal on March 14, 2025 (ML25077A288) Includes disposition of the limitations from "Transient and Safety Analysis Methodologies Framework" Updated submittal includes markups identified during regulatory audit Review leveraged the audit process to enable efficient identification of markups such that requests for additional information were not needed 	 Limitations identified to address needs for (1) identification of figures of merit, (2) a finalized Phenomena Identification and Ranking Table (PIRT), (3) verification and validation, and (4) justification of the models used. TSAM originally submitted on April 30, 2024 (ML24121A285) with updated submittal on March 14, 2025 (ML25077A288) Includes disposition of the limitations from "Transient and Safety Analysis Methodologies Framework" Updated submittal includes markups identified during regulatory audit Review leveraged the audit process to enable efficient identification of markups such that requests for additional information were not needed TSAM section 1.5 states, "X-energy requested review and approval of the evaluation model to analyze design basis accidents (DBAs) as defined in NEI 18-04 to support preliminary analysis and evaluation of the Xe-100" 	 Limitations identified to address needs for (1) identification of figures of merit, (2) a finalized Phenomena Identification and Ranking Table (PIRT), (3) verification and validation, and (4) justification of the models used. TSAM originally submitted on April 30, 2024 (ML24121A285) with updated submittal on March 14, 2025 (ML25077A288) Includes disposition of the limitations from "Transient and Safety Analysis Methodologies Framework" Updated submittal includes markups identified during regulatory audit Review leveraged the audit process to enable efficient identification of markups such that requests for additional information were not needed TSAM section 1.5 states, "X-energy requested review and approval of the evaluation model to analyze design basis accidents (DBAs) as defined in NEI 18-04 to support preliminary analysis and evaluation of the Xe-100" TSAM is the top-level topical evaluation model report that used in combination with three other topical reports (TSAM section 13.2): Xe-100 Licensing Topical Report GOTHIC and Flownex Analysis Codes Qualification Xe-100 Licensing Topical Report Reactor Core Design Methods and Analysis

ISIS
/ Ba
ulat
egu
Ň

- construction permit (CP) perform an evaluation and analysis of a **postulated fission product release** to evaluate Title 10 of the Code of Federal Regulations (10 CFR) 50.34(a)(1)(ii)(D) requires, in part, that an applicant for a the offsite radiological consequences.
- to public health and safety resulting from the operation of the facility and including the determination of margin design and performance of structures, systems, and components (SSCs) with the objective of assessing the risk Under 10 CFR 50.34(a)(4) an applicant for a CP must perform a preliminary analysis and evaluation of the of safety during normal operations and transient conditions anticipated during the life of the facility.
- Staff identified relevant Principal Design Criteria (PDC): Xe-100 PDC 10, RFDC 11, RFDC 16, PDC 19, PDC 20, RFDC 26, PDC 28, RFDC 30, RFDC 34
- Condition 1: A CP application referencing TSAM must confirm or update the regulatory basis relevant to the use of TSAM I



Regulatory Basis

- structures, or components. Such research and development may include obtaining sufficient data regarding the facility, if any, which require research and development to confirm the adequacy of their design and describe the research program that will be conducted to resolve any safety questions associated with such systems, Under 10 CFR 50.34(a)(8) an applicant for a CP must identify the systems, structures or components of the safety features of the design to assess the analytical tools used for safety analysis in accordance with 10 CFR 50.43(e)(1)(iii).
- Application Methodology to Inform the Licensing Basis and Content of Applications for Licenses, Certifications, Section C.4 of Regulatory Guide (RG) 1.253, Revision 0, "Guidance for a Technology-Inclusive Content-ofand Approvals for Non-Light-Water Reactors,"
- It is also important to note that for CP applicants, the requirements of 10 CFR 50.43(e)(1)(iii) to ensure that analyses do not apply. Accordingly, CP applicants are not required to provide evaluations of the safety sufficient data exist on the safety features of the design to assess the analytical tools used for safety margins using approved [Evaluation Models]. I





- SE section 2.7: Limitations from Transient and Safety Analysis Methodologies Framework
- SE section 2.8: Additional considerations on radiological assessment



Perform plant event analyses

YES

Adequacy Decision Does code meet adequacy standard?

NO

Return to appropriate elements, make and assess corrections

	Element 1 Establish Requirements for Evaluation Model Capability	Fully addressed Mostly addressed
 Specify analysis pur Specify figures of me Identify systems, coi Identify and rank phe 	pose, transient class and power plant class erit mponents, phases, geometries, fields and processes that should be modeled enomena and processes	Partially addressed Not addressed
Step 1: - TSAM is applicable to the Xe-100 read	ctor design as described in TSAM section 3	
 DBA Elvi addresses events instead in 15. DBA list is derived from a full po Long Mott Generating Station (Limitation 1: TSAM applicability 	AWI Section 11.2 ower probabilistic risk assessment and appears to be preliminary (e.g., DBA list in TSAM CPA) / is limited to preliminary safety analyses (i.e., construction permit)	1 is different than DBA list in
	בווטווק וסאוא וווטגן שמינוץ ווטא שמא בעבוונא ומכוונוווכט ווו או בוווווווסו ץ אמובנץ מוומוץאא ובאטור	raie audiessed by ishiv
 TSAM identifies radiological dose and 50.34(a)(1)(ii)(D)). 	l as the figure of merit (FOM) and acceptance criteria that are consistent with NRC requi	uirements (10 CFR
 Other information in TSAM regarding FOMs are used in the EM developme directly evaluate radiological consequ 	FOMs is not consistent, quantitative standards of acceptance are not provided, TSAM on the process (e.g., use in the PIRT process), and surrogate FOMs are not identified (e.g., Fluences).	does not clearly describe hov lownex and GOTHIC do not
 Condition 3: A CP application referen- program or justify that they are not n 	cing TSAM must describe how surrogate FOMs will be assessed as part of a relevant rese needed.	search and development

S	ummary of Technical Review – EMDAP El	ement 1
	Element 1 Establish Requirements for Evaluation Model Capability	Fully addressed Mostly addressed
	1. Specify analysis purpose, transient class and power plant class	Partially addressed Not addressed
	 Specify figures of merit Identify systems, components, phases, geometries, fields and processes that should be modeled Identify and rank phenomena and processes 	
• Ste		
	EIVIDAP step 3 partially addressed through PIRT process TSAM does not contain information addressing step 3	
I	TSAM appears to depart from RG 1.203 by not performing a hierarchal system decomposition	
I	Condition 4: A CP application referencing TSAM must clearly identify the systems, components, phases, geometries, fields, modeled in their EM as part of a relevant research and development program.	, and processes that must be
• Step	4:	
I	TSAM identifies importance levels for phenomena associated with particular events (TSAM section 8.5 identifies eight PIRT withdrawal, loss of secondary cooling, steam generator tube rupture,)	Ts including control rod
I	TSAM section 8.1 describes the seven steps that were taken to complete the PIRTs. NRC staff compared this against the nir develop the PIRTs for the Next Generation Nuclear (NUREG/CR-6944) and noted several differences.	ine-step process used to
Ι	TSAM steps 1-3 are not fully addressed and these are input to the PIRT	
Ι	Knowledge base is not described and knowledge levels are not provided	
I	TSAM addresses transient and safety analyses using two characteristic time periods. These characteristic time periods do r the PIRTs.	not appear to be reflected in
I	Condition 5: A CP application referencing TSAM must describe how the PIRT methodology will incorporate a suitable knowl levels of associated phenomena, and address characteristic time periods as part of a relevant research and development p	vledge base, assess knowledge program.
		8 United States Nuclear Regulatory Commission Protecting People and the Environment

	Element Z Develop Assessment Base	Fully addressed
	 Specify objectives for assessment base (Partially addressed in GOTHIC/Flownex TR) Perform scaling analysis and identify similarity criteria Identify existing data and/or perform IETs and SETs to complete data/base (Partially addressed in GOTHIC/Flownex TR) in GOTHIC/Flownex TR) 	Mostly addressed Partially addressed Not addressed
• Ster	0. Determine experimental uncertainties	
	TSAM section 6 provides high-level discussions on verification and validation plans for VSOP90/95, Flownex, XSTERM, a provided (e.g., phenomena to be assessed, system interactions and global code capability assessment). GOTHIC/Flownex TR partially addressing this step	and GOTHIC but objectives are no
I	Condition 6: A CP application referencing TSAM must clearly state the objectives of the EM assessment base as part of a development program.	a relevant research and
• Ste _l	0 6: TSAM section 6 5-1 describes use a scaling methodology that is consistent with the hierarchical two-tired scaling (H3TS)	.) mathod that is rafarancad in RG
I	ו זאועו אבטנוטון טיטיד עפארושפא עאב מ אנמוווון ווופנווטעטוטנץ נוומר וא טעווא אנוו נווב וווכו מוטוווטמו נאט-נוו בע אנמווון (ווברט) 1.203.	ין ווובנווטע נוומר וא ובובובונונכע ווו ואט
I	 TSAM section 6.5.2.4 clarifies that code accuracy from validation activities needs to be addressed on a case-by-cas TSAM sections 6.5.2.5 through 6.5.2.7 discusses verification and validation applicability based on similarity ratios NRC staff are unable to make any determination on these approaches because similarity ratios are not sufficient t quantify EM uncertainty 	se basis. to demonstrate EM applicability c
Ι	Condition 7: A CP application referencing TSAM must assess the EM using a range of experimental data whose non-dim values applicable to the Xe-100 or provide alternative justification as part of a relevant research and development prog	nensional numbers bound the gram.
I	Limitation 2: The NRC staff's approval of the scaling approach described in this TR is limited to the general application of approval of Xe-100 specific scaling or associated data applicability is provided.	of the H2TS scaling methodology.

Ś	ummary of Technical Review – EMDAP Eler	ment 2
		Mostly addressed
	 Specify objectives for assessment base (Partially addressed in GOTHIC/Flownex TR) Perform scaling analysis and identify similarity criteria Identify existing data and/or perform IETs and SETs to complete data/base (Partially addressed in GOTHIC/Flownex TR) GOTHIC/Flownex TR) Evaluate the effects of IET distortions and SET scale in complete. 	Partially addressed Not addressed
• Step	0. Evaluate the effects of the diskontrol and on the evaluate datability 0. 7: 9. Determine experimental uncertainties	
- 	NRC staff did not identify information in TSAM identifying existing data or assessing the need for integral effects separate effects (SETs).	ts tests (IETs) or
• Step	 GOTHIC/Flownex TR partially addressed this step 3 8: 	
- 	TSAM provide general description of H2TS scaling methodology (see Step 6)	
1 1	No findings made on distortion analysis (see Step 6) NRC staff did not identify information on SET scaleup capability	
Ι	Condition 9: A CP application referencing TSAM must include evaluation of effects of IET distortion and SET scal of a relevant research and development program.	aleup capability as part
• Step	0.9:	
11	NRC staff did not identify information in TSAM addressing experimental uncertainties Condition 10: A CP application referencing TSAM must include evaluation of experimental uncertainties associa	ated with FM
	assessment data as part of a relevant research and development program.	



Summary of Technical Review – EMDAP Element 3
Element 3 Fully addressed Develop Evaluation Model
 10. Establish EM development plan 11. Establish EM structure 12. Develop or incorporate closure models (Partially addressed in GOTHIC/Flownex TR)
 Step 10: TSAM section 12 clarifies that activities described in TSAM are performed in accordance with the X-energy Quality Assurance Program Description which has been reviewed and annroved by NRC staff
 Item identified in RG 1.203 for EMDAP step 10 are expected to be addressed by the quality assurance program (e.g., documentation requirements, programming standards and procedures, configuration control procedures) Stan 11.
 TSAM Figure 22 shows EM interfaces and TSAM section 5 summarizes the codes and methods that are used in the EM (e.g., Reactor Core Design methodology, Mechanistic Source Term methodology, Flownex, GOTHIC, Flownex Screening Criteria (FSC))
 TOAM Section 10.2 states that the EM described in TSAM shall be used in combination with NRC approved versions of TR 008585, "GOTHIC and Flownex Analysis Codes Qualification," (2) TR 000632, "Mechanistic Source Term Approach," and (3) TR 006889, "Reactor Core Design Methods and Analysis." "GOTHIC and Flownex Analysis Codes.
 NRC staff review of these methodologies is performed outside of TSAM review TSAM section 10.4 clarifies that analyses fall into two characteristic time periods:
 Plant transient – evaluated with Flownex Long-term passive cooling – evaluated with GOTHIC and XSTERM



Summary of Technical Review – EMDAP Element 3	
Element 3 Fully addressed Develop Evaluation Model Mostly addressed	
 10. Establish EM development plan 11. Establish EM structure 12. Develop or incorporate closure models (Partially addressed in GOTHIC/Flownex TR) 	
 Step 11 (cont): TSAM section 5.5 describes FSC as a response surface that converts Flownex calculated pebble temperatures into a conservative dose estimate NRC staff agree that FSC appears reasonable for estimating dose associated with diffusion driven phenomena from the fuel, but TSAM does not describe what radionuclide release mechanisms are accounted for by the FSC 	
 NRC staff did not identify screening criteria in ISAM Condition 11: A CP application applying FSC in accordance with TSAM must provide justification for the use of FSC on a case-by-case basis. Condition 12: A CP application applying FSC in accordance with this TR must provide screening criteria for justifying the use of FSC in lieu of nerforming XSTERM evaluations. 	
 Subject to SE conditions 11 and 12 and the limitations and conditions provided in TSAM section 13.2, the NRC staff concludes that TSAM addresses EMDA step 11 because the codes used in the EM have been identified and initial interfaces are described. 	DAP
 Step 12: NRC staff did not identify information in TSAM addressing EMDAP step 12. NRC staff did not identify information in TSAM addressing EMDAP step 12. During a regulatory audit, the NRC staff noted that X-energy statements that there are few closure models still under development and/or are being validated. 	
 Partially addressed in GOTHIC/Flownex TR Condition 13: A CP application referencing this TR must describe how closure models will be developed or incorporated into the EM, either directly or incorporated by reference, as part of a relevant research and development program. 	



Summary of Technical Review – EMDAP E	Element 4
Element 4 Assess Evaluation Model Adequacy	Fully addressed Mostly addressed
 13 - 15 Closure Relations (Bottom-up) 16 - 19 Integrated EM (Top-down) 20. Determine EM biases and uncertainties 	Partially addressed Not addressed
Element 4:	
 X-energy states that EMDAP Element 4 (steps 13-20) is not addressed by TSAM (or a 	any other TR)
 TSAM section 13.2 states that the EM described in TSAM cannot be used to suppor until validation and verification of the codes within the EM have been approved by 	rt a final safety analysis y the NRC.
 TSAM contains some information relevant to EMDAP step 20 	
 TSAM section 9 describes an uncertainty analysis methodology that includes a novel Phe PIRT process 	ienomena and Key (PK)-
 NRC staff are unable to determine that the uncertainty analysis methodology is appropr SE) 	rriate (reasons specified in
 Condition 14: A CP application referencing this TR must describe how EM assessme either directly or incorporated by reference, as part of a relevant research and dev 	ent will be addressed, velopment program.
	13 Contract of Contract States Nuclear Regulatory Commission Protecting People and the Environment

	Limitations from Referenced Topical Report
•	Xe-100 Topical Report: Transient and Safety Analysis Methodologies Framework, Revision 1 was submitted October 2021 (ML21288A173) and SE issued March 2023 (ML23086C082).
	 Limitations identified to address needs for (1) identification of figures of merit, (2) a finalized PIRT, (3) verification and validation, and (4) justification of the models used.
•	TSAM section 2.5 describes how TSAM addressed the four limitations provided in the NRC staff SE, dated March 29, 2023.
	 NRC staff determined that TSAM does not fully address the limitations in the NRC staff SE dated March 29, 2023
	 For an application that references TSAM, the limitations and conditions identified for TSAM supersede the limitations identified in the NRC staff's SE dated March 29, 2023.


	Additional Considerations Regarding Radiological
•	TSAM information associated with the evaluation of offsite radiological
	consequences is high-level and, with the exception of FSC, in TSAM section 5 and section 10, is generally limited to thermal-fluid assessment.
	 NRC did not identify information in TSAM addressing radionuclide production, transport, dispersion, and conversion to radiological dose.
•	Limitation 3: The NRC staff's approval of this TR for radiological consequence
	analysis is limited to the thermal-fluid inputs used in radiological consequence
	analysis and the general use of FSC.



 PRC staff approves use of TR 007834, "Xe-100 Licensing Topical Report Transient and Safety Analysis Methodology," Revision 2 for the preliminary analysis of DBAs for the Xe-100 subject to 3 Limitations and 14 Conditions (provided in section 3 of the SE) The use of the EM as described in TSAM is acceptable for informing radiological consequence analysis evaluations to address Xe-100 PDC 19 and 10 CFR 50.34(a)(1)(i)(D) because, pursuant to limitations described in TSAM section 13.2, SE condition 11, and SE condition 12, sufficient justification would be provided in a CP application or during the associated safety review to ensure that the codes used in the EM are reasonably capable for the preliminary analysis of the design and performance of Xe-100 SSCs in accordance with 10 CFR 50.34(a)(1) and demonstrating, in part, preliminary analysis of the design and performance of Xe-100 SSCs in accordance with 10 CFR 50.34(a)(1) and demonstrating, in part, preliminary compliance with relevant PDC because (1) CP applications are not required to provide evaluations of safety margins using approved EMS, and (2) pursuant to limitations described in TSAM section 13.2, SE condition 11, and SE condition 12, sufficient justification would be provided in a CP application or during the associated safety review to ensure that the codes used in the EM as ection 13.2, SE condition 11, and SE condition 12, sufficient justification would be provided in a CP application or during the associated safety review to ensure that the codes used in the EM section 13.2, SE condition 11, and SE condition 12, sufficient justification would be provided in a CP application or during the associated safety review to ensure that the codes used in the EM are reasonably capable of analyzing DBAs for the Xe-100. 	 The use of TSAM, pursuant to condition 2 through condition 14, is capable of addressing the requirements under 10 CFR 50.34(a)(8) to describe a research plan to resolve safety questions associated with EM applicability to the Xe-100 because addressing those conditions would result in an EM that complies with the approved guidance in RG 1.203, "Transient and Analysis Methods." 	IRC staff expects that the approval of TR007834, "Xe-100 Licensing Topical Report Transient and Safety nalysis Methodology," Revision 2 for the preliminary analysis of DBAs for the Xe-100 subject to 3 Limitations and 4 Conditions" will provide efficiencies for licensing applications that incorporate it by reference.	
---	---	---	--





Acronyms

CP	Construction Permit
DBA	Design Basis Accidents
EM	Evaluation Model
EMDAP	Evaluation Model Development and Assessment Process
FOM	Figure of Merit
FSC	Flownex Screening Criteria
IET	Integral Effects Tests
PDC	Principal Design Criteria
PIRT	Phenomena Identification and Ranking Table
РK	Phenomena and Key
PRA	Probabilistic Risk Assessment
PSAR	Preliminary Safety Analysis Report
QAPD	Quality Assurance Program Description
SET	Separate Effects Tests
TR	Topical Report
TSAM	Transient and Safety Analysis Methodology



ADVANCED READY Xe-100 GOTHIC And Flownex Code ACRS Meeting of the X-Energy Design Center Subcommittee Qualifications (GFQ) **NRC Staff Review** June 3, 2025



United States Nuclear Regulatory Commission Protecting Prople and the Environment

	ne	
-	utl	
(Ē	

- Background
- Regulatory Basis
- Safety Evaluation Approach
- Evaluation of GOTHIC and Flownex codes and input models
- Evaluation Model Development and Assessment Process (EMDAP) Element 3: Develop Evaluation Model (Steps 11 & 12)
- **Evaluation of GOTHIC and Flownex qualifications**
- EMDAP Element 2: Develop Assessment Base (Steps 5 & 7)
- Documentation, Configuration Control, and Quality Assurance (QA) EMDAP Element 3: Develop Evaluation Model (Step 10)
- Limitation and Condition
- Conclusion



Background	 Xe-100 Topical Report: GOTHIC and Flownex Analysis Codes Qualification, Revision 2 was submitted on May 22, 2024 (ML24143A192) with updated submittal of Revision 3 on March 13, 2025 (ML25076A053) Provides overview of GOTHIC and Flownex computer codes Describes preliminary Xe-100 input models developed for preliminary Design Basis Accident (DBA) analysis Summarizes completed and planned verification and validation activities, and Describes quality assurance approach for the codes 	 GFQ TR supports Transient and Safety Analysis Methodology (TSAM) to perform <u>preliminary</u> analysis and evaluation of <u>DBAs</u> for the Xe-100 design Flownex analyzes short-term transient response Short-term transient period: systems, structures, and components (SSCs) are actively responding, forced cooling is available and primary system is actively depressurizing 	 GOTHIC analyzes long-term transient response Long-term transient period: passive heat transfer begins and no additional active plant responses to the initiating event are considered X-energy requested review and approval of GOTHIC and Flownex codes and models to perform <u>preliminary DBA</u> <u>analysis</u> for Xe-100 design
------------	---	---	---



Regulatory Basis

- analysis and evaluation of the design and performance of SSCs with the objective of assessing the **Under 10 CFR 50.34(a)(4)** an applicant for a Construction Permit (CP) must perform a **preliminary** determination of margin of safety during normal operations and transient conditions anticipated risk to public health and safety resulting from the operation of the facility and including the during the life of the facility.
- L8-04, Revision 1, "Risk-Informed Performance-Based Technology-Inclusive Guidance for Non-Light Licenses, Certifications, and Approvals for Non-Light-Water Reactors" (ML20091L698) endorses NEI Water Reactors," (ML19241A472) as one acceptable method to inform licenses, certifications, and Regulatory Guide (RG) 1.233, Revision 0, "Guidance for Technology-Inclusive, Risk-Informed, and Performance-Based Methodology to Inform the Licensing Basis and Content of Applications for approvals for non-light water reactors (LWRs).
- 'Transient and Accident Analysis Methods," (ML053500170) requirements for evaluation models **NEI-18-04** states that codes and models used in DBA analysis are expected to satisfy RG 1.203, EMs)
- Review of GFQ TR follows RG 1.203 Evaluation Model Development and Assessment Process



Safety Evaluation Approach	 Many EMDAP Steps are addressed in TSAM TR 	 EMDAP Element 1, Establish Requirements for Evaluation Model Capability (PIRT) addressed in TSAM (partially) 	 EMDAP Elements 2, Develop Assessment Base and Element 3, Develop Evaluation Model steps partially addressed in TSAM 	 – GFQ TR addresses primarily steps under EMDAP Elements 2 and 3 	 Scope for GFQ TR Review 	 Review of Flownex and GOTHIC codes and Xe-100 input models against EMDAP Element 3 Steps 11 and 12 	 Review of documentation, configuration control, and quality assurance approach for Flownex and GOTHIC codes against EMDAP Element 3 Step 10 	 Review of Flownex and GOTHIC qualifications (validations) against applicable steps under EMDAP Element 2 (Steps 5 and 7) 	 Review focuses on evaluating adequacy of Flownex and GOTHIC codes, input models, and validations for preliminary analysis of DBAs in Xe-100 design 		
----------------------------	---	--	---	---	---	--	---	--	--	--	--



Evaluation of GOTHIC & Flownex Codes & Input Models

EIMUAP Element 3 Develop Evaluation Model	TSAM and GFQ (partially)	TSAM (partially) and GFQ (partially)	dels GFQ
	Establish EM development plan	Establish EM structure	Develop or incorporate closure mo
	10.	,	12

- Confirm adequacy of GOTHIC and Flownex codes and input model to support preliminary safety analysis of Xe-100 design consistent with EMDAP Steps 11 and 12
- GOTHIC and Flownex codes are capable of modeling important transient phenomena for the Xe-100 design, and,
- nodalization, boundary conditions, initial plant state conditions and controls GOTHIC and Flownex input models represent the plant geometric input, commensurate with the preliminary nature of the Xe-100 design.



 Performs steady state and transient thermal-fluid simulation of plant with integrated reactor kinetics and control system model 1-D finite difference equations for mass, momentum, and energy (multicomponent, compressible, homogeneous mixture model) 1-D framework extended to 2-D axisymmetric representation of porous pebble bed core with 1-D conduction model for heat transfer in pebbles Closure models include fluid properties, single- and two-phase friction including porous media pressure drop, two-phase flow related closures (e.g., boiling), heat transfer correlations such pebble to coolant and pebble to pebble effective conduction, porosity variation, etc. Xe-100 Flownex Input Model Xe-100 components are represented with network of nodes (one-D control volumes) and elements (models) (GFQ TR Appendix C Figure 13,19)
 Primary system, secondary system and power conversion cycle, control system modeled with Flownex Model includes the pressure vessel, pebble bed core, fuel elements, core barrel structures, graphite reflectors, defueling chute, helium inlet and risers connected to the steam generator through the annular hot gas duct
 Pressure vessel, pebble bed core, core barrel and graphite reflectors modeled with 2-D axial and radial elements. Junctions represent axial and radial helium flow between the fluid elements in the pebble bed core using the 2D Flownex formulation. Reactor cavity cooling system (RCCS) represented as boundary condition

 \sim

 GOTHIC Code GOTHIC Code and Input Model GOTHIC Code GOTHIC Code General purpose, thermal-hydraulic system analysis code, used extensively in nuclear safety analysis and in NRC approved methodogles (e.g., UWR LOCA anametri Analysis) Gornersolipes (e.g., UWR LOCA and Containment Analysis) Wide range of capabilities from humped parameter approach to three-dimensional representations (muticomponent, compressible and multi-fields for liquid and gas) Closing relations unique pebble bed application: pressure drop correlation (to be included), pebble-to-coolant convective that Tansfer, effective thermal conductivity for pebble-to-pebble and pebble to creflector heat transfer. COTHIC Xe-100 Input Model Primary and secondary systems including the reactor system, cross-over pipe, and steam generator represented with multiple control volumes, flow paths and heat structures (Figure 27 of 6FQ.TR) Primary and secondary systems including the reactor system, lower head, defueling chute, core bypass helium flow and control volumes, flow paths and heat structures (Figure 27 of 6FQ.TR) Primary and secondary systems including the reactor system, lower head, defueling chute, core bypass helium flow and control volvids The pebble bed core region is represented by a cylinder with the same number of radial regions as the pebble bed core. Conical core sections neglected. RCCS is modeled as a temperature dependent heat flux on reactor pressure vessel outer surface based on results from a regions. The cone outlet plenum flow an reactor pressure vessel outer surface based on results from a reacted of the role of the cone cone and for helical collare and relation and related outer plenum miser. 	axial and fadial sup-volume, while the surface area represented by total surface area of peddies in sup-volution <i>Protecting People and the Environ</i>
--	---

 ∞

	Determination on GOTHIC & Flownex Codes and Input Models	
•	Systems and components, constituents and phases, field equations, closure relations, and numerics for GOTHIC and Flownex are adequately described consistent with EMDAP Steps 11 and 12 for preliminary DBA analysis of Xe-100 design	
•	Major Xe-100 SSCs necessary to perform preliminary steady-state and DBA analysis are represented in plant input models consistent with EMDAP Step 11	
•	Closure models available within GOTHIC and Flownex, based on the NRC staff's high-level review and judgment, are adequate to support preliminary analysis of Xe-100 design consistent with EMDAP Step 12	
•	Evaluation of scalability and applicability of closure models to Xe-100 reactor design will be performed in future as part of review of EMDAP Element 4	
•	Current review for preliminary analysis is limited to the applicability of codes and general modeling capabilities and does not extend to or approve individual input parameters in the Xe-100 in models.	
•	Staff imposed Limitation 1 that limits approval of codes and input models, in accordance with modeling features described in GFQ TR, for preliminary analysis of Xe-100	
		1



Evalua	tion of GOTHIC & Flowne	ex Qualifications
	Element 2 Develop Assessment Base	
	 Specify objectives for assessment base Perform scaling analysis and identify similarity criteria Identify existing data and/or perform IETs and SETs to complete data/base Evaluate the effects of IET distortions and SET scaleup capability Determine experimental uncertainties 	GFQ TSAM (partially) GFQ TSAM (partially) Not addressed
Review Sc	ope Limited to EMDAP Steps 5 & 7	
 Scaling : required 	analysis, distortion analysis, and determination of e by EMDAP Steps 6, 8, and 9, are not addressed	xperimental uncertainties,
 Table 1 differen 	of GFQ TR "Validation Basis" provides (1) High imp t DBA event categories, and (2) Validation matrix fo	ortance PIRT phenomena for or Flownex and GOTHIC codes
– Separat	e effects test (SET), integral effects test (IET), and an	nalytical validations selected
 Majority legacy d applicak Test Fac 	 validations are part of GOTHIC and Flownex devel ata (i.e., existing data) except for planned validatic le Argonne National Laboratory (ANL) Natural Conv ility (NSTF) data 	opmental assessments and use on of GOTHIC against future /ection Shutdown Heat Removal



Flownex Qualifications	 Flownex validation matrix includes nine SETs, four IETs, and two analytical benchmarks 10 MW High Temperature Gas-Cooled Reactor Test Module (HTR-10) steady state conditions	 SANA pebble bed temperature (SET) (German facility, heated pebble bed) Pebble bed micro model (PBMM) 	 Shows coverage for all PIRT high-ranked phenomena except Outlet plenum flow distribution (only for normal operation) 	 Flow reversal in core bringing hot core coolant into the inlet plenum Distribution and concentration of moisture in primary system 	Planned validation	 HTR-10 reactor power transient benchmark 	 Flownex analytical simulations EMDAP Steps 5 & 7 addressed for preliminary analysis with Flownex 	 Applicability of assessment data to analysis of the Xe-100 reactor design will be evaluated as part of the considerations of EMDAP Element 4 	11 Control Commission United States Nuclear Regulatory Commission Protecting People and the Environment
------------------------	---	---	---	---	--------------------	--	---	--	---

	GOTHIC Qualifications
-	 GOTHIC validation matrix includes 22 SETs, 10 IETs, and 14 analytical benchmarks
	 All are legacy validations
	 Shows coverage for all PIRT high-ranked phenomena except
	 Outlet plenum flow distribution (only for normal operation)
	 Flow reversal in core bringing hot core coolant into the inlet plenum
	 Distribution and concentration of moisture in primary system
•	 Planned validation
	 HTR-10: steady state, LOFC without scram, and control rod withdrawal
	 SANA for pebble bed heat transfer
	 ANL NSTF data to validate performance of RCCS (important for long-term cooling)
	 EMDAP Steps 5 & 7 addressed for preliminary analysis with GOTHIC
•	 Applicability of assessment data to the analysis of the Xe-100 reactor design will
	be evaluated as part of the considerations of EMDAP Element 4
	12 Contract Nuclear Regulatory Commission Protecting Prople and the Environment

•	EMDAP Step 10 addresses requirements for documentation, QA, and configuration control for EM
•	GOTHIC and Flownex EM development is performed under approved X-energy Quality Assurance Program (ML24218A128)
•	Section 6 of GFQ TR provides description of selected X-energy quality assurance procedures related to software development
•	Documentation of EM requirements, EM methodology, code theory and user manuals was provided. Scaling report, uncertainty analysis and final assessment report are not available.
•	EMDAP Step 10 satisfied for preliminary analysis because
	 Activities described in GFQ TR are performed in accordance with an approved quality assurance program
	 Documentation is either available or its absence is reasonable for an EM supporting preliminary analysis for a CP application





U O	
JSi	
ICLI	
С С	

- Review of Flownex and GOTHIC against EMDAP Steps 11 and 12 show that these codes have models to represent high importance phenomena to support preliminary Xe-100 DBA safety analysis in a Preliminary Safety Analysis Report for a CP application.
- Consistent with EMDAP Steps 11 and 12, Flownex and GOTHIC input models as described in GFQ TR indicate that all major Xe-100 SSCs are represented with sufficient level of detail to support the generation of a steady-state simulation necessary for preliminary DBA analysis for a CP application.
- and controls are commensurate with the preliminary nature of the Xe-100 design described The nodalization, modeling assumptions, boundary conditions, initial plant state conditions, in TSAM Section 3 (ML25077A285).
- results provide confidence that Flownex and GOTHIC can be used to perform preliminary assessments needed for validation of Flownex and GOTHIC codes. Preliminary validation Consistent with EMDAP Steps 5 and 7, the GFQ TR identifies SETs, IETs, and analytical Xe-100 DBA analysis in support of a CP application.





ANL	Argonne National Laboratory
CP	Construction Permit
DBA	Design Basis Accident
EM	Evaluation Model
EMDAP	Evaluation Model Development and Assessment Process
GFQ	GOTHIC And Flownex Code Qualifications
HTR-10	10 MW High Temperature Gas-Cooled Reactor Test Module
IET	Integral Effects Test
LWR	Light Water Reactors
NSTF	Natural Convection Shutdown Heat Removal Test Facility
PIRT	Phenomena Identification and Ranking Table
QA	Quality Assurance
RCCS	Reactor Cavity Cooling System
SANA	Selbsttätige Abfuhr der Nachwäre
SG	Steam Generator
TSAM	Transient and Safety Analysis Methodology







Department of Energy Acknowledgement and Disclaimer

This presentation was prepared as an account of work sponsored by an agency of the United States Government. This material is based upon work supported by the Department of Energy under Award Number DE-NE0009040. any agency thereof. The views and opinions of authors expressed herein do not necessarily state or reflect completeness, or usefulness of any information, apparatus, product, or process disclosed, or represents product, process, or service by trade name, trademark, manufacturer, or otherwise does not necessarily Neither the United States Government nor any agency thereof, nor any of their employees, makes any constitute or imply its endorsement, recommendation, or favoring by the United States Government or that its use would not infringe privately owned rights. Reference herein to any specific commercial warranty, express or implied, or assumes any legal liability or responsibility for the accuracy, those of the United States Government or any agency thereof.

X-energy's Mechanistic Source Term (MST) Approach Mechanistic Source Term Models Q&A	<page-header>the set of the set of</page-header>
	15/02/2023 5y. LLC Security Classification: Proprietary Layout: DLT-007 Rev 9
e	Sy. LLC

 Mechanistic Source Ter Scope: Bincluded: Description of MST models mechanistic source terms used to sup mechanistic source terms used to sup Excluded: Actual implementation eval Excluded: Actual implementation eval Excluded: Actual implementation eval Excluded: Actual implementation eval Excluded: Actual implementation eval Excluded: Actual implementation eval Terrange Performance-Based Lic Risk-Informed Performance-Based Lic Risk-Informed Performance-Based Lic Xe-100 Licensing Topical Report TRISC Xe-100 Licensing Topical Report Atmoder
--

Ó

Mechanistic Source Term (MST) Approach

- performance-based design and licensing basis according to the Nuclear Energy Institute (NEI) 18-04 and Nuclear Regulatory Commission (NRC) Regulatory Guide (RG) 1.233 Xe-100 MST methodology is part of the implementation of a risk-informed,
- Regulatory Guidance (SECY-93-092):
- Reactor and fuel performance under normal and off-normal operating conditions is sufficiently well understood to permit a mechanistic analysis.
- Sufficient data should exist on the reactor and fuel performance through the research, development, and testing programs to provide the adequate confidence in the mechanistic approach.
- including specific consideration of containment design. The calculations should be as realistic as possible so Transport of fission products can be adequately modelled for all barriers and pathways to the environs, that the values and limitations of any mechanism or barrier are not obscured.
- Events considered in the analyses to develop the set of source terms for each design are selected to bound severe accidents and design-dependent uncertainties.



Mechanistic Source Term (MST) Approach

Xe-100 source terms are:

- Event-specific
- Determined mechanistically using models of fission product (FP) generation and transport
- Accounting for the reactor's inherent and passive design features and the performance of FP release barriers that constitute the functional containment
- Inclusive of the quantities, timing, physical and chemical forms, and thermal energy of the release
- Different from light water reactor source terms based on severe core damage event(s)



Mechanistic Source Term (MST) Approach



MST Models

							-				
Codes implementing similar capability	PARFUME (INL), PANAMA, STACY	VSOP-THERMIX-KONVEK, AGREE (UMich), STAR-CCM+ (Siemens)	PARFUME (INL), GETTER, FRESCO, STACY	PARFUME (INL), NOBLEG, STACY	N/A	DAMD (PBMR), PADLOC (GA), RADAX, SPATRA, RADC (GA), MELCOR (Sandia)	OXIDE-4 (GA), TINTE, GRACE (FE), STAR-CCM+ (Siemens), Fluent (ANSYS)	MGT / TINTE, AGREE (UMich), RELAP-7 (INL), Flownex (M-Tech)	TRITGO (GA), THYTAN (JAEA), TPAC (INL), TMAP (INL), ORIGEN-S (ORNL)	MACCS (Sandia), HotSpot (LLNL), RASCAL (NRC), ADDAM (AECL)	
Scope	Fuel Performance (particle failure fractions)	Thermodynamics	Time-dependent radionuclide production, transport & release from fuel elements	Steady-state gaseous fission product release	Graphite / metallic dust production	Dust, fission and activation product behavior in primary circuit	Air/water Ingress, fuel materials corrosion rates	Plant simulator using point-kinetics core model with spatial and thermo-dynamics coupling	Tritium plant mass balance	Off-Site doses	
Model	FPM	THM	SOLM	GASM	DUSTM	НРВМ	CORRM	KSIM	TRITM	Dispersion/Dose	
LTR Appendix	А	۵	C	D	ш	ш	U				

- Хе-тии Licensing торісаї Кероп, Аппоѕрпенс Dispersion апа Dose Calculation методоюду (місьзгохА456)

XSTERM

US-DOE Code

German (Legacy) Code Commercial NQA-1 Code

Other









Core MST Models Relationship







THM: Thermodynamics Model



K energy



THM: Application Domain





Fuel Compact Calculations (Validation)







THM: Phenomena Modelled

- Conductive Heat Transfer: Fourier law of heat conduction with space-, temperature- and dose-dependent conduction coefficients
 - Zehner-Bauer-Schlünder model in the pebble bed

$$\lambda\lambda_{pppp} = \lambda\lambda_{ssss} + \lambda\lambda_{rr} + \lambda\lambda_{ff}$$

- Reflector graphite model based on research of G. Haag
- Convective Heat Transfer: Kugeler-Schulten correlation
- Radiative Heat Transfer: Stefan-Boltzmann law
- Heat Sources: fission, gamma, decay heat (DIN-25485 standard)
- zones with core node temperature as boundary condition semi-analytic Pebble temperatures: 1D-radial heat conduction through pebble mesh
- Particle temperatures: 1D-radial heat conduction through particle mesh zones with pebble zone temperature as boundary condition – semi-analytic
- Compact temperatures: 2D-axisymmetric heat conduction through compact zones with prescribed outer temperature – finite-difference discretization + successive-over-relaxation iterative method








THM: Material Properties

- Explicit correlations or data fits •
- Generally temperature-dependent => iterations



THM: Input Data and Boundary Conditions

Second order least-squares mapping from VSOP grid to simplify heat transfer calculations



MST Model

[Pon	Fuel 2	Fuel 3	Fuel 4	Fuel5	Reflector 1			in the second se		HBCS	
1.16	236.5	292.3	297.62	299.4	283.1	275.7	268.7	266.1	260.2	256.2	208
37.3	332.4	326.0	332.4	347.3	300.6	285.9	275.9	270.2	265.4	259.5	213.
16.0	368.6	359.1	369.4	394.5	318.9	295.0	281.2	274.2	269.1	262.8	217.
17.4	407.5	395.2	410.3	439.8	341.3	307.0	287.4	278.5	272.6	263.7	218
51.6	449.4	433.8	450.3	478.3	364.4	319.8	293.7	283.0	275.9	264.0	219
13.3	458.7	471.7	453.5	510.9	386.9	332.9	300.3	287.4	279.4	264.4	219
133	526.5	508.5	5253	537.7	409.5	347.0	307.5	292.5	283.3	265.0	219
312	562.4	5035	557.4	559.7	431.3	361.0	314.7	297.6	287.2	265.6	220
15.6	594.8	575.6	587.1	577.7	451.6	374.6	321.7	302.5	291.0	266.1	220
10.6	6242	605.7	613.2	593.0	469.9	387.1	328.3	307.2	294.7	266.6	221
14.6	650.7	633.4	636.6	605.8	487.5	399.5	334.8	311.9	298.3	267.1	221
-	674.5	657.4	657.3	616.6	502.9	410.5	340.7	316.1	301.5	267.6	222
256	696.2	679.3	675.4	6 52 9	516.7	420.7	346.2	319.9	304.5	267.9	222
22	714.7	1.669	6:069	634.4	530.1	430.6	351.5	323.8	307.5	268.3	222
283	730.8	716.7	1961	642.2	540.8	438.7	355.9	326.8	309.8	268.6	22
19	745.3	732.5	715.6	649.4	551.0	446.3	360.0	3.25.8	312.1	268.8	223
5.0	758.1	746.0	225.8	656.1	560.4	453.5	363.9	332.6	314.3	269.1	223
192	1.692	1.121	734.6	662.6	1.895	459.2	367.0	334.8	316.0	269.2	23
68	778.7	768.5	742.2	668.1	575.4	464.8	370.0	337.0	317.7	269.3	223



THM: Time-Stepping Algorithm

- Backward Implicit/Explicit Iterative Method
- Iterative calculation to converge reactor and coolant temperatures in each time-step
- Transient simulations
- Establishing steady state





FPM (Particle Failure Probability Model)







FPM: Phenomena Modelled

- Pressure vessel failure of TRISO particles
- effects of pyro-carbon (PyC) irradiation-induced creep on the effective stress of the silicon-carbide (SiC) layer
- Irradiation-Induced dimensional change of PyC layer
- Fission gas pressure
- Kernel irradiation swelling
- Kernel thermal expansion
- Kernel migration (Amoeba)
- **Fission product corrosion**
- SiC thermal decomposition
- Manufacturing defects
- Exposed kernel (i.e., defect of all coating layers)
- SiC defect (i.e., defect of the SiC layer with at least one other coating layer intact)
- Inner PyC layer defect
- Dispersed heavy metal fraction

Henergy



SOLM (Fission Product Transport Model)



K energy

SOLM: Phenomena Mode	lled				
 Fission product production by direct fission decay and activation 	on in ker	nels,	recoil fi	om kernels to the l	ouffer layer,
 Fission product removal by means of dec 	ay and a	ctivat	ion		
Transport and release of fission products	from pa	rticle	s and fu	iel elements by me	ans of diffusion
 Effects on isotope transport and retentior and particle failures that may occur durin 	ı from as g operat	- mar ion	ufactu	red particle defects	s, contamination
	Table 4-2. Cla	tsses of ra	idionuclides o	f interest for HTGR design.	
	Radionuclide Class	Key Nuclide	Form in Fuel	Principal In-Core Behavior	Principal Ex-Core Behavior
Buffer	Tritium	Н-3	Element (gas)	Permeates intact SiC; sorbs on core graphite	Permeates through heat exchangers
IPyc	Noble gases	Xe-133	Element (gas)	Retained by PyC/SiC	Removed by helium purification syste
	Halogens	I-131	Element (gas)	Retained by PyC/SiC	Deposits on colder metals
Kernel	Alkali metals	Cs-137	Oxide-element	Retained by SiC; some matrix/graphite retention	Deposits on metals/dust
	Tellurium group	Te-132	Complex	Retained by PyC/SiC	Deposits on metals/dust
Sic	Alkaline earths	Sr-90	Oxide-carbide	High matrix/graphite retention	Deposits on metals/dust
	Noble metals	Ag-110m	Element	Permeates intact SiC	Deposits on metals
	Lanthanides	La-140	Oxide	High matrix/graphite retention	Deposits on metals/dust
	Actinides	Pu-239	Oxide-carbide	Quantitative matrix/graphite retention	Retained in core

tenergy

2025 X Energy, LLC, all rights reserved

1 1





SOLM: Numerical Solution

- Implicit Euler method for time-stepping for pebbles and compacts, or backward-difference method (BDF2) for compacts
- finite difference discretization of the diffusion and source terms is solved: At each time step, a system of linear algebraic equations arising from the
- \Rightarrow 3-diagonal matrix system for pebble geometries
- solved by Gaussian elimination
- \Rightarrow 5-diagonal matrix system for compact geometries
- solved by the Gauss-Seidel iterations



K GASM (Gaseous Fission Product Transport Model)



	ebbles (R/B ratios) hrough intact coatings can be neglected	f particles	Model and Richards Model		ontamination [Matrix] HM Contamination	Matrix [Grains]	Matrix [Open Pores] Diffusion Coolant Matrix	[Binder]
GASM: Phenomena Modelled	 Steady-state gaseous fission product (FP) release from particles and p Short half-lives of the gas isotopes => transport from the fuel kernel th 	 FP sources: heavy metal (HM) contamination of matrix/outer PyC layers of 	 failed particles Two models dynamically switching based on fuel temperature: Röllig I 	Buffer No Delay [Open Pores]	Kernel	Recoil [Grains]	Buffer Diffusion [Grains]	Buffer [Binder]

💥 energy

2025 X Energy, LLC, all rights reserved



DUSTM: Dust Production







DUSTM: Phenomena Modelled

- Graphite and metallic dust production from
- pebble-pebble and pebble-reflector abrasion
- pebble abrasion during its transport through the fuel handling system (FHS) piping
- control rod abrasion during its movements over the operating period
- Dust particle size spectrum lumped into bins, based on the historical measurements from the German pebblebed reactor AVR





DUSTM: Methodology

- In-Core dust production
- Wear from friction based on the theory of asperity contact
- Total dust production proportional to geometry-dependent dust production rate parameter and frictional force
- Frictional force proportional to temperature-dependent friction coefficient and heightdependent load pressure on the pebbles
- Load pressure on the pebbles computed by modified Janssen's silo pressure formula including the effects of pressure drop
- Dust production in fuel handling system (FHS)
- Proportional to empirically determined dust generation rate per meter of pebble movement in the FHS, number of fuel passes and length of the FHS pipe
- Dust production in the reactivity control system (RCS)
- Proportional to empirically determined dust generation rate per meter of RCS rod motion and the total RCS rod distance travelled during the operation time
- operation data and adjusting the parameter to yield the measured total lifetime dust in AVR Dust production rate parameter determined by applying the model on the AVR reactor
- Graphite/metallic dust ratio obtained from the Vampyr II experiment data



HPBM: Helium Pressure Boundary Model



Henergy



HPBM: Phenomena Modelled

- radionuclide (RN) release from pebbles,
- deposition on component surfaces (RN, dust),
- plate-out on dust (RN)
- re-entrainment into circulating He (RN, dust),
- intra- and inter-component transport (RN, dust),
- RN transmutation through activation and radioactive decay
- RN removal through radioactive decay
- RN sorption into the graphite dust and de-sorption into circulating helium



HPBM: Phenomena Modelled







HPBM: Particle Mass Transfer



- (1) Liftoff of elemental radionuclide from plated-out dust
- (2) Liftoff of plated-out dust from component surface
- (3) Sorption of elemental radionuclide from plated-out dust into helium
- (4) Plateout of entrained dust onto component surface
- (5) Plateout of entrained elemental radionuclide onto plated-out dust
- (6) Sorption of entrained elemental radionuclide into plated-out dust
- (7) Liftoff of elemental radionuclide from component surface
- (8) Plateout of elemental radionuclide onto component surface



HPBM: Numerical Solution

- Coupled set of 2D partial differential equations for multi-phase flow and mass balance
- Phases:
- 1. Helium gas
- 2. Circulating dust
- 3. Deposited dust
- 4. Circulating isotopes
- 5. Deposited isotopes
- Finite volume + Backward Implicit-Explicit Method (IMEX) discretization •



CORRM: Core Corrosion Model



Å	

CORRM: Methodology

Corrosion Rate = (Kinetic Factor)(Driving Force) (Adsorption Term) with temperature-dependency of kinetic factor and adsorption terms modelled by Arrhenius-type correlation

- Applied to fuel element graphite materials to determine the radionuclide release enhancement due to corrosion
- Based on correlation for H-451 fuel element graphite investigated at General Atomics

Material	State	Atmosphere
	Normal	Trace H ₂ O
	DLOFC	Air/He
PyC coating	H ₂ O ingress	H ₂ O/He
	Normal	Trace H_2O
US A3-3 MAUNX	DLOFC	Air/He



25 X Energy, LLC, all rights reserv



Overall Mechanistic Source Term Calculation







List of Acronyms

CORRM	Corrosion model	PyC	Pyrolytic-carbon
DLOFC	Depressurized loss of forced cooling	Q&A	Questions & answers
DOE	Department of Energy	R/B	Release to birth ratio
DUSTM	Dust production model	RCS	Reactivity control system
FHS	Fuel handling system	RG	Regulatory Guide
ЕЪ	Fission product	RN	Radionuclide
GASM	Gaseous FP release model	SiC	Silicon-Carbide
MH	Heavy metal	SOLM	RN diffusion and release model
HPBM	Helium pressure boundary model	THM	Thermo-hydraulics model
HTGR	High Temperature Gas-cooled Reactor	TR	Topical Report
KSIM	Neutron kinetics & plant simulation model	TRISO	Tristructural-Isotropic
MST	Mechanistic source term	TRITM	Tritium release model
NQA	Nuclear Quality Assurance	UCO	Uranium Oxycarbide
PIRT	Phenomena identification and ranking table	XSTERM	X-energy's mechanistic source term code suite

Mechanistic Source Term Approach" (MST) 000632 "Xe-100 Licensing Topical Report NRC Staff Review of Topical Report (TR)

ACRS Meeting of the X-Energy Design Center Subcommittee June 3, 2025



https://www.nrc.gov/reactors/new-reactors/advanced.html



Outline

- Background
- Regulatory Basis
- Scope of NRC Staff Review
- Summary of Technical Review
- Conclusions



Background

- MST TR originally submitted on May 10, 2024 (ML24131A146) with updated submittal on March 14, 2025 (ML25073A093)
- Updated submittal includes updates identified during regulatory audit
- Updates to MST TR sections 1.5 and 7.1 clarify that applicability is limited to preliminary analyses
- Correction of typos
- Updates to Appendix H showing MST model interfaces (next slide)



Background – Preliminary MST Model Interfaces



 Model interfaces, as described in the MST TR, appear to be preliminary and subject to change (e.g., Reactor Kinetics and Tritium models are described in MST TR but were removed from the interface chart in updated MST TR)







•	Title 10 of the <i>Code of Federal Regulations</i> (10 CFR) 50.34(a)(1)(ii)(D) requires, in part, that an applicant for a construction permit (CP) perform an evaluation and analysis of a postulated fission product release to evaluate the offsite radiological consequences.
•	Under 10 CFR 50.34(a)(4) an applicant for a CP must perform a preliminary analysis and evaluation of the design and performance of structures, systems, and components with the objective of assessing the risk to public health and safety resulting from the operation of the facility and including the determination of margin of
	safety during normal operations and transient conditions anticipated during the life of the facility. - Staff identified relevant Principal Design Criteria (PDC): Xe-100 PDC 10, RFDC 16, PDC 19
•	Under 10 CFR 50.34(a)(8) an applicant for a CP must identify the systems, structures or components of the facility, if any, which require research and development to confirm the adequacy of their design and describe the research program that will be conducted to resolve any safety questions associated with such systems ,
	structures, or components . Such research and development may include obtaining sufficient data regarding the safety features of the design to assess the analytical tools used for safety analysis in accordance with 10 CFR 50.43(e)(1)(iii).



Regulatory Basis

Scope of NRC Staff Review	 MST TR section 4.2 describes that MST models, implemented in the XSTERM code, are used to calculate dose consequences for licensing basis events, including the deterministic evaluation of design basis accidents NRC staff reviewed MST modeling approach to address radionuclide transport phenomena to support preliminary analysis of the Xe-100 Review is limited to and focused on high-level physical phenomena of interest and whether the analysis approach and methods can reasonably support future licensing actions Design is preliminary Development and assessment of methods are in progress or planned the review of an application that relies on the results of XSTERM evaluations 	7 Uniced States Nuclear Regulatory Commission Proteing Prople and the Environment
---------------------------	--	---

Barriers to Radionuclide Release



- Fuel
- Fuel particle kernel (Uranium Oxycarbide (UCO)) within the TRISO fuel particles I
 - Silicon Carbide and Pyrolytic Carbon coatings applied to the fuel kernel I
- Fuel matrix and fuel free zone of the fuel pebble
- Helium Pressure Boundary
- Reactor Building (Not credited)



XSTERM Models	MST TR describes nine models in XSTERM:	 Thermodynamics Calculation Model (THM) calculates detailed temperature distributions in fuel pebbles, TRISO-coated fuel particles, and all core components (reflectors, core barrel, and reactor pressure vessel) 	 NRC staff identifies this model to be of high importance because radionuclide release is expected to be diffusion dominant (temperature-dependent). 	 Use of THM for analyses supporting a Xe-100 licensing application requires justification by the applicant. Point Kinetics Core Simulation Model (KSIM) is described as a modeling 2D axisymmetric geometry to 	 a TR section 5.1.9 further states that the point kinetics approach is applied to each cell individually (there are 	many cells in the model) and that the flux profile between timesteps can be reshaped using a diffusion kernel	 The description of point kinetics appears to be different than standard point kinetics approaches (i.e., 0D, single eigenvalue, lack diffusion coupling). Use of KSIM for analyses supporting a Xe-100 CP application requires instification by the applicant 	
---------------	---	---	---	--	--	---	---	--


_	S	
	D	
-	σ	
	0	
	\geq	
	\geq	
	Y	
	S	
	X	

- MST TR describes nine models in XSTERM (cont):
- Tritium Production and Transport Model calculates the overall tritium mass balance in the Xe-100. MST TR section 5.1.8 clarifies that this model is under development.
- Remaining models:
- TRISO Particle Failure Probability Model (FPM) calculates TRISO-coated particle failures probabilities
- Solids Product Transport Calculations Model (SOLM) calculates the production, decay, transmutation, transport and leakage of gaseous and solid fission products from fuel pebbles to the helium pressure boundary
- fractional release-to-birth ratios of fission product release from TRISO-coated fuel particles and pebbles Steady-State Gaseous Fission Products Transport Calculations Model (GASM) calculates gaseous into the primary circuit coolant gas.
 - Dust Production Rate Calculations Model (DUSTM) calculates the graphite and metallic dust production rates for the Xe-100
- products on helium pressure boundary surfaces and the release of fission products into the reactor Helium Pressure Boundary Model (HPBM) calculates the deposition and resuspension of fission building.
- Core Corrosion Model (CORRM) simulates the mass transport and chemical reaction aspects of the core corrosion phenomena encountered during water or air ingress into the core of the Xe-100.



XSTERM Models	 MST TR describes nine models in XSTERM (cont): The remaining models (FPM, SOLM, GASM, DUSTM, HPBM, CORRM) address phenomena needed to predict MST to support preliminary analysis: Models rely on previous modeling and operational experience from gas-cooled reactor such as Arbeitsgemeinschaft Versuchs Reaktor (AVR) Based on the NRC staff's experience with light water reactor (LWR) and non-LWR source term analysis, the NRC staff did not identify significant gaps in the MST models. MST TR section 4.2 states that the source term modeling described may be revised NRC staff did not perform a detailed technical review for the models described in MST TR NRC make no conclusions regarding the acceptability of these models 	11 Uniced States Nuclear Regulatory Commis Protecting People and the Environm
---------------	---	---

<u> </u>	VST TR section 6 states that:
	 V&V effort is underway to ensure that XSTERM is qualified to support final safety analyses Validation plans are developed to cover high and medium ranked phenomena that are identified through a Phenomena Identification and Ranking Table (PIRT) process
	3. The phenomena modeled by XSTERM were extracted from an earlier version of the PIRT
•	NRC staff determined that the assessment process is acceptable because the identification of code assessment requirements through the PIRT process is an established approach (see RG 1.203)
•	NRC staff are unable to assess the adequacy of the V&V plan:
	 Validation plan is not based on the latest PIRT information
	 MST TR does not contain information describing the knowledge level of the phenomena identified in the PIRT
	 The plan is preliminary and subject to change

 The NRC staff concludes that X-energy's TR 000632, "Xe-100 Licensing Topical Report Mechanistic Source Term Approach," Revision 3, provides a reasonable plan for the development of the MST methodology. 	 The FPM, SOLM, GASM, DUSTM, HPBM, CORRM models in XSTERM appear to cover the phenomena needed to predict the MST to support the preliminary analysis and evaluation of the Xe-100 design The TR describes an acceptable approach to V&V 	 NRC staff make no conclusions regarding the acceptability of the models in XSTERM for the MST analyses of the Xe-100 because: 	 Models within XSTERM are still under development A detailed technical review of the individual models was not completed 	 Details regarding key phenomena identification and associated knowledge levels are not provided in MST The models and associated validation plans are preliminary and subject to change 	 The NRC staff expects that a detailed technical review of XSTERM model applicability to the Xe-100 reactor will be addressed as part of the review of a licensing application that references MST TR.
anistic MST	ena gn	MST		d in MST TR	. Хе-100 ST TR.
	 The NRC staff concludes that X-energy's TR 000632, "Xe-100 Licensing Topical Report Mechanistic Source Term Approach," Revision 3, provides a reasonable plan for the development of the MST methodology. 	 The NRC staff concludes that X-energy's TR 000632, "Xe-100 Licensing Topical Report Mechanistic Source Term Approach," Revision 3, provides a reasonable plan for the development of the MST methodology. The FPM, SOLM, GASM, DUSTM, HPBM, CORRM models in XSTERM appear to cover the phenomena needed to predict the MST to support the preliminary analysis and evaluation of the Xe-100 design The TR describes an acceptable approach to V&V 	 The NRC staff concludes that X-energy's TR 000632, "Xe-100 Licensing Topical Report Mechanistic Source Term Approach," Revision 3, provides a reasonable plan for the development of the MST methodology. The FPM, SOLM, GASM, DUSTM, HPBM, CORRM models in XSTERM appear to cover the phenomena needed to predict the MST to support the preliminary analysis and evaluation of the Xe-100 design The TR describes an acceptable approach to V&V NRC staff make no conclusions regarding the acceptability of the models in XSTERM for the MST analyses of the Xe-100 because: 	 The NRC staff concludes that X-energy's TR 000632, "Xe-100 Licensing Topical Report Mechanistic Source Term Approach," Revision 3, provides a reasonable plan for the development of the MST methodology. The FPM, SOLM, GASM, DUSTM, HPBM, CORRM models in XSTERM appear to cover the phenomena needed to predict the MST to support the preliminary analysis and evaluation of the Xe-100 design The TR describes an acceptable approach to V&V NRC staff make no conclusions regarding the acceptability of the models in XSTERM for the MST analyses of the Xe-100 because: Models within XSTERM are still under development A detailed technical review of the individual models was not completed 	 The NRC staff concludes that X-energy's TR 000632, "Xe-100 Licensing Topical Report Mechanistic Source Term Approach," Revision 3, provides a reasonable plan for the development of the MST methodology. The FPM, SOLM, GASM, DUSTM, HPBM, CORRM models in XSTERM appear to cover the phenomena needed to predict the MST to support the preliminary analysis and evaluation of the Xe-100 design The TR describes an acceptable approach to V&V NRC staff make no conclusions regarding the acceptability of the models in XSTERM for the MST analyses of the Xe-100 because: Models within XSTERM are still under development A detailed technical review of the individual models was not completed Details regarding key phenomena identification and associated knowledge levels are not provided in MST TR The models and associated validation plans are preliminary and subject to change





AVR	Arbeitsgemeinschaft Versuchs Reaktor
CORRM	Core Corrosion Model
CP	Construction Permit
DUSTM	Dust Production Rate Calculations Model
FPM	Failure Probability Model
GASM	Steady-State Gaseous Fission Products Transport Calculations Model
HPBM	Helium Pressure Boundary Model
KSIM	Point Kinetics Core Simulation Model
LWR	Light Water Reactor
MST	Mechanistic Source Term
PDC	Principal Design Criteria
PIRT	Phenomena Identification and Ranking Table
SOLM	Solids Product Transport Calculations Model
THM	Thermodynamics Calculation Model
TR	Topical Report
TRISO	Triple Coated Isotropic Particle
NCO	Uranium Oxycarbide
V&V	Verification and Validation
VSOP	Very Superior Old Programs



Meeting title X-Energy Topical Reports ACRS Subcommittee Meeting

Participants

Derek Widmayer Thomas Dashiell Larry Burkhart Inseok Baek Tammy Skov Mark Paul John Matrachisia Alexys Lopez Shandeth Walton Juan Cajigas Thomas Hayden Stephanie Garland "Yarwood, David **Brian Hallee Brian Froese** Michael Howard Tracy Radel "Jeffrey W.Lane, Marissa Bailev Paolo Balestra Jose Garcia Charles DeDeaux Timothy Ayers **Richard Rivera** John Segala Sheila Thurston PJ Seel (Terri Spicher Sonat Sen Jessica Maddocks Edwin Lyman Barry Myers Matthew Warden Andrew Dercher Sari Alkhatib Timothy Drzewiecki Weidong Wang Matt Thomas Nazila Tehrani Denise McGovern Bob Wolfgang Andrea Torres Gulcin Turkmen Travis Tate

Walter Tauche **Robert Roche-Rivera** Ben Chen Christopher Brown Stephen Philpott Armand Parada Jackson Jobin Binu Daniel Krzysztof Otlik Julia Sharma Ben Felson Charles Moulton lan Jung Suzanne McKillop Ashley Smith Christina Antonescu Brian Mays Ingrid Nordby Yan Gao Henry Kohn Nathan D. Clark Paolo Balestra Avinash Jaigobind jack Higginbotham Andrew Spotts **Dalton Pyle** Steven Pope Mostafa Hamzar Matt Thomas Jake Mitstifer Steve Bajorek Rob Taylor Ben Chen Milan Hanus **Delaney Simmons** Robert Mikouchi-Lopez Pravin Sawant Ayesha Athar Lucieann Vechioli Feliciano Zach Gran Jared Nadel Jessica Maddocks Andrew Dercher Terri Spicher