

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES

NUCLEAR REGULATORY COMMISSION

+ + + + +

MEETING WITH THE

ADVISORY COMMITTEE ON THE MEDICAL USES OF ISOTOPES

+ + + + +

TUESDAY,

APRIL 21, 2026

+ + + + +

The Commission met in the Commissioners' Hearing Room,
One White Flint North, 11545 Rockville Pike, Rockville, Maryland, at 10:00
a.m. EDT, Ho K. Nieh, Chairman, presiding.

COMMISSION MEMBERS:

- HO K. NIEH, Chairman
- DAVID A. WRIGHT, Commissioner
- BRADLEY R. CROWELL, Commissioner
- MATTHEW J. MARZANO, Commissioner
- DOUGLAS W. WEAVER, Commissioner

ACMUI MEMBERS:

- HOSSEIN JADVAR, M.D., Ph.D., ACMUI Chair
- ANDREW EINSTEIN, M.D., Ph.D., Nuclear Cardiologist
- RICHARD HARVEY, DrPH, Radiation Safety Officer
- JOSH MAILMAN, Patients' Rights Advocate

PROCEEDINGS

10:00 a.m.

CHAIRMAN NIEH: Okay, good morning, I'll call this meeting to order. And this is an encouraging day today. Today is the first public meeting of the Commission in nearly one year. I'm really honored to be here with my colleagues on the Commission.

And today we'll be hearing from the Advisory Committee on the Medical Uses of Isotopes, the ACMUI. And the ACMUI plays a very important role in advising the Nuclear Regulatory Commission on safe and effective uses of radioactive materials in medicine.

And medical use is the largest category of materials licenses in the United States. And each year, radioactive materials support nearly 20 million medical procedures in this country alone, from diagnosing disease to providing life improving treatments. And this is a prime example of how NRC's work directly enables technologies that improve and, in many cases, save millions of lives.

And I want to recognize and appreciate the NRC staff in our regional offices that support the medical licensing and inspection activities. Their work is essential to American welfare.

And today we'll begin with a presentation from the members of the committee, and then we'll go into questions from each of the commissioners. And before we begin, I'll ask to see if my colleagues have any comments that they would like to make.

All right, hearing none, then we are joined by Dr. Hossein

1 Jadvar, who serves as the chair of the Advisory Committee on Medical Uses
2 of Isotopes, and nuclear medicine physician of the committee.

3 And he is joining us remotely. Dr. Jadvar, are you with us?

4 DR. JADVAR: Well, honorable commissioners, good
5 morning. On behalf of myself and my colleagues in the ACMUI, we are
6 delighted to be meeting with you today.

7 I'm sorry that I was unable to be there at the NRC
8 headquarters in person today, but I look forward to the next opportunity. I
9 would like to congratulate Chairman Nieh and Commissioner Weaver for their
10 recent leadership appointment to the NRC.

11 And further want to acknowledge and thank Commissioner
12 Wright for our conversation as a part of the discussions with leaders that was
13 just published in the Journal of Nuclear Medicine this month. And this was
14 very well received by the JNM readers.

15 Finally, I start with my presentation by acknowledging all my
16 ACMUI colleagues for the camaraderie, and the entire NRC medical team for
17 their expertise and support. With that, can I have the next slide, please?

18 So this is today's agenda. I will go over the ACMUI
19 activities. After that, Dr. Richard Harvey, the ACMUI radiation safety officer
20 representative, will give the ACMUI's recommendations and actions to
21 promote licensing and inspection efficiencies in line with the ADVANCE Act of
22 2024.

23 Next slide, please. Then, Dr. Andrew Einstein, the ACMUI
24 nuclear cardiologist, will give the ACMUI recommendations on potential AI

1 applications for NRC medical enterprises.

2 After that, Mr. Josh Mailman, who is the ACMUI patients'
3 rights advocate, will give the patients' rights advocate's perspective on patient
4 release involving emerging radiopharmaceutical therapy. May I have the
5 next slide, please?

6 This is an overview of the ACMUI activities, the role of the
7 ACMUI. The ACMUI advises the U.S. Nuclear Regulatory Commission staff
8 on policy and technical issues that arise in the regulation of the medical use
9 of radioactive material in diagnoses and therapy.

10 They also comment on changes to the NRC regulations and
11 guidance, evaluate certain non-routine uses of radioactive material, provide
12 technical assistance in licensing, inspection, and enforcement cases, and
13 bring key issues to the attention of the Commission, for appropriate action.

14 May I have the next slide, please? The current medical
15 uses of byproduct material include diagnostic radiopharmaceuticals,
16 therapeutic radiopharmaceuticals, low-dose rate brachytherapy; high-dose
17 rate brachytherapy; gamma stereotactic radiosurgery; yttrium-90 microsphere
18 radioembolization; and emerging technologies, which include theranostics,
19 these are diagnostic agents and therapeutic agents, which target the same or
20 similar biological target on cancer, which is aligned with the concept of
21 precision oncology and is a very growing field.

22 Then holmium-166 and Y-90 microsphere
23 radioembolizations, which are currently not approved in the U.S., but are in
24 clinical trials and may be used later on for radioembolization in place, or in

1 addition to, yttrium-90. Then of course, there's AI and deep learning driven
2 radiation dose reduction and image optimization activities that are going on.
3 May I have the next slide?

4 The ACMUI membership currently includes 13 members.
5 The nuclear medicine physician and the chair is myself. Nuclear pharmacist
6 and vice chair is Mr. Richard Green. The nuclear cardiologist is Dr. Andrew
7 Einstein. The brachytherapy radiation oncologist is Dr. Michael Folkert.
8 The gamma stereotactic radio therapy radiation oncologist, is Dr. Harvey
9 Wolkov. The diagnostic radiologist is Dr. Joanna Fair. The FDA
10 representative on the panel is Dr. Michael O'Hara. May I have the next slide,
11 please?

12 The nuclear medicine medical physicist is Ms. Melissa
13 Martin. The radiation therapy medical physicist is Mr. Zoubir Ouhib. The
14 patient rights advocate is Mr. Josh Mailman. The agreement state
15 representative is Ms. Megan Shober. The health care administrator is
16 currently vacant after the completion of our previous health care administrator
17 member. And the radiation safety officer is Dr. Richard Harvey. May I
18 have the next slide, please? We also continue to benefit from the expertise
19 and the clinical experience of Dr. John Engel, who is the interventional
20 radiologist and consultant to the ACMUI.

21 May I have the next slide, please? The ACMUI provided
22 recommendations to the NRC on licensing and inspection efficiencies,
23 following the ADVANCE Act, and you will hear a portion of this presentation
24 from Dr. Harvey today.

1 The ACMUI subcommittee on medical events gave a
2 detailed overview of the recent medical events, and ACMUI evaluation of
3 them.

4 An ACMUI subcommittee provided a summary of its review
5 of the NRC draft guidance on licensing alpha radiopharmaceuticals.

6 With the rise of alpha radiopharmaceuticals clinical trials,
7 the ACMUI found the guidance timely to address regulatory and industry
8 questions on how applicants should apply to use them, and how they should
9 use the alpha radiopharmaceuticals safely, and in line with regulations.

10 And finally, an ACMUI subcommittee provided its
11 recommendations to add an interventional radiologist to its membership, due
12 to the growth and questions associated with yttrium-90 microspheres.

13 May I have the next slide, please? Also, the ACMUI
14 provided an overview and evaluation of potential artificial intelligence deep
15 learning applications for NRC medical enterprise. You will hear a portion of
16 this presentation from Dr. Andrew Einstein.

17 An ACMUI subcommittee provided recommendations to the
18 NRC staff and full ACMUI, on how future subcommittees can use generic
19 reporting process to make subcommittee reports better, and more efficient as
20 time goes on. May I have the next slide, please?

21 These are topics from the spring meeting in 2025. The
22 ACMUI provided the subcommittee's evaluation of the recent yttrium-90
23 microsphere medical events, after NRC staff identified a sudden increase in
24 reported events involving unexpected gastrointestinal deposition.

1 Following the ACMUI recommendation in this report, the
2 NRC staff issued an information notice providing the industry an overview of
3 the events and recommendations to prevent reoccurrences.

4 The ACMUI subcommittee on generic process checklist
5 provided a recommendation that licenses should develop a process checklist
6 that is as specific to their practice and processes, to minimize medical events.

7 The subcommittee provided an example of the checklist,
8 and the NRC staff has issued another information notice providing it to the
9 industry to support increased safety and prevent medical events.

10 Finally, the ACMUI subcommittee provided a report on
11 training and experience requirements for consideration in the emerging
12 medical technologies rulemaking. And the rulemaking is still ongoing.

13 Unfortunately, our fall meeting in 2025 was cancelled due to
14 the government shutdown. So the topics we were working on at this time,
15 were included in the spring meeting.

16 Next slide, please. In addition to ACMUI presentations,
17 NRC staff also provides presentations. At every meeting, the NRC staff
18 provides an overview of updates on medical activities at the NRC, including
19 ongoing rulemaking and guidance development progress and a scheduled
20 overview of activities at the NRC that may impact the medical industry, such
21 as teams initiatives to look for deficiencies in licensing and oversight. And
22 updates to ACMUI policies and procedures.

23 From yesterday's updates, it seems that this team is very
24 busy ensuring radiation safety for medical use, while looking for efficiencies in

1 the areas of licensing and inspection.

2 The staff also provides a presentation giving an overview of
3 all the past year's medical events, with a special presentation this year on
4 yttrium-90 microsphere medical events following the evaluation of these
5 events.

6 Mike King, of the NRC staff, provided an overview of the
7 ADVANCE Act and the activities the NRC was taking in the spring. The NRC
8 also provided an overview of their plans to develop guidance to address
9 patient waste concerns, following the release.

10 May I have the next slide? These are the current ACMUI
11 subcommittees. ADVANCE Act recommendations. Potential artificial
12 intelligence deep learning applications for NRC medical enterprise; ACMUI
13 generic reporting process; yttrium-90 microsphere gastrointestinal deposition
14 medical event. Membership of an interventional radiologist; training and
15 experience requirements for all modalities; patient release; ACMUI medical
16 event subcommittee; and subcommittee on extravasations.

17 May I have the next slide, please? For future ACMUI, we
18 continue to provide advice and technical assistance requiring specialized and
19 clinical knowledge.

20 We also continue to inform the NRC of emerging medical
21 uses and industry changes, comment on NRC's proposed regulations and
22 guidance, and finally, bring key issues to the attention of the Commission.

23 Thank you very much. That concludes my presentation.

24 CHAIRMAN NIEH: Thank you Dr. Jadvar for your

1 presentation. Next, we'll hear from Dr. Richard Harvey, who is the
2 committee's radiation safety officer.

3 Dr. Harvey, the floor is yours.

4 DR. HARVEY: Richard Harvey, thank you very much. I
5 appreciate the opportunity to bring the ADVANCE Act committee,
6 subcommittee report to you.

7 Chairman Nieh, Commissioner Wright, Commissioner
8 Marzano, Commissioner Crowell, and Commissioner Weaver, thank you.

9 If we could bring the slides up, that would be great. Thank
10 you very much.

11 All right, so again, the ADVANCE Act subcommittee report
12 and our recommendations. The next slide, please.

13 The committee is composed of Dr. Folkert, Dr. Jadvar, Mr.
14 Mailman, Ms. Shoher, and myself, along with Dr. Tapp as our NRC staff
15 resource.

16 Next slide, please. Subcommittee's charge. The
17 subcommittee will provide recommendations and advice to support the
18 Nuclear Regulatory Commission's implementation of the ADVANCE Act.

19 Next slide, please. Background. The subcommittee was
20 established at the spring 2025 ACMUI meeting in April 2025. The
21 subcommittee will assist the NRC to develop the mission statement,
22 implementation guidance as required by Section 501 of the ADVANCE Act.

23 Next slide, please. Our objectives. First is mission
24 statement alignment. We have to evaluate the ADVANCE Act's mission

1 statement and guidance, and provide recommendations if any, to ensure the
2 NRC's medical regulatory framework complies with the updated mission
3 statement.

4 Next slide, please. Next objective is efficiency
5 improvements. So we want to identify recommendations if any, for the NRC
6 to streamline medical licensing as mandated by the ADVANCE Act.

7 Next slide, please. The next objective, emerging issues.
8 Monitor and assess any emerging issues arising from the ADVANCE Act's
9 implementation that may require further ACMUI exploration, or the formation
10 of additional subcommittees.

11 Next slide, please. For our first charge, objective 1.
12 We've got the former NRC mission statement there on the slide.

13 The NRC licenses and regulates the nation's civilian use of
14 radioactive materials to provide reasonable assurance of adequate protection
15 of public health and safety, and to promote the common defense and security,
16 and to protect the environment.

17 The new and current mission statement reads as follows.
18 The NRC protects public health and safety, and advances the nation's
19 common defense and security by enabling the safe and secure use and
20 deployment of civilian nuclear energy technologies, and radioactive materials
21 through efficient and reliable licensing, oversight, and regulation for the benefit
22 of society and the environment.

23 Next slide, please. The NRC's updated mission statement
24 is aligned with the NRC's medical regulatory framework. And the

1 subcommittee has no recommendations regarding this charge.

2 Next slide, please. For objective number 2.

3 Subcommittee examined the NRC's regulations and licensing requirements in
4 order to determine possible recommendations for improving efficiency,
5 timeliness, and effectiveness without compromising safety for radiation
6 workers or members of the public.

7 Next slide, please. Regards to objective 2. The
8 subcommittee evaluated the ideas based on their importance, meaning the
9 likely impact on improved efficiency and reduced waste, and feasibility.

10 Defined as the amount of additional effort or potential cost
11 required to make changes in the proposed area, and/or other barriers to
12 change.

13 Next slide, please. So with regards to licensing and we're
14 going to start off in order of importance.

15 The ACMUI supports eliminating listing individual physician
16 authorized users for 10 CFR 35.100, 35.200, and 35.500 on medical
17 radioactive materials licenses.

18 Next in order of importance, the ACMUI supports
19 clarification and modification of the NRC 313A forms, primarily focused on
20 NRC 313A(AUT) form. Specific recommendations include clarification of table
21 3.c on NRC 313A(AUT) forms, to make parenteral supervised case
22 requirements more explicit.

23 The NRC 313A(AUT) form, we're asking for clarification that
24 only three total supervised cases are needed, rather than the belief that exists

1 out in the communities, out in the workplace, that three supervised cases per
2 type of parenteral administrations are required, and draft clearer and
3 streamlined NRC 313A forms to make implementation less challenging or
4 daunting, for NRC and licensees.

5 Moving to the next slide, if you would, please. Again and
6 still working on the order of importance. The ACMUI supports radioactive
7 material activities or possession limits, for medical licensees based on the
8 amount of, excuse me, based on the amount a licensee can manage safely
9 and effectively, rather than limits based on current need.

10 This would reduce the number of license amendments for
11 NRC and agreement state regulatory organizations.

12 The ACMUI supports moving appropriate emerging
13 technologies to intended 10 CFR 35 designations.

14 In addition, retiring 10 CFR 35.1000 guidance for obsolete
15 systems that are not commercially available in the U.S.

16 Some examples of those are ViewRay, NorthStar,
17 RadioGenix. This would eliminate the need to maintain guidance for
18 obsolete devices.

19 Next slide, please. The ACMUI supports decreasing
20 frequency of license renewals. Medical licenses are more frequently
21 amended than other radioactive materials license types, mostly due to
22 authorized user changes.

23 Many medical radioactive materials licenses have few
24 procedural modifications, and therefore, license amendments.

1 Thus, performing a license renewal provides minimal
2 benefit, with all the necessary effort required by the NRC to renew the license.

3 Instead of performing license renewals on a time period
4 requirement, the recommendation is to renew licenses after 25 amendments,
5 which are also called tie downs.

6 The next slide, if you would, please. Now we're going to
7 talk on the, about feasibility. So it's the same initiatives but in order, ranked
8 in order of feasibility.

9 So the ACMUI supports clarification modification of the NRC
10 313A forms, primarily NRC 313A(AUT). Specific recommendations include
11 clarifications on table 3.c, on NRC 313A(AUT) forms to make parenteral
12 supervised case requirements more explicit.

13 Again, the NRC 313A(AUT) form clarify for licensees that
14 only three total supervised cases are needed, rather than three supervised
15 cases per type of parenteral administrations. And draft clear and streamlined
16 NRC 313A forms to make implementation less challenging for NRC and
17 licensees.

18 The next is as you've heard these before, the ACMUI
19 supports eliminating listing individual physician authorized users for 10 CFR
20 35.100, .200, and .500, on medical radioactive materials licenses.

21 Next slide, please. The ACMUI supports decreasing
22 frequency of license renewals. Medical licensees again, are more frequently
23 amended than other radioactive materials license types mostly due to
24 changes in authorized users.

1 Many medical radioactive materials licensees have few
2 procedural modifications, and therefore, license amendments.

3 Thus performing a license renewal provides minimal benefit
4 with all the necessary effort required by the NRC, to renew the license.

5 Instead of performing license renewals on a time period
6 requirement, the recommendation is to renew licenses after 25 amendments
7 or tie downs.

8 Next slide, please. The ACMUI supports moving
9 appropriate emerging technologies to 10 CFR 35 designations.

10 In addition, retiring 10 CFR 35.1000 guidance for systems
11 that are not commercially available in the U.S. ViewRay, NorthStar,
12 RadioGenix, would eliminate the need to maintain guidance for obsolete
13 devices.

14 The ACMUI supports radioactive material activity or
15 possession limits for medical licensees, based on the amount of licensees,
16 amount a licensee can manage safely and effectively, rather than limits based
17 on current need.

18 This would reduce the number of license amendments for
19 NRC and agreement state regulatory organizations.

20 I apologize for being a little bit redundant there, going
21 through with the two rankings, sets of rankings.

22 Next slide if you would, please. Oh, you've got it. Okay,
23 so subcommittee will continue to evaluate the area of opportunity, and will
24 formulate recommendations as appropriate. This is for inspections.

1 Next slide, please. For administration, importance and
2 feasibility. The ACMUI supports development of a medical event reporting
3 form to support submission of the appropriate information to evaluate medical
4 events.

5 On occasion when we get medical events, there is
6 incomplete information. And so if we had more complete information, this
7 would help in the review of those medical events, and help the NRC as well
8 as the ACMUI, make recommendations for improvement.

9 Next slide if you would, please. Objective number 3.
10 Subcommittee will continue to monitor and assess any emerging issues
11 arising from the ADVANCE Act's implementation.

12 There are no additional recommendations at this time that
13 require further ACMUI exploration, or the formation of additional
14 subcommittees.

15 Next slide, please. In summary, the NRC's updated
16 mission statement is aligned with the NRC's medical regulatory framework,
17 and the subcommittee has no recommendation regarding this charge.

18 Recommendations regarding efficiency improvements
19 based on importance and feasibility have been provided.

20 The subcommittee will continue to monitor and assess any
21 emerging issues arising from the ADVANCE Act's implementation.

22 Next slide just lists our acronyms, and I would like to thank
23 everyone for the opportunity to give the subcommittee's report at this time.

24 Thank you very much.

1 CHAIRMAN NIEH: Thank you very much, Dr. Harvey.
2 Next, we will hear from Dr. Andrew Einstein, a nuclear cardiologist for the
3 ACMUI. Dr. Einstein, please.

4 DR. EINSTEIN: Thank you, Chairman Nieh, and thank
5 you to the commissioners as well for the opportunity to present the work of the
6 ACMUI subcommittee on potential AI deep learning applications for NRC
7 medical enterprise.

8 Okay, great, next slide, please. The members of our
9 subcommittee were Dr. Fair, Dr. Folkert, Mr. Mailman, Dr. Jadvar, a non-voting
10 consultant was Dr. Engel, our interventional radiologist consultant, and our
11 staff resource was Ms. Ayoade.

12 Next slide, please. AI is really revolutionizing technology
13 as well as processes throughout society, and in the United States government
14 in particular.

15 So the AI subcommittee was established by Dr. Jadvar, and
16 tasked with exploring and evaluating the potential applications of AI and deep
17 learning technologies, to enhance the efficiency and effectiveness of the NRC
18 medical staff, and ACMUI.

19 Next slide, please. Six specific objectives were defined for
20 the subcommittee. One was data analysis and efficiency to investigate how
21 AI tools can be utilized to streamline the analysis of NRC medical data,
22 including but not limited to the nuclear material events database, to identify
23 trends, gaps, or areas of concern.

24 A second objective is process optimization to assess how

1 AI can improve the efficiency of NRC medical regulatory processes, such as
2 event reporting, compliance monitoring, and data management, to support
3 faster and more accurate decision making.

4 Third objective was knowledge gap identification. To
5 explore AI's capability to mine existing NRC medical data to uncover potential
6 gaps in knowledge, regulations, or oversight, that could enhance safety and
7 regulatory effectiveness.

8 Next slide, please. The fourth specific objective was
9 benchmarking and best practices to review existing AI applications in similar
10 domains, such as the FDA's MAUDE database to identify models or
11 approaches that could be adapted for NRC use.

12 In this context, we spoke with a number of other federal
13 agencies to understand what they're doing in the AI space.

14 Objective 5, recommendations to develop actionable
15 recommendations for the NRC staff and ACMUI can take regarding the
16 adoption, implementation, or further exploration of AI tools, including
17 considerations for agency policies, technical feasibility, and resource
18 requirements.

19 And finally, agency alignment to coordinate with NRC staff
20 to understand the agency's current stance and policies on AI adoption, and
21 ensure recommendations align with broader agency goals and constraints.

22 Next slide. In fact, the current NRC AI strategic plan is
23 well-articulated in the document FY26 Artificial Intelligence Strategic Plan,
24 which was recently released.

1 The vision articulated in this document is to responsibly
2 leverage artificial intelligence in support of the NRC's mission; empowering
3 staff to efficiently make risk-informed decisions; drive regulatory innovation;
4 and protect public health, safety, and the environment.

5 AI supports NRC's mission in five domains. Enhancing
6 decision making; strengthening regulatory oversight; increasing efficiency;
7 fostering innovation; and supporting public confidence.

8 Next slide, please. Goals and objectives articulated in this
9 strategic plan are as follows. Really, there are three major areas of goals,
10 each with two objectives underneath them.

11 The first goal is to enhance NRC staff productivity and
12 operational efficiency. And under that are the two objectives, to accelerate
13 AI adoption through a prioritized mission aligned use cases, and to ensure
14 robust infrastructure, high quality data, strong cybersecurity, and a skilled
15 workforce that underpin all AI activities.

16 The second goal area is to empower NRC staff for AI
17 integration. And the objectives under that are to foster a workforce ready to
18 adopt and integrate AI tools that enhance productivity and streamline
19 operations, and to provide training, resources, and support to ensure staff can
20 confidently and responsibly apply AI in daily workflows and decision-making.

21 And the third goal area is to build a sustainable AI
22 ecosystem with specific objectives to ensure robust infrastructure, high quality
23 data, strong cybersecurity, and a skilled workforce that underpin all AI
24 activities, and to establish long term workforce development strategies that

1 align AI skill building with evolving organizational needs and technology
2 trends.

3 Next slide, please. Really, AI can add value to many of the
4 NRC's mission functions, ranging from regulations and guidance, regulatory
5 milestones, oversight, operational experience and support for decisions.
6 And under support for decisions falls Advisory Committee activities, such as
7 activities of the ACMUI.

8 There are numerous examples of AI use cases which can
9 be used. Many of them involving generative AI or its subcategory, large
10 language models, which can ultimately lead to increased productivity.

11 Next slide, please. A particular area of interest is in
12 Medical Events. Medical Events is a standing subcommittee of ACMUI,
13 which meets regularly to review available data on medical events submitted
14 primarily through the Nuclear Material Events Database.

15 These reports are organized and reviewed first by NRC
16 staff, and then the subcommittee spends a substantial amount of time
17 evaluating individual reports to derive as much information as possible on the
18 types of events that are occurring, rates and trends of such events, potential
19 causes, and potential interventions.

20 Even with coordinated effort of medical experts with
21 extensive experience in this area, such as my colleague Dr. Harvey, there are
22 gaps in information that limit the conclusions that can be drawn and the
23 recommendations that can be made by the Subcommittee and NRC Staff.

24 FDA has a lot of experience which draws, brings to bear in

1 this realm, analysis of medical events through AI as an emerging area of
2 research and administrative applications. In our subcommittee's meetings
3 with representatives from the FDA they noted that efforts were underway to
4 use AI to analyze their own datasets. An example of which is the
5 Manufacturer and User Facility Device Experience, or MAUDE, Database for
6 medical device issue reporting.

7 While these efforts are in their early stages and there is
8 much work to be done, the access of the AI tools to the data sources, this
9 represents an area where collaboration between the NRC and FDA could
10 improve efficiency and avoid redundant work.

11 Next slide, please. There is several potential roles of AI to
12 improve the reporting and analysis of medical events. These can include in
13 the area of data entry where AI could be incorporated at the initial reporting
14 step to analyze submissions and trigger requests for additional or more
15 specific information.

16 For filtered reporting, using natural language processing.
17 Automated summaries and analysis of trends in medical events over time can
18 simplify review processes and identify areas of concern, as well as facilitate
19 categorization of events.

20 We heard yesterday about a new categorization system for
21 these medical events. As these systems change, AI could potentially provide
22 great benefit in performing that categorization.

23 AI tools could be used to summarize data that is already in
24 NMED and significantly reduce the time it takes to create the reports. For

1 corrective action plans. Given sufficient data on best practices for corrective
2 actions, AI-generated corrective plans could be created, reviewed, and shared
3 with licensees to improve safety.

4 And finally, for presentation and public review, AI can also
5 simplify the process of organizing the materials for presentation and public
6 review.

7 Next slide, please. So there are numerous lessons to be
8 learned from other organizations. And I'd like to go through five of those
9 organizations. The executive office of the President, the National Institutes
10 of Health, the general services administration, the conference on radiation
11 control program directors, and the International Atomic Energy Agency.

12 Next slide, please. Starting with the executive office of the
13 President. In response to Executive Order 14179, removing barriers to
14 American leadership in artificial intelligence, which in fact led to the recent
15 NRC updated strategic plan regarding artificial intelligence, the Office of the
16 President issued a report in July of 2025 entitled, Winning the Race, AI's --
17 America's AI Action Plan.

18 This summarizes President Trump's approach to AI and is
19 built on three pillars. Innovation, infrastructure, and international diplomacy
20 and security.

21 It calls for the United States to innovate in artificial
22 intelligence more rapidly and comprehensively than our competitors across
23 every field. And it places as a priority the prevention of our advanced
24 technologies from being misused by malicious actors and monitoring for

1 unforeseen risks of AI.

2 Next slide, please. It establishes several recommended
3 policy actions. I selected some here which are more relevant for the medical
4 mission of NRC. Establishing regulatory sandboxes or AI Centers of
5 Excellence.

6 And NRC has already begun such efforts, as I understand,
7 in a collaborative regulatory sandbox project with international partners,
8 including Canada, the U.K., Japan, Korea, and France. This project aims to
9 bring together regulators and industry to work through enablers and
10 disenablers of adopting innovative technology like AI in the nuclear domain.

11 Launching specific -- domain-specific efforts, in areas such
12 as healthcare and energy, led by the National Institutes of Standard and
13 Technology, to convene stakeholders to accelerate development and
14 adoption of national standards for AI systems and
15 measure the increase in productivity from AI.

16 Next slide, please. A series of policy actions in this report
17 focus on accelerating AI adoption in the federal government. These include
18 creating a talent-exchange program designed to allow rapid details of Federal
19 staff to other agencies. This would enable both sharing NRC's expertise in
20 the AI space with other agencies, as well as drawing upon expertise existing
21 in other agencies.

22 These could include, for example, the expertise gained in
23 the development of FDA's MAUDE database, and FDA's recently-introduced
24 Elsa large language model-powered AI tool. Elsa is built within a

1 high-security GovCloud environment and offers a platform for FDA employees
2 to access internal documents and assist with reading, writing, and
3 summarizing, including summarization of adverse events. These activities
4 would be of use potentially for NRC employees, as well.

5 Next slide, please. In the National Institutes of Health, AI
6 has become a standard integrated tool rather than a specific point of research.
7 The NIH Office of Data Science Strategy maintains a website that summarizes
8 their initiatives in the AI front and the overall 2025-2030 strategic plan for data
9 science, and links to a number of
10 programs.

11 These include the Networking and Information Technology
12 Research and Development Program, that's working to develop and apply
13 advanced
14 IT, computing, networking, and software capabilities for the U.S. And the
15 AIM AHEAD program is working to establish coordinated multidisciplinary
16 partnerships to develop AI and machine learning models, beginning
17 with electronic health record data.

18 In addition NIH has a bridge to AI, or bridge to artificial
19 intelligence program designed to propel biomedical research forward by
20 facilitating widespread adoption of AI to address complex biomedical
21 challenges beyond human intuition.

22 Next slide, please. NIH has partnered with the United
23 States Department of Energy, as well. In 2024, they undertook a joint
24 workshop on computational modeling to advance novel medical isotopes for

1 radiotheranostics. And this brought together experts from government,
2 academia and industry and emphasized the role of DOE-NIH collaboration to
3 address U.S. infrastructure and supply for medical isotopes, improve
4 efficiency of regulatory pathways, and investigate how to integrate
5 computational tools into radiopharmaceutical-based therapies.

6 Specific to AI collaborations between DOE and NIH include
7 studying the role of AI-driven modeling, machine learning, and digital twin
8 technologies in optimizing radiation dosimetry, and dynamically personalizing
9 treatments, and reducing time to clinical adoption. The workshop
10 conclusions emphasized the need for continued strategic collaboration and
11 sustained resources to advance next generation theranostics and ensure
12 accessibility of safe and effective therapies.

13 Next slide, please. General Services Administration, or
14 GSA, provides centralized procurement services for the federal government,
15 including technology services.

16 On August 14th of 2025, GSA introduced USAi, found at
17 usai.gov, which includes a generative AI suite, including an application
18 programming interface, integrated platform providing government users with
19 access to multiple large language models. Anthropic's Claude, OpenAI's
20 ChatGPT, Meta's Llama, and Google's Gemini. And this includes powerful
21 tools for government users including chat-based AI, code generation and
22 document summarization.

23 Next slide, please. USAi operates in the Federal Risk and
24 Authorization Management Program, FedRAMP, authorized environments to

1 leverage some of best AI technology from these multiple vendors while
2 ensuring information safety.

3 They offer a 6-month free trial through June of 2026 to help
4 federal agencies adopt AI capabilities and improve mission delivery. And this
5 includes \$25,000 in token consumption per agency.

6 Consideration of USAi would enable NRC to go beyond
7 current use of Microsoft Copilot to utilize the best features of AI products from
8 Anthropic, OpenAI, Meta, and Google.

9 Next slide, please. The CRCPD, or Conference of
10 Radiation Control Program Directors, is a non-governmental 501(c)(3)
11 professional organization. Its primary membership is radiation professionals
12 in state and local government that regulate the use of radiation sources.

13 CRCPD has established a working group called G-76, which
14 is dedicated to exploring use of AI in radiation protection and has been
15 conducting extensive research over the past year, collecting content from
16 service providers on the use of AI in the medical field. This research is
17 informing their assessment of the benefits and risks of using AI in radiation
18 protection.

19 Next slide, please. The IAEA is also interested in this
20 space. Our International Atomic Energy Agency.

21 In 2021, IAEA hosted a Technical Meeting on Artificial
22 Intelligence for Nuclear Technology and Application with the aim to ascertain
23 the current situation and identify priorities for future activities and how IAEA
24 can support their implementation. This discussed broad topics on human

1 health, as well as other areas in different nuclear domains, such nuclear power
2 and future, and nuclear safety and safeguard verification.

3 And it emphasized following the FAIR, findable, accessible,
4 interoperable, and reusable, principles and open science best practices for
5 data sharing, management, and analysis. A major emphasis was also
6 placed on the ethics of nuclear and AI technologies.

7 Next slide, please. In the human health arena, the
8 workshop acknowledged that AI tools are not widely used in radiotherapy and
9 medical physics with challenges remaining in the clinical implementation of
10 the AI-based tools and in technical, ethical, and legal domains. Similar
11 opinions were expressed for the domain of medical imaging and nuclear
12 medicine, but I point out that matters have changed considerably there since
13 2021.

14 In conclusion, IAEA is engaged in discussions on how to
15 employ safe, effective, and ethically proper AI-based tools in all aspect of its
16 mission driven activities, including those relevant to human health. IAEA and
17 NRC share numerous priorities related to AI and the medical uses of isotopes,
18 and partnerships addressing these commonalities could benefit both
19 organizations.

20 Next slide, please. This background, which we have
21 developed over the past year, I'd like to present to you six recommendations
22 from our subcommittee in order of priority.

23 Our first recommendation is that NRC shares numerous
24 priorities related to AI and the medical use of isotopes with other federal

1 agencies and international organizations. Additional partnerships
2 addressing these commonalities could benefit NRC.

3 Participating in the recently-proposed talent exchange
4 program in American's AI Action Plan will enable both sharing NRC's expertise
5 in the AI space with other agencies, as well as drawing expertise existing in
6 other agencies. For example, the expertise gained in the development of
7 FDA's MAUDE
8 database.

9 Consideration -- a second recommendation is the
10 consideration of the U.S. GSA's USAi platform would enable NRC to go
11 beyond our current use of Microsoft Copilot to utilize the best features of AI
12 products from Anthropic, OpenAI, Meta, and Google, as well.

13 Recommendation 3, the quality and quantity of data used
14 for AI applications is critical. NRC has in the past faced challenges with
15 legacy data. Priority should be placed on having AI solutions that can utilize
16 legacy data collected by the NRC in any form for effective future AI use and
17 moving to an ingestion pipeline that ensures data are in a usable format and
18 of high quality. This is in line with AI -- America's AI Action Plan, which
19 recommends establishing minimum data quality standards in AI model
20 training.

21 Next slide, please. Fourth recommendation. The
22 subcommittee sees an immediate opportunity for enhancing the medical event
23 database to take advantage of AI resources, as we detailed earlier. The
24 current medical events database is a PDF file, and putting it into a more

1 searchable format is recommended.

2 A fifth recommendation. While there is no
3 currently-identified need for AI in the medical isotopes space within NRC, this
4 should be further explored. In line with America's AI Action Plan, we need to
5 innovate faster and more comprehensively than our counterparts elsewhere.
6 For example, NRC is not currently using AI for dosimetry models, but AI has
7 potential such use.

8 In Recommendation 6, NRC should aim to participate in
9 national healthcare-specific efforts convening stakeholders to accelerate the
10 development and adoption of national standards for AI systems and to
11 measure the increase in productivity from AI.

12 Next slide, please. These are the acronyms which we've
13 used in this presentation. Thank you very much.

14 CHAIRMAN NIEH: That's a lot of acronyms. Okay, thank
15 you very much, Dr. Einstein. Next -- finally we'll hear from Mr. Josh Mailman
16 who is the Committee's patient's rights advocate. Please.

17 MR. MAILMAN: It's how it's confusing to patient providers
18 and manufacturers. And I actually hit on some of the points that Dr. Jadvar
19 talked about earlier today, and the rise of nuclear medicine therapy in the
20 United States.

21 So this is the agenda. Perspectives on the rights of
22 patients receiving radioligand therapy, or RLT, and the number of sites offering
23 them in the United States.

24 First and foremost, I want to thank the Commissioners for

1 their time today in listening to this. And thank you for the well wishes when I
2 wasn't able to attend last year. I also want to thank my Committee members
3 who have really taken care of me over the last eight or ten months as I have
4 recovered from surgery. And I, lastly, want to thank the NRC Staff who has
5 kept me up to date. They've done tremendous job of making sure I did not
6 fall behind. So thank you to all of those.

7 So, disclosures. Next slide, please. The views and the
8 contents that I am presenting on this slide deck, and the Q&A that may occur
9 afterwards, are my own opinions as a patient right advocate relating to my
10 own experience in those, with conversations with patients. They do not
11 represent the views of the ACMUI. I just want to make sure we're clear on
12 that.

13 You know, when I was first treated with radioligand therapy
14 was in 2009. We've had our first approval in the United States of Lu 177
15 dotatate, which brand name is Lutathera 2018 where we had slightly, a
16 hundred sites that were able to offer this type of advance therapy.

17 When we take a look at what happened after the release of
18 Pluvicto or the Lu 177 PSMA product in 2002, that was at 600 sites. And
19 now at this moment in time, 90 percent of all men are able to get Pluvicto
20 within 30 minutes where they live. So we're at 900 sites and rising. And
21 there is some references to that. So that can be looked up, as well.

22 So we're seeing a rapid expansion of where these, where
23 these therapies, these new advance radioligand therapies, can be offered.

24 The instructions, the patient release instructions, which of

1 course have been the subject of several drafts that have come through, and
2 we know we're waiting for the next draft to come through for public comment,
3 but they're very close to the COVID safety rules. Sleep in separate
4 bedrooms, use different bathrooms, stay three feet apart.

5 The challenges are, not all can do this. And some
6 modifications need to be made, and are being made by centers that have
7 worked in this area of therapy for a long period of time. However, with this
8 new rapid expansion I'm hearing from patients, or patient leaders of different
9 support organizations, that they are having patients that are being turned away
10 because they're not able to adhere to what might be those three different
11 areas.

12 And I wanted to, since we have the COVID data that was
13 available, if I go to the next slide, please. This is, and I think you can read
14 this, but this really affects people in the lower income scales.

15 The percentage of places that, or the percentages of
16 households that cannot adhere to that during COVID were predominately the
17 lower income classes. And you can see how that changes as their
18 percentage of federal property level decreases.

19 So this is a study that was done by the Department of
20 Housing and Urban Development in 2019 to take a look at those who could
21 adhere to having a separate bedroom and bathroom during COVID for
22 isolation, which is much like some of the patient release criteria.

23 Next slide, please. And I will say, you know, as a patient
24 we get confused about these things. And even as a manufacturer or

1 producer of these items Pluvicto, Lutathera, and what's known as the RLT
2 Institute, these are all Novartis' sites.

3 These are all discussing the same radioisotope and yet
4 they're, whether you have two days of no contact or three days of no contact
5 or three days somewhat of whether it's contact or limited contact, it's the same
6 isotope. And yet the same manufacturer can list it three different ways.

7 And if that's where confusion starts, or if we're already
8 confused there as it gets out into the marketplace into the providers and into
9 providers who may not have as much experience as the research centers or
10 centers that have been doing these therapies for years, it only leads to greater
11 confusion. And I promise to keep my time short. And to also reduce the
12 number of acronyms.

13 So next slide, please. That's my acronym slide. So I'm
14 going to save you a lot of time in reading acronyms. And with that, I will turn
15 it back to Chair Nieh for closing. Thank you so much.

16 CHAIRMAN NIEH: Thank you, Mr. Mailman, you win the
17 prize for the fewest number of acronyms. And appreciate all the thoughtful
18 and comprehensive presentations from all the members here before the
19 Commission today.

20 As you all know we rotate questions from the Commission,
21 so today I get to start first. And then the questions will be followed by
22 Commissioners Wright, Commissioners Crowell, then Commissioner Marzano
23 and then Commissioner Weaver.

24 Starts? Okay, I'll start first. Again, thank you for the

1 presentations. And as you all are well aware, the NRC is at a pivotal moment
2 in its history with the degree of regulatory reforms that we are making.

3 You know, we've always been a risk-informed performance-
4 based regulator, and we're moving even further in that direction. As well as,
5 with the enabling component that you mentioned from your subcommittee's
6 review of the NRC's new mission statement.

7 And the way we're viewing enabling is that in the regulatory
8 context enabling is aligning our regulations with actual risks. It's adapting to
9 new technologies. And it's adding flexibility where safety is maintained.

10 In your presentations you had mentioned that there is some
11 ongoing rulemaking activities that I believe will address some of the things that
12 are important to the Committee, as well as the -- your community and patients
13 receiving treatment. So I do appreciate the feedback that you provided on
14 our implementation of the ADVANCE Act.

15 And I want to get into a couple areas here. First, to Dr.
16 Jadvar. With Part 35, in recognition that there are some ongoing rulemaking
17 activities, two-part question. What would our -- what would be the biggest
18 benefit in terms of improving the efficiencies and flexibility in part 35? That's
19 the first part.

20 And then the second part. What are the new technologies
21 that we need to be thinking about looking further ahead? I know there is
22 things with alpha and beta emitters now and other treatment mechanisms, but
23 what are some of the other technologies that we need to be thinking about?

24 DR. JADVAR: Thank you for your question. So as you

1 rightly mentioned, there is the alpha emitters. That -- we have only one agent
2 at the moment that is approved. That's radium-223 dichloride for patients for
3 bone dominant metastatic prostate cancer. However, there are numerous) -
4 -

5 I'm sorry, I'm repeating myself. Hello? There are
6 numerous alpha emitter agents, both in prostate cancer and other cancers
7 that are being explored within this country and other countries. And I do
8 expect that these alpha emitters will be approved.

9 And one of the efficiencies within that Part 35, that I think
10 was mentioned earlier within our subcommittee that was discussed yesterday,
11 was that the alpha emitters regulation precautions is appropriate to be under
12 the Part 35 300. And the radiation precautions are not separate or different
13 from others that we already have, like beta emitters.

14 If -- alpha emitters are actually very high energetic and they
15 really stop, you know, even with small paper. They don't get out of your body
16 essentially. And all that there is, is they may have gamma rays associated
17 with the decay as they decay. And that's the gamma rays that would perhaps
18 expose others, but not the alpha emitters themselves.

19 So that's one thing that is emerging. And it's important to
20 be included. And I think already the NRC medical team is on top of that.
21 And I mentioned that we had the subcommittee on that. And we advised, the
22 ACMUI advised the NRC on that topic.

23 And the others parts of the efficiencies, not only for that Part
24 35, but also other activities of the NRC, especially the medical aspect, is

1 already very well summarized on our subcommittee on ADVANCE Act, which
2 you heard today from Dr. Harvey. And I think if those are all the
3 recommendations that we made to the NRC medical team, if some of those,
4 or all of those, are implemented that would also increase efficiency and safety,
5 I hope, in that realm. And in alignment with the ADVANCE Act.

6 CHAIRMAN NIEH: Okay, thank you, Dr. Jadvar. Next
7 question I'd like to turn to Dr. Harvey. License renewals.

8 As I understand it, our framework for license renewals is
9 really done through regulatory guidance. There is no existing regulatory
10 requirement or any statutory requirement for a specific license time period.

11 So I'd like to understand what would be the safety impact of
12 not having a licensed time period at all?

13 DR. HARVEY: Yes, thank you for the question. The -- I
14 think that there is a license renewal frequency. I think it's about every 15
15 years if I'm not mistaken. So it does happen on a certain basis.

16 But often times some of the amendments or tie downs that
17 occur are relatively minor in scope and nature. And they don't have a
18 significant impact on safety. So renewing those licenses at a more frequent
19 frequency, you know, at a greater frequency, just increases extra work for the
20 licensee, for the NRC or the other state organizations.

21 Rather than take the approach of not renewing at all,
22 because what happens is with these amendments as they accrue over time,
23 it becomes more cumbersome and difficult to manage the license and inspect
24 it for the NRC. The NRC comes and can look at the licensed document itself.

1 And the renewed licenses is there in its form at that time
2 when it was renewed. But then there are subsequent amendments and
3 different paperwork that have to be examined and looked at. And there is a
4 deeper dive and more time and effort that's needed for the inspectors when
5 they come out.

6 So we try to find a balance with the 25 tie downs or
7 amendments where we wouldn't create something that was too unwieldy, but
8 also reduce the frequency so that there was a benefit derived from regards to
9 effectiveness and timeliness and efficiency. I hope I answered your question
10 appropriately.

11 CHAIRMAN NIEH: Certainly great information, but I really
12 want to explore this further. And keep in mind, you know, the framework that
13 I've largely seen the world through is licensing of reactors. Which does have
14 a statutory time frame for the duration of a license here.

15 So as I understood what you've said, you get a license for a
16 particular technology, you can amend it through some regulatory review
17 process, right, and you stack up a series of amendments. And there is
18 always an ongoing inspection activity.

19 So I'm really trying to understand why we even have an end
20 date if we have ongoing inspection and regulatory approvals through, you
21 know, amendments to how you use the technology due to, you know, changes
22 and innovations and how the treatments are performed. So what benefit are
23 we really getting at by having a fixed end date?

24 Which I understand is actually in the Staff's guidance not

1 necessarily in the regulations themselves. So why even have an end date is
2 my question?

3 DR. HARVEY: Yes. So I probably didn't answer that
4 appropriately enough. And so have -- rather than having one document that
5 you can go to and look at all of the parameters that define the license, right,
6 when you do an amendment you have subsequent documentation on top of
7 that.

8 There might be multiple documents, or at least one
9 document for each amendment. And now you're building up a volume of
10 paperwork that support that licensed document. And those tie downs or
11 amendments need to be referred to, either by the licensee or by the inspector.
12 Or if we have to share our licenses with other manufacturers or things, other
13 places to get certain things to say we're able to get this new radionuclide that
14 we just added through an amendment or a license, if we never renew that
15 license that process becomes much more cumbersome. At least in my
16 opinion.

17 So trying to find, again, that benefit to where we save some
18 efficiency and we improve what we're doing rather than going too, too long
19 and making it a more cumbersome process.

20 CHAIRMAN NIEH: Okay, thank you.

21 DR. HARVEY: Thank you.

22 CHAIRMAN NIEH: I'm running out of time quickly, so I
23 want to ask a question about artificial intelligence. You gave six
24 recommendations, and the two that stuck out to me was, one, that there was

1 no real need identified right now. It seems like we could have significant
2 benefit in applying AI in the NMED database.

3 What does it take to start doing that? Is that a Staff action
4 or is that something the ACMUI can initiate or, how do we start using this
5 technology to better analyze the events for their content in the database?

6 DR. EINSTEIN: I think operationally it would be something
7 that NRC Staff would do. Do we have appropriate staff, I know we've spoken
8 yesterday, who can perhaps address that.

9 PARTICIPANT: Yes. We'd have to work at the Staff level
10 for that. Our NMED database is an outside database. I see OCIO.

11 MS. SALL: Yeah.

12 PARTICIPANT: Yeah.

13 MS. SALL: Hi, Basia Sall from OCIO. Yeah, we would be
14 able to use some of our new internal tools to apply to that dataset as long as
15 it's curated in the right way. So we have a tool called Simplify. Which is
16 Azure OpenAI that can use internal data to gather that same information.

17 CHAIRMAN NIEH: Okay. Thank you. And I'm out of
18 time. And I just do want to say thank you, Mr. Mailman, for your perspectives
19 from the patient's rights point of view. And I will share that it's -- the topic of
20 making things less confusing and, you know, better for the patients so they
21 receive appropriate care is something that the staff is treating with priority as
22 it's looking at its regulations in this area.

23 Commissioner Wright?

24 COMMISSIONER WRIGHT: Thank you. Thank you,

1 Chairman. And thank you for your presentations. I enjoy this meeting. It
2 brings a -- there is a lot of flavor here and a lot of things that I'm personally
3 interested in myself just from my own background.

4 And, Mr. Mailman, you have been in my thoughts for the last
5 year. It's good to see you here in person and moving around. It was an
6 honor to meet your son and his friend this morning, as well. And I appreciate
7 your recognition of the Staff keeping you up to speed because, you know
8 behind a meeting like this takes a lot of work to prepare. Not just from the
9 Staff of the NRC, but from my team, as well. And I appreciate them for having
10 me as prepared as they can have me. Given I'm a Clemson man, right?

11 So with that, I would like to, I'm going to start with Dr. Jadvar.
12 You know, ACMUI has highlighted the potential value of enabling relevant
13 professional societies to develop curricula for initial training of authorized
14 users.

15 And at the NRC we're exploring mechanisms to evaluate
16 and potentially incorporate these curricula in the licensing process. So in
17 your opinion, Dr. Jadvar, what are the relevant professional societies and
18 maybe what specific strategies or criteria does ACMUI recommend the NRC
19 consider?

20 And how might, especially for safety and competency, so --
21 and how might these, this approach improve consistency or licensing
22 efficiency?

23 DR. JADVAR: Thank you, Commissioner Wright. And
24 again, it is wonderful to see you. And I remember our conversation before

1 that was published recently.

2 Yes, so there are many professional societies that are
3 already working in business space trying to come up with educational tools,
4 both to support the initial training that is needed for somebody to become AU
5 and eventually to treat patients, and also ongoing continuing education for
6 these individuals.

7 And they -- and many of these professional societies work
8 closely with the certification boards, such as the ABR, ABNM, and others. I
9 mean, there are many of them, Society of Nuclear Medicine and Molecular
10 Imaging, or SNMMI, is clearly focused on this.

11 The Radiological Society of North America, RSNA, another
12 very big conference that provides many of these educational tools. ASTRO,
13 which is the American Society of Radiation Oncology, also is much involved
14 in this. And many others. ACR and, I mean, I don't want to leave anybody
15 out, but there are many, many of these that are already active in this area.

16 Many of them work together. There are collaborations
17 between different societies. I know that SNMMI and ASTRO are now
18 working collaboratively with regard to the very fast growing and evolving
19 diagnostics to make sure that the folks, or AUs, that are there know what it
20 takes to become a AU and be competent in delivering these type of therapies
21 in the communities, academic centers, or other centers.

22 As Josh mentioned earlier, these centers are growing
23 rapidly. And the providers that are in those centers should be trained
24 adequately. And it would be very important that these type of educations are

1 provided to them. Not only in the major meetings that these societies have,
2 but also at the local level and online. Many of these are already in the works
3 and available for initial education and continuing education.

4 COMMISSIONER WRIGHT: And thank you for your
5 response and for you naming as many as you did because that's kind of the
6 point that I was trying to get to. If there is so many of these, you know, how
7 do we settle on a curricula that covers the expanse of this?

8 Are you looking at -- are we looking at authorized user
9 certification by certain groups of these people, these different societies
10 because of, I don't know, their expertise or the expertise that that authorized
11 user might have?

12 I'm trying to understand a little bit, especially because then
13 you've got the continuing education piece of this. And how is that going to
14 be developed?

15 I mean, I know there is benefits and probably, you know, as
16 well as challenges in setting up a program like that, but I'm trying to figure out
17 what is going to be the roll of the ACMUI and the Commission and facilitate
18 that dialogue with these different organizations out there. You know, kind of,
19 how do you see that happening?

20 DR. JADVAR: Well, the T&E subcommittee, which is still
21 in the works and fluid, but we have mentioned many of these societies. And
22 as I already alluded to, these societies are, the members of the societies are
23 a different type of positions and with different focuses.

24 And all of them I think are very important to work together.

1 The curriculum is not very different. It's basically the same type of material
2 you need to know, for example, to deliver competent care for a patient with
3 prostate cancer. You know, let's say Pluvicto.

4 So that curriculum and how to do that is, the material itself
5 is the same. But the way that it gets distributed in the community, depending
6 upon where they're working or what type of physicians they are, for example,
7 if they're a nuclear medicine physician or a diagnostic radiologist or a radiation
8 oncologist.

9 So they all basically go to the same pool of information and
10 data that they need. And they -- that is already recognized. That's why
11 these societies are working together.

12 And in fact, many of these societies when they have the
13 teachers to teach or educate their audience they draw from nuclear medicine,
14 they draw from radiation oncology, they draw from, you know, medical
15 oncology even. Some ancillary fields that are not directly working with
16 patients, you know, treating patients with these types of things, but we also
17 bring in medical oncology, urology.

18 So it's certainly a multidisciplinary field. And I think it is
19 necessary that all the societies that are relevant be involved.

20 COMMISSIONER WRIGHT: Okay, thank you so much.
21 And thank you for asking me to participate in the interview with you, that was
22 a lot of fun.

23 DR. JADVAR: Okay.

24 COMMISSIONER WRIGHT: Thank you.

1 DR. JADVAR: Thank you. Thank you.

2 COMMISSIONER WRIGHT: Dr. Harvey, welcome. You
3 know, your subcommittee recommended that radionuclide possession limits
4 be based on what a licensee can safely and effectively manage rather than on
5 current -- in order to, I guess reduce the frequency of amendment requests.

6 So my question to you is, based on your expertise can you
7 tell me a little bit more about operational or safety considerations that the NRC
8 should prioritize when we are evaluating license requests for increased
9 possession limits?

10 DR. HARVEY: So you typically have, if we're talking about
11 just change in possession, you already have these radionuclides and those
12 radiopharmaceuticals and certain amounts already on your license. So you
13 have the proper safety precautions in place for those.

14 So rather than worry about adding a few extra millicuries
15 here or there, the safety and the operational procedures that you have in place
16 for safety are already there. So they're -- if you -- as long as you have the
17 ability to use those things safely, you have the right equipment in place, the
18 right amount of shielding, right amount of equipment for doing surveys, wipe
19 testing, things like that to look for contamination and exposure, radiation
20 dosimetry for staff, if you are already protecting your patients and your staff
21 modifying your possession limits by, you know, minor amounts really doesn't
22 change or have any impact on your safety.

23 Did I answer your question okay?

24 COMMISSIONER WRIGHT: Yeah. And -- we got about

1 20 seconds left. They're only getting more advanced, which means they're
2 getting more, I don't know, the strength of them is improving but it's also more
3 targeted and focused, right? We're prepared for handling all of that, as well?

4 DR. HARVEY: I would say that we are. Now, if you're
5 going to -- if you've only had beta gamma emitting radionuclides and now
6 you're going to add alpha, then you're going to amend your license so that you
7 can add that.

8 So we were, you know, kind of just focused on the
9 possession aspect of it. But we do need to be prepared, as you said, for the
10 new therapies that are going on. So for example, we're bringing on alpha
11 emitting radionuclides, but we're bringing it on in such a way that then if we
12 want to add a few more where the safety and efficacy and those kinds of things
13 are not changing, we'll be able to do those without additional amendments in
14 our state organization.

15 Just citing my own example as that. So I'm trying to be
16 respectful of the time.

17 COMMISSIONER WRIGHT: Thank you so much.

18 DR. HARVEY: Thank you. It's an honor.

19 COMMISSIONER CROWELL: Thank you, Mr. Chair.
20 And thank you to all of our presenters today.

21 Before I jump into questions I just wanted to recognize and
22 congratulate Chairman Nieh, Commissioner Weaver and our new general
23 Counsel, Matt Pociask, on their first public open commission meeting. It
24 feels like -- it's good to be back in this room again, it's been a little while. So

1 thank you.

2 Mr. Mailman, I'm going to start with you and then I'm going
3 to probably move to AI for the balance of my questions. But it's good to see
4 you again. I'm glad you're here today.

5 I will note, humorously for the record, that the patient release
6 protocols that are similar to COVID are also similar to my wife's rules for me
7 on a daily basis in our house. That being said, you note that you're hearing
8 from patients, hearing from advocates that patients are being turned away
9 from treatment if they don't have separate rooms or bathrooms. What's the
10 primary driver of that disconnect, is it that insurance companies won't cover
11 the cost of an extended hospital stay that -- to mitigate the patient release
12 challenges?

13 MR. MAILMAN: So it would be hard for me to actually
14 ascertain whether it's the insurance companies turning it away. It may be
15 some people who are unfamiliar with, you know, how to mitigate these issues,
16 whether it's treat a patient and try to get a hotel voucher as opposed to that
17 they need hospitalization for the entire time. But just their own unfamiliarity
18 with how to proceed.

19 So I'm not sure. I don't believe this is an insurance
20 problem. I believe it's a knowledge gap problem. Which, I believe that
21 those who produce the product might be able to help solve. But, yeah, I don't
22 think it's an insurance problem.

23 COMMISSIONER CROWELL: So if the knowledge gap is
24 addressed, what are some of the practical solutions that would be employed?

1 Is it through the drug manufacturers, through the hospital or wherever the
2 treatment facility is, like what is the obvious way that you could do this?

3 MR. MAILMAN: I think it's multifactorial. I do think that
4 you're going to have to have all of these people work together. Whether it's
5 the drug manufacturers making sure that they let the facility know that there is
6 some type of program.

7 I know that we've had discussions with a lot of hospital
8 systems that do understand that -- how to take care of this. And I just think
9 it will require, you know, more knowledge and more training as opposed to a
10 change in what we're doing, but that we make these programs more available
11 and accessible to patients.

12 COMMISSIONER CROWELL: So would -- I don't know if
13 all radiotherapies and diagnostic tools are necessarily equal in this regard, but
14 would, you know, for patients who don't have, can't follow the COVID derived
15 guidelines, would 24 hours in a hotel or hospital help mitigate that or is it all
16 over the board, is it longer? I mean, is it --

17 MR. MAILMAN: So I would leave that up to the, either the
18 physicist or the committee that's working on that to say what that type of
19 requirement is. Whether --

20 COMMISSIONER CROWELL: But my point is, if it's short-
21 term it's probably more manageable than if it's like a week on average. So I
22 don't know if -- who wants to address that with the fancy letters after their
23 names.

24 MR. MAILMAN: A day or two.

1 COMMISSIONER CROWELL: Harvey?

2 DR. JADVAR: It's usually two or three days.

3 COMMISSIONER CROWELL: Thank you. Do you
4 agree, Dr. Harvey?

5 DR. HARVEY: Yeah. I mean, most of the time frame is
6 relatively short where there is more radioactivity being shed. I, you know, for
7 example, at places like, Dr. Jadvar, USC or Roswell Park Comprehensive
8 Cancer where I work, we're used to dealing with these patients.

9 And so if -- typically it's an outpatient treatment, as you cite,
10 if we need to bring them in-house and treat them as an inpatient, even though
11 we're not going to be reimbursed the same amount, we will do that. We'll
12 make sure that somebody from a group home or someone that can't adhere
13 to these requirements are treated. We want to make sure that everyone gets
14 treatment. So, you know, whether it's dialysis or something, whatever we
15 have to deal with we will deal that on an inpatient basis.

16 The great thing about what Mr. Mailman talked about is the
17 expansion. How many more places are able to do this and bring this care,
18 which is a great thing.

19 Probably what would need to happen is if they can't -- if
20 they're only doing outpatient treatments, if they're -- you know, they should
21 refer them to a hospital or a center that can accommodate that. So I --
22 hopefully, I answered your question.

23 COMMISSIONER CROWELL: Yes, you did. And it, you
24 raised some other dynamics that have to be factored in here in making these

1 decisions.

2 Now that I've used half my time on that question I'll move to
3 AI for a hot second here with Dr. Einstein. You mentioned, you know, some
4 of the recommendations from the subcommittee on uses of AI.

5 One question I have is, it's hard to tell from the slides, but is
6 -- are we playing catchup with IAEAs application and use of AI or are we
7 keeping pace or leading the charge with respect to IAEA and AI initiatives?

8 DR. EINSTEIN: It's a good question. For technical
9 reasons we couldn't formally speak to IAEA about this so we just used publicly
10 available and emailed information from IAEA. We reached out to them for a
11 meeting but it would have had to go through approval processes that didn't
12 work with the timeline.

13 I think they're -- you know, the landscape is a little bit
14 different for the two organizations, but I would say that they're, neither NRC
15 nor IAEA is significantly ahead of the other one. And I think both have a fair
16 amount of work which can be done in this space. So I don't think we're
17 behind international norms, but I don't think we're the trailblazers yet, either.

18 COMMISSIONER CROWELL: Okay, understood. You
19 talked a bit about partnerships within government looking at IAEA uses and
20 sharing tools and learning. Is the NRC currently, I guess -- I'm assuming the
21 NRC doesn't currently have any partnerships in that regard. Do you know if
22 the NRC is pursuing such partnerships similar to like DOE and NIH?

23 DR. EINSTEIN: My understanding is that -- well we have
24 Dr. O'Hara.

1 DR. O'HARA: We currently have an MOU with GSA on
2 their USAi tool. So we are partnering with them. And we are part of the
3 chief AI officer council. And we meet monthly with all agencies to discuss
4 and share our best practices, as well.

5 DR. EINSTEIN: Did we participate -- sorry, don't sit down
6 yet, did we participate in the GSA's six months free trial?

7 DR. O'HARA: So they came into a budget situation and
8 they had to pause all, adding on any other additional agencies. They now
9 have changed that model. That model is no longer providing those additional
10 funds.

11 DR. EINSTEIN: Okay.

12 DR. O'HARA: Yeah.

13 DR. EINSTEIN: But, I think we haven't detailed any staff
14 to FDA, for example, like we could have someone go there to learn MAUDE,
15 for example, we haven't done that yet.

16 DR. O'HARA: Correct. But we do do a sharing of those
17 tools. Yes.

18 COMMISSIONER CROWELL: Okay. With this little bit of
19 time remaining here, Dr. Einstein, could you just take an opportunity to tell me
20 what, you talked about the opportunities with respect to AI, what are your --
21 do you have any concerns that we need to be aware of as we look to leverage
22 AI within the realm of NRC's jurisdiction? Anything that keeps you up at night
23 or things that you want to flag for the Commission to be aware of?

24 DR. EINSTEIN: Nothing that keeps me up at night, but

1 certainly concerns. I think whenever we use AI it has to be done cautiously
2 and safely. There is a phenomena of hallucination in AI where it can spit
3 back the wrong information for use. I think, when the stakes are high, one
4 has to be really careful in terms of checking. Like, AI can generate
5 documents for you, which is great. It can save time. But you probably want
6 a human being checking those documents, at the present time. And AI can
7 come up with stuff which is completely incorrect in rare cases, as well. And
8 malicious actors can try to do that.

9 I'll give you an illustration. Yesterday, there was a news
10 report in Nature, which is one of the two leading scientific journals in the world.
11 Nature is the European one; Science is the U.S. one. And there is a report,
12 I think on April 7th, about a disease called bixonimania, which is not a real
13 disease. But an academic investigator wanted to see how you can fool AI.
14 And this was ChatGPT and Gemini.

15 And they basically published a fake paper, but it was
16 formatted like a real paper. And because it's formatted right, it's given more
17 credibility by these AI models, introducing this disease. And they put flags in
18 the paper that you would have -- like, if a person read it, you would know that
19 it's fake. In fact, they even mentioned -- I think they called it a fictitious
20 disease in there. But they wanted to see what AI would do with it.

21 And by the middle of April, like, if you did a query in Google's
22 Gemini or Open AI's ChatGPT asking about a certain constellation of
23 symptoms, you'd be given information about bixonimania. And in fact,
24 people cited this fake paper about it in other papers about it. So, like, it

1 spiraled on itself.

2 It's a good illustration of what can happen. So you could
3 have a malicious actor, for example, submitting a piece of documentation to
4 IAEA with certain pieces of information in it, which found its way here, or
5 submitting data directly to NRC with malicious information into it.

6 So you got to be very careful about the data going in. And
7 part of America's AI Action Plan is to ensure minimum standards of data
8 quality. So you have to be very careful that people aren't playing with you by
9 submitting data, either from partnerships outside or from data directly
10 submitted to NRC, that can lead to a corruption of processes.

11 COMMISSIONER CROWELL: Interesting.

12 DR. EINSTEIN: So these are the kind of things which I
13 think one has to be concerned about. At the same time, it shouldn't stop us
14 from using AI, because we'll fall behind if we don't. So it's tempered by
15 caution for security while still going full steam ahead.

16 COMMISSIONER CROWELL: Thank you. Those are
17 helpful cautions to be aware of.

18 And, Josh, I'd go to you, but I'm well over my time. So
19 thank you. Appreciate it. Yep.

20 COMMISSIONER MARZANO: Thank you, Mr. Chairman.
21 Good morning, everyone. And I'll echo my colleagues' joy at being back at
22 this table to discuss the issues of the day for the NRC.

23 And so I'd like to begin by thanking the panel for your
24 presentations today. And then extending that thanks to each member of the

1 ACMUI for the valuable work that you do for the NRC. Your ongoing
2 engagement with our staff helps ensure that our regulatory decisions maintain
3 a strong focus on patient safety, respond appropriately to the expansion of
4 radiopharmaceutical therapies, and support, not hinder, patient access to
5 care.

6 As we embark on our wholesale review and revision under
7 Executive Order 14300, we need your experience and expertise now more
8 than ever. You know, I encourage ACMUI members, our broader
9 stakeholder community, and members of the public who are listening today to
10 be on the lookout for upcoming proposed rules that the NRC will be publishing
11 in response to the EO.

12 I'll note that these proposed rules have not benefited from
13 the normal practice of conducting early stakeholder engagement, one of the
14 most valuable steps in our rulemaking process. And for this reason
15 stakeholder participation during the public comment period on these
16 significant rulemakings will prove invaluable. We need your input and
17 feedback to develop final rules that are durable, technically sound, and
18 responsive to the needs and reality to the medical community and the public
19 we serve.

20 So I'll close and move to my questions by thanking you all
21 again for your ongoing commitment, partnership, and the care that you bring
22 to work. Again, your engagement truly strengthens our regulatory framework
23 and, most importantly, supports the patients who benefit from the medical use
24 of radioactive materials.

1 So I'll start with your, Mr. Mailman, and say that I'm really
2 glad that your presentation highlighted how a lack of clarity in regulation can
3 lead to actual consequences in terms of the administration of care. It is
4 extremely important, as part of the exercise that we're undergoing with our
5 rulemaking processes right now, is to improve that clarity. And so thank you
6 for bringing that data and showing the practical effects of what it can mean to
7 be more clear in our regulatory approach.

8 So, you know, I know we've already kind of talked about and
9 laid out some of the concerns about patient release for this particular type of
10 therapy, but, you know, we have a little bit limited time. I was just wanting to
11 give you an opportunity to express any additional concerns that you would like
12 to raise at this table today.

13 MR. MAILMAN: I don't necessarily have additional
14 concerns, but I wanted to thank you for bringing up the public comment period.
15 And I know that, certainly, when the next draft of the patient release criteria
16 comes out, I also encourage patients to read through it as well, not only
17 providers and not only medical society, so that they see this clarity or they can
18 understand what's going on.

19 A lot has changed since the first -- or since the last release
20 of this document officially. And, you know, patients share stories now a lot
21 more easily than they did ten years ago. So the clearer we make both our
22 examples -- and I know one of the areas is to make clear examples so that
23 both those who provide care and those who receive care can understand
24 them. And I want to make sure that those comments come in because I

1 know, myself and all my fellow Committee members, we read all of them.

2 So I'll turn back to you.

3 COMMISSIONER MARZANO: Well, thank you for that.

4 Okay. I'd like to turn now to Dr. Jadvar. In the briefing material they mention
5 a couple of information notices that have been released recently. You know,
6 I think about our abnormal occurrence reports, and medical events make up
7 the majority, if not all, year-over-year that I've seen in terms of abnormal
8 occurrences as we define them.

9 These information notices address two particular topics that
10 can help either clinicians avoid errors in the -- general errors in the operating
11 room or the clinic, but then also specific to yttrium-90 microsphere
12 administration. So I understand that some of the issues are necessarily
13 outside of the NRC's purview and regulatory authority and are more issues of
14 medical practice. But these information notices surely do have some value.

15 How do we, in general, measure the success of our
16 communication strategy through these information notices? And how do we
17 see, you know, measures other than abnormal occurrences or medical events
18 to determine whether or not these tools have been effective?

19 DR. JADVAR: Thank you for that question. In fact, we
20 had, yesterday, a subcommittee report by Dr. Harvey, who chairs the
21 Subcommittee on Medical Events. As you know, this is an ongoing
22 assessment of the medical events year-after-year. And as you rightly
23 noticed, by far the Y-90 radioembolization was the dominant medical event
24 that we saw over the years.

1 And there are many root causes for that that was
2 enumerated by Dr. Harvey in his presentation yesterday to their subcommittee
3 report. And some of it, you know, are usual -- are things that, you know, that
4 can be taken care of by timeout procedures and paying attention and, of
5 course, competent care and education and all that. But some of them are
6 technical and I guess it's part of the medical practice and the things that may
7 happen.

8 So it is quite possible that some of these medical events,
9 especially in that arena, cannot go to zero. But there are things, certainly,
10 that we can drive from, looking at the trends and seeing what are the major
11 issues that we can address.

12 But maybe I can ask my colleague, Dr. Harvey, to chime in
13 on here, because he was the chair of the subcommittee and he is very, very
14 closely familiar with the medical events because he chairs it year-after-year.

15 COMMISSIONER MARZANO: Yes, Dr. Harvey.

16 DR. HARVEY: Thank you very much, Commissioner
17 Marzano. So, I guess, for an example in yttrium-90, our real expert is Dr.
18 Angle, our consultant. And he's tremendous at helping us understand this.

19 What we've seen is that -- we saw that surge where there
20 were four or five medical events where we had deposition in the GI tract, which
21 is, obviously, an unwanted area of radiation dose delivered. And so part of
22 that is driven by the fact that we are trying to treat smaller and smaller
23 segments and portions of the liver, therefore sparing more normal healthy liver
24 tissue. Getting down deeper into the vasculature at smaller, smaller sizes of

1 the vessels, it becomes a big technical challenge, and making sure that they
2 use the right size catheters and getting them placed in the right position is a
3 very, very challenging difficult thing to accomplish.

4 And, again, I don't do this, so I can only speak at it from --
5 you know, from what I hear from Dr. Angle and others. And, you know, I think
6 that the informational notices and the things that were posted after this uptick
7 occurred, I think the informational notices had a real impact, because we
8 haven't seen one since.

9 Now, again, maybe we're getting lucky, but I do believe that
10 that information being out there is very important. And I think that the NRC's
11 information has really had an impact on us, as a medical community, just
12 through awareness. So I think that maybe be a measure of the benefit, that
13 clear, concise guidance.

14 COMMISSIONER MARZANO: Yeah. Well, thank you for
15 that. And I definitely see a clear overlap, you know, as we example training
16 and experience requirements for aspects of the training program as well to
17 kind of help establish best practices and reinforce those.

18 The time I have left, I'm going to stick with Dr. Jadvar and
19 ask, you know, we had a -- the Commission met with one of the societies last
20 week, the American College of Radiology. I understand that there is a
21 subcommittee considering the addition of an interventional radiologist. Can
22 you just talk a little bit about how that addition would fill a gap of knowledge,
23 and then some of what the current interventional radiologist, as a consultant
24 role, is providing to ACMUI?

1 DR. JADVAR: Yeah, thank you for the question. Yes.
2 Again, yesterday we had a subcommittee report by Dr. Einstein, who chaired
3 this subcommittee. And we also had Dr. Angle, who is our consultant right
4 now, participating with this subcommittee.

5 And we have tremendously -- the ACMUI has tremendously
6 benefited from the knowledge, expertise, and experience, clinical experience,
7 of Dr. Angle with this microembolization with Y-90. And as I mentioned, there
8 are new agents that are coming up. And I think this is expanding.

9 So the final recommendation of the subcommittee yesterday
10 was to support an inclusion of an interventional radiologist/diagnostic
11 radiologist into the makeup of the membership in the ACMUI, which the
12 ACMUI knowledge base can certainly benefit from these additional members
13 as the field evolves.

14 And in fact, yesterday Dr. Einstein gave a very, very nice
15 review of the history of ACMUI and how, over the years, the membership
16 changed its members and the experience that was evolving with the times.
17 And I think this is the time to have this type of knowledge base added to our
18 base.

19 Now, I don't know if Dr. Einstein wants to add anything to
20 that. He was the chair of that subcommittee.

21 DR. EINSTEIN: Sure. I'm happy to provide the slides
22 from that for you. But we ultimately provided five options in terms of changing
23 staffing of ACMUI so as to include an interventional radiologist. But I think
24 an interventional radiologist would be a critical addition, given the growth of Y-

1 90 microsphere use in the United States.

2 In 2023, looking at Medicare data, it was performed in 46
3 states and the District of Columbia. And the number of such procedures
4 performed by interventional radiologists, or billed by interventional
5 radiologists, in the Medicare data has grown, whereas the number from other
6 providers has decreased. So I think, really, they're the key individuals
7 performing this.

8 In addition to hepatocellular carcinoma, liver cancer, there
9 are trials underway for renal cell carcinoma and glioblastoma multiform using
10 Y-90 microspheres. There are other radioisotopes which are being studied
11 in clinical trials besides Y-90. For example, holmium-166. And then there
12 are novel microsphere radioembolization agents which are specifically
13 targeted to tumor cells now; not just going to a lobe of the liver, but particularly
14 focusing on the tumor cells.

15 So there's lots of stuff happening in this space. And I think
16 we would really benefit from being guided by someone who routinely performs
17 these procedures and knows the technical ins and outs of that. So Dr. Angle
18 has been a very valid consultant to our Advisory Committee, but having a full
19 membership, a voting membership, would be invaluable.

20 COMMISSIONER MARZANO: Well, thank you very much.
21 And I am well over my time. I appreciate the patience in giving me the
22 opportunity to answer that question. Thank you.

23 COMMISSIONER WEAVER: All right, thank you,
24 Chairman. Well, I'm not sure, going last has some disadvantages.

1 (Laughter.)

2 COMMISSIONER WEAVER: I also want to thank all of the
3 presenters. This is my first time on this side of the table, but I've been on that
4 side of the table before as a staff member and as a member of the industry.
5 So thank you.

6 So, Mr. Mailman, you talked about patients being turned
7 away in your slide, potentially. That's pretty concerning, because I assume
8 this is care that could be life-or-death for the patient. And so I'm wondering
9 -- and I believe the concern is then dose to family members or caregivers.

10 Is there something NRC should be doing in terms of
11 allowable dose for those folks to minimize the chances of folks -- of patients
12 being turned away? I'll open up to all of you, please.

13 MR. MAILMAN: Again, I'm going to speak on my own
14 behalf, but certainly with, you know, having to spoken to colleagues as well.
15 You know, I think it's a misunderstanding for them to be turned away. And
16 no one should be turned away. And that will require education. And it will
17 require what I said earlier, which is to make sure that anyone who is
18 performing these procedures is well educated in the alternatives, if they don't
19 have, you know, an extra hospital bed, or what they might need to do in order
20 to not turn away a patient, and to say that this is not appropriate if it's been
21 recommended.

22 And so I think it is something that can be solved. I don't
23 think it's going to -- I think it's a training issue with the manufacturers to the
24 centers that they are bringing these drugs to. And it's not a single one-time;

1 it is a reminder it takes a while for people to completely understand. But I
2 think we have a lot of other places that understand it well.

3 COMMISSIONER WEAVER: Thank you. Any -- yeah,
4 please.

5 DR. HARVEY: Thank you, Commissioner Weaver.
6 Again, I'll just reiterate what I said earlier. I think it's very important to have
7 the accessibility of healthcare to be as free-ranging as possible.

8 I think that the providers, if they have people that don't fit the
9 outpatient criteria, they need an inpatient setting, hopefully they would refer
10 them to a larger academic center where they'd be able to provide that care.
11 So I think that is critical, in this situation, that providers know that, you know,
12 if they can't accommodate this on an outpatient basis, it doesn't mean that the
13 treatment can't be done.

14 COMMISSIONER WEAVER: Okay.

15 DR. HARVEY: Thank you.

16 COMMISSIONER WEAVER: Thank you.

17 DR. JADVAR: May I also chime in here regarding this
18 question?-

19 COMMISSIONER WEAVER: Yes, please do.

20 DR. JADVAR: So, you know, actually, the percentage or
21 the rate of patients being turned away is really not very well known. And I
22 think it depends on the patient cohorts at different parts of the country.

23 I mean, many of the social net hospitals or, let's say, county
24 hospitals, they tend to treat the patients and then bring them to the hospital

1 for whatever amount of a stay. Maybe one or two days. And in our practice,
2 in academic practice in Southern California, we really haven't done -- we
3 haven't really turned anybody away and it has worked pretty well. So I think
4 it depends on the cohort of patients.

5 But it's a multifactorial thing. It depends on the, you know,
6 cognitive abilities of the patient, for example. And usually that patient can
7 still be treated even if they don't completely understand what's going on,
8 because they have the caregiver who can take care of the potential issue, the
9 radiation safety precautions, or even other medications which are not
10 radioactive to take care of the patient. So usually we can work with the
11 caregiver and that will be taken care of and the patient can receive the
12 treatment.

13 Physical disabilities is usually not a problem. Again, if
14 there is a good caregiver, let's say, with regard to urinary incontinence or other
15 issues, if there is a responsible caregiver available.

16 There is an issue with noncompliance. If the patient, for
17 some reason, is just not compliant with anything that he or she is being told to
18 do, then that becomes more of a medical issue, because they're not going to
19 follow-up, they're not going to come to the next session. And, you know, they
20 can't report or follow up with potential toxicities of the medication that needs
21 to be taken care of or mitigated.

22 So those are all really medical judgments, at that point,
23 which may go beyond just considerations or radiation safety precautions.

24 COMMISSIONER WEAVER: Thank you. So a long time

1 ago, when I was a staff member here, I worked in the Ops Center and took
2 many reports of medical misadministrations. And one of the ones that
3 occurred over and over again were females who said they weren't pregnant,
4 got, you know, a therapeutic dose and, lo and behold, they were pregnant.

5 And the corrective action was always, well, we're going to
6 do a blood test on them, you know, this hospital. But then the next hospital
7 would report the same thing and they would say the same thing, we're going
8 to do a blood test next time, too.

9 And so that was a long time ago. And just hearing the
10 discussion, there is obviously a lot more proactive reaction when something
11 does go wrong.

12 I'm just wondering -- maybe this is for Dr. Harvey, but I'd invite others -- what
13 is the process, when you see events coming in, what's the process to look at
14 those -- I know the NRC does, but what do you do to say, hey, there's a trend
15 here, we need to find out what's going on?

16 DR. HARVEY: Thank you, Commissioner Weaver.
17 Yeah, I mean, we're going to take that internally, certainly examine it. Take
18 it to our patient safety committees or radiation safety committees. We're
19 going to adjust and modify our policies and procedures and the things that we
20 do to make sure that we're addressing those concerns or those trends that
21 might be out there.

22 If someone is having a therapeutic procedure at our facility,
23 we'll do a serum hCG test to make sure. I mean, it could be critical. The
24 example is I-131. You don't want to ablate the fetal thyroid, right? So, you

1 know, we make sure that's a serum hCG.

2 Now, if it's a diagnostic test, then we're not doing a serum
3 hCG on every single patient. They're verbally asked. And they're still
4 heavily, heavily reliant on the patients for that information. And things do
5 happen. Fortunately, with diagnostic administrations, at least in mine, I've
6 done many fetal dose calculations, and I've also followed up on those after the
7 fact, and there haven't been any negative outcomes or impacts.

8 COMMISSIONER WEAVER: Excuse me. I think that
9 problem's maybe been solved.

10 DR. HARVEY: Okay.

11 COMMISSIONER WEAVER: I meant more generally, in
12 terms of where there have been medical events, what's the role of ACMUI in
13 looking at those? And is it done in real-time or is it -- you know, I don't know
14 when, how often you meet, that kind of thing.

15 DR. HARVEY: So, I mean, from an internal standpoint, the
16 information that is disseminated out from the NRC, I think we all have an
17 obligation to take that back to our organizations and then to examine it and
18 put it out there. I am going to take back that information and I'm going to talk
19 to the technologists that I provide annual training for and make them aware of
20 the issues and bring that up.

21 So we're going to work on this in a real-time basis. And if
22 it's something that is a concerning trend, we're going to -- it's really something
23 that we're going to prioritize right there and then. And then we'll continue to
24 not forget about it on refresher training.

1 COMMISSIONER WEAVER: Thank you.

2 DR. HARVEY: I hope that answers your question.

3 MR. MAILMAN: Commissioner Weaver, one -- if I may
4 ask, Dr. Harvey? When I first joined the ACMUI, one of the things that I was
5 very impressed with was, you saw some of the trends with the different
6 microspheres. And I was impressed that the subcommittee that I was on
7 actually brought in the manufacturers to discuss and have a teleconference
8 and to understand what was going on, as opposed to -- and discuss what
9 might be corrective actions.

10 So I was impressed in how quickly that happened for patient
11 safety. So that was within my first year of joining this group.

12 COMMISSIONER WEAVER: Thank you. Currently, I'm
13 out of time already. I'm very interested in the use of AI. I'm sorry I didn't get
14 to probe that a little bit more, but --

15 CHAIRMAN NIEH: Commissioner Weaver, we all went
16 over, so please.

17 COMMISSIONER WEAVER: Yeah. I just, I guess just
18 real quickly then, would be the data quality. I think you mentioned a form as
19 one of your recommendations, I think, to collect data. It seemed like maybe
20 there is an interplay in terms of using AI then to mind the data to make sure
21 that it's of -- maybe has some requisite fields or parameters in the quality of
22 the data. I don't know if either one of you want to speak to that.

23 DR. HARVEY: Commissioner Weaver, I agree. I think
24 that having that complete information mined and taken and be in the intake

1 form would be very helpful then to feed into what Dr. Einstein presented to us
2 and being able to then use that data with AI. So I'll turn it over to him.

3 DR. EINSTEIN: And perhaps instead of having PDF
4 forms, which, in principle, could, you know, use optical character recognition
5 and try to put things in the right boxes, having more structured reporting, which
6 lends itself to fields which are more amendable to analysis by AI, would
7 potentially be useful. And that can even be done in the context of a PDF form
8 now very easily.

9 But I think making it -- reporting in such a format that it's
10 easier for analysis by AI will benefit the organization into the future,
11 anticipating that AI tools will play an increasing role.

12 COMMISSIONER WEAVER: Well, thank you. Thanks,
13 everyone.

14 MR. MAILMAN: But I must add, since I was on the
15 subcommittee as well, I mean, AI is a large word, right? It means a ton of
16 different things, whether it's front-facing, ChatGPTs, things like that, or
17 backwards-facing and what types of models they are.

18 Much of what we're looking at is natural language
19 processing. And that's actually something AI does pretty well. It looks at
20 language and can actually process it and do summarizations or -- you know,
21 I work in the clinical trial space where 177-Lu can be represented 22 different
22 ways. AI is wonderful at figuring that part of natural language processing and
23 putting that all as one type.

24 So in some sense, it does really well in some of the data that

1 we're looking at. Even plucking things out of PDFs. So it does have some
2 real benefits, especially to back-end data that we're looking at. And using
3 the word AI for everything is hard because there is so many different
4 components of what you can use AI for or what subcomponent you can use
5 inside of what you're looking for. That was it.

6 COMMISSIONER WEAVER: Yeah. Thank you,
7 Chairman.

8 CHAIRMAN NIEH: Thank you, Commissioner Weaver.
9 And I'd like to thank -- we've reached the end of our scheduled time here, and
10 I want to thank the members of the Committee for your participation and
11 dialogue today on this very important topic, which is, again, a very great
12 example of where the NRC staff's work in carrying out its safety mission
13 directly benefits the lives of American people.

14 So before we close, I'd like to ask my fellow Commissioners
15 if they have any closing remarks? Okay, hearing none, we're
16 adjourned. Thank you.

17 (Whereupon, the above-entitled matter went off the record.)

18