

UNITED STATES

NUCLEAR REGULATORY COMMISSION

+ + + + +

MEETING WITH ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

(PUBLIC)

+ + + + +

FRIDAY,

JUNE 5, 2026

+ + + + +

The Commission met in the Commissioners' Hearing Room,
at 10:00 a.m. EDT, Ho K. Nieh, Chairman, presiding.

COMMISSION MEMBERS:

HO K. NIEH, Chairman

DAVID A WRIGHT, Commissioner

BRADLEY R. CROWELL, Commissioner

MATTHEW J. MARZANO, Commissioner

DOUGLAS W. WEAVER, Commissioner

ALSO PRESENT:

GREGORY HALNON, ACRS Chairman

DAVE PETTI, ACRS Vice Chairman

CRAIG HARRINGTON, ACRS Member-at-Large

PROCEEDINGS

10:00 a.m.

1
2
3 CHAIR NIEH: Okay, good morning. We'll call this
4 meeting to order. And this morning we are meeting with the NRC's Advisory
5 Committee on Reactor Safeguards, and before we get into the meeting I do
6 want to recognize and acknowledge that this morning we just swore in
7 Commissioner Weaver for his next five year term with the Commission. So,
8 it is great to have you back with us, Doug, fantastic.

9 So, the ACRS has been a valued partner in the NRC's safety
10 decisions for decades, and we are in a consequential moment for American
11 nuclear energy. The ADVANCE Act, and Executive Order 14300 have
12 stimulated the most comprehensive reform of the NRC in decades. And
13 there is a new NRC here, and one that enables the safe and secure use of
14 nuclear technologies.

15 And we are sharpening our focus on what matters most for
16 safety to make sure that we deliver safety decisions that are credible,
17 predictable, and timely. And this reform also reaches the Advisory
18 Committee on Reactor Safeguards as well, and I appreciate the Committee's
19 efforts thus far to sharpen its focus on safety related to unique, new, and novel
20 technologies, as well as its efforts to improve the operational efficiency of the
21 Committee.

22 And I am confident that the ACRS will remain a valued
23 partner in our regulatory process for years to come. And two recent
24 examples really highlight the value that this Committee adds. The first one

1 I'll note is the review of the EPRI alternative licensing strategies document,
2 that is an approach that will enable use of high burn up fuel to extend cycle
3 times for pressurized water reactors.

4 And also the very thoughtful comments you've provided on
5 the Part 57 rule making for micro reactors, and reactors of comparable risk
6 profiles. I think your insights will continue to add value to the agency, so
7 thank you for that. Before we get into the meeting I'd like to see if any of my
8 colleagues on the Commission have any comments. No? Okay, thank you.

9 ACRS CHAIR HALNON: Thank you, chairman, and thank
10 you for the time, commissioners, to talk about this sharpening that the
11 chairman talked about. The last briefing we were able to give you was in '24,
12 and in '25 we got kind of overcome with events with the executive order, and
13 other items going on, so we didn't get a chance.

14 But you saw our presentation, and you could see the trend
15 over the last several years was that we were on a glide path already that
16 complimented, and certainly the EO provided a much more hotter, if you
17 would, burning platform for us to sharpen even further. The past
18 presentations had a lot of technical details in them of letters that you've read,
19 and have thoughtfully considered, and we are not going to do that this time.

20 We are really going to stay pretty close to the lessons
21 learned, and other items that we've been doing to improve the ACRS process,
22 and help the staff improve, and help the overall agency improve as well. We
23 will touch on some technical matters throughout, but we will focus mostly on
24 the lessons learned, and then I will close a little bit later on with the higher

1 level comments.

2 If you would go to the next slide please? The agenda today
3 just follows a line, Dave will provide insights from the recent technical reviews,
4 and Dr. Petti was the initial author of the lessons learned letter, so he's
5 positioned for that. Dr. Harrington will go on to talk more about the process
6 piece of it, so Dr. Petti will talk more technical, and what we learned from
7 doing these reviews.

8 Dr. Harrington will go into more of how this has improved
9 our process, and how we are applying the lessons learned. Dr. Petti is the
10 vice chair, and Dr. Harrington is the member at large, and so we are part of
11 the leadership team that is helping to drive these improvements. And like I
12 said, I will close on maybe some closing remarks on what I call leadership,
13 craftsmanship of moving an organization forward.

14 Next slide please, to the mission statement, if you would.
15 The ACRS supports the NRC mission. As you said, chairman, we are
16 integral to the team, we are independent, but I want to put some context
17 around the word independent, because that sometimes gets taken out of
18 context. We make independent decisions, but we do have constraints.

19 We are constrained by the Atomic Energy Act, we are
20 constrained by the expectations of the Commission, by the executive order,
21 so we do have constraints, and we do serve a higher purpose of safety, but
22 we do make independent decisions, we do pull a lot of input in from a lot of
23 places. We are not a gate that you have to go through.

24 We are a fact finding filter, if you will, that provides a little bit

1 deeper than I would call a sanity check. We are doing a real good, science
2 centered, technical approach integrated to the review. We want to find the
3 gaps in understanding of the staff and the applicants. We want to find where
4 there is flawed, or maybe incomplete data being used.

5 And we want to see if there is a lack of integration amongst
6 the staff and the applicant, taking a look at these very complex machines.
7 Our job is to make sure that it is done right, and that is our high level purpose,
8 we give you a comment or a recommendation, we want to be informed, and
9 we want to be technical.

10 Next slide please. As you mentioned, there has been a lot
11 of pretty good letter reports written, I am not going to go through a lot of detail
12 of these. Again, if you have specific questions I'll be happy to answer the
13 technical aspects of it. We want to make our letters stand on their own, and
14 be clear enough so that the safety case, and recommendations are clear.

15 Not that they are going to be voluminous, but there is going
16 to be enough information in there so that the reader doesn't have to open up
17 the PSARs or any other documents that go after. Next slide please. One
18 interesting area that I will talk just a little bit about is the aspect of
19 reauthorization of power operations for these plants that have ben in safe
20 store.

21 We just want to compliment the staff, they did an excellent
22 job on putting together a process that will be able to put across other plants.
23 It is a very small population of plants that are eligible, but we feel very confident
24 in the process, and the people involved in that, and we can see that playing

1 out very well.

2 As far as the Seabrook ASR issue that has been going on
3 for years, we kind of put that to bed in our minds by making a site visit,
4 interacting with the applicant, having a public meeting, and recognizing that
5 they have got a handle on this. The staff has got a good oversight plan, they
6 have got the right expertise looking at it, and the applicant has both corporate
7 and site support with a lot of margin in these big buildings.

8 So, we feel pretty confident that we are in a good place on
9 that, and I just wanted to put that behind us, because that was referred to us
10 by you, to ensure that that is taken care of. Next slide please. As you
11 mentioned, the ALS is an important topic, important to nurture, to let's see
12 where it goes, because I think it could really, ultimately could be the end of the
13 large break LOCA issues that we have been dealing with for many years.

14 And it is very costly to find a plant around a large break
15 LOCA, but if you can eliminate from the design basis, if you can eliminate the
16 concerns with large break, that will go a long way in the large light water
17 reactor world. You also mentioned Part 57, comments we made on that were
18 more recent, and informed, and I think that the staff, and us, and the ACRS
19 elaborated very well on that rule.

20 When I say collaborate, that doesn't take away from the
21 independence, that means that gets back to this one team effort that I have
22 been talking about, where we are in here all to get it right, not to make one
23 part of the agency look better than the other, or bring me a rock and I'll let you
24 know how you did.

1 That is not our attitude anymore, it shouldn't be anyway, it
2 is all about getting it right. Next slide please. Some of the items that we
3 issued prior to the executive order that we probably would not be looking at
4 now because we developed a screening chart that really focuses us on the
5 safety significant, unique, novel, and noteworthy, it focuses on the statutory
6 requirements, and anything that you might as a Commission refer to us.

7 So, that screening makes us talk more about in a collegial
8 manner whether or not we need to review a document or not. And when I
9 first came on the Committee five, six years ago, those conversations took a
10 long time, because everyone reviewed a document to determine whether we
11 need to review it or not. So, now we focus it in on one subject matter expert.

12 And that subject matter expert on the Committee develops
13 a recommendation, and then we talk about it. And that in itself focuses, and
14 gives us a lot more volume, if you will, that we can do it. Because now we
15 can talk about five or six documents a meeting that don't need to be reviewed,
16 as opposed to having less review time, and more discussion.

17 So, we are taking much more advantage of a subject matter
18 expert on the Committee to give us good recommendations. Next slide
19 please. So, over the years we have been implementing lessons learned. I
20 mentioned earlier that you can follow our '24 and '25 presentations, and see
21 that they have been less technical, and more process, organizational fine
22 tuning aspect.

23 We have been reinforcing the culture of continuous
24 improvement for quite awhile, and when I came on the Committee, again, five

1 or six years ago, there were 12 people on the Committee, and a lot of the work
2 was done by tribal knowledge, because this is how we used to do it, and
3 personally I got confused, so I started writing it down, what was happening.

4 And it turned into 26 some pages of guidance on how we do
5 things. That kind of spawned with several of the other members, a push to
6 have internal retreats, and discuss what are better ways of doing things. And
7 we had a series of those, brainstorming, and types of other things, the
8 standard way you do things, facilitated to get to a point where we were on a
9 path to make it much more efficient.

10 So, in '25 when EO 14300 came out, again, that was the
11 burning platform that really said we're on the right path, but we've got to get
12 going on it, we have got to really start moving faster, and in '26 we continued
13 the refinements, because we're all as an organization talking about how can
14 we get more efficient, how can we do better, how can we maintain the levels
15 of safety, maintain rigor, but do it on a schedule that is a little bit more
16 compressed?

17 And we have been feeding on each other, the staff, the
18 Commission, everybody is kind of feeding on each other, ways of doing it, and
19 we have been implementing those, and we have also listened to the external
20 organization's comments. I mean, we have gotten several reports where
21 ACRS has been mentioned, and we do read those, and make sure that we
22 understand what is the heart of the matter, and really attack it.

23 So, the next slide. And chairman, you have been in the
24 industry, you get a key performance indicator and you can make a story out

1 of it, I don't want to gaslight you and say look how great we're doing, we're on
2 a downward trend. Because there is a lot of things that happened there,
3 there is a lot of things that yes, we are getting better and more efficient.

4 But there is also some big things behind us that we have
5 done, we have done Part 61, we have established an operating license for
6 Shine, we have done rules 50.160, numerous reg guides, Kairos, NuScale, I
7 mean I can go on to say that there has been a lot of very technical topics that
8 we have done, but we have been doing more focused on safety.

9 So that the volume although is high, the number of things
10 that we're actually writing on have been coming down, the number of meetings
11 we have have been coming down because we have been spending that
12 focused time ensuring that we are staying right on track.

13 Next slide please. So, as I mentioned, we are going to go
14 through some technical lessons learned with Dr. Petti, we will go through the
15 safety case, discussion on why we are going to get more efficient, and then
16 we will go into the process lessons learned with Dr. Harrington, and then I
17 will close at the end. Dr. Petti?

18 ACRS VICE CHAIR PETTI: Thank you. Good morning.
19 I would like to talk a little bit about some of the lessons learned from a technical
20 perspective that we have seen across a number of reviews. Next slide
21 please. So our purpose is to reflect on those lessons learned, particularly
22 the new applications, yet still ensuring that we meet our statutory
23 responsibilities, and we enable the safe, timely, and efficient deployment of
24 nuclear energy.

1 Thereby reinforcing NRC's leadership and reputation.
2 Next slide. In terms of what I call the scope and the boundary conditions, the
3 advance reactor reviews, the completed ones that we looked at NuScale, both
4 the US600 DCA, and the US460 USDA, Kairos Hermes and Hermes 2
5 construction permits, and the TerraPower Natrium construction permit at
6 Kemmerer, Wyoming.

7 Ongoing reviews, Long Mott X-energy, Xe-100, and we just
8 yesterday finished our review of Clinch River BWRX-300, so that letter is
9 imminent probably to you guys. And then there were a number of pre-
10 application topical reports from additional vendors that are just starting that we
11 had. And of course the evolving policy direction always in our mind, the
12 ADVANCE Act, the executive order, and your direction and review efficiency
13 and focus.

14 Next slide please. So, what were the key observations?
15 Is that our reviews have become more safety focused, streamlined, and
16 efficient. Our integrated safety case reviews compliment the staff
17 compliance based reviews, they are not duplicative, and we will talk more
18 about that. And I think you will see when we get into the details why we say
19 that.

20 What we found is that these parallel reviews, us and the staff
21 doing them in this new manner enables on schedule early completion. We'll
22 talk more about that later. Application quality strongly affects review
23 efficiency, as you probably are well aware. And detailed topical reports that
24 really underpin the safety case are really important for some of the unique

1 technologies that are presented, and we will talk a little bit more about that
2 later.

3 Next slide please. So, as I said, we really started this
4 continuous improvement with the NuScale DCA, if you go back and look at
5 the lessons learned, we had some seeds there planted. It was accelerated
6 by the recent ADVANCE Act, and EO 14300, and Commission direction.
7 And again, the increased focus on safety significant features that are unique,
8 novel, and noteworthy.

9 Craig will talk more on UNN, and I will talk a little bit more
10 later on what we think of UNN. Next slide please. So, we grouped the
11 lessons learned into three areas, the development of the safety case, the
12 actual licensing review process, and then technology specific issues that
13 affect how you look at these safety reviews.

14 I would say we presented the results generically without any
15 specific applicant or staff to both protect the innocent and the guilty. Next
16 slide please. So, in terms of safety case development, it's really all about
17 transparency, and safety margins in our mind. The safety case should be
18 clear, it should be complete, and it should be transparent to reviewers and the
19 public.

20 We have had cases where that isn't the case, and we have
21 to work hard to try to get together that coherent safety case. You will see
22 sometimes appendices to our letters where we kind of line out it is this, this,
23 this, and this that put it together. You can't find that easily in the 1000 page
24 PSAR, but we think that's where we can add some value.

1 We can lift it up, condense it, and make it very coherent for
2 people. We also think that the safety case ought to be explicit about safety
3 margins, particularly on the advance reactors, where you just don't know as
4 much as you think you know. Uncertainties that drive the need for margin,
5 and any compensatory measures that you are going to be taking for the limited
6 operating experience.

7 One of the concerns that we do have in the transparency is
8 that we have seen applicants come in and make too much proprietary. So,
9 you cannot, it was one of the most difficult letters we ever had to write because
10 everything was proprietary, we had to stand and go look at what was on the
11 screen, and not be able to talk about it because that's proprietary, and we're
12 in an open meeting.

13 So, that is difficult for a FACA committee like ours. But that
14 is isolated cases I think. Most of them, some are completely open, what I call
15 open kimono, others are kind of in the middle. One of the things we want to
16 talk about is that some of these applications will take departures from
17 precedent, and we think that a major departure from any historical approach
18 really requires early explanation with a strong technical justification.

19 What we are looking for is the technical rationale, why do
20 you think that that deviation makes sense, what is it about the technology, so
21 that we can assess that. And that clarity helps improve the licensing
22 efficiency, and reducing the risk. We have had cases where it wasn't clear,
23 in the written documentation it wasn't clear, you had to go back and look at
24 the transcript, they described it all, but it isn't in the written record.

1 And again, so we had to actually step back a couple times
2 and say okay, let's make sure, because it's not in the written record, that we've
3 got it, we've got the story. Next slide please. So, let me talk about how we
4 do this integrated review strategy. We do a top down look based on the safety
5 functions, control, contain, confine, the classic IAEA three.

6 And if there is another one, some of them have a fourth
7 safety function, of course we look at that. Then we do a bottom up
8 evaluation, are there new fuels, new coolants, new materials, new
9 configurations, unique valves. There has been some really interesting valves
10 that you see coming through. Those are the things we look at that are UNN,
11 because they will drive some of the safety case.

12 This sort of top down, bottom up approach really enables a
13 holistic safety assessment. And what we found out is that it actually takes
14 less time, and allows greater focus. Again, to reiterate, it's a diverse
15 approach relative to the staff's review, it is not duplicative. Let me talk a little
16 bit about the one area where we have seen some things that are a little
17 concerning, not always, in rare cases, the principal design criteria.

18 There has been inadequate justification in modifying or
19 deleting principal design criteria. Some vendors, absolutely great, very clear,
20 very succinct why, it makes sense, but in others it isn't very strong, it weakens
21 defense in depth, it increases accident risk, and particularly when you have
22 got designs where you have got limited data and no operating experience.

23 I think you can obviously come up with different approaches
24 when you've got a more mature technology than something that's really new,

1 that is going to take more looking. Next slide please. So, let me talk a little
2 bit about a construction permit versus an operating license or a COL. Mostly
3 we are seeing construction permit applications, but NuScale obviously was a
4 COL.

5 We find that many of the applications lack the detailed
6 analyses, even more so than a PSAR from the existing fleet if you go back
7 and look at their documents. And so the burden shifts to the operating
8 license, particularly for the less mature technologies. There is just a lot of
9 outstanding development work that is required to be done, the staff usually
10 notes that, and keeps track of that, we are keeping track of that.

11 And so when you get to the first of a kind OL, we think it's
12 going to be a more intense review than the CP, it may require more resources
13 to hold the 18 month schedule commitment. WE still find that pre-application
14 engagement is critical, it helps reduce licensing risk. We find that technically
15 complete topical reports add a lot of value, we have seen some very good
16 ones.

17 But there are many that are, we would call them concept
18 only, a plan for a plan is another word we use, that there is just not a lot there,
19 and the staff has to go through and write a tremendous number of limitations
20 and conditions because there is just not enough there, and it takes their time,
21 it takes our time.

22 And in this new environment, that is inefficiency that we just
23 have to be aware of. Next slide. We have seen now some applications with
24 TICAP ARCAP, and we think that the applications themselves really need the

1 results of the hazard and accident analysis in the document like the old
2 chapter 15, it's not required by the actual outline of TICAP ARCAP.

3 So, sometimes those results are in subsidiary documents,
4 and so that is an audit burden on the staff, and we can't see the safety margin
5 easily. Again, TICAP ARCAP, yes, you have got to make sure all your data
6 points are below the frequency consequence curve, but there is other safety
7 margins, and other acceptance criteria that we want to see that help inform
8 our engineering judgment.

9 The fact that your dose is less, but I want to know how close
10 you are to a temperature limit, a burn up limit, a dose limit, something like that.
11 That is deep down in the details, because we know that some of these
12 systems can push some of those limits, and that is what we are kind of looking
13 for, and so it just takes more work.

14 And so for us with the staff, we have to now be kind of very
15 sensitive, to say we're going to need to look at your audit report, so it has
16 created a new dialogue with the staff that we're working on. We have seen
17 significant variability in the quality of the application in terms of the technical
18 depth, and the completeness.

19 And that is really just based, it is a function of the maturity
20 of the technology that you are sitting on. We find that high quality
21 applications obviously enable streamlined reviews, and it reduces the burden
22 on the staff and the ACRS. One of the things that we know, because TICAP
23 ARCAP is knew, that there is a struggle, the applicant is trying to put as little
24 on the docket as possible.

1 But we are trying to get to a clean understanding of the
2 safety case, which sometimes requires details, and it is that balance that is
3 the learning process with TICAP ARCAP that we're seeing. Next slide. Now
4 let me talk about some good things that we've seen, and we've seen a lot.

5 The licensing modernization project, that approach helps
6 focus on risk significant structures, systems, and components. As some of
7 you know, I have presented on Part 53 on this, I am a huge fan of this, it came
8 through the next generation nuclear plant project that I was part of. But what
9 it has done is that it has caused the design to change.

10 If you look at some of the advanced reactors that are in here
11 now, and you look at their sister designs from 15 years ago, they are different
12 because LMP found a vulnerability, and they said we have to address this, we
13 have got to put it in a new system, or we have got to make this more reliable.

14 I've argued it isn't as much about doing the PRA with the
15 numbers, it is that strength in the design that's a huge lever to improve safety,
16 which is really what we're looking for. We have done some delta reviews,
17 Kairos is the classic, but also NuScale, and its two, very efficient for when
18 you've got small changes.

19 We've seen a redline strike out for the PSAR, what an
20 incredibly innovative idea to -- not another great news, right? But it helps you
21 really see where the changes are, and really help you focus. Another new
22 methodology that we have seen is something called lines of defense comes
23 out of the French and the IAEA.

24 It is a systematic safety approach that you can use in a

1 deterministic sense, but you are incorporating risk insights, but it causes you
2 to look at every system, every safety function, and look down and say do I
3 have enough defense, do I have a vulnerability? So, it helps, is the safety
4 function adequately integrated in the design?

5 Do I have enough defense in depth, what about residual,
6 there's cliff edges, it's always a completeness issue, this helps you identify
7 and put a fence around some of that, and again, PRA completeness. So,
8 this does the same thing as LMP, we have seen a couple of lines of defense
9 approaches, and there are changes that they told us they made because of
10 that approach to make it safer.

11 They found vulnerability, really good on the design side.
12 Next let's talk a little bit, next slide, the technology specific impacts. We still
13 think, obviously, that there is need for experimental confirmation, the
14 computational tools alone are insufficient. There is this sort of sense that
15 belief in computer codes, we're still old enough to believe in data to really back
16 that up.

17 The documentation in the construction permits have a list of
18 required research and development, we think that is essential. It is called
19 Appendix A, at least in the Kairos, what is that punch list, because if the OL is
20 a long way down, it may not be the same us reviewing the OL, and maybe our
21 future members, similarly the staff.

22 I mean, if you are talking a really long time between CP and
23 OL, making sure that there is something there for them to know, the tentacles,
24 where to start the review. We also see though that some of the safety

1 attributes really you can't answer the questions until you enter startup testing,
2 and having the operational data, that's just it.

3 I want to say that technology matters. Each of the
4 technologies have different safety concerns. Liquid metals, it's really about
5 nuclear reactivity, and fire risks with sodium. In molten salts, the redux
6 control, which is how you control corrosion chemically, and making sure you
7 don't freeze the salt, it's a high temperature coolant, it would be a bad day if it
8 froze.

9 With gas reactors everyone thinks it's about the fuel, TRISO
10 fuel, having been involved with it, I am not as worried about that, there are
11 materials issues because of the temperature that you have got to make sure
12 that you keep your eye on. So, what we are worried about is the direct
13 application of LWR guidance.

14 Which is so focused, frankly, on thermal hydraulics in light
15 water reactors, and what their issues, make sure you don't lose this focus
16 here, this is where you have to look at, it isn't always about what historically
17 has been the issue, which is thermal hydraulics. Next slide. So, let me talk
18 about one of my favorites, Reg Guide 1.203, which is how you structure an
19 evaluation model.

20 Its history came out of LWRs, CHF, power up rates, you are
21 sitting on the edge, how do you know, what is your margin, you've got to have
22 the sharpest pencil you can, and how do you know your experiments really
23 represent reality? So, there is a huge amount about making sure you have
24 good thermal hydraulic experiments in two phase flow.

1 That is not where advanced reactors are, right? And so
2 you have adapt, not adopt the details. And so when I think about it, the staff
3 kind of has to work backwards, you have to look at what that reg guide says,
4 which is way down here, and go okay, what is the higher safety issue that you
5 are trying to resolve?

6 Raise it up, and then ask yourself does it make sense in the
7 context of the safety functions of that design, the safety margins, and the risks.
8 And so it is a different thought process, but it's not compliance based, it is
9 much more about thinking about what this design means. And we are
10 seeing, in some parts of the agency, this thinking happening, but not
11 necessarily in all parts.

12 Let me give you my two favorite examples. One week we're
13 in subcommittee, and we had a legacy vendor come in, improving the physics
14 parts of their analytical tools. They had 100 or 200 benchmark cases that
15 they were comparing their code to, everything was within two percent, perfect.
16 And then we get one of the advance reactor guys come in, well we kind of
17 have three and a half criticals, benchmarks that we can do.

18 You can't just say well, sorry, you can't go forward because
19 you don't have enough. You've got to think okay, so if they miss on the
20 criticals, how bad is it, what does it really mean in the bigger safety case?
21 The other one is all this thermal hydraulic scaling. We had one vendor who
22 looked, and did the assessment, and they have four or five historical operating
23 reactors around the world, and they have real data from those reactors, but
24 they don't scale to their design.

1 And I'm like so? That is real data, I would really like to see
2 the computer codes fight against that. But then the question is well to meet
3 that reg guide, I have to build a million dollar facility so it's scaled. For sodium
4 there really isn't an issue about that it can remove heat, we know it can remove
5 heat, that is not the issue.

6 So, those are the things that I really worry about deep down,
7 I push the staff on it, and I said look, isn't it about safety margin? If there's a
8 huge margin in their heat transfer, do they have to meet the actual letter of the
9 law, or do they have to meet the intent? And so we are working with the staff
10 to try to get them to start to think those ways.

11 Those are some of the things that at least I worry about in
12 the background. Last slide please. So, let me talk about our commitment to
13 you in our reports, Greg had mentioned it. We try to outline the key safety
14 issues, we provide timely evidence based recommendations. We try to be
15 thorough, technically sound, and we are focused on the safety, the rigor, an
16 the completeness of the licensing action.

17 We are consensus based with the advice of experts, and I
18 can't talk enough about how the actual collaborative process, which people go
19 letter writing is awful, it is the way we achieve consensus, because you talk
20 out issues, and you bounce off ideas, it is messy sausage making, but it works.

21 And again, we try to have clear and well structured reports
22 for you, but there is always the public listening in. And we almost always,
23 they don't understand sometimes, of course obviously a lot of the technical
24 issues, but they are always very appreciative of the ACRS, because what they

1 see is us challenging the applicant, challenging the staff, there is some due
2 diligence here, there is some rigor.

3 And finally, in terms of our role, we see that we do have this
4 enduring role, these advanced reactors, they present new but really familiar
5 challenges in a different context, given where we are today. Safety still
6 remains our highest priority, and that is our focus going forward. So, with
7 that, let me turn it over to Craig.

8 ACRS MEMBER HARRINGTON: Now we will transition to
9 the actions that we have taken in response to both the lessons learned, as
10 well as Executive Order 14300. The ongoing reforms part of this set of slides
11 will speak to how we have formalized the changes, and then in the evolution
12 of processes part, I will talk at more length about our day to day
13 implementation.

14 Next slide. Our narrowed focus on statutory obligations
15 has been formalized in several ways consistent with Commission direction in
16 implementing the executive order. Next slide please. We have adjusted our
17 membership, and our subcommittee structure. We revised our bylaws, and
18 we have updated our annual operating plan accordingly.

19 Later this year, after the direct final rule on ACRS is
20 published, we will update our charter, and the coordination MOU with
21 conforming changes primarily. The ACRS staff has updated our web pages
22 accordingly as well, and are developing a set of online tools that parallel
23 similar tools in the NRC staff that will facilitate and help communicate ACRS
24 activities.

1 And at the bottom of this slide there is an issue review
2 checklist, and a design centered review guidance document, which they serve
3 a formalization role in writing down how we do certain activities, but they are
4 very much involved in our day to day implementation, so I will speak to those
5 a bit more in subsequent slides.

6 Next slide. The evolution in our processes is
7 demonstrated in our day to day implementation and activities. And I will
8 highlight the screening of unique, novel, and noteworthy issues, UNN in our
9 shorthand, how our current review process, as Dave has mentioned, is we
10 think, complimentary to the staff review, not duplicative.

11 And then how those two areas influence, or have impacted
12 our design centered reviews in a bit more detail. Next slide. Immediately
13 after the executive order we developed an issue review checklist, it is a flow
14 chart with accompanying detailed guidance that first applies the statutory
15 obligations test, and then seeks to identify the UNN elements for emphasis in
16 our review.

17 There is a link to that flow chart on our web page for external
18 stakeholder visibility. We apply that screening process to licensing actions,
19 topical reports, and safety standards that are being considered for review by
20 the Committee. That criteria helps guide our review decisions, helps define
21 our review scope, and then is instrumental in designing meeting agendas to
22 cover those topics.

23 That screening process is also embedded within our design
24 centered review activities, and notably for those licensing actions that would

1 fall in the Nth of a kind category where there has been a prior approval of
2 some sort, that UNN identification process would screen out those elements
3 of the safety case, which have already been reviewed, are well understood.

4 And it would retain for further review and emphasis, those
5 elements which are screened as UNN, which basically would be elements that
6 have been added, or have evolved in some consequential way since that prior
7 approval action was completed. So, in that case they would have not really
8 been reviewed before, and they would still be within what we would consider
9 our purview.

10 So, next slide. We are now carefully focused on the safety
11 case and its adequacy, and the safety case really consists of the three
12 fundamental safety functions. Control of heat generation, control of heat
13 removal, retention of radionuclides, and that's supplemented by defense in
14 depth measures. It is noteworthy that the control of heat generation topic is
15 typically synonymous with control of reactivity.

16 But the broader terminology there is reflective of possibility
17 in some of the advanced reactors, that there may be additional non-nuclear
18 exothermic reactions that have to be accounted for. And that list of
19 fundamental safety functions may also expand depending on the complexity,
20 and the content of a particular reactor design.

21 It is also important to clearly describe the distinction
22 between our holistic safety case review, and this focus on UNN elements.
23 Safety case is typically broad, and it touches on many aspects of the plant
24 from design, construction, maybe siting issues, operational issues, amongst

1 others. Our holistic review then considers the entirety of the safety case to
2 make sure that it is complete, that it is rigorous, and to assess its overall
3 credibility.

4 However, that safety case consists of many elements, some
5 of which may be well understood technology previously reviewed, and some
6 of which may screen as UNN. As we review the holistic safety case, those
7 elements that are well understood, previously reviewed, we would evaluate
8 their function within the safety case, but really wouldn't significantly typically
9 challenge the technical details of that function, of that element.

10 However, for the UNN elements, we would do a deeper
11 review in sufficient depth to establish credibility that that element can in fact
12 perform its role within the overall safety case. We consider this holistic safety
13 case approach to be diverse from, as Dave said, and complimentary to what
14 the staff, their staff review that is performed on a chapter by chapter basis,
15 has a higher structured, and compliance based aspect to it.

16 However, this is an efficient approach that robustly satisfies
17 our statutory review obligations, and we conduct that in an independent way,
18 but with appropriate cooperation and corroboration with the staff. Next slide.
19 Until recently, our reviews were also largely conducted in a chapter by chapter
20 manner.

21 That resulted in a number of meetings with the applicant and
22 staff, it also typically fell late in the overall NRC review process, once the final
23 safety evaluation report with no open items was available for public discussion
24 on at least a chapter by chapter basis. Our current process has resulted in

1 a significant reduction in the number of those meetings, and I will go into more
2 of the detail and steps of the process in a bit.

3 But the earlier start of this more parallel approach also
4 facilitates early identification by the Committee of significant safety issues, or
5 questions, or concerns so that there is ample time left in the overall NRC
6 review cycle to ensure that those things get resolved in a timely manner.

7 Next slide. This table highlights in a small number of
8 examples, how the evolution in our process has impacted the investment of
9 time by applicants, staff, and the ACRS in public meetings, in terms of meeting
10 days. We generally expect that our ongoing, and future reviews will align
11 with that trend toward a smaller number of meetings.

12 However, we have carefully not established arbitrary criteria
13 for the number of meetings, or meeting days for a given application, and our
14 focus instead is a thorough inquiry, but to complete that in the minimum
15 number of meetings necessary to get there. Next slide. So, our current
16 process is really exemplified in the recently developed ACRS design center
17 review guidance document.

18 This document is also posted to our website, and we provide
19 it to applicants to convey ACRS goals for the scope and content of our fact
20 finding meetings as applied to their particular application. The guidance
21 explains that, and when we first meet with the applicant we expect a robust
22 plant description, and a careful exposition, thorough exposition of their safety
23 case.

24 We hope that they will do that in, as kind of Dave alluded to

1 earlier, in as transparent, and as non-proprietary a way that they possibly can.
2 We think that is both, well it is very helpful for us in our deliberations and letter
3 writing, but it is also critical for public understanding of why is this plant safe.

4 Subsequent topics would then focus on the fundamental
5 safety elements, the fundamental safety case, and the treatment of defense
6 in depth measures and an appropriate level of depth relative to the scope and
7 attributes of the UNN elements in the design. We then wrap up with a final
8 meeting to assess that we do understand the safety case, and that all of the
9 technical issues have been resolved.

10 That all may be done in one or two meetings when the
11 technology is well understood, as has been the case with the Clinch River
12 CPA that we just completed. Or it may involve a modest number of additional
13 meetings in cases where the UNN elements are more extensive. So, once
14 an application is received and accepted by the NRC, we begin our review in
15 parallel.

16 We review the safety case, we identify the UNN elements
17 that we at least initially believe are there by Committee consensus, we meet
18 with the staff in a short, informal, non-public engagement just to look for any
19 major disconnects, and that we are seeing the same kinds of things, and then
20 we proceed with our evaluation.

21 We work with the applicant to carefully define a series of
22 meetings, an appropriate number of meetings, and the content and scope of
23 each of those to support our fact finding activities. We will communicate with
24 the applicant or the staff through the ACRS staff when we identify questions

1 or points of clarification that we intend to pursue, the goal is not to have got
2 you moments in meetings.

3 But to make sure that we get the information that we need,
4 and that applicants, or the staff come prepared to address those topics that
5 we think are important. We then will hold a meeting with the staff once the
6 final SER with no open items is available for public discussion, and make sure
7 that we understand their conclusions regarding the application.

8 We complete our letter report, and our review is done. We
9 do not formalize, but we often reflect through that process on what has worked
10 well, what could still be improved in a continuous feedback learning loop. So,
11 next slide. In summary we have formalized our statutory obligations in
12 documents that define the ACRS, and describe our work.

13 We have revised our processes consistent with this
14 narrowed focus to still produce rigorous, scientific, fact based conclusions
15 consistent with our statutory obligations, and we think we have made a good
16 start, but we are continuing to look for opportunities. Limited amount of time
17 for you.

18 ACRS CHAIR HALNON: Thanks, Craig. You can go
19 onto the next slide. I hope that through the presentation you have heard a
20 spirit of flexibility, adaptability, corroboration, and that is going to manifest itself
21 into what you might see us here during non-traditional committee weeks. We
22 have clearly communicated to the staff that if you need a special full
23 Committee, we will setup a special full Committee.

24 Our time is, we are part time employees, we have a limited

1 number of days. Today, because we have a limited number of applications
2 we have the flexibility to flex our schedules as well, and we do that. When
3 we get a lot more volume and what not, we'll have to figure that out when we
4 get to it, but we are working on making that more efficient.

5 So, that is a piece of all of this. IF you go onto the next
6 slide, I mentioned a little bit earlier about leadership, craftsmanship. When
7 you are steering an organization, you have to have a shared vision, you have
8 to have high values, and you have to have alignment on all those. This
9 picture is just a thumbnail if you will, it might look like a containment.

10 We have our shared vision around the outside, we have the
11 foundational documents underneath, and we have our values, that is the cover
12 page to our leadership model. If you go onto the next slide, those values and
13 visions are reflected here. This is the true alignment tool, which it starts from
14 the very top, and works your way down from the what to the how.

15 And when you align on the how, and you talk about it, and
16 you spend time discussing whether or not it's sufficient to use that how, you
17 can clearly make it a lot more efficient. So, that is what we do. Each one of
18 those lines on the bottom will have a paragraph or two, and we will collegially
19 talk about it, ten minutes or something to that effect.

20 Not a lot of time, but enough time to align, and get each
21 other's view on what that means to me. So, the last slide, in summary, our
22 job again is to independently reach conclusions and recommendations, and
23 provide advice to the Commission. We won't do that on a fragmented or
24 incomplete basis, we want you to have confidence in our letters, our

1 recommendations, that they're well based in science, based in technology,
2 based in good experience.

3 We know we must collaborate with the staff, that doesn't
4 mean we lose our independence, it means we have a continued line of
5 communication with the staff, if we have an issue, we give it to them, so they
6 may have already looked at it. So, why put it on our docket, and go back and
7 forth? If it's resolved, it's resolved, move on.

8 In all of this, we have to again, focus on that safety case, the
9 margins, making sure that the integrated plant is safe. We will embody this
10 one team effort, which is we are not the enemy, we want to be part of the
11 process completely to get these schedules met, and be efficient. We will
12 proceed with caution, but we must proceed. I turn it back over to you,
13 chairman.

14 CHAIR NIEH: Thank you, Greg, and thank you to our
15 presenters for the informative information today. Going first with questions
16 today is Commissioner Weaver.

17 COMMISSIONER WEAVER: Thank you, chairman.
18 Good morning, and thank you to members of the Advisory Committee for
19 briefing us today. The Committee's independent and technically rigorous
20 insights are essential to achieving the agency's mission. The recent letter,
21 and the chairman mentioned this also, on the proposed Part 57 demonstrates
22 the value ACRS delivers in clarifying complex issues, providing insightful
23 recommendations, and strengthening the quality of our regulatory decisions.

24 I appreciate the proactive steps you've taken to refine ACRS

1 processes and the scope of review. These changes have already improved
2 both efficiency and focus, which is especially important in a period of
3 increasing licensing activity. Your recent lessons learned letter is not only in
4 the spirit of continuous improvement, but also contains actionable information
5 for the staff and applicants.

6 Dr. Petti made a comment about messy sausage making,
7 we know a little bit about messy sausage making on this side of the table as
8 well. I have a goal of asking three questions, and a stretch goal of four, so
9 I'll see if we can make that happen. So, when the Office of New Reactors was
10 formed 20 years ago, there was this design centered review approach.

11 Which really meant design certs and COLs, you review it
12 once and that's it. As I think about your work, and you mention a design
13 centered review, I am wondering would it be better to think about it in terms of
14 sort of a technology centered review, as opposed to, because how many times
15 are you going to see the same design once it's licensed, and you've dealt with
16 all the UNN on that design.

17 Are you going to see that again? But you might see
18 another liquid metal reactor for example.

19 ACRS CHAIR HALNON: Commissioner, I think from a
20 process perspective we didn't separate those. We see typically the
21 technology comes in first, because the topical reports are very technology
22 specific, and those morph into okay, now we're going to put it on a site, and
23 it's more of a design centered. So, I think that we didn't parse those words
24 much.

1 But I think your direction is correct, and I think that we will
2 take another hard look at how we frame that committee to make sure that we
3 are not too siloed on a design, and thinking that we have to continue the
4 design piece. It is a technology, and by matter of the fact that we have
5 different subject matter experts kind of necessitates us looking at technology
6 rather than design.

7 We have a couple of generalists, like integrated plant
8 operations type people that will look at a design as a whole, but for instance
9 our solicitation that we just went out for is looking for someone that is very
10 technology specific in the fuels and material fuels area, certainly is technology
11 specific.

12 COMMISSIONER WEAVER: Thank you. I am going to
13 change direction here. I think everyone knows there is some interest in
14 reprocessing, which I think by definition would fall outside of your scope unless
15 the Commission were to take a look at that. If the Commission were to give
16 you, look at certain factors on a reprocessing facility, do you have the staff, do
17 you have the right technical mix to be able to perform such a review?

18 ACRS VICE CHAIR PETTI: Yeah, I think we have
19 technical capability in the Committee, and in some of our consultants, but in
20 terms of some of the real deep dive stuff, some of us know people who have
21 worked at the labs, and are really well knowledged on this. And we have
22 talked to ourselves about well, we'd probably bring in that other consultant for
23 the real deep stuff.

24 COMMISSIONER WEAVER: Thank you.

1 ACRS CHAIR HALNON: Just to carry on, you do bring up
2 a good point about our full time ACRS staff behind, we have some staff
3 engineers, and we would need to have some training, and potential beef up
4 some of that staff to make sure that initial, full time look at these things that
5 helps us to focus on the UNN is there for us too as well.

6 ACRS VICE CHAIR PETTI: And just we've done that
7 training on the reactor side before the Kemmerer, a liquid metal reactor, and
8 we had Argonne come in, and all the labs have slides on this sort of stuff,
9 training, different people, just to bring everybody up to speed, so we do some
10 of that as well.

11 COMMISSIONER WEAVER: In discussion on
12 construction permit versus operating license, and the level of review, and
13 looking for UNN, and you brought up in your briefing, well there could be also
14 a time lag as construction goes on, and I think there is a possibility that the
15 design could morph a little bit, and those areas that when you did your first
16 pass, maybe there wasn't complete information, or maybe something has
17 changed.

18 So, how does your process make sure when you're looking
19 at the operating license, that you didn't miss something because of a change,
20 or there wasn't sufficient detail?

21 ACRS CHAIR HALNON: That is something that we're
22 also, I wouldn't say concerned about, but we are focused on. In fact we want
23 to see the same type of questions being asked by the staff as well, because
24 they are certainly coming up with a lot more issues, in the past they have put

1 some things as an appendix to the SER so that issues in the SE that they have
2 gaps on, if you will, expecting OL information would be carried forward.

3 I think they are keeping that in a database now, we queried
4 that on the Clinch River project the other day to make sure that those areas
5 that they said are being promised in the OL are there. Our letter reports, we
6 are trying to put the big picture issues, the highest, most significant issues in
7 there, in the body.

8 So that when we get to the OL, the first thing we're going to
9 do is go back and read our letter reports from the CP, and that will refresh us
10 on that. In addition to that, again, our full time ACRS staff, technical staff will
11 be maintaining a website. We have reorganized the website to be much
12 more coherent in maintaining these things so that we could easily go back and
13 take a look at it.

14 So, there may be a little bit more research up front to get a
15 little history, and that will facilitate a much more efficient review, rather than
16 reraking things that we may have already done. Because most likely it will
17 be a different member working on that.

18 COMMISSIONER WEAVER: Thank you for that. We
19 talked, you talked at some length about process improvements, et cetera.
20 How is the ACRS measuring your success, and process efficiency, how do
21 you think about that?

22 ACRS CHAIR HALNON: Well, that is a good question,
23 because we have taken an attempt at getting performance indicators, or
24 looking at different things, and everything is so unique that comes through,

1 different levels of detail and what not, our first measure is did we meet, and
2 are we working with the staff to meet the schedule, to get it out.

3 Are we getting out an efficient letter report that is timely?

4 And right now I say we're meeting those, but we have tried to do performance
5 indicators, and I have always had this concept that if you create a tool, or a
6 performance indicator, if it stops working for you, and you're working for it, it's
7 no good, and that is where we have come in that.

8 So, we would hopefully rely on our external input from the
9 staff, from the Commission, and others, are you hitting the mark, are you
10 adding value, are you continuing to get better at what you do? We do have
11 some, have had self, and continue to have self reflective retreats. In addition
12 to that, what I'm planning in the fourth quarter is what I call an organizational
13 gap analysis.

14 Okay, I am going to take all of these things that we have
15 done over the last couple of years, I'm going to train a couple of observers,
16 and take this leadership model, and say go back, you observe two or three
17 months worth of meetings, you take all these things that we've done, and
18 maybe we'll make a checklist, are we meeting what we say we're going to do?

19 Where are our gaps, and what do we have to fit, and do
20 better with, either with the process, or the behaviors informing the process?
21 And I think that that gap analysis will help tell us whether or not we are meeting
22 the mark or not.

23 COMMISSIONER WEAVER: Thank you. I met my mark
24 of getting my questions in, but let me just make one comment. On the staff,

1 and then as a member of industry, I think ACRS was viewed as you're running
2 the gauntlet. Of course it came at the end of the process, so it was all time
3 added on to the length of getting the license.

4 And I just want to say the changes you have made, I think
5 are right on, and really happy to see the progress that's been made, and will
6 continue to be made. So, thank you.

7 CHAIR NIEH: Thank you, Commissioner Weaver. I'm
8 next, and I can barely contain and control my enthusiasm for this discussion,
9 because we are talking about nuclear safety, this is why we are all here, it is
10 the top priority for our agency, your Committee as well, and I wish I had more
11 time to really dive deep into some of the things I've heard, and I'm going to get
12 to some questions.

13 But really this is what we are all about here today, I love the
14 one team model that you're conveying here. I really appreciate the
15 leadership model that you've conveyed here, I like your new logo by the way
16 too, it's really nice, we have one as well. And I was really pleased to hear that
17 you're no longer in the bring me a rock mode.

18 As a former staff member years and years ago I was
19 bringing rocks, and I love that you're reforming your operations here, and the
20 results show that, I think the number of meetings to get to decision reflects
21 that as well. So, and echo what Commissioner Weaver said, thank you for
22 the reform efforts here.

23 The safety case, I love this concept, I really do, because that
24 is really giving the big picture of what's important for safety. And I was really

1 fascinated by the discussion because when I think of other approaches around
2 the world, the United Kingdom does this approach. The applicant prepares
3 a safety case, and the regulator decides what is reasonable to achieve that.

4 They use a LRP, a lowest reasonably achievable for their
5 safety outcome. So, when I think about the changes that we are making
6 here, and our intense focus on safety, on what matters, we are shifting from
7 very prescriptive requirements to very performance based requirements.
8 And I think about what does the organization need to be able to make these
9 safety decisions.

10 And technical competence and judgment are going to be
11 very, very important, and I am going to see if I get to a question here. But
12 seriously, because we are in this new era of reform, we are doing business so
13 different from before, for folks that don't appreciate how different what the
14 members here presented about ACRS, it is so different than 20 years ago.

15 I mean, it is remarkably different. So, can any of you share
16 some thoughts about how we as a regulatory can perform better in an area
17 where we just need to rely on our technical competence and judgment?
18 Because we are no longer in prescription. Because think about this, we have
19 got regional administrators, inspectors out in the field that may be looking at,
20 I forget what term you called it, but let's say the eaches, the very narrow focus
21 area.

22 And what you're doing is zooming gout, so I would love to
23 get some insights from you on how we can perform better as an agency when
24 we have to make tough regulatory decisions that stem from very, very narrow

1 areas. And I think this whole concept of a safety case, like what is most
2 important, is really a valuable tool to do that. So, I would love to hear what
3 advice you have that we can share with the NRC staff on this.

4 ACRS VICE CHAIR PETTI: Let me take that. So, to me,
5 at least through the advanced reactor lens, you're going to have to use more
6 engineering judgment. Which means that somehow you've got to move their
7 minds from this checklist, right, PDC, did they do it? The reg guide said to
8 do it this way, did they do it? The SRP says this, to thinking more.

9 We're all engineers, or most of them, it requires thinking, it
10 requires judgment, experience informs that judgment. And so I have a
11 concern that when you have been working one way, it requires a real mind
12 flip, and then more importantly if it's not happening, management has to get
13 involved. And sometimes it requires management's management to get
14 involved, depending on what's going on.

15 I will tell you that my personal opinion, from what we have
16 seen on the advanced reactor side, they get it, they are very open, they are
17 very flexible. A little more concerned for our, let's call them the innovative
18 light water reactors. Because you have got this whole existing framework,
19 and you will see it in our BWRX-300 letter, we commented about it.

20 Look, they need the same flexibility as an advanced reactor,
21 they shouldn't be penalized because they're a light water reactor. And it's
22 not about the rules, it's about the interpretation and implementation of the
23 rules. And we've told them step back, open the lens, think about this more
24 broadly, because there is the organization that does the water, and then there

1 is the organization that does advanced.

2 There is going to have to be some cross fertilization I think,
3 in whether that's done with the concept of communities of practice, that sort
4 of thing, to get people to talk about it. The team concept is great, I really like
5 the team concept on the reviews, that helps, but still.

6 CHAIR NIEH: And I love your point, Dr. Petti, about the
7 management, and their role in this. And I know through my peripheral vision,
8 I see the EDO sitting over to my right there, we are implementing a
9 management model here at the NRC, right? We worked in the industry, I
10 saw SNIPM (phonetic) as well, and all those best practices we've had, it's all
11 about vision, alignment, and execution.

12 And I think part of our execution is what we really focus on
13 in terms of the big picture for safety. Because that is how you get out of the
14 woods when you get wrapped around the axle on very checklist oriented
15 issues. So I hope, Mike, you're listening here, you kind of think about that as
16 you're developing this management model.

17 I want to drill down on a couple things, and I am glad I've got
18 four and a half minutes left here. You said PDC is inadequately justified in
19 some cases, and it could weaken defense in depth, as well as cause increased
20 risk, can you give me an example? You don't have to name an applicant or
21 vendor, but just kind of make that real for me?

22 ACRS VICE CHAIR PETTI: To talk about it, it will be. This
23 is also the vendor that made their PDCs completely proprietary, and we had
24 some serious concerns about it, and this is the other issue, the staff didn't

1 agree with us. And again, there's still plenty of time down the road for the
2 staff to say no, but our perception is it's better to do it up front.

3 If you really think -- they were going against accepted
4 standards for that technology, developed by a consensus based body, and
5 they were trying to go against that. With no operating experience in a brand
6 new technology, and as we said in the letter, if you are here talking about Nth
7 of a kind and you want to do this, I have no problem, but not the first of a kind.

8 The history of the agency, in some of the other technologies,
9 they are doing some of these sorts of things, where they are taking innovative
10 approaches to meeting PDCs, they have been proven in older units, and
11 almost every unit in a sodium system they have gone through things. In the
12 gas system there is certain phenomenon that have been proven in every gas
13 reactor ever built.

14 Okay, now I'm a new technology, and I have no operating
15 experience, and I want to do the same thing, but you haven't done the
16 homework yet basically. You haven't proven that in a system of this size,
17 which is a huge scale in the technology. And so we are just saying that may
18 be a great thing to do down the road, but not in the first of a kind.

19 ACRS CHAIR HALNON: And let me just add, chairman, I
20 have a simple way of looking at things sometimes, and my simple way is that
21 you set a PDC, or set of PDCs, and you go design your plant to meet those.
22 It feels like, and I do think that this is happening in some cases, that we are
23 coming up with a design, and then force fitting the PDCs to match the design.

24 And in that respect, the PDCs are being changed to meet

1 the design, rather than under a good philosophy of does this really protect
2 safety?

3 CHAIR NIEH: Yeah, I think with these innovative
4 technologies, to me it is just so remarkable to see how paradigms are
5 changing. There may be a case where that may be appropriate, so I wouldn't
6 necessarily really rule out that thinking there. You mentioned TICAP
7 ARCAP, and it intrigued me because Part 53 relies heavily on TICAP ARCAP.

8 Tell me more about the gap there, I know you mentioned
9 that there wasn't enough detail, it is going to rely more heavily on --

10 ACRS VICE CHAIR PETTI: So, the classic chapter 15
11 accidents, the plots, right? The figures that the engineers read, and you get
12 a real sense, it wasn't in the document, it was in subsidiary documents. And
13 so again, it's not just about what the ultimate dose is in the Part 53 construct,
14 it is --

15 ACRS MEMBER HARRINGTON: Subsidiary documents
16 not in the record.

17 ACRS VICE CHAIR PETTI: Yeah, it's not in the record,
18 because it's a subsidiary document that's out of the bowl. So it's --

19 CHAIR NIEH: But it's part of the reference in the
20 application, or?

21 ACRS VICE CHAIR PETTI: It's probably cited as a
22 reference in the application, so does that legally make it part of the record?
23 That I don't know.

24 ACRS CHAIR HALNON: It's not on the docket, it's not with

1 the docket.

2 ACRS VICE CHAIR PETTI: Okay, yeah, so.

3 CHAIR NIEH: My interest is really we're making so many
4 rule changes, and doing things in different ways, the guidance is going to be
5 so important in how we execute this thing, and again, if you're pointing
6 something out here that kind of concerns me to make sure, because this has
7 got to be implementable.

8 We are doing all these rule changes, and if it creates either
9 bottlenecks, or drag in the ACRS process or elsewhere, that could be a
10 challenge as we seek to --

11 ACRS CHAIR HALNON: We don't want to indict the audit
12 process, the audit process has been really good, and the staff has really
13 benefitted from it, and they do a really great job at documenting, and audit
14 reports, but that's all you get is the audit reports.

15 ACRS VICE CHAIR PETTI: We had another applicant
16 though, their stuff was in there. So, again, I think it's just the newness thing
17 that has to be dealt with.

18 CHAIR NIEH: Thank you. I am out of time right now, so
19 Commissioner Wright.

20 COMMISSIONER WRIGHT: I would yield you some time.
21 Good morning, thank you, chairman. So good morning, and thank you for
22 your presentations today, and thank you for the work that you do as
23 volunteers, it is noticed. And I want to associate myself with some of the
24 comments that the chairman made, and I am going to add a little bit to it,

1 because it started under Walt Kirchner.

2 And that would be the changes that ACRS had started to
3 implement as a body, and how you are going to review, and how you are going
4 to organize, and it has followed with you, Greg, and you all are to be
5 commended, it is noticed, and it is appreciated. And with that I am going to
6 ask a couple of questions. I like the idea now that you're leaning in, and you
7 are not playing hide the rock anymore.

8 That is a phrase that had been known around here for years,
9 and years, and years, and it is noticeable that under the new mission
10 statement, and the ADVANCE Act, and the executive orders, that you all are
11 taking it serious. So, Greg, you referenced the new reactor design center
12 review guidance again, that we all talked about a little bit.

13 So, as me and my team had looked at the guidance, each
14 of the topics could basically require its own subcommittee meeting. And I am
15 just aware that the subcommittee meetings can become resource intensive,
16 and take a lot of time for the Committee, the staff, and the applicant.

17 So, can you maybe describe a little bit more about how the
18 ACRS evaluates the level of subcommittee involvement and engagement that
19 is needed for each review, so we're again, striking the right balance, which
20 you have said you're trying to accomplish.

21 ACRS CHAIR HALNON: Yeah, thank you. Real quick on
22 the subcommittee, in the past we had nine or ten subcommittees with differing
23 assigned members to each one, so if you had a subcommittee meeting you
24 kind of felt like you had to be there, and now our subcommittees are down to

1 three, they are focused around the statutory obligations that we have, and they
2 don't have a defined member, they have a defined chairman.

3 And that chairman goes and picks the subject matter
4 experts he or she needs to establish what focus they're looking at. Now, the
5 design centers, the reactor applications coming in, it's all hands on deck,
6 because all the subject matter experts are needed for the entire piece of this.
7 We have anywhere from seismology, to neutronics, to materials and fuels, and
8 all of those as part of this.

9 We have been talking a lot about before we schedule a
10 meeting, is it respectful to the applicant's resources, is it respectable to the
11 staff resources? So, we have utilized, from a staff perspective, one hour
12 phone calls to establish a question. As opposed to in the past where we
13 would schedule a subcommittee to discuss a document.

14 We said well you only have one issue, why don't you just
15 give them a call and talk to them? And that is that one team effort, and that
16 has subverted a lot of subcommittee meetings where we would have had to
17 travel, and there is a lot of preparation involved, and stuff like that. We have
18 also established engagements, rather than formal subcommittee meetings,
19 which have streamlined the preparation.

20 It's just bring in your subject matter, we'll bring in our subject
21 matter experts, and we'll have a conversation for a half hour, 45 minutes, that's
22 all that's needed. And again, proceed with caution, but must proceed, don't
23 let it sit.

24 COMMISSIONER WRIGHT: So, I'm going to kind of blend

1 some conversations here, because I really liked the idea, doctor, that if things
2 aren't happening the way they need to happen, they're timely, or whatever,
3 that management has to get involved, you were giving that in response to the
4 chairman's question, which I really think is important.

5 That we as leaders, and in management, need to lean in on
6 these things. Are you noticing that need really happening at ACRS? I
7 mean, you had the on review that we've talked about here this morning kind
8 of off the record, but in those situations are you getting to solutions? I'm not
9 saying to a right answer, but are you getting to the solutions that you're looking
10 for?

11 ACRS VICE CHAIR PETTI: Yeah, I think so. I mean on
12 the advanced reactor side, most of the staff really get it, I mean when you get
13 into the details of the SC you read it, you can tell, right? Again, for the light
14 water, the innovative light waters, I'm just a little more cautious just because
15 of the history that's there.

16 There is deeper roots there that may have to be uprooted.
17 So, it's just to be more aware of that side of the house. I think there are some
18 that clearly get it, but I'm not convinced that everybody has got it.

19 ACRS CHAIR HALNON: It gets back to the rigidity, given
20 the light water side there is so many requirements and guidance documents,
21 the SRP is huge, and the rigidity of that is not necessarily the same level of
22 rigidity that's in the advanced reactors at this point. And that is a struggle,
23 does it comply or not, well not quite, well is that good enough? You have that
24 struggle there.

1 ACRS VICE CHAIR PETTI: We don't hold ourselves to all
2 those rules, we're just trying to make sure that things technically make sense,
3 and we always stop there. And there's obviously going to be conflicts, and
4 then that brings it to the floor.

5 COMMISSIONER WRIGHT: Right, but you are also trying
6 to get to an answer.

7 ACRS MEMBER HARRINGTON: Within the staff, the flip
8 side of the chairman's question earlier is as you go to a less prescriptive world,
9 then the challenges of treating everyone equally, and coming up with a
10 consistent set of answers every time becomes a really critical part of it too,
11 which is a challenging balance to maintain.

12 COMMISSIONER WRIGHT: Yeah, well that's a great
13 segue into a question for you. So, in your slides you discussed the
14 Committee's process for determining unique, novel, and noteworthy, or the
15 UNN that you talked to. So, that concept feels a little bit, maybe at odds with
16 the Committee's philosophy of reviewing the overall safety case. And I mean
17 you touched on the relationship in one of your slides.

18 But do you feel there is tension there, and I guess when you
19 -- I guess is there tension there in how the Committee can square those two
20 ideas when scoping out their reviews? Are they -- I'm struggling to hit the
21 right word here, but do you feel that there is some tension there, or do you --

22 ACRS MEMBER HARRINGTON: I think there can be.
23 And of course this is still new enough that we're still working our way through
24 that, and we may hit speed bumps along the way. But it's also not a one size

1 fits all, one time decision. We may have looked at a blue one of those in the
2 past that was used in this particular way, but now it's being used in a different
3 way.

4 And that aspect may be unique, novel, or noteworthy. So,
5 it's not a one time decision, and then we will never look at that again because
6 we touched it once.

7 COMMISSIONER WRIGHT: Yeah, I mean I know you're
8 going to look and explore opportunities, and things like that for further process
9 improvements and the like, so in that, I guess vein, are there metrics, or
10 indicators that ACRS is looking at to measure success, and to guide maybe
11 future reform? Or is this like a --

12 ACRS CHAIR HALNON: I think it's early on in the process
13 to say we have indicators, or any indicators that would be meaningful at this
14 point. But we do from a collegial perspective, you have one member that
15 goes through and develops the initial UNN list, and then we collegially
16 challenge it, so that takes the experience issue out of the picture, because the
17 person is saying well I've never seen that before.

18 Well, five people have, so it's not necessarily unique. And
19 again, when I mentioned the behavioral gap analysis we're going to do later
20 on this year, I think that will establish a need for indicators to put the -- I mean
21 it takes resources to keep those things up, so is there a need to it, or do we
22 have a volume at this point where it wouldn't be meaningful at all?

23 And we don't want to do anything that's just not meaningful,
24 but I think the next briefing that we have, we'll be able to give you the results

1 of that, and provide you with -- maybe withhold that question, because we've
2 gotten a couple times about indicators, and how do you measure your
3 performance, we need to do that, to do it in an efficient and meaningful manner
4 is a real key there.

5 COMMISSIONER WRIGHT: To close real quick, I
6 appreciate the work, and the effort that you're trying to get away from the old
7 way of chapter by chapter reviews that may not have been necessary but you
8 did them anyway, and to try to focus on the most safety significant stuff, and
9 what matters, and what is important to use a quote from the chair, from his
10 comments earlier. And it's appreciated, and --

11 ACRS VICE CHAIR PETTI: Commissioner, I would also
12 say that the top down of safety functions, it's not just UNN bottom up only, and
13 that is a check and balance as well.

14 COMMISSIONER WRIGHT: Good, okay, thank you so
15 much.

16 CHAIR NIEH: Thank you, Commissioner Wright.
17 Commissioner Crowell?

18 COMMISSIONER CROWELL: Thank you, Mr. Chair.
19 Thanks to all our presenters today, and to all the ACRS members for what you
20 do, and for being here. We missed you last year, so it makes this meeting
21 even more important, and impactful, an da lot has transpired since the last
22 time we all came together.

23 And I just say that from my perspective, I think ACRS, as
24 the confluence of the ADVANCE Act, and the EO 14300 came together, I think

1 ACRS was on the ball, and reading that reform, and change was needed, and
2 you were ahead of the curve in doing that. You have made significant changes
3 in the way you do business, the way you've managed the Advisory Committee.

4 That being said, I don't think you get enough credit for that
5 work that's already been done, and I say this because I think on this side of
6 the table we all feel the same way, we took our lumps over the last 12 months
7 until there was the epiphany that we're not the evil regulator that folks thought
8 we are, we're actually doing a pretty darn good job, and we're making
9 improvements.

10 Now, obviously we're a continuously improving entity, and
11 that applies to ACRS as well, but as long as we do that in an iterative way as
12 change demands, and as things come forward, we'll be okay. I'm going to,
13 same goal as Commissioner Weaver here with three questions, and maybe
14 four if I have time.

15 So, as a statutory committee with a statutory mandate, the
16 ACRS has purview over both safety standards and reactor hazards. Can you
17 give me a couple examples of what is in one bucket, versus the other bucket
18 in terms of issues that review. Where does like emergency preparedness
19 land?

20 ACRS CHAIR HALNON: So, there has been a lot of
21 discussion about what is the scope, what are our boundaries, where do we
22 kind of wander into areas that we don't have a real need to know details,
23 business side is an obvious one. We have kind of gone through, and we
24 have talked about in the design center, in the reactors coming in, we say

1 looking at the UNN and the safety case.

2 That same concept applies to reactor standards, and
3 hazards of existing facilities. We look at the issue itself, from a reactor
4 perspective we're looking at the safety case, and the systems that make up
5 that safety case, and how you operate those systems. It may be by digital
6 I&C, or it may be by an operator, both of them have to be qualified to be able
7 operate that system.

8 To be able to either prevent AO events, or transients, deal
9 with the transients, or prevent them from progressing into a design basis
10 accident issue. From there we follow the source term, we follow the source
11 term in the reactor building, outside the reactor building, wherever the source
12 term is going to go, we're going to follow it until we've determined it's not a
13 hazard to the health and safety of the public or the occupational workers.

14 And at that point we don't need to go any further. So, when
15 you talk about EP, we're going to get follow the source term until it becomes
16 not a hazard to the public, and that may mean that it's off site's responsibility,
17 we have off site infrastructure with FEMA, and NRC, and local emergency,
18 they have got that.

19 We don't need to go into off site evacuation plans, we have
20 just got to follow the source term until we understand it.

21 COMMISSIONER CROWELL: Agreed, so in that context,
22 just because ten minutes goes by quickly here, what about siting? There was
23 some talk about geology today, and bringing rocks, I'm not into that either
24 unless it's relevant to a site that has unique geology that we haven't built in

1 before, so what about siting issues?

2 ACRS CHAIR HALNON: Okay, well let's anticipate the
3 question going forward, like an Nth of a kind siting issue, you're taking Nth of
4 a kind, do you need to look at the Nth of a kind reactor? No. Do you need
5 to look at how the siting geologies, if you will, affect the safety case? And
6 the answer is yes. You have to at least establish whether or not you're within
7 the envelope of the design of the reactor.

8 And once we get to that point, we don't need to look at it any
9 further. So, the plenary envelope concept is an excellent concept, we can
10 anticipate, or envision, not even have to look at it all because it's within all the
11 boundaries that we need.

12 COMMISSIONER CROWELL: I think you talked about
13 this, but I want to just maybe have you do it one more time for more clarity.
14 But have there been any instances now, or do you foresee or project any
15 where the identification of UNN, there is a divergence between what NRC staff
16 sees as UNN, and what ACRS sees as UNN?

17 ACRS CHAIR HALNON: Go ahead, Craig.

18 ACRS MEMBER HARRINGTON: I don't know that we've
19 seen that yet, it is certainly possible as part of that independent but reasonable
20 degree of coordination and collaboration. If we do see those events, that's
21 the purpose of that short, informal meeting, just to square that up. And
22 maybe they're seeing something that we have missed in the documents, or
23 vice versa.

24 And so we try to have those touch points to make sure that

1 we are reasonably well aligned, and if there is a disagreement, either we
2 pursue it on our own as part of our independence, or we work it out so that
3 everybody sees things similarly.

4 COMMISSIONER CROWELL: Somewhat along those
5 same lines, I don't think this has come to pass yet, but it is worth thinking
6 about. When an applicant or license action comes to the NRC for review that
7 has previously gone through say the DOE reactor review approval process,
8 how does that -- or how do you think that is going to factor into the ACRS
9 review?

10 I can't even sit here and tell you today all of the elements of
11 how we are going to do that, other than it's not going to be a rubber stamp.
12 But how does it then proceed in the context of ACRS?

13 ACRS VICE CHAIR PETTI: So, I kind of see it as there is
14 a lot of other types of information that come through the DOE program, all
15 sorts of testing, this is just one more step. So yeah, I would expect that it
16 would be useful, but I think we all know that operating a reactor on the DOE
17 side is good, hopefully they've got lots of good experience, but the safety case
18 is more than that.

19 It touches other things, the operation covers some of it, but
20 not necessarily all of it when you look at all the chapters, so there is going to
21 be things. And what I'm hopeful for is the informal NRC people helping DOE,
22 that that's getting greater alignment, and clarity to ensure that the questions
23 are being asked at the DOE stage that the NRC would say we would be
24 interested in that, we might do it this way. That will help prevent big

1 disconnects I would hope.

2 COMMISSIONER CROWELL: And again, in a similar
3 vein, pre-application work and acceptance criteria for license evaluation here
4 at the NRC is a huge part of the process, people shouldn't ever think about it
5 as the start of the process. You've got to provide a lot, and go through some
6 rigorous work to have your application accepted for review by the NRC.

7 And I think that is crucial, because the ACRS review starts
8 after acceptance of the review. Do you feel that acceptance review criteria,
9 or the current acceptance review process by staff is sufficient for the work that
10 ACRS then needs to do once an application is in house?

11 ACRS CHAIR HALNON: I believe that the acceptance
12 process, which really touches on have you hit all the points that we need to
13 review in detail, the key point here is that once it's accepted, what the staff is
14 looking at is what we're looking at, so that we're not crossing paths in a space
15 that doesn't make any sense.

16 So, if the staff thinks there's a big gap, and they don't accept
17 it, we're not going to start reviewing something that the staff isn't going to be
18 reviewing yet. We want to be looking at the same thing so that when we get
19 to the end, if we have a disconnect, it's because it's a technical issue, and not
20 a process issue, or something else like that.

21 So, directly, yes, I think it is adequate, and I think because
22 what happens after the acceptance review is that we're all looking at the same
23 document is the key thing. If we come up with questions as we go along,
24 then again, it's a continuous conversation rather than wait for the meeting at

1 the end of the process.

2 ACRS VICE CHAIR PETTI: I would just say I sometimes
3 worry about the opposite, that the staff will feel under great pressure to accept,
4 and the clock starts when you accept. And if it's not where they think it needs
5 to be, they're just putting more pressure on themselves to complete it in 18
6 months. And finding that balance, and being able to say no, this one really -
7 - a good regulator, this doesn't meet the mark yet, we need this, this, and this.

8 Because the clock will start, and that will just make
9 everything really difficult down the road.

10 COMMISSIONER CROWELL: I think I Couldn't have said
11 it any better myself, so thank you.

12 CHAIR NIEH: Thank you, Commissioner Crowell.
13 Commissioner Marzano?

14 COMMISSIONER MARZANO: Thank you, Mr. Chairman,
15 and I just want to echo that I kind of share your enthusiasm, I'm jumping out
16 of my seat thinking about different questions, and topics to discuss, and I really
17 appreciate the presentations, but I'm going to do my usual filibustering here.

18 So, I want to begin by expressing my sincere appreciation
19 to the members of ACRS for your continued dedication and service to the
20 agency, and the country. This moment of expansion in civil nuclear
21 enterprise draws many parallels to the early Atomic Age, and it is really quite
22 remarkable, some of the exact things that are being said around this table right
23 now I think could have been said in the 1940s and 50s.

24 Almost the engineering judgement point, that is almost line

1 for line a quote from a former chair I believe in 1957, I'm talking about the
2 uncertainty with some of the designs, we'll get into that a little bit more. But
3 it's just remarkable how these parallels are being drawn. And again, many
4 of the underlying factors that drove the pursuit of new nuclear technologies
5 then in energy security, global competition, economic optimization are present
6 today.

7 But a key similarity, especially relevant for this discussion is
8 the diversity of the proposed designs under consideration for commercial
9 deployment, and they are characterized by this lack of sufficient operating
10 experience. And while we benefit from decades of technological
11 development that has improved our ability to predict the behavior of these
12 complex systems, the need for the independent technical body to review and
13 advise on reactor safety matters endures in this moment.

14 Just as it did shortly after the creation of the Atomic Energy
15 Commission decades ago. The Committee's historical perspective, and the
16 technical rigor has shaped the evolution of nuclear safety in the United States.
17 As I mentioned in my remarks earlier this year, the ACRS legacy is not just
18 one of technical excellence, but adaptability.

19 Continuously evolving to meet the challenges of new
20 technologies, new risks, and societal expectations. Over the years ACRS
21 has made significant contributions to the NRC's regulatory framework, serving
22 as an independent and expert backstop that compliments, as was mentioned
23 before, the work of NRC staff in their technical reviews, and reinforces public
24 confidence in the safety of nuclear technologies.

1 This is precisely why the ACRS's independent, holistic, and
2 transparent reviews are more critical than ever. However, as the agency
3 anticipates unprecedented volume and diversity of licensing activity, the
4 ACRS must adjust its conduct to continue to serve its role in enhancing the
5 credibility of our decisions without compromising the integrity of the process.

6 Fortunately during my time with the Senate EPW
7 Committee, I observed the ACRS implement these significant changes to its
8 processes to prepare for this increased workload. This has been going on
9 for a long time, as you've mentioned, and I commend you for these proactive
10 efforts to focus your attention and resources on what is unique, novel, and
11 noteworthy.

12 That is going to be a buzz word here, I think, coming up
13 around this agency. For your responsiveness to stakeholder feedback
14 regarding the efficiency and value of your reviews. You have demonstrated
15 a commitment to ensuring that your work remains both rigorous and timely,
16 without becoming a bottleneck in the licensing process.

17 So, thank you very much, and there was a lot of great
18 discussion, and I am fortunate to go last to be able to kind of clean up some
19 of this. But I kind of want to dive a little bit more into the current rule making
20 that we are under consideration for the DOE, DOD reviewed reactors, and
21 how we use that information to make our own independent conclusions.

22 And so a lot of your members have connections, Dr. Petti,
23 I know you have mentioned it here with folks in the DOE complex, DOD, other
24 members as well. So, I want to talk a little bit more specifically, do you see

1 a specific role for the ACRS in not just the individual reviews for the reactors
2 that are coming over here.

3 But kind of setting up a set of principles or criteria to evaluate
4 how we are going to use the data, how robust that data is, and where the gaps
5 may be for staff to be able to identify ahead of time, how they're going to apply,
6 so that we're not repeating what has already been done, but are actually being
7 able to fulfill our requirements for the licensing.

8 ACRS VICE CHAIR PETTI: That is a good question. I
9 think we could do something like that, impose sort of a number of questions if
10 you will, that touch on largely what we've talked about, tell us about your safety
11 functions, and how do you know. And then tell us about the technology that
12 underpins it, the fuel, and the coolant, other materials, so I think it's something
13 that could be done.

14 COMMISSIONER MARZANO: Has there been any
15 interest in the ACRS's feedback on some of those projects, in getting
16 involved?

17 ACRS VICE CHAIR PETTI: Not that I have heard. I
18 mean individually the DOW uses a bunch of subject matter experts, but it's --
19 at least it was a little different because it had a lot of design side to it, as well
20 as safety. So, there was as much push on making sure the design was
21 coherent, and would work, as well as the safety.

22 COMMISSIONER MARZANO: So, the ACRS, aside from
23 the reactor safety reviews, and providing us the independent look, there was
24 some other functions that the ACRS has performed historically that I think

1 we're moving away from. In particular it's looking at, and I think, Dr. Petti,
2 you kind of laid out some of this with application of the reg guide, and PDCs,
3 almost trying to fit the square peg in the round hole, maybe the square is a
4 little bit smaller than that hole, and so now you have some gaps around the
5 edges.

6 So, how does the ACRS moving forward, one of the things
7 that I'm interested in, especially when we have a lot of turn over in the work
8 force, how do we identify the gaps that we may have technically? How do
9 we continue to be vigilant for where we need to pursue additional either
10 research, or expertise on the staff side?

11 And I think looking at forums like this one, these are
12 opportunities to have these kind of discussions, and to kind of tease out where
13 we see maybe, where some of those gaps may exist.

14 ACRS CHAIR HALNON: First of all, since we don't
15 duplicate the staff review, we're not going to find maybe some of the smaller,
16 if you will, compliance issues, and gaps that you say. But we do, one of our
17 tools is the probing questions, and I mentioned that we look for confidence in
18 the staff and the applicant in how they bring things to us, and can they answer
19 the questions coherently?

20 And do they have the right people in the room, or available,
21 did they anticipate questions such as this? And all these things factor into do
22 we have confidence that we're getting the straight story, and they know what's
23 going on? And that comes back to confidence in the safety case, confidence
24 in the review, and I think that is where we are best served. Is to let you know

1 that was this done well?

2 And I think if we can give you a recommendation that alludes
3 to the fact that it's done well, and we will say something to that effect, if the
4 staff did a good job, or the applicant did, we will make those statements so
5 that you have confidence that the vertical process that it went through was
6 integrated enough with the right people, and the right knowledge.

7 ACRS VICE CHAIR PETTI: The other thing from sort of a
8 knowledge management perspective, the last time we met, so it's been two
9 years, I think Commissioner Wright, you had asked us some questions about
10 what's the right topical reports, and so we put something together that's on the
11 website where we've organized, we think these naturally fit together, we think
12 this other group fits naturally together.

13 And in a timing sense, these should be early, this one can
14 wait right before you put the PSAR together, but we really need to understand
15 functional containment and source term because they drive everything. And
16 so we put that together to help applicants think about what are the important
17 topical reports to get in front of the Commission, the staff, and us.

18 And many of them I think follow through, we saw the same
19 types of topical reports coming through with the different applications. When
20 you don't, then you question, you didn't see that?

21 COMMISSIONER MARZANO: Well, you kind of also
22 touched on it, Greg, there is value in the ACRS review, even if there is maybe
23 not a change in the staff position on a particular item. I believe there is value
24 when there is agreement as well, kind of alignment. Can you talk a little bit

1 more at a high level how that value kind of translates into the purpose of the
2 ACRS, which is to apply that rigor, and instill public confidence?

3 ACRS CHAIR HALNON: Thanks. I will go back to an
4 experience I had once with a license renewal when I was on the industry side.
5 And not to indict anybody, but the ACRS subcommittee chairman said you've
6 got to give me something, I've got to write something in the report that makes
7 it look like we did what we need to do.

8 And that, chairman, we spoke after I got on the ACRS, you
9 said well we really never thought much of the ACRS, that really struck me.
10 And so the point is that the collaboration through the process, and the back
11 and forth discussions, and we're concerned with that, they have an answer,
12 they're concerned with this, we say that's okay for us.

13 That crossing of wisdom if you will, to me is higher level than
14 maybe one or two recommendations you get that they have to reconcile. We
15 do have a couple of those, the NuScale one was a classic, Dave wrote a
16 source term letter that, which one, that was TerraPower's?

17 ACRS VICE CHAIR PETTI: No, X-energy's.

18 ACRS CHAIR HALNON: X-energy's.

19 ACRS VICE CHAIR PETTI: They missed some big stuff,
20 but I didn't excoriate them in the meeting, I just said now hold it, think about
21 this, and they did admit they hadn't thought about it that way. And so it is all
22 in the letter about staff, you need to understand this.

23 ACRS CHAIR HALNON: So, a lot of the value doesn't
24 make it to the letter, it's pre, in all this interaction that we have with it, and that

1 is what we want, because that is that one team effort to come up with the best
2 product at the end.

3 COMMISSIONER MARZANO: Yeah, and that really kind
4 of highlights the way I'm viewing this now. It's been said already in this room,
5 you're not duplicating in effort, you're offering a complimentary function to the
6 staff, and it is valuable, and it has been valuable for decades and decades of
7 civil nuclear enterprise. So, thank you, Mr. Chairman.

8 CHAIR NIEH: Okay, well we have reached the end of our
9 meeting. Let me ask, do any of my colleagues on the Commission have any
10 closing remarks to make? Hearing none, well this was a really great meeting,
11 and as I mentioned at the moment, this is the most consequential moment for
12 American nuclear energy in nearly 50 years.

13 There is a new NRC, there is clearly a new ACRS, and I
14 thank you for your efforts. What remains the same is our focus on safety,
15 and that was abundantly clear through this discussion. And what is changing
16 is how we do our work to fulfill our safety commitment. So, thank you
17 everyone for your attendance, appreciate the presentations, and end of
18 meeting.

19 (Whereupon, the above-entitled matter went off the record
20 at 11:45 a.m.)

21

22

23

24

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13