

ORIGINAL ACRS-3100

**OFFICIAL TRANSCRIPT OF PROCEEDINGS  
NUCLEAR REGULATORY COMMISSION  
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS**

**Title: MEETING: HUMAN FACTORS**

TRO4 (ACRS)  
RETURN ORIGINAL  
TO BJWHITE  
M/S T-2E26  
415-7130  
THANKS!

**Docket No.:**

**Work Order No.: ASB-300-1020**

**LOCATION: Rockville, MD**

**DATE: Friday, November 19, 1999**

**PAGES: 1 - 215**

**ANN RILEY & ASSOCIATES, LTD.**

1025 Connecticut Ave., NW, Suite 1014  
Washington, D.C. 20036

(202) 842-0034

**ACRS Office Copy**  
**for the Life of the Committee**

POL ACRS

DISCLAIMER

UNITED STATES NUCLEAR REGULATORY COMMISSION'S  
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

NOVEMBER 19, 1999

The contents of this transcript of the proceeding of the United States Nuclear Regulatory Commission Advisory Committee on Reactor Safeguards, taken on November 19, 1999, as reported herein, is a record of the discussions recorded at the meeting held on the above date.

This transcript had not been reviewed, corrected and edited and it may contain inaccuracies.

1 UNITED STATES OF AMERICA  
2 NUCLEAR REGULATORY COMMISSION  
3 ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

4 \*\*\*

5 MEETING: HUMAN FACTORS

6  
7 U.S. NRC  
8 Conference Room 28-1  
9 Two White Flint North  
10 11545 Rockville Pike  
11 Rockville, Maryland  
12

13 Friday, November 19, 1999  
14

15 The committee met, pursuant to notice, at 8:30  
16 a.m.

17 MEMBERS PRESENT:

18 GEORGE APOSTOLAKIS, Chairman, ACRS  
19 DANA A. POWERS, Member, ACRS  
20 THOMAS S. KRESS, Member, ACRS  
21 JOHN J. BARTON, Member, ACRS  
22 JOHN D. SIEBER, Member, ACRS  
23 MARIO V. BONACA, Member, ACRS  
24 ROBERT E. UHRIG, Member, ACRS  
25 ROBERT L. SEALE, Member, ACRS

ANN RILEY & ASSOCIATES, LTD.  
Court Reporters  
1025 Connecticut Avenue, NW, Suite 1014  
Washington, D.C. 20036  
(202) 842-0034

## P R O C E E D I N G S

[8:30 a.m.]

DR. APOSTOLAKIS: The meeting will now come to order.

This is a meeting of the ACRS Subcommittee on Human Factors. I'm George Apostolakis, chairman of the subcommittee. The ACRS members in attendance are Mario Bonaca, John Barton, Robert Seale, Dana Powers, Jack Sieber and Tom Kress.

The purpose of this meeting is to review a proposed revision to NUREG 1624, Technical Basis and Implementation for a Technique for Human Event Analysis, ATHEANA, period and assist staff research activities related to human reliability analysis, pilot application of ATHEANA to assess design basis accidents and associated matters. The subcommittee will gather information, analyze relevant issues and facts and formulate proposed positions and actions as appropriate for deliberation by the full committee.

Mr. Juan Piralta is the cognizant ACRS staff engineer for this meeting. The rules for participation in today's meeting have been announced as part of the notice of this meeting previously published in the Federal Register on October 14, 1999. The transcript of this meeting is being kept and will be made available as stated in the Federal



1 Register notice. It is requested that speakers first  
2 identify themselves and speak with sufficient clarity and  
3 volume so that they can be readily heard.

4 We have received no written comments or requests  
5 for time to make oral statements from members of the public.  
6 We have to recess at 11:45, because I have to go to another  
7 meeting, and then, we will reconvene again at maybe 12:45,  
8 okay? So, if you can plan your presentation around that  
9 schedule, that will be good.

10 We will now proceed with the meeting, and I call  
11 upon Mr. Mark Cunningham, for a change, to begin.

12 [Laughter.]

13 DR. APOSTOLAKIS: Was there ever a meeting where  
14 Mr. Cunningham was not the first speaker?

15 [Laughter.]

16 DR. APOSTOLAKIS: We all ask.

17 MR. CUNNINGHAM: Probably one or two in the last  
18 20 years; not much beyond that, it seems.

19 Good morning.

20 DR. APOSTOLAKIS: And Dr. Uhrig just joined us,  
21 for the record.

22 MR. CUNNINGHAM: All right; on the agenda, I've  
23 got a couple of items to begin with this morning. First is  
24 just an overview of what we're doing. The second is topics  
25 related to international efforts. I'd like to put the

1 international efforts, to delay that a little bit and  
2 discuss it after the ATHEANA presentation, because I think  
3 the context is much better after you've heard more about  
4 ATHEANA and the way we're treating human errors and things,  
5 unsafe acts, I'm sorry, that sort of thing.

6 But anyway, by introduction, we have I guess by  
7 and large one big topic and a couple of smaller topics to  
8 discuss this morning. The big topic is the work we've been  
9 doing over the last year or so to the ATHEANA project to  
10 respond to the peer review that we had in Seattle awhile  
11 back, June, okay? That's the main topic for the day, so  
12 we'll talk about that; we'll talk about the structure of  
13 ATHEANA, what the objectives of the project are and then  
14 have an example.

15 One of the things we've been doing over the last  
16 year is demonstrating the model in an analysis of a fire  
17 accident scenario in a plant that gets involved with this  
18 self-induced station blackout, a SISBO plant, if you will.  
19 After that, we'll come back and talk about two smaller  
20 topics. One is a base proposal, which are basically our  
21 international efforts in the human reliability analysis. We  
22 had some work underway for the last couple of years with  
23 CSNIs, PWG-5, Principal Working Group 5, and you had errors  
24 of commission; we also had a CUPRA program related to trying  
25 to relate risk -- bring into risk analysis the impact of

1 organizational influences. So, I'll talk briefly about  
2 those later on in the morning or right after lunch or  
3 something like that.

4 DR. APOSTOLAKIS: Oh, I forgot to mention that Mr.  
5 Sorenson, a fellow of the ACRS, will make a presentation on  
6 safety culture after lunch, and we would appreciate it if  
7 some of you guys stay around and express comments and views.  
8 This is an initiative of the ACRS, and certainly, your views  
9 and input would be greatly appreciated. So don't disappear  
10 after the ATHEANA presentation.

11 MR. CUNNINGHAM: We won't. Most of us won't.

12 DR. APOSTOLAKIS: Good.

13 MR. CUNNINGHAM: With that, I'll turn it over to  
14 Katharine Thompson. Katharine is the project manager of the  
15 ATHEANA project in the office built by two support people,  
16 John Forester from Sandia and Alan Kolaczowski from SAIC.  
17 We've got some others in the audience, too, but we'll get  
18 back to that in a minute.

19 DR. THOMPSON: Good morning, and it's my pleasure  
20 to be here this morning to discuss ATHEANA with you for the  
21 first time, I guess. I know you've heard a lot about it.

22 DR. APOSTOLAKIS: We should invite you more often,  
23 Katharine.

24 [Laughter.]

25 DR. POWERS: Well, George, I will point out that

1 the first speaker before the committee usually gets asked a  
2 fairly similar question.

3 DR. APOSTOLAKIS: Yes; go ahead, Dana.

4 DR. POWERS: What in the world qualifies you to  
5 speak before this august body?

6 [Laughter.]

7 DR. THOMPSON: I have orders from my manager.

8 [Laughter.]

9 DR. POWERS: No, I'm serious; could you give us a  
10 little bit of your background?

11 DR. THOMPSON: Oh, sorry; I have a Ph.D. in  
12 industrial and organizational psychology. I've been at the  
13 NRC for about 10 years. I was in NRR and human factors for  
14 a few years, and then, I went as a project manager for the  
15 Palo Verde plant. I've been over here in the research and  
16 assessment branch for about 5 or 6 years, and I've been  
17 working on ATHEANA for the past about 5 years.

18 DR. POWERS: What in the world makes you think  
19 that this body will understand anything you have to say?

20 [Laughter.]

21 SPEAKER: We'll be slow in delivery.

22 DR. THOMPSON: Okay; just a brief outline of the  
23 presentation. I'm going to be discussing the overview and a  
24 brief introduction. Dr. John Forester will be going through  
25 the structure of ATHEANA and how it's done. Alan

1 Kolaczowski will be talking about the fire application, and  
2 then, I'll be back to talk about some conclusions and some  
3 follow-up activities.

4 We're not going to talk about the peer review in  
5 the interests of time, but in the back of your handout, you  
6 have all of the slides and discussion of the peer review, so  
7 you can look at that in your own time.

8 DR. APOSTOLAKIS: Unless we raise some issues.

9 DR. THOMPSON: Unless you raise some issues.

10 I guess the first question that always comes is  
11 why do we need a new HRM method? And so, we've talked about  
12 this and looked at accidents that happen in the industry and  
13 other industries, events that have happened, and certain  
14 patterns and things come to the surface. What we're finding  
15 is that a lot of problems involve situation assessment; that  
16 scenarios and the events deviate from the operator's  
17 expectation. Perhaps they were trained in one way on how to  
18 approach a situation, and the scenario didn't happen that  
19 they were trained on.

20 We've seen that plant behavior is often not  
21 understood, that multiple failures happen that are outside  
22 the expectations of the operators, and they don't know how  
23 to respond to this or how to handle it properly. They  
24 weren't trained on how to follow these scenarios. And we  
25 also know that plant conditions are not addressed by

1 procedures. A lot of times, these things don't match. The  
2 procedures tell them how to go through a scenario, but yet,  
3 the scenario isn't matched with the procedures at hand, so  
4 that they may do something that's not in the procedures;  
5 that could, in fact, worsen the conditions.

6 And these types of things aren't handled  
7 appropriately in current ERAs and HRAs, and so, we need to  
8 address these problems with situation assessment and how the  
9 plan is understood by the operators.

10 DR. APOSTOLAKIS: Now, this thing about the  
11 procedures is interesting. Isn't it true that this agency  
12 requires verbatim compliance with procedures, unlike the  
13 French, for example, who consider them general guidelines?

14 DR. POWERS: Guidance.

15 DR. APOSTOLAKIS: Yes; it's like traffic lights  
16 somewhere else.

17 So how -- what are we going to do with this? I  
18 mean, should the agency change its policy?

19 MR. CUNNINGHAM: We are probably not the best  
20 people to say, but I don't think that's the policy of the  
21 agency, to follow -- require verbatim compliance with the  
22 procedures.

23 DR. BARTON: George, the agency requires that you  
24 have to procedures to conduct operations, to handle  
25 emergencies, et cetera. Some procedures are categorized in

1 different categories: continuous use, reference, stuff like  
2 that. But there really isn't --

3 DR. APOSTOLAKIS: There is no --

4 DR. BARTON: -- a requirement that you do verbatim  
5 compliance.

6 DR. BONACA: Although the utilities --

7 DR. BARTON: Utilities have placed compliance,  
8 strict compliance, on certain groups of procedures, and they  
9 have also policies that say if you can't comply with the  
10 procedure, what you do: stop and ask your supervisor,  
11 change the procedure, et cetera. But I don't think there  
12 are any regulations that say you have to follow procedures  
13 verbatim.

14 DR. APOSTOLAKIS: Although we have been told  
15 otherwise, though. What's that?

16 DR. BONACA: Control room procedures, however, in  
17 an emergency, EOPs, for example, there is following verbatim  
18 to line by line.

19 DR. APOSTOLAKIS: But these are the ones that  
20 Katie is talking about, right? EOPs?

21 DR. BONACA: Yes.

22 DR. APOSTOLAKIS: Not procedures for maintenance.  
23 I mean, you're talking about --

24 MR. CUNNINGHAM: Again, I don't know that it's a  
25 requirement of the agency that they follow line-by-line the

1 procedures. It's my understanding that it's not.

2 DR. UHRIG: It was 20 years ago at one point, but  
3 that was believed.

4 MR. CUNNINGHAM: Okay.

5 DR. BONACA: Well, the order in which you step  
6 through an emergency procedure is very strict. I mean, at  
7 least -- I don't know if it is coming from a regulation, but  
8 it is extremely strict. You cannot -- I mean, the order of  
9 the steps you have to take; that's why you have the approach  
10 in the control room with three people, and one reads the  
11 procedure; the others follow the steps.

12 DR. APOSTOLAKIS: Yes, that's true.

13 MR. CUNNINGHAM: Again, I think all of that is  
14 very true. I just don't think it's a requirement -- it's  
15 not in the regulations that they do that is my  
16 understanding.

17 DR. APOSTOLAKIS: You say you are not the  
18 appropriate people. Who are the appropriate people who  
19 should be notified?

20 MR. CUNNINGHAM: I'm sorry?

21 DR. APOSTOLAKIS: Maybe that will do something  
22 about it.

23 MR. CUNNINGHAM: Who --

24 DR. APOSTOLAKIS: Who in the agency is in charge  
25 of the procedures and compliance?



1 MR. CUNNINGHAM: It's our colleagues in NRR,  
2 obviously, and where exactly in the last reorganization this  
3 ended up, I'm not quite sure.

4 DR. APOSTOLAKIS: Okay.

5 MR. CUNNINGHAM: But the issue of whether or not  
6 there is verbatim compliance is an NRR issue that --

7 DR. SEALE: It might be interesting to discuss  
8 this with some inspectors in the plant.

9 DR. KRESS: Whenever we've heard -- one of these  
10 things that always seems to show up. I'm sorry; I can't  
11 talk to them and listen at the same time, but it seems to me  
12 like there was almost an implied -- on these procedures.

13 DR. APOSTOLAKIS: Yes.

14 DR. KRESS: Whether it's real or within the  
15 regulations or not.

16 DR. BONACA: But that certainly has been  
17 interpreted by now by the licensees. I mean, for the past  
18 10 years, especially -- even the severe accident guidelines,  
19 in some cases, where you look at the procedures, they are  
20 very strictly proceduralized, I mean. And you check to see  
21 that people do not even in the simulator room do not invert  
22 the order of the stuff.

23 DR. THOMPSON: Yes, but a lot of that came from  
24 the analysis, because following the procedure requirement,  
25 it's the next step that you must deal with, I don't ever

1 recall a regulation requiring verbatim compliance. We had  
2 company policy about certain procedures.

3 DR. APOSTOLAKIS: Okay.

4 DR. THOMPSON: Okay; so what we know from all of  
5 these reviews of accidents and events is that situations in  
6 the context creates the appearance that a certain operator  
7 action is needed when, in fact, it may not be and that  
8 operators act rationally; they want to do the right thing;  
9 they try to do the right thing, and sometimes, the action is  
10 not the appropriate action to take. The purpose for  
11 ATHEANA, then, is to provide a workable, realistic way to  
12 identify and quantify errors of commission and errors of  
13 omission.

14 There are three objectives of ATHEANA. First is  
15 to enhance how human behavior is represented in accidents  
16 and near miss events. We do this by looking at the decision  
17 process involved, how people -- their information processing  
18 abilities and how they assess a situation, and we also  
19 integrate knowledge from different disciplines. We look --  
20 we have technology factors, engineering risk assessments.  
21 We try to incorporate many different areas of knowledge  
22 there.

23 DR. POWERS: I guess I'm struck by how this view  
24 graph would have been written by somebody -- who developed  
25 human error analysis methodologies they use now. They

1 probably would use this view graph and just change the  
2 title, right? Everybody that advances the human -- our  
3 reliability analysis program says he's going to make it  
4 realistic; he's going to integrate perspectives of ERA with  
5 plant engineering, operations training, psychology,  
6 risk-informed and have insights. I mean, this is true of  
7 any conceivable human error analysis.

8 MR. CUNNINGHAM: In theory. Now, we could go back  
9 perhaps in another session and talk about how much did other  
10 methods really accomplish this, and I think what you see,  
11 and you hear stories of how, in the poorer qualities HRAs,  
12 if you will, how this is implemented in a way that, in fact,  
13 the issues such as psychology and operations and training  
14 and things like that are handled on a rather -- one way to  
15 put it is a crude way, and one way would be just a  
16 mechanical way or something like that.

17 DR. POWERS: You know, I mean when you look for  
18 things like your hallowed Navier Stokes equations, people  
19 come up with --

20 DR. KRESS: Hallowed, not hollowed.

21 DR. POWERS: That's right, hollowed.

22 [Laughter.]

23 DR. POWERS: The fount of all wisdom, and you call  
24 it the big bang; everything else was just thermohydraulics.

25 [Laughter.]

1 DR. SEALE: And a little chaos thrown in.

2 [Laughter.]

3 DR. POWERS: You know, in your equations, you say,  
4 well, we'll make an approximation. We may have zeroeth Ns,  
5 and you can see that there is no dimensionality in the  
6 zeroeth approximation, and then, you have first order ones  
7 and second order ones and third order ones, and it's very  
8 clear when somebody is getting more realistic and  
9 incorporating more terms. How am I going to look and see  
10 that this ATHEANA program is more realistic? You know, what  
11 is it that says clearly that this is more realistic than  
12 what was done many, many years ago for the weapons programs?

13 MR. CUNNINGHAM: I guess in my mind, there would  
14 be a couple of clues. I guess one would be how well we can  
15 mimic, if you will, or reproduce the real world accidents  
16 that Katharine started talking about, and again, those are  
17 the accidents that are, if you will, I think of them as the  
18 more catastrophic accidents. If you look back and see,  
19 investigate human performance in catastrophic accidents, how  
20 well does this model -- I don't want to say predict but work  
21 with those types of events?

22 DR. KRESS: You're not talking about neutral.

23 MR. CUNNINGHAM: No, I'm talking about in general.  
24 I can think of --

25 DR. KRESS: Can you transfer that technology to

1 technology?

2 MR. CUNNINGHAM: Yes, I think you can, and that's  
3 kind of one of the subtle, underlying presumptions is that  
4 the human performance in catastrophic accidents can be  
5 translated across different industries, highly complex,  
6 high-tech industries, if you will: aircraft, chemical  
7 facilities and that sort of thing.

8 DR. APOSTOLAKIS: I think there is a message here,  
9 Katharine: use your judgment as you go along, and skip the  
10 view graphs that are sort of general and focus on ATHEANA  
11 only. Do not raise anything until you come to the  
12 specifics. Otherwise, you're going to get discussions like  
13 this.

14 [Laughter.]

15 DR. APOSTOLAKIS: So can you go on, and we'll come  
16 back to these questions?

17 DR. THOMPSON: Skip the next one, John.

18 This is just to show you the basic framework of  
19 ATHEANA and to underscore again -- well, we use different  
20 ones here; that's the left part. Psychology, engineering --  
21 this is something we've been working on. The left-hand side  
22 shows you the elements of psychology, human factors  
23 engineering that are folded into the framework.

24 DR. APOSTOLAKIS: Go ahead.

25 DR. THOMPSON: And then, it flows into the PRA

1 logic models and the rest. You've seen this before. John  
2 is going to talk more about this in the future, so I don't  
3 want to spend too much time on this right now.

4 DR. APOSTOLAKIS: I have a couple of comments.

5 DR. THOMPSON: Okay.

6 DR. APOSTOLAKIS: I have complained in the past  
7 that error-forcing context is a misnomer, and then, I read  
8 your chapter 10, which tells me that there may be situations  
9 where the error-forcing context really doesn't do anything.  
10 So I don't know why it's forcing. I notice that some of the  
11 reviewers also said that it's probably better to call it  
12 error-producing, error -- I don't know, some other word than  
13 forcing, because you, yourselves say in chapter 10 that the  
14 probability of error, given an error-forcing context, is not  
15 one, may not be one.

16 DR. THOMPSON: Right.

17 DR. APOSTOLAKIS: Second, I don't understand why  
18 you call them unsafe actions. I fully agree that the human  
19 failure event makes sense, but until you go to the human  
20 failure event, you don't know that the action is unsafe. I  
21 mean, you insist -- in fact, you just told us -- that people  
22 aren't rational, and I'm willing to accept that. So the  
23 poor guy there took action according to the context, which  
24 led to a human failure event. So I don't think you should  
25 call it unsafe. I mean, human actions -- don't you think

1 that that would be a better terminology?

2 And then, finally, coming back to Dr. Powers'  
3 question, I give you my overall impression of the report. I  
4 think the greatest contribution that ATHEANA has is the  
5 extreme attention it paid to the plant, at the plant  
6 conditions; that there is an awfully good discussion of how  
7 the plant conditions shape the context. But I must say that  
8 chapter 10 was a disappointment. The quantification part, I  
9 didn't see anything there that really built on the beautiful  
10 stuff that was in the previous chapters. In fact, it just  
11 tells you go find a method and use it.

12 It's a little harsh, but, I mean, in essence,  
13 that's what it says. I mean, I have this context. I spent  
14 all this effort to find the error-forcing context. And  
15 then, all you are telling me is now, you can use half. You  
16 can use, you know, slim model if you like. I thought I was  
17 going to see much more. I mean, this thing of error  
18 mechanisms has always intrigued me, why you bother to use  
19 it. And then, in chapter 10, you don't use it, which is  
20 sort of what I expected. I mean, I can't imagine anybody  
21 quantifying error mechanisms.

22 So I don't know if this is the proper place to  
23 discuss this, because it's jumping way ahead, but I'm just  
24 letting you know that chapter 10, I thought, was a let-down  
25 after the wonderful stuff that was in the previous chapters.

1 MR. CUNNINGHAM: Yes, I think we are getting a  
2 little ahead of --

3 DR. APOSTOLAKIS: Yes, okay.

4 MR. CUNNINGHAM: I mean, after John and Alan talk  
5 for awhile, we can come back to this.

6 DR. APOSTOLAKIS: But, I mean, one part of the  
7 answer to Dr. Powers is that this is really the first HRA  
8 approach that really paid serious attention to the plant  
9 conditions, and I think that is very, very good, very good,  
10 but we are really -- we are not just speculating now. You  
11 guys went out of your way to see how this circle there,  
12 plant design, operations and maintenance and plant  
13 conditions shape the context. I've always had reservations  
14 about the error mechanisms, but I deferred to people more  
15 knowledgeable than I.

16 But chapter 10 now makes me wonder again. So, but  
17 the terminology, I think, is very important. I'm not sure  
18 that you should insist calling it error-forcing context when  
19 you say in chapter 10 that -- I don't remember the exact  
20 words but, you know, sometimes, you know, it doesn't really  
21 matter. How can it be forcing it?

22 Yes, John?

23 MR. FORESTER: Do you want me to comment on it?

24 DR. APOSTOLAKIS: I want you to comment on this.

25 MR. FORESTER: I suggest we come back and --



1 DR. APOSTOLAKIS: Great.

2 MR. FORESTER: -- the natural progression of the  
3 talk will get us to chapter 10.

4 DR. APOSTOLAKIS: Okay; fine, fine.

5 MR. FORESTER: Sometime today so --

6 DR. APOSTOLAKIS: Do you have any reaction to the  
7 comments on the terminology? I mean, last time, you  
8 dismissed me. Are you still dismissing me?

9 [Laughter.]

10 DR. THOMPSON: We'll come back to it.

11 MR. FORESTER: We will come back to it.

12 MR. KOLACZKOWSKI: The answer is yes.

13 DR. APOSTOLAKIS: Well, then, that gives me time  
14 to find your exact words in chapter 10.

15 [Laughter.]

16 DR. APOSTOLAKIS: Okay.

17 DR. THOMPSON: This slide going real fast. I  
18 wanted to just briefly recognize the team, because they all  
19 did a wonderful, wonderful job, and it, again, underscores  
20 the different disciplines we've brought to this program.  
21 We've got psychologists, the first three, specifically.

22 DR. APOSTOLAKIS: Always pleased to see names that  
23 are more difficult to pronounce than my own.

24 [Laughter.]

25 MR. KOLACZKOWSKI: I don't see any such names

1 here.

2 [Laughter.]

3 DR. THOMPSON: He's referred to as Alan K.,  
4 because I can't pronounce it either.

5 [Laughter.]

6 DR. THOMPSON: Engineers, risk assessment experts,  
7 psychologists, human factors, so we've brought all of the  
8 disciplines to this project that we need.

9 DR. APOSTOLAKIS: By the way, I hope you don't  
10 misunderstand my comments. I really want this project to  
11 succeed, okay? So I think, you know, being frank and up  
12 front is the best policy. So I must tell you that it was  
13 not a happy time for me when I read chapter 10.

14 MR. CUNNINGHAM: We appreciate that over the  
15 years, we've gotten a lot of good advice from the various  
16 subcommittees and committees here, and we appreciate that  
17 and take it in that vein, even though we may take your name  
18 in vain occasionally.

19 [Laughter.]

20 DR. POWERS: We are probably in good company.

21 DR. APOSTOLAKIS: Now, you know why Mr. Cunningham  
22 is always there --

23 [Laughter.]

24 DR. APOSTOLAKIS: -- every time we meet. He knows  
25 how to handle situations like this.

1 [Laughter.]

2 MR. FORESTER: Yes; I am John Forester with Sandia  
3 National Laboratories, and I'm, I guess, the project  
4 manager, the program manager. I work for Katharine, and I'm  
5 the project leader for the team.

6 DR. APOSTOLAKIS: She's not Kitty anymore? Is it  
7 Katharine now?

8 MR. FORESTER: Katharine, yes.

9 DR. APOSTOLAKIS: Okay.

10 [Laughter.]

11 MR. FORESTER: For this part of the presentation,  
12 I'm going to discuss the structure of ATHEANA, and what I'd  
13 like to do is focus on the critical aspects and processes  
14 that make up the ATHEANA method.

15 DR. APOSTOLAKIS: So, you skipped the project  
16 studies.

17 DR. THOMPSON: I'm sorry; I'll get back to that at  
18 the end when we talk about the completion.

19 DR. APOSTOLAKIS: Okay.

20 MR. FORESTER: Okay; ATHEANA includes both a  
21 process for doing retrospective analysis of existing events  
22 and a process for doing prospective analysis of events.

23 DR. KRESS: A retrospective? Is that an attempt  
24 to find out the cause?

25 MR. FORESTER: Right, an analysis of the event to

1 find out what the causes were and, you know, ATHEANA has had  
2 a process or a structure, at least, for doing that for quite  
3 awhile, to be able to analyze and represent events from the  
4 ATHEANA perspective so that you can understand what the  
5 causes were and also, by doing that in this kind of formal  
6 way, you'd have a way to maybe identify how to, you know,  
7 fix the problems in a better way.

8 DR. KRESS: And you can use that retrospective  
9 iteratively to improve some of the models in the ATHEANA  
10 process?

11 MR. FORESTER: Yes; you know, the idea was that by  
12 doing these retrospective analyses, we learn a lot about the  
13 nature of events that had occurred and then can take that  
14 forward and use it in the prospective analysis.

15 DR. APOSTOLAKIS: But today, you will focus on  
16 prospective analysis.

17 MR. FORESTER: That is correct; yes, I just want  
18 to note that one of the recommendations from the peer review  
19 in June of 1998 was that we had the structure for doing the  
20 retrospective, but we did not have an explicitly documented  
21 process for doing the retrospective, and we have included  
22 that now, okay? And we do see that as an important part of  
23 the ATHEANA process in the sense that, you know, when plants  
24 or individuals go to apply the process, they can look at  
25 events that have occurred in their own plant and get an

1 understanding of what the kinds of things ATHEANA is looking  
2 for, sort of the objectives of it, and that way, it will  
3 help them be able to use the method, in addition to just  
4 learning about events in the plant and maybe ways to improve  
5 the process or improve the problem, fix the problem.

6           Okay; now, we do see in terms of the prospective  
7 analysis, as George said, we're going to focus on that  
8 mostly today. We do see the process as being a tool for  
9 addressing and resolving issues. Now, those issues can be  
10 fairly broadly defined in the sense of we're going to do an  
11 HRA to support a new PRA, but we also see it as a tool to  
12 use more specifically in the sense -- for example, you might  
13 want to extend an existing PRA or HRA to address a new issue  
14 of concern; for example, maybe, you know, the impact of  
15 cable aging or operator contributions to pressurized thermal  
16 shock kind of scenarios or fire scenarios. So it can be  
17 used in a very effective manner, I think, to address  
18 specific issues.

19           Also, maybe, to enhance an existing HRA or, you  
20 know, upgrade an existing HRA to be able to -- for purposes  
21 of risk-informed regulation submittals and things like that.  
22 So it can be a very issue-driven kind of process.

23           The four items there on the bottom are essentially  
24 sort of the major aspects of the tool, and I'm going to talk  
25 about each one of those in detail, but in general, the

1 process involves identifying base case scenarios; sort of  
2 what's the expected scenario given a particular initiator  
3 and then trying to identify deviations from that base case  
4 that could cause problems for the operators.

5 Another major aspect of the --

6 DR. KRESS: Are those the usual scenarios in a PRA  
7 that you're talking about?

8 MR. FORESTER: The -- well, no, the base case is  
9 sort of -- I'll go into more detail about what the base case  
10 scenario actually is, but it is what the operators expect to  
11 occur, and it's also based on detailed plant engineering  
12 models, okay? So maybe you'll lift something from the plant  
13 FSAR, but I'll talk about that a little bit more.

14 And again, another major aspect of the revised  
15 method is that we try to clarify the relationship between  
16 the deviations, the plant conditions and the impact on human  
17 error mechanisms and performance shaping factors. So we  
18 tried to tie that together a little better, and I think  
19 we've created at least a useful tool to do that with. And  
20 then, finally, the other major aspect is the integrated  
21 recovery analysis and quantification, and I would like to  
22 say Kitty has already pointed out that I'll kind of go  
23 through the general aspects of the process, and then, Alan  
24 is going to give us an illustration of that process, okay?

25 [Pause.]

1 MR. FORESTER: Okay; I think as we mentioned  
2 earlier, sort of the underlying basis for the prospective  
3 analysis is that most serious accidents occur when the crew  
4 sort of gets into a situation where they don't understand  
5 what's going on in the plant.

6 DR. APOSTOLAKIS: Is this Rasmussen's  
7 knowledge-based failure?

8 MR. FORESTER: Yes, I guess it would be. It's  
9 where the procedures don't maybe fit exactly; they may be  
10 technically correct, but they may not fit exactly, and,  
11 well, even in the aviation industry or any other kind of  
12 industry, what you see in these kind of serious accidents  
13 was that they just didn't understand what was going on.  
14 Either they couldn't interpret the information correctly. I  
15 mean, in principle, I guess it could have been responded to  
16 in a rule-based kind of way, but they didn't recognize that,  
17 so it did put them into a knowledge based kind of situation.

18 DR. KRESS: When I read that first bullet, I'm  
19 thinking of nuclear plants because it comes from the broad  
20 plan.

21 MR. FORESTER: Yes; that's true, but there have  
22 been some events. I mean, they haven't led to serious  
23 events, necessarily, and even beyond TMI and --

24 DR. KRESS: Yes, but that's one data point.

25 MR. FORESTER: I mean, there are other events,

1     though, that haven't gone to core damage or, I mean, that  
2     haven't really led to any serious effects.

3             DR. KRESS: But you're getting this information  
4     from --

5             MR. FORESTER: Yes, yes; okay.

6             DR. KRESS: Because in designing nuclear plants,  
7     we talk about conditions not understood. We've gone to  
8     great pains to get that out. I'm sorry; I'll just quit  
9     talking.

10            [Laughter.]

11            MR. FORESTER: It does seem, even in the nuclear  
12     industry, you know, there are times where people do things  
13     wrong. I mean, it doesn't lead to serious problems, but  
14     people do, you know, they bypass SPASS --

15            DR. SEALE: You know, it really goes back to  
16     George's comment about human error. Human error is a  
17     slippery slope. It's not a cliff. And, in fact, when human  
18     error occurs, the angle of that slope will vary from error  
19     to error, and while you may talk about TMI as a case where  
20     you led to an accident, I bet you you could find a dozen  
21     where people did something, recognized that they were on a  
22     slippery slope, and recovered, and that seems to me, that  
23     should be just as useful an analysis, an identification to  
24     do in your ATHEANA process as was the TMI event, because  
25     it's the process you're trying to understand.



1 MR. CUNNINGHAM: No, I think that's right; you  
2 learn from your mistakes. You also learn from the mistakes  
3 you avoid.

4 DR. SEALE: And the ability to recover is  
5 important knowledge.

6 MR. CUNNINGHAM: Yes; there's a lot of work that's  
7 been done about TMI; an operator response to initial events,  
8 and as you said, there is still the residual that they don't  
9 understand, and that's where we can get into very severe  
10 accidents, even after all that training.

11 DR. POWERS: It seems to me that a double-ended  
12 guillotine pipe break, that's a severe accident that a crew  
13 would understand absolutely what it was doing in a  
14 double-ended guillotine pipe break.

15 DR. KRESS: So we are never going to have one.

16 [Laughter.]

17 DR. POWERS: If we had one, you would damn well  
18 know what happened.

19 [Laughter.]

20 DR. POWERS: You wouldn't be able to mistake it  
21 for much. It seems like what you're saying may be true for  
22 accidents that are of real concern to us, but it's going to  
23 run counter to the DBAs. The DBAs, you know what's going  
24 on, and it doesn't seem like it applies to the DBAs.

25 MR. CUNNINGHAM: DBAs are obviously very stylized

1 accidents. DBAs themselves are very stylized accidents, and  
2 the training, you know, 25 years ago was fairly stylized to  
3 go with those accidents. We've made a lot of progress since  
4 then in taking a step back from the very stylized type of  
5 approach, but you can still have accidents or events. The  
6 one that comes to mind for me is the Rancho Seco event of --  
7 I don't know -- the early eighties or something like that,  
8 where they lost a great deal of their indication; another  
9 indication was confusing and that sort of thing. It's not a  
10 design-basis accident, but it was a serious challenge to the  
11 core, if you will.

12 DR. APOSTOLAKIS: Isn't, John, I don't see  
13 anything about the values of operators, the references;  
14 again, the classic example is Davis-Bessie, you know, where  
15 the guy was very reluctant to go to bleed and feed and  
16 waited until that pump was fixed, and the NRC staff, in its  
17 augmented inspection team report, blamed the operators that  
18 they put economics ahead of safety. The operators, of  
19 course, denied it. The guy said, no, I knew that the pump  
20 was going to be fixed, but isn't that really an issue of  
21 values, of limits? It's a decision making problem.

22 MR. CUNNINGHAM: Right.

23 DR. APOSTOLAKIS: Where in this structure would  
24 these things -- are these things accounted for? Is it in  
25 the performance shaping factors, or is it something else?

1 MR. FORESTER: Well, one place it comes through is  
2 with the informal rules. We try to evaluate informal rules.  
3 And if there's sort of a rule of, you know, we've got to  
4 watch out for economics, I mean, in their minds, it may not  
5 be an explicit rule, but in their minds, they're not going  
6 to do anything that's going to cost the utility a lot of  
7 money. That's one way we try to capture it.

8 There's also -- we try and look at their action  
9 tendencies. We have some basic tables in there that  
10 addresses both the BWR and PWR operator action tendencies,  
11 what they're likely to do in given scenarios.

12 DR. APOSTOLAKIS: But if I look at your  
13 multidisciplinary framework picture that you showed earlier,  
14 I don't see anything about rules. So the question is where,  
15 in which box, you put things like that.

16 MR. FORESTER: Well, I guess it would probably be  
17 sort of part of the performance shaping factors.

18 DR. APOSTOLAKIS: I'm sorry, what?

19 MR. FORESTER: Well, overall, the impact of rules  
20 would sort of be -- or of what you're describing here, and I  
21 used informal rules as how we get at that in terms of the  
22 framework, it would certainly be covered under part of the  
23 error forcing context, essentially.

24 DR. APOSTOLAKIS: But this is the performance  
25 shaping factor, part of the performance shaping factor?

1 MR. FORESTER: I think it -- I guess it would also  
2 -- I'm not sure we'd directly consider it as a performance  
3 shaping factor.

4 DR. APOSTOLAKIS: What is a performance shaping  
5 factor in this context? Give us a definition.

6 MR. FORESTER: Well, procedures, training, all of  
7 those things would be -- the man-machine interface, all  
8 those would be --

9 DR. APOSTOLAKIS: Technological conditions? Is  
10 that performance-shaping factors?

11 MR. FORESTER: Stress and --

12 DR. APOSTOLAKIS: So the error forcing context is  
13 the union of the performance shaping factors and the plant  
14 conditions. Is that the correct interpretation of this?

15 MR. FORESTER: That's a correct interpretation.

16 DR. APOSTOLAKIS: So clearly, values cannot be  
17 part of the plant conditions, so they must be  
18 performance-shaping factors. I mean, if it's the union --

19 MR. KOLACZKOWSKI: I'm Alan Kolaczowski with  
20 SAIC. Yes, if you want to parcel it out, if you want to  
21 actually put tendencies of operators or roles into a box, it  
22 would best fit in the performance shaping factors, yes, but  
23 the reason why I think we're struggling is that we recognize  
24 that to really define the error-forcing context, you have to  
25 think about the plant conditions and all the influences on

1 the operator in an integrated fashion, and it's hard to  
2 parcel it out, but if you want to put it in a box, I would  
3 say yes, it's affecting the performance shaping factors.

4 DR. APOSTOLAKIS: That's what the box says: all  
5 of these influences --

6 MR. KOLACZKOWSKI: I understand.

7 DR. APOSTOLAKIS: -- are the PSFs, because there's  
8 nothing else.

9 MR. FORESTER: Well, it could be more specified, I  
10 would say, in the sense that part of what you're bringing up  
11 is augmented in the organizational factors, maybe even team  
12 issues, things like that, which are going to be -- which are  
13 certainly going to contribute to the potential for error.  
14 Those are not explicitly captured. In some sense, they  
15 could be looked at as part of the plant conditions, and they  
16 could also be looked at as performance shaping factors.

17 DR. APOSTOLAKIS: Now, this sector on the left,  
18 what do you mean by operations?

19 MR. FORESTER: Just the way they do things there,  
20 the procedures, their modus operandi, I guess, as to the way  
21 they run the plant.

22 DR. APOSTOLAKIS: Is what other people call safety  
23 culture there?

24 MR. FORESTER: I think that's more --

25 DR. APOSTOLAKIS: No, but that's part of it.

1 there's an error there on the left, plant design, operations  
2 and maintenance. I remember the figure from Jim Reason's  
3 book, where he talks about line management deficiencies and  
4 valuable decisions. Are you lumping those into that circle,  
5 or are you ignoring them? I mean, the issue of culture --

6 MR. FORESTER: We have not explicitly tried to  
7 represent those yet.

8 DR. APOSTOLAKIS: But this is a generic figure, so  
9 that's where it would belong, right?

10 MR. FORESTER: I'm not sure I would normally  
11 necessarily pigeonhole it there. It's all part of that  
12 whole -- the whole error force in context and what feeds  
13 into the error force in context.

14 DR. APOSTOLAKIS: But the error force in context  
15 is shaped by these outside influences. It does not exist by  
16 itself. You have these arrows there.

17 MR. FORESTER: Right.

18 DR. APOSTOLAKIS: So this is an outside influence,  
19 so, for example, if I wanted to study the impact of  
20 electricity market deregulation, that would be an external  
21 input --

22 MR. FORESTER: Yes.

23 DR. APOSTOLAKIS: -- that would affect the  
24 performance shaping factors and possibly the plant  
25 condition.

1 MR. FORESTER: Yes; that is correct.

2 DR. APOSTOLAKIS: Okay.

3 MR. CUNNINGHAM: That is correct.

4 DR. APOSTOLAKIS: So all of these are external  
5 influences that shape what you call error force in context.

6 MR. CUNNINGHAM: That's right. This is a very  
7 conceptual description of the process.

8 DR. APOSTOLAKIS: Yes.

9 MR. CUNNINGHAM: And it's probably a little  
10 broader than ATHEANA is today, but again, if we could go  
11 back and get into ATHEANA as it is today, it might help --

12 DR. APOSTOLAKIS: Okay.

13 MR. CUNNINGHAM: -- some of the others understand  
14 what we're going through here.

15 MR. FORESTER: Well, given what we've identified  
16 as the nature of serious accidents, we think a good HRA  
17 method should identify these conditions prospectively, and  
18 we have several processes that we use to do that. Mr.  
19 Chairman, I'm going to talk about these in more detail, to  
20 identify the base case scenarios, and again, these are  
21 conditions that are expected by the operators and trainers  
22 given a particular initiating event.

23 They may want to identify potential operational  
24 vulnerabilities, and these might include operators'  
25 expectations about how they think the event is going to

1 evolve. It could include vulnerabilities and procedures;  
2 for example, where the timing of the event is a little bit  
3 different than what they expect. The procedure could be  
4 technically correct, but there could be some areas of  
5 ambiguity or confusion possibly.

6 And then, based on those vulnerabilities, at least  
7 part of what we use is those vulnerabilities, then try and  
8 identify reasonable deviations from these base case  
9 conditions, to sort of see if there are kinds of scenarios  
10 that could capitalize on those vulnerabilities and then get  
11 the operators in trouble.

12 DR. APOSTOLAKIS: So I think it's important to ask  
13 at this point: what were the objectives of the thing? It's  
14 clear to me from the way the report is structured and the  
15 way you are making the presentation that the objective was  
16 not just to support PRA.

17 MR. FORESTER: Not just to support PRA, no; I  
18 guess that's maybe how we started out, but I think the  
19 method itself can be used more generally than in PRA. I  
20 think it needs to be tied to PRA because of some of the ways  
21 we do things, but no, certainly, it could be used more  
22 generally.

23 DR. APOSTOLAKIS: What other uses do you see?

24 MR. FORESTER: You can do qualitative kind of  
25 analysis, so if you're not doing a PRA, you don't need



1 explicit quantitative analysis. So with, for example, in  
2 the aviation industry, there is not a whole lot of risk  
3 assessment done as far as I know on what goes on in the  
4 airplane cockpits, but that doesn't mean that you couldn't  
5 use this kind of approach to develop interesting scenarios,  
6 potentially dangerous scenarios, that you could then run in  
7 simulators, for example, or in the nuclears, you can run  
8 these things as simulators and give operators experience  
9 with them and see how they handle the situation.

10 DR. APOSTOLAKIS: So this would help with operator  
11 training?

12 MR. FORESTER: I believe it would, yes, because  
13 there is a very explicit process.

14 DR. BONACA: I think we have the fundamental  
15 elements of root cause, for example, and so, that would help  
16 with that.

17 MR. SIEBER: I think it also helps in revising  
18 procedures, because you have a confusing procedure, and it  
19 doesn't really give you the -- but this technique helps you  
20 pinpoint --

21 DR. APOSTOLAKIS: This is an important point that  
22 I think you should be making whenever you make presentations  
23 like this, because the sole objective is to support the PRA,  
24 and I think a legitimate question would be are you sure you  
25 can quantify that? Maybe you can't, but if your objective

1 is also to develop health of operator training and other  
2 things, then, I think it's perfectly all right.

3 DR. BONACA: I think the value of this, you know,  
4 when I looked at this stuff is that -- was in part, I mean,  
5 some of the issues are based on the mindset that the  
6 operators have. Here, you have a boundary where they  
7 believe they have the leeway not to follow procedures; for  
8 example, the issue of not going to bleed and feed was very  
9 debated in the eighties, because it seemed like an option  
10 was that severe accidents, something, and if you look at the  
11 procedure, before 1988 or so, there was no procedure to do  
12 bleed and feed. I mean, simply said, if you have a dry  
13 steam generator, do something. One thing you could do was  
14 bleed and feed.

15 Well, then, leave it to the judgment of the  
16 operator to do so. Well, today, you go into it. We learned  
17 that that was a mistake. So we said the only thing you can  
18 do is bleed and feed, so do it, and you put it in the  
19 procedure now, and they follow it now, but it took a long  
20 time for the operators to convince them to go into it. I  
21 mean, they didn't like that.

22 So I'm saying that in a model like this, it would  
23 help to talk about some of the shortcomings.

24 MR. SIEBER: I'm pretty well convinced that even  
25 if you didn't have a PRA, you could profit from looking at

1       how --

2               DR. APOSTOLAKIS: And all I'm saying is that those  
3 statements should have been made up front, because the  
4 review, then, doesn't say what you are presenting, and I  
5 would agree. I agree, by the way, that this is a very  
6 valuable result.

7               DR. SEALE: It's interesting, because the utility  
8 of this method actually begins in terms of influencing  
9 procedures and so forth before it gets terribly  
10 quantitative, and yet, it's the ultimate objective,  
11 presumably, or let's say the most sophisticated use of it is  
12 when it gets quantitative so that you can use it in the PRA,  
13 but it strikes me that it might be when you talk about these  
14 other uses to actually identify the fact that in its less  
15 quantitative form, it's still useful --

16              MR. CUNNINGHAM: Yes.

17              DR. SEALE: -- in doing these other things, and  
18 that supports the idea, then, that you can evolve to your  
19 ultimate objective, but you have something that's useful  
20 before it ever becomes the final product.

21              MR. CUNNINGHAM: That's very useful. We've talked  
22 about that and those types of benefits, but we could make it  
23 clearer.

24              DR. APOSTOLAKIS: Okay; can we move on?

25              DR. KRESS: Before you take that slide off --

1 DR. APOSTOLAKIS: We have two members who have  
2 comments.

3 Dr. Kress?

4 DR. KRESS: The three sub-bullets under two, if I  
5 could rephrase what I think they mean, you start out with  
6 some sort of set of base case scenarios, and you look at  
7 that scenario and look at places where the scenario could be  
8 described wrong, and it could go a different way somehow all  
9 through it, so those are the vulnerabilities or place where  
10 it could go differently than you think or might even go  
11 different. And then, the abbreviations are the possible  
12 choices of these different directions a scenario might go;  
13 it looks a whole lot to me like an uncertainty analysis on  
14 scenarios, which I've never actually seen done. So it looks  
15 to me like a continuum. I don't know how you would make  
16 this a set of integers.

17 MR. CUNNINGHAM: We'll talk about that later.

18 DR. KRESS: You'll talk about that later?

19 MR. FORESTER: Yes.

20 DR. KRESS: Okay.

21 MR. CUNNINGHAM: We want to get to that later.

22 DR. KRESS: Okay, so I'll wait until you do.

23 DR. APOSTOLAKIS: Mr. Sieber?

24 MR. SIEBER: I have a question. When I read  
25 through this, I had a sort of an understanding of what the

1 performance shaping factors were. It's all the things that  
2 go into the operator, like training, the culture of the  
3 organization, mission of the crew, formal and informal  
4 rules, et cetera. That to me makes this whole process  
5 unique to each utility, because the performance shaping  
6 factors are specific to a unit. And this stuff is not  
7 transferable from one plant to another; is that correct?

8 MR. FORESTER: That is absolutely correct.

9 MR. CUNNINGHAM: The process would be transferable  
10 but not the results. That is correct.

11 MR. SIEBER: So you just couldn't take some  
12 catalog of all of these potential possibilities for error  
13 and move them into your PRA, and anything that had any  
14 relevance to anything --

15 MR. CUNNINGHAM: The potentials and the experience  
16 base are useful inputs, but they are not substitutes for the  
17 analysis of an individual plant.

18 MR. SIEBER: Well, when you're doing, then, a  
19 retrospective analysis, you have to do it with the crew who  
20 was actually on the shift, and you will reach a conclusion  
21 based on that crew, not necessarily that plant; certainly  
22 not some other plant; is that correct?

23 MR. KOLACZKOWSKI: That would be the best track,  
24 correct.

25 MR. SIEBER: Thank you.

1 MR. FORESTER: So, sort of the next critical step  
2 after the issue has been defined and the scope of the  
3 analysis is laid out is to identify the base case scenario.  
4 So we've got to go into a little bit more detail about  
5 exactly what we mean by base case scenario.

6 Usually, the base case scenario is going to be a  
7 combination of the expectations of the operators as to how  
8 the scenario should play out given a particular initiating  
9 event.

10 DR. APOSTOLAKIS: So these are key words. You're  
11 analyzing response to something that has happened.

12 MR. FORESTER: Yes.

13 DR. APOSTOLAKIS: You have a nice description in  
14 chapter 10 of the various places where human errors may  
15 occur. Essentially, they're also saying there that we  
16 recognize that the crew may create an initiating event, but  
17 that's not really the main purpose of ATHEANA.

18 MR. FORESTER: Right; that's -- yes, the crew  
19 could certainly create an initiating event, but they still  
20 have to respond to it once they create it.

21 DR. APOSTOLAKIS: Right; so, the understanding is  
22 what an event three, now, in the traditional sense, and the  
23 operators have to do something.

24 MR. FORESTER: Right.

25 DR. APOSTOLAKIS: Okay.

1 MR. FORESTER: Okay; so, we're looking at that  
2 kind of scenario, and it is the expectations for operators  
3 and trainers as to how that scenario should evolve, what,  
4 sort of, their expectations are, combined with some sort of  
5 reference analysis. Again, that could be some sort of  
6 detailed engineering analysis of how this scenario expected  
7 to proceed, and again, that could be something from the  
8 FSAR.

9 DR. KRESS: Would the structure of ATHEANA allow  
10 you to do essentially what George says it doesn't do, and  
11 that is go into how an initiating event is created in the  
12 first place, if it's created by an operator acting of some  
13 kind?

14 MR. FORESTER: Well, certainly, we could --

15 DR. KRESS: Because you're starting out with  
16 normal operating conditions.

17 MR. FORESTER: Right; well, in terms of what the  
18 process does right now, it doesn't really matter whether the  
19 initiating event was caused by an operator or someone  
20 working out in the plant or some sort of hardware failure.

21 DR. KRESS: I know, but I was trying to extend it  
22 to where we could do some control over initiating events by  
23 looking at the --

24 MR. FORESTER: Well, we didn't explicitly consider  
25 that, but certainly, you could, you know, begin to examine

1 activities that take place in the plant and sort of map out  
2 how those things could occur and then sort of use the  
3 process to identify potential problems with those processes  
4 that take place in the plant that could cause an initiating  
5 event, so it certainly could be generalized in that way.

6 DR. SEALE: That's an interesting point, because  
7 we always worry about completeness of the PRA, and this is  
8 another way to cut into the question of what are the  
9 possible scenarios that can be initiated and do my  
10 intervention mechanisms, cross-cut those scenarios to give  
11 me relief.

12 DR. KRESS: Well, my concern was initiating event  
13 frequencies are kind of standardized across the industry,  
14 and they're not plant specific. They probably ought to be.

15 DR. APOSTOLAKIS: I think this operator-induced  
16 initiate is more important for low-power and shutdown point.

17 DR. KRESS: Yes, that's where I had -- that's what  
18 I was thinking of.

19 DR. APOSTOLAKIS: But anyway, if they do a good  
20 job here, that's a major advance, so let's not --

21 DR. KRESS: Let's don't push it yet.

22 MR. KOLACZKOWSKI: I was just going to comment  
23 that, for instance, if you could have as the base case  
24 scenario how an operator normally does a surveillance  
25 procedure, and then, you could look at the vulnerabilities



1 associated with that in terms of how well is he trained?  
2 How well is the procedure written? Et cetera. And then,  
3 the deviations would be how could the surveillance be  
4 carried out slightly different, such that the end result is  
5 he causes a plant trip, so we still think the process could  
6 apply. It is true that in the examples right now provided  
7 in the NUREG, we don't have such an example, but we don't  
8 see why the process would not work for that as well.

9 DR. APOSTOLAKIS: Because in those cases, the fact  
10 that you have different people doing different things is  
11 much more important, and ATHEANA has not really focused on  
12 that. Dr. Hullnager observed that, too. So, I mean, the  
13 principles would apply, but it would take much more work,  
14 which brings me to the question: what is the consensus  
15 operator model? Are you talking about everybody having the  
16 same mental model of the plant?

17 MR. FORESTER: Yes; well, and the same sort of  
18 mental model of how the scenario is going to evolve. So, if  
19 you ask a set of operators and trainers how they would  
20 expect a particular scenario to evolve in their plant, you  
21 would get some sort of consensus. We try and derive -- the  
22 analysts would try to derive what that consensus was.

23 DR. APOSTOLAKIS: Now, again, one of the  
24 criticisms of the peer reviewers was that you really did not  
25 consider explicitly the fact that you have more than one

1 operator, that you sort of lumped everybody together as  
2 though they were one entity. So in some instances, you go  
3 beyond that, and you ask yourselves do they think, do they  
4 have the same mental model of a facility, but the so-called  
5 social elements or factors that may affect the function of  
6 the group are not really explicitly stated; is that correct?

7 MR. FORESTER: It is in some ways, in the sense  
8 that when you look at a crew perform, you can identify  
9 characteristics of how crews tend to perform at plants.

10 DR. SEALE: You can find the alpha mayo, huh?

11 DR. APOSTOLAKIS: By the way, John, you don't have  
12 have to have done everything.

13 MR. FORESTER: And I was going to say, we have not  
14 explicitly considered --

15 DR. APOSTOLAKIS: Okay; good; let's go on.

16 MR. FORESTER: -- the two dynamics, okay?

17 [Laughter.]

18 MR. FORESTER: But it's not totally out of it is  
19 what I'm -- the point I was --

20 DR. APOSTOLAKIS: I agree.

21 MR. FORESTER: Okay.

22 DR. APOSTOLAKIS: Because you're talking about  
23 consensus over the model.

24 MR. FORESTER: That is correct.

25 DR. APOSTOLAKIS: So it's not totally --

1 MR. FORESTER: Right.

2 DR. KRESS: I am still interested in the consensus  
3 operator model. Excuse me for talking at the table but --

4 MR. KOLACZKOWSKI: That's okay; we understand why.

5 DR. KRESS: But, you know, I envision you've got  
6 two or three sets of operators, so you have maybe -- I don't  
7 know -- 10 people you're dealing with, and they each have  
8 some notion of how a given scenario might progress. My  
9 question is really, do you have a technique for combining  
10 different opinions on how things progress into a consensus  
11 model? Do you have some sort of a process or technique for  
12 doing that that you can defend or an interim entropy process  
13 or something?

14 MR. FORESTER: We don't have an explicit process  
15 for that. I think the analysts were going to base their  
16 development of the base case scenario on what they  
17 understand from what the operators are saying; from what  
18 trainers are saying; what they see done in the simulators  
19 when they run this kind of initiator in the simulator, how  
20 does it evolve? Again, you have reference case.

21 DR. KRESS: It's a judgment.

22 MR. FORESTER: It is a judgment.

23 DR. KRESS: Of who is putting together --

24 MR. FORESTER: Yes, it is.

25 DR. KRESS: -- your model.

1 MR. FORESTER: Yes.

2 DR. KRESS: Okay.

3 MR. FORESTER: Okay; well, there's what we see as  
4 the critical characteristics of the base case scenario, the  
5 ideal base case scenario is going to be well-defined  
6 operationally; the procedures explicitly address it; those  
7 procedures are in line with the consensus operator model;  
8 well-defined physics; well-documented. It's not  
9 conservative, and it's realistic. Again, we're striving for  
10 a realistic description of expected plant behavior, so that  
11 then, we can try and identify deviations from those  
12 expectations.

13 One thing I do want to note, that part of what is  
14 done usually in developing the base case scenario is to  
15 develop parameter plots, so that if a given initiating event  
16 occurs, we try and map out how the different parameters are  
17 going to be behaving, but the expectations of the parameter  
18 behavior will be over the length of the scenario, because  
19 that's what the operators deal with. They have parameters;  
20 they have plant characteristics that they're responding to.  
21 So we try and represent that with the base case. And not  
22 every issue allows that, but in general, that's the approach  
23 we want to take.

24 DR. POWERS: You have based those ideal scenarios  
25 on the FSAR, you have you looked at how they deviate from

1 the FSAR?

2 MR. FORESTER: That's right; okay; the next step,  
3 then, is to see if we can identify potential operational  
4 vulnerabilities in the base case. The idea is to try and  
5 find sort of areas in the base case where things are not  
6 perfect, and there could be some potential for human error  
7 to develop. We look for biases in operator expectations, so  
8 if operators have particular biases, maybe they train a  
9 particular way a lot, and they've been doing that particular  
10 training a lot; the idea is to look at and try to identify  
11 what it is they expect and see if those expectations could  
12 possibly get them to trouble if the scenario changed in some  
13 ways, if things didn't evolve exactly like they expect them  
14 to.

15 DR. APOSTOLAKIS: So you are not really trying to  
16 model situations like the Brown's Ferry, where they did  
17 something that was not expected of them with the control rod  
18 drive pumps to cool the core? You are looking for things  
19 that they can do wrong, but you're not looking for things  
20 that they can do right to create -- because I don't know  
21 that that was -- what was the base case scenario in that  
22 case, and what it is it that made them take this action that  
23 would raise the core?

24 MR. FORESTER: I'm not sure I understand the --  
25 no, no, yes, the Brown's Ferry fire scenario.

1 DR. APOSTOLAKIS: Yes, the fire. They were very  
2 creative using an alternative source of water.

3 MR. KOLACZKOWSKI: George, like PRA, this is  
4 basically, yes, we're trying to learn from things that the  
5 operator might do wrong. This is in PRA; we try to -- we  
6 treat things in failure space and then try to learn from  
7 that. But we certainly consider the things that the  
8 operator could do right, and particularly when we get to the  
9 recovery step, which we'll get to in the process, in the  
10 case of the Brown's Ferry fire, one of the things that the  
11 -- if we had now -- were doing an ATHEANA analysis, if you  
12 will, of that event, a retrospective analysis, one of the  
13 things you would recognize is that there was still a way  
14 out, and that was to use the CRD control system as an  
15 injection source, and that would be a recognized part of the  
16 process.

17 But, yes, just like PRA, we are basically trying  
18 to find ways that the scenario characteristics can be  
19 somewhat different from the operator's expectations, such  
20 that the operator then makes a mistake or, if you will,  
21 unsafe act, as we call it, unsafe in the context of the  
22 scenario, and ends up making things worse as opposed to  
23 better, and then, we hope to learn from that by then  
24 improving procedures or training or whatever, based on what  
25 the analysis shows us the vulnerabilities are. So --

1 DR. APOSTOLAKIS: The emphasis here is on unsafe  
2 acts.

3 MR. KOLACZKOWSKI: That's what I ended up trying  
4 to figure out is what could be the unsafe acts? What could  
5 be the errors of commission or omission? How might they  
6 come about, and then, what can we learn from that to make  
7 things better in the future?

8 DR. SEALE: But it still would be useful to  
9 understand what it takes to be a hero.

10 MR. KOLACZKOWSKI: I agree it's still part of the  
11 recovery.

12 DR. BONACA: In all of the power plants, that's  
13 what people refer to as tribal knowledge, especially  
14 discussions of the operators in the crews and among  
15 themselves: what would you do if this happens and so on?  
16 That would demonstrate the ways to get there, and in some  
17 cases, they lead you to success, like, for example, the  
18 example you made here, they would proceduralize and yet,  
19 they succeeded.

20 In the other cases, I've noticed things that they  
21 have that they were talking about that would never lead to  
22 success; for example, the assumption that, you know, you dry  
23 your steam generator, and now, you do something to put some  
24 water in it; well, it doesn't cool that way. You've got to  
25 recover some levels before you can do that. So the question

1 I'm having is is there any time to -- or is there any  
2 possibility? I guess you can incorporate the type of  
3 information into this knowledge, right? You would look for  
4 it. Is there any extended process to look for it that you  
5 would model with ATHEANA?

6 MR. CUNNINGHAM: I think we'll come back to that.

7 DR. BONACA: The reason that I mentioned it is  
8 that that is -- you know, if you look at a lot of scenarios  
9 we have in accidents, it has a lot of that stuff going on.  
10 As soon as you get out of your procedures, it comes in, and  
11 people do what they believe that --

12 DR. APOSTOLAKIS: In other terms, this is called  
13 informal culture.

14 MR. FORESTER: That's right, and we are taking  
15 steps to address those things; we certainly do.

16 DR. KRESS: I'm sorry to be asking so many  
17 questions, but I'm still trying to figure out exactly what  
18 you're doing. If I'm looking at, say a design basis  
19 accident scenario, what I have before me is a bunch of  
20 signals of things like temperatures, pressures, water  
21 levels, maybe activity levels in the various parts of the  
22 plant as a function of time. This is my description of the  
23 progression of events. Now, when you say you're looking for  
24 deviations that might cause the operator to do something  
25 different than what -- are you looking for differences that



1 might exist in those parameters? The temperature might be  
2 this at this time, or the water level might be this?

3 MR. FORESTER: It might change at a faster rate  
4 than this.

5 DR. KRESS: It might change at a faster rate than  
6 you expect. So, those are the indicators you are looking  
7 at.

8 MR. FORESTER: Exactly.

9 DR. KRESS: And you're looking at how those might  
10 possibly be different from what he expects and what he might  
11 do based on this difference.

12 MR. FORESTER: Right.

13 DR. KRESS: Okay; thank you.

14 MR. FORESTER: Okay; so, there are essentially  
15 several different approaches for identifying the  
16 vulnerabilities is what we have up there. Again, we want to  
17 look for vulnerabilities due to their expectations. We also  
18 want to look at a time line or the timing of how the  
19 scenario should evolve to see if there is any particular  
20 places in there where time may be very short, so if the  
21 scenarios are a little bit different than expected, then,  
22 there should be some potential for problems there, again,  
23 focusing on the timing of events and how the operators might  
24 respond to it.

25 We also then tried to identify operator action

1 tendencies, so this is based on what we call standardized  
2 responses to indications of plant conditions. Generally,  
3 for PWRs and BWRs, you can look at particular parameters or  
4 particular initiators, and there are operator tendencies  
5 given these things. We try and examine places where those  
6 tendencies could get them in trouble if things aren't  
7 exactly right.

8 And then, finally, there is a search for  
9 vulnerabilities related to formal rules and emergency  
10 operating procedures. Again, if the scenario evolves in a  
11 little bit different way, the timing is a little bit  
12 different than they would expect, there is some chance that,  
13 again, even though the procedures may be technically  
14 correct, there may be some ambiguities at critical decision  
15 points. Again, we try and identify where these  
16 vulnerabilities might be.

17 And once we've identified those vulnerabilities,  
18 we go to the process of identifying potential deviation  
19 scenarios. And again, by deviations, we're looking for  
20 reasonable plant conditions or behaviors that set up unsafe  
21 actions by creating mismatches. So again, we're looking for  
22 deviations that might capitalize on those vulnerabilities,  
23 and we're looking for physical deviations, okay, actual  
24 changes in the plant that could cause the parameters to  
25 behave in unusual ways or not as they expect, at least.

1           In this step of the process, we're also developing  
2 what we call the error-forcing context. We're going to  
3 identify what the plant conditions are. We want to look at  
4 how those plant conditions may trigger or cause to become  
5 operable certain human error mechanisms that could lead them  
6 to take unsafe actions and also begin to identify  
7 performance shaping factors like the human-machine  
8 interface, recent kinds of training they had that could have  
9 created biases that could lead them, again, to take an  
10 unsafe action. So part of the deviation analysis is to  
11 begin to identify what we call the error-forcing context,  
12 and ATHEANA has search schemes to guide the analysts to find  
13 these real deviations in plant behavior, and again, we are  
14 trying to focus on realistic representations.

15           Part of the deviation analysis does involve, also,  
16 again, developing parameter plots that try and represent  
17 what it is the operators are going to be seeing and what is  
18 going to be different about the way this scenario would  
19 evolve, the deviation scenario would evolve relative to what  
20 they would. So these four basic search schemes that we use  
21 to identify potential characteristics for a deviation  
22 scenario, there are similarities between these searches;  
23 there is overlap. They use similar tools and resources.  
24 There are a lot of tables and information in the document to  
25 guide this process, but in general, we recommend that each

1 step is done sequentially, and by doing that, some new  
2 information could come out of each step.

3 DR. APOSTOLAKIS: John, this is a fairly elaborate  
4 process, and shouldn't there be a screening process before  
5 this to decide which possibly human actions deserve this  
6 treatment? This is too much. Am I supposed to do it at  
7 every node of the event tree? If I look at an event tree,  
8 for example, and it has some point, you know, go to bleed  
9 and feed, I know that's a major decision, major human  
10 action. I can see how it deserves this full treatment, but  
11 there are so many other places where the operators may do  
12 things here or there.

13 Surely, you don't expect the analysts to do this  
14 for every possibility of human action. So shouldn't there  
15 be some sort of a guideline as to when this full treatment  
16 must be applied and when other, simpler schemes perhaps  
17 would be sufficient? Because as you know very well, one of  
18 the criticisms of ATHEANA is its complexity. So some  
19 guidelines before you go to the four search schemes, so  
20 right after, as to which human actions deserve this  
21 treatment --

22 MR. FORESTER: Correct.

23 DR. APOSTOLAKIS: -- would be very helpful.

24 MR. FORESTER: Well, just a couple things. One is  
25 there is an -- you know, if you identify a particular issue

1 that you're concerned with, then, you can identify what  
2 particular human failure events you might be interested in,  
3 okay, or unsafe actions, so the issue may help you resolve  
4 some of that in terms of what you would like to respond to.  
5 If that's not the case, if you are dealing more with a full  
6 PRA, you're trying to narrow down what it is you want to  
7 look at, then, we do provide some general guidance in there  
8 for how to focus on what might be important scenarios to  
9 initially focus your resources on.

10 DR. APOSTOLAKIS: But you're not going to talk  
11 about it.

12 MR. FORESTER: No, I hadn't planned on talking  
13 about that explicitly. It's -- you know, I mean, you can  
14 say that, you know, it's the usual kind of things, I guess,  
15 in terms of looking for -- trying to prioritize things, you  
16 know, do you have some short time frame kinds of scenarios?  
17 We have a set of characteristics; they're not coming to mind  
18 right at this second, but a set of characteristics that were  
19 used to prioritize those scenarios to focus on.

20 On the other hand, I think that the process  
21 itself, the search for the deviation scenarios, you are  
22 reducing the problem, because you're trying -- you're  
23 narrowing down to the problem kind of scenarios. Okay; once  
24 you've identified, you know, an initiator, for example, and  
25 maybe you're going to focus on several critical functions

1 that the operators have to achieve to respond to that  
2 initiator, then, what the process does is it focuses the  
3 analyst in on the problem scenario. So the process itself  
4 reduces what has to be dealt with. We're not trying to deal  
5 with every possible scenario; we're trying to deal with the  
6 scenarios that are going to cause the operators problems.

7 MR. KOLACZKOWSKI: Let me also add, George,  
8 though, I think if you were going to apply this to an entire  
9 PRA, if your issue was I want to redo the HRA and the PRA, I  
10 would say that no matter what HRA method you used, that's a  
11 major undertaking.

12 DR. APOSTOLAKIS: Yes, but you are being  
13 criticized as producing something that only you can apply.

14 MR. KOLACZKOWSKI: I was going to say -- thanks,  
15 Ann -- I think you'll see, as we go through some more of the  
16 presentation and show you the example, the method now has  
17 become much more -- excuse me, methodical, and the old  
18 method that you saw in Seattle, it has changed actually  
19 quite a bit from that method now. It's far quicker to use  
20 as long as you don't want to get caught up in all of the  
21 little minute documentation. You can actually do an entire  
22 scenario, set of sequences, probably in a matter of hours to  
23 a day kind of thing.

24 MR. FORESTER: Once you've done a little bit of  
25 front end work on this.

1 [Laughter.]

2 MR. FORESTER: So again, though, I do think the  
3 process itself -- you're looking for the deviation  
4 scenarios; I think that narrows the problem solving. Is  
5 that -- you know, the prioritizations -- okay; okay, we have  
6 four basic searches. The first search involves using HAZOP  
7 guide words to try and discover troublesome ways that the  
8 scenario may differ from the base case. So again, we try  
9 and use these kinds of words to ask questions like, well, is  
10 there any way the scenario might move quicker than we expect  
11 it to or faster? Could it move slower? Could it be more,  
12 in some sense, than what they expect, given a particular  
13 initiator? For example, maybe given one initiator, you also  
14 have a loss of instrument error. So now, it's more than it  
15 was.

16 Another example might be in one of our examples in  
17 the document is we're a small loca, close to a small loca,  
18 but it's actually more than a small loca; yet, it's not  
19 really a large loca either. So, again, we begin to look --  
20 one way is to use these HAZOP guide words simply as ways to  
21 investigate, you know, potential ways that the scenario  
22 might deviate from what is expected, and the -- we're  
23 interested in the behavior of the parameters, once again:  
24 are the parameters moving faster than we expected in things  
25 like that? So that's one way we do the search.

1 Another search scheme is then to identify that  
2 given the vulnerabilities we already identified, maybe with  
3 procedures and informal rules, are there particular ways  
4 that the scenario might behave that could capitalize on  
5 those vulnerabilities? Should the timing change in some way  
6 to make the procedures a little bit ambiguous in some ways?  
7 That type of thing.

8 Third, we look for deviations that might be caused  
9 by subtle failures in support systems, so this is sort of  
10 the way the event occurs and the way something else happens  
11 might cause the scenario to behave a little bit differently.  
12 They might not be aware that there is a problem with the  
13 support system. So again, a subtle failure there could  
14 cause them problems in terms of identifying what's  
15 happening.

16 DR. APOSTOLAKIS: Are you also identifying  
17 deviations that may be created by the operators themselves,  
18 by slips?

19 MR. FORESTER: Yes, I don't see why we couldn't do  
20 that. I mean, to arbitrarily examine what kinds of slips  
21 are possible at this point in time, I'm not sure we've done  
22 that explicitly, but that's certainly an option in terms of  
23 doing the deviation search.

24 DR. APOSTOLAKIS: Because it has happened.

25 MR. FORESTER: That's going to get pretty complex



1 but --

2 DR. APOSTOLAKIS: It has happened.

3 MR. FORESTER: It has happened; that's true.

4 DR. APOSTOLAKIS: That isolated systems simply by  
5 their own problem, but then, it takes about a half an hour  
6 to recover.

7 MR. FORESTER: Yes; I guess, you know, if we found  
8 some vulnerabilities or we found some inclinations or some  
9 situations where they might be focusing on particular parts  
10 of the control room or something or on the panel, part of  
11 what we do examine are performance shaping factors like the  
12 human-machine interface that could contribute to the  
13 potential for an unsafe action, and in examining those  
14 things, we would determine that there is some poor labeling  
15 or something that creates the potential for a slip, that  
16 would certainly be figured into the analysis.

17 DR. APOSTOLAKIS: So it could be, but it's not  
18 right now.

19 MR. FORESTER: No; I guess I shouldn't have said  
20 it that way. I think it is. As I'm saying, once you've  
21 identified potential deviations, part of the process is  
22 involved in looking at the human-machine interface; looking  
23 at other performance shaping factors that could contribute  
24 to the potential of the unsafe action. So, and that is part  
25 of the process. That is explicitly part of the process, to

1 examine those things. So you might, then, identify, you  
2 know, it would take someone knowledgeable about the way the  
3 control room panels and so forth should be designed to maybe  
4 identify those problems, but presumably, you'll have a human  
5 factors person on the team.

6 DR. KRESS: I'd like to go back to my question  
7 about the continuous nature of deviations. Let's say you  
8 have a base case scenario, and you've identified in there a  
9 place along the time line that's a vulnerability and that  
10 the operator might do something, and then, when he does that  
11 something, it places you in another scenario that's  
12 different than your base case.

13 MR. FORESTER: Right.

14 DR. KRESS: And then, there are things going on  
15 after that, and there may be different vulnerabilities in  
16 that line than there were in the base case.

17 MR. FORESTER: That's true.

18 DR. KRESS: And there's an infinite number of  
19 these. I just wonder how you deal with that kind of --

20 MR. FORESTER: Well, we try and deal with it  
21 during the recovery analysis, when we move to  
22 quantification, when we try and determine whether -- what  
23 the likelihood of the unsafe act might be. Once they've  
24 taken that action, we then try and look at what kind of cues  
25 would they get, what kind of feedback would they get about

1 the impact that that action has had on the plant; you know,  
2 what other things; how much time would be available; what  
3 other input could they receive in order to try and recover  
4 that action.

5 DR. KRESS: So you did tend to follow the new  
6 scenario out --

7 MR. FORESTER: Right.

8 DR. KRESS: -- to see what he might be doing.

9 MR. FORESTER: Exactly.

10 Okay; and before I go to the last search scheme,  
11 I'd like to go to the next slide. Actually, we sort of  
12 cover it on the next slide anyway so --

13 DR. KRESS: When you say search, what I'm  
14 envisioning is a person sitting down and looking at event  
15 trees and things and doing this by hand. This is not  
16 automated.

17 MR. FORESTER: It's not automated at this point,  
18 no.

19 DR. KRESS: You're actually setting --

20 MR. FORESTER: It could be automated, yes, and we  
21 hope to be able to automate it, provide a lot of support for  
22 the process.

23 DR. BONACA: You know, I had just a question. You  
24 know, it took a number of years to develop the  
25 symptom-oriented procedures, and they really went through a

1 lot of steps from what you're describing here. In fact, it  
2 was a time-consuming effort that lasted years, and they had  
3 operators involved. Have you looked at them at all to try  
4 to verify, for example, the process you are outlining here?  
5 Because they did a lot of that work that could be useful.

6 DR. KRESS: It sounds very similar to that.

7 DR. BONACA: Yes; I mean, they have to go through  
8 so many painstaking steps; you know, is this action or  
9 recommendation in the procedure confusing? I wonder if you  
10 had the opportunity --

11 MR. FORESTER: Well, part of our process involves  
12 doing flow charts of the procedures, specifically  
13 investigate where the ambiguities could occur. So we go  
14 through that process.

15 Now, in terms of have we actively tried to look  
16 at, you know, validating the existing procedures? No, we  
17 haven't taken that step. But I think the general consensus  
18 is is that there are -- the procedures are not perfect; that  
19 things don't evolve exactly -- I mean, there can be timing  
20 kinds of issues, and there can be combinations of different  
21 kinds of parameters that can be confusing.

22 DR. BONACA: So I think that probably, they would  
23 exercise at one point with one set of procedures is what  
24 rules would be a good foundation for a code like this and  
25 furthermore would give you some indication of the strengths

1 you may have in the process here of identifying things or  
2 only the key points that -- for example, the key points that  
3 were then central to the discussions of an owners' group, so  
4 that they can identify in this process what they were, and  
5 they actually go through the same situations. So there is a  
6 lot that can be learned to verify the adequacy of a tool  
7 like this.

8 MR. CUNNINGHAM: No, that's a good point. We'll  
9 follow up with that somewhere along the line here.

10 MR. FORESTER: Okay; on the next slide, one thing  
11 I wanted to emphasize that a major part of the first three  
12 searches while we're looking for the expectations, and  
13 they're using the guide words to sort of characterize the  
14 way the scenarios could develop, we're also trying to  
15 evaluate what the effect of those deviations, what the  
16 effect of the deviations could be on the operators. What we  
17 wanted to determine is the way particular parameters behave  
18 or the way the scenario was unfolding, could that trigger  
19 particular human error mechanisms that could contribute to  
20 the likelihood of an unsafe act?

21 Also, are there other performance shaping factors  
22 that could then, based on the characteristics of the  
23 scenario and potential human error mechanisms, are there  
24 performance shaping factors that could also contribute to  
25 that potential for an unsafe act? So we're doing that at

1 the same time we're developing the actual deviations, and  
2 one thing we've done, which I'll talk about here somewhere,  
3 I think -- maybe not -- is to try and tie particular  
4 characteristics of the scenario: are the parameters  
5 changing faster than expected? Or are two of them changing  
6 in different ways? And try to identify how the  
7 characteristics of the scenario could elicit particular  
8 types of error mechanisms: could it cause the operators to  
9 get into a place where they're in kind of a tunnel vision  
10 kind of state? They're focused on the particular aspects of  
11 the scenario, or do they have some kind of confirmation bias  
12 developed, or based on their expectancies, they have, you  
13 know, a frequency bias of some sort.

14 And then, we try and tie the behavior of the  
15 scenario, the characteristics of the scenario, to potential  
16 error mechanisms and then relate specific performance  
17 shaping factors to the potential for the error. We have  
18 tried to provide some tables that make that process a little  
19 easier, so we have -- essentially, we have made an effort to  
20 try and tie those factors together much more explicitly.

21 So getting that process, then, the fourth scheme,  
22 the fourth search, is to sort of do a reverse process. If  
23 once you identify potential error types and tendencies or  
24 operator tendencies that could cause the human failure  
25 events or unsafe facts of interest, then, you simply use

1 conjecture to try and ask are there any kind of deviations  
2 that could make these things occur, that have the right  
3 characteristics that could make these things occur. So it's  
4 sort of coming from the other direction rather than starting  
5 with the physical characteristics; you just kind of start  
6 with the human tendencies and see if there are deviations  
7 that could cause that.

8           So with those four searches, we think we do a  
9 pretty good job of identifying a lot of potential deviation  
10 kinds of characteristics. Then, once that's --

11           DR. APOSTOLAKIS: Does everyone around the table  
12 understand what an error mechanism and an error type is?

13           MR. FORESTER: Well, error types are fairly  
14 straightforward, in the sense that it's just things that  
15 they could do that could lead to the unsafe fact, like make  
16 a wrong response; skip a step in a procedure; normal kinds  
17 of -- it's not a real sophisticated kind of concept there;  
18 it's just things that they could do.

19           Error mechanisms, we're referring to, you know,  
20 essentially things within the human, general processing,  
21 human information processing characteristics, what their  
22 tendencies are, maybe some processing heuristics that they  
23 might use; not everything is going to be a very carefully  
24 analyzed, completely systematic kind of analysis. They'll  
25 use bounded rationality, so people have sort of general

1 strategies for how they deal with situations. Now, most of  
2 the time, those kinds of situations, those kinds of  
3 strategies can be very effective, but in some situations,  
4 the characteristics of the scenario that may, where those  
5 particular tests may apply, may lead to an error, because  
6 they're misapplied. So that's how we're characterizing  
7 error mechanisms.

8 DR. APOSTOLAKIS: Is the inclusion of error  
9 mechanisms in the model what makes it, perhaps, a cognitive  
10 model? I've always wondered about these things. Because  
11 you have included these error mechanisms, you can claim that  
12 now, you have something from cognitive psychology in there?

13 MR. FORESTER: Well, we have the error mechanisms.  
14 We also have the information processing model, you know, the  
15 monitoring and detection process; the situation assessment.  
16 The human error mechanisms, to some extent, are tied to  
17 those particular stages of processing, so, you know, we try  
18 and include all of that. In fact, the use of the tables  
19 that address the error mechanisms is broken down by  
20 situation assessment and monitoring.

21 DR. APOSTOLAKIS: We are going very slowly.

22 MR. FORESTER: Okay; well, I'm just about done.

23 Once you have identified all of the deviation  
24 characteristics, basically, you've got to put them all  
25 together and identify the ones that you think are going to



1 be the most relevant, okay?

2 We can look to that. And the final slide is,  
3 again, we just want to emphasize that once we have  
4 identified what we consider a valid, a viable deviation  
5 scenario that has a lot of potential to cause problems for  
6 the operator, and we analyze that, we want to quantify the  
7 potential for the human failure event to occur or the unsafe  
8 actions. We can directly address the frequency of plant  
9 conditions; standard systems analysis to calculate that. We  
10 can get the probability of unsafe act and the probability of  
11 nonrecovery at the same time given the plant conditions and  
12 the performance shaping factors.

13 We look at this thing in an integrated way, and we  
14 do want to emphasize that, that we carry out the scenario  
15 all the way out to the very end, in a sense, to the last  
16 moment, when they can have a chance to do something. We  
17 consider everything that's going on, and then, ideally, in  
18 my mind, in terms of quantifying that, we have the input of  
19 operators and trainers. Once you -- for example, if you can  
20 set up the scenario on a simulator, you can run a couple of  
21 crews through that. You may not necessarily -- you're not  
22 using that to estimate the probability, but what I like to  
23 look for is what it is the operators and trainers, what they  
24 think will happen when their crews in the plant are sent  
25 through that scenario.

1           If everyone pretty much agrees, oh, yes, you know,  
2 if that happened like that, we would probably do the wrong  
3 thing, then, you have a very strong error-forcing context,  
4 and quantification is simple. For situations where that is  
5 not the case, where there are disagreements about what  
6 happened or not or a lot of high expectation that the actual  
7 unsafe actions would take place, then, we do not have a new  
8 or a special approach for dealing with that problem for a  
9 couple of reasons: one, none of the existing approaches are  
10 completely adequate as they are. For one thing, we have no  
11 empirical basis from psychology to support those kinds of  
12 quantifications, those kinds of estimates. It just doesn't  
13 exist.

14           Nor do we have an adequate existing database of  
15 events that we can base it on. So, getting that situation,  
16 our suggestion for now is to try and use existing methods.  
17 However, I think there are some things that we could do to  
18 improve our existing quantification process. You know, part  
19 of what we're recommending is maybe use SLIM. Well, the  
20 problem with SLIM, of course, is you don't have adequate  
21 anchors. It's hard to determine what the anchors might be  
22 so you can actually use a SLIM kind of process.

23           So one thing we'd like to investigate, I think, is  
24 how we could identify some maybe anchor kinds of events; we  
25 could characterize the events that we could pretty

1 substantially determine what the probability of that event  
2 was; characterize that event in some way, at least maybe a  
3 couple of events on the continuum, so that then, when we  
4 characterize events using the ATHEANA methodology, we would  
5 know roughly where they fit along that continuum. Okay; so,  
6 that's one improvement that we could make that we haven't  
7 made right now.

8 DR. BONACA: One question I have is that in your  
9 presentation, you are discussing the operator, but there are  
10 operators who operate. One thing is to talk about the  
11 operators in the control room who have been trained on  
12 system-oriented procedures, and there, it's pretty clear how  
13 you can define the problem. The problem is that they're  
14 following a procedure to the letter, and then, if there is  
15 some area where we have misdesigned the procedures, then, we  
16 mislead them, and they may have to initiate something that  
17 they're not used to, and that's all kind of stuff.

18 Life is pretty clear that in the operators in the  
19 plant, they follow procedures to do maintenance, for  
20 example, it seems to me that the way you would train those  
21 kinds of operators would be very different from the ones in  
22 the control room, because there, they have their options on  
23 the procedures, on how you use them and so on and so forth.  
24 Also, the operators are at the mercy of other operators  
25 doing other things with other systems. I think even if you

1 talked about how they would --

2 DR. APOSTOLAKIS: They haven't done that.

3 MR. FORESTER: No.

4 DR. BONACA: So when you're talking about  
5 operators, you're talking about the ones --

6 DR. APOSTOLAKIS: A single entity. A single  
7 entity.

8 DR. BONACA: Yes.

9 DR. APOSTOLAKIS: In the control room.

10 MR. FORESTER: In the control room, that is  
11 correct.

12 DR. APOSTOLAKIS: I have a few comments. This is  
13 the only slide on quantification?

14 MR. FORESTER: Yes.

15 DR. APOSTOLAKIS: So I will give you a few  
16 comments.

17 MR. KOLACZKOWSKI: Except for the example.

18 MR. FORESTER: Yes, we do have the example.

19 DR. APOSTOLAKIS: Okay; on page 10-7, coming back  
20 to my favorite theme, item two, the error-forcing context is  
21 so non-compelling that there is no increased likelihood of  
22 the unsafe act. If you really want the error-forcing  
23 context, the error-forcing context is so non-compelling that  
24 there is no increased likelihood -- I really don't  
25 understand your insistence on calling it forcing.

1 MR. FORESTER: Well I guess --

2 DR. APOSTOLAKIS: You don't have to comment.

3 MR. FORESTER: We've also been criticized for  
4 using the term error at all, okay? But the point we want to  
5 make is operators are led to take these unsafe actions.

6 DR. APOSTOLAKIS: Forcing -- and later on, you say  
7 that the probability, even if it's very relevant, will be  
8 something like 0.5.

9 MR. FORESTER: Yes; I know Strater uses  
10 error-prone conditions or error-prone situations, so there  
11 are other terms.

12 DR. APOSTOLAKIS: You saw here the HEART  
13 methodology. Have you scrutinized it? I'll give you some  
14 things that bother me. On Table 10-1, there are generic  
15 task failure probabilities, so that first one is totally  
16 unfamiliar; performed at speeds with no real idea of likely  
17 consequences, and there is a distribution between 0.35 and  
18 0.97.

19 Then, it says that in Table 10-2, HEART uses  
20 performance shaping factors to modify these things, and the  
21 first 10-3 is unfamiliarity. So now, I have a generic  
22 description of a totally unfamiliar situation that I have to  
23 modify because I'm unfamiliar with it, and the factor is 17.  
24 It's the highest on the table. So I don't know what that  
25 means. Either I was unfamiliar to begin with, and second,

1 there is a distribution in Table 10-1. Am I supposed to  
2 multiply everything by 17? What am I doing? Am I  
3 multiplying the 95th percentile by 17? Am I multiplying the  
4 mean by 17?

5 MR. FORESTER: It's just the action. It's just  
6 the probability for the action.

7 DR. APOSTOLAKIS: It's not explained.

8 MR. FORESTER: We didn't really claim to  
9 completely explain HEART in there. We're trying to provide  
10 some guidance.

11 DR. APOSTOLAKIS: You need to scrutinize it, I  
12 think, a little better.

13 MR. FORESTER: I think you're right, and a lot of  
14 the categories are not always easily used. It's not a  
15 perfect method.

16 DR. APOSTOLAKIS: And then you say that one of the  
17 modifiers is a need to unlearn a technique and apply another  
18 that requires the application of an opposing philosophy.  
19 I'm at a loss to understand how you make that decision, that  
20 somebody has to unlearn something and apply something else.

21 And then, there is a modifying factor of five if  
22 there is a mismatch between the perceived and the real risk.  
23 I don't know what that means, risk. If I were you, I would  
24 throw this out of the window. You don't have to take all  
25 these great stuff you presented in the first 18 view graphs

1 and then present this thing. You should do your own work  
2 here, in my view.

3 As I said earlier, I thought that the  
4 quantification part is not at the same level of quality as  
5 the rest of the report.

6 MR. FORESTER: Agreed.

7 MR. KOLACZKOWSKI: Agreed.

8 DR. APOSTOLAKIS: You are throwing away a lot of  
9 the details that you took pains to explain to us. There are  
10 no error mechanisms here anywhere. And I fully agree, by  
11 the way, with what you said about the difficulty and, you  
12 know, there has to be some sort of a judgment here. There  
13 is no question about it, and this committee will be very  
14 sympathetic to that, but not this kind of thing. And this  
15 is old, right? The reference is from 1988, way before  
16 ATHEANA came into existence.

17 The thing that is really startling is that it is  
18 not very clear how the error-forcing context is to be used.  
19 They mention SLIM. I thought I was going to see here an  
20 application of SLIM with the problems that you mentioned.  
21 Everybody has those problems; where you would remedy one of  
22 the difficulties or weaknesses of SLIM, namely, which  
23 performance shaping factors one has to consider. And I  
24 think your error-forcing context or whatever you call it in  
25 the future is ideal for producing those. I mean, you have

1 done such a detailed analysis. Now, you can say, well, a  
2 rational application of SLIM would require perhaps a set of  
3 independent ESFs or mutually exclusive -- I don't know what  
4 the right term is -- and these are derived from the  
5 error-forcing context we just defined in this systematic  
6 way, and no one will blame you for that, because, I mean, if  
7 you've worked in this field for a month, you can realize  
8 that the numbers will never be, you know, like failure  
9 rates, where you can have data and all of that, and the  
10 anchors, I think you pointed out, is an extremely important  
11 point, and perhaps you can do something about it to give  
12 some idea.

13 But this guy who developed HEART had no heart.

14 [Laughter.]

15 DR. APOSTOLAKIS: His task is unfamiliar, and  
16 then, they modified because I'm unfamiliar with the  
17 situation? I mean, what is this? And a factor of 17,  
18 right? You increase the probabilities by approximately 17.

19 [Laughter.]

20 MR. FORESTER: The only advantage to that method  
21 is this guy did claim that a lot of these numbers were based  
22 on empirical data.

23 DR. APOSTOLAKIS: And you know very well --

24 MR. FORESTER: Yes, well, okay --

25 DR. APOSTOLAKIS: -- what that means.



1 [Laughter.]

2 DR. APOSTOLAKIS: Now, another thing -- so I'm  
3 very glad that you are not willing to really defend to the  
4 end chapter 10.

5 MR. FORESTER: No.

6 DR. APOSTOLAKIS: It's probably something you  
7 wouldn't be working on. Okay; I'm very happy to hear that,  
8 I must say, because I was very surprised when I saw that.

9 Now, the -- actually, some discussion is really  
10 great. The figures there, there is some type of figure 10-1  
11 is repeated twice. Well, that's okay. There was one other  
12 point that I wanted to make which now escapes me -- oh, this  
13 -- all the information processing paradigm is not here,  
14 right? You are not really using that.

15 MR. FORESTER: Well, we're using --

16 DR. APOSTOLAKIS: All of this stuff, I didn't see  
17 it playing any role, at least the way it is now.

18 MR. FORESTER: It's not explicitly represented;  
19 you're right.

20 DR. APOSTOLAKIS: The way it is now; okay.

21 MR. FORESTER: In our minds, it's represented.

22 DR. APOSTOLAKIS: Oh, I know that the mind is a  
23 much broader term.

24 Okay; I'm very glad for that.

25 Okay; the dynamic element, and I believe Hullnagel

1 commented on that, too. We were doing in a different  
2 context some retrospective analysis recently at MIT of two  
3 incidents. One was at Davis-Bessey; the other was the  
4 Catawba. And what you find there is that there are some  
5 times, critical times, when the operators have to make a lot  
6 of decisions. There's no question about it. That's why you  
7 ask about the training, and, I mean, you don't really want  
8 to attack each one with a full-blown analysis.

9 MR. FORESTER: Right.

10 DR. APOSTOLAKIS: But in one of the incidents, I  
11 think it was the Catawba, there were two critical points.  
12 One was 6 minutes into the accident; the other 9 minutes.  
13 Where they had to make some critical decisions, and the  
14 contexts were different, there was a dynamic evolution. In  
15 other words, at 9 minutes, they had more information; they  
16 were informed that something was going on, so now, they had  
17 to make an additional decision. This specific element, the  
18 dynamic nature of the EFC, is not something that I see here,  
19 and perhaps it's too much to ask for at this stage of  
20 development, but it appears to be important, unless I'm  
21 mistaken.

22 In other words, is the error-forcing context  
23 defined as a deviation from what's expected? And for this  
24 sequence, it's once and for all?

25 MS. RAMEY-SMITH: No.

1 MR. CUNNINGHAM: No.

2 DR. APOSTOLAKIS: No, so you are following the  
3 evolution and the information that is in the control room,  
4 and you may have to do this maybe two or three times at two  
5 or three different --

6 MR. KOLACZKOWSKI: Exactly, George. We present  
7 this as a very serial type of process. Your point is well  
8 taken. You really have to iterate and iterate. I think in  
9 one of the examples that we have for the loss of main feed  
10 water event, one of our deviation scenarios is X minutes  
11 into the event, all of a sudden, the spray valve on the  
12 pressurizer is called for, and it sticks.

13 DR. APOSTOLAKIS: Right.

14 MR. KOLACZKOWSKI: That changes the scenario; it  
15 changes the operator's potential response, and that's  
16 carried through. So I think we try to do that.

17 DR. APOSTOLAKIS: Okay.

18 MR. KOLACZKOWSKI: But clearly, we're still  
19 discretizing the situation into pieces of time, yes.

20 DR. APOSTOLAKIS: Okay; good, so, the dynamic  
21 nature of that is recognized; that's good.

22 Now, a recovery in this context, my impression is  
23 it means recovering from errors that they have made, not  
24 recovery in the sense that the average person or the plant  
25 person will use it to recover from the incident. They are

1 two different things, aren't they?

2 MR. KOLACZKOWSKI: Well, ultimately, we're worried  
3 about it. The core damage is the situation we're worried  
4 about. We're ultimately worried about recovering the  
5 scenario. So, as I said, it will go back to a success path.  
6 But part of that recovery may be overcoming a previous error  
7 or unsafe act that the operator has performed. So now,  
8 something has to come in that changes his mind about what I  
9 did an hour ago, I now recognize was a mistake, and now, I  
10 need to do this. So, that could be part of the recovery,  
11 but ultimately, we're looking at recoveries of the scenario,  
12 yes.

13 DR. APOSTOLAKIS: So both.

14 MR. FORESTER: Both.

15 DR. APOSTOLAKIS: Okay; well, fine; if the main  
16 thing was to realize that you, yourselves felt that chapter  
17 10 needed more work, so I have no more questions.

18 DR. POWERS: But I may still.

19 DR. APOSTOLAKIS: I'm sorry; yes.

20 DR. POWERS: As you're willing to say that the  
21 system is more complicated, how do we decide that it's  
22 better?

23 DR. APOSTOLAKIS: In my view, as I said earlier,  
24 the emphasis on context, the extreme attention that they  
25 have paid to context is a very good step forward. Other HRA

1 analyses, they do some of it but not -- the quantification  
2 part, I am not prepared to say that it is better, but I am  
3 glad to see that they are not saying that either. But I  
4 think this detailed analysis that you see, there are other  
5 argumentations in scope, but that's expected.

6 I think it's a good step forward. It's a very  
7 good step forward. If I look at the --

8 DR. POWERS: Maybe the question is just different.  
9 The analysis is more complicated. Therefore, you wouldn't  
10 have to be sparing in your application of it. How would we  
11 know when this complicated system --

12 DR. APOSTOLAKIS: I asked them that question and  
13 unfortunately, they got upset.

14 [Laughter.]

15 DR. POWERS: And when can I do something else, and  
16 what is that something else that I should do?

17 DR. APOSTOLAKIS: I think the message is very  
18 clear, gentlemen, that you have to come up with a good  
19 screening approach. You can't apply this to every  
20 conceivable human action.

21 MR. CUNNINGHAM: That's right, and if we need to  
22 better describe how to do that and take that on, we've  
23 already talked about that as an issue in terms of next  
24 year's work or this year's work, that sort of thing.

25 DR. APOSTOLAKIS: Speaking of years, Hullnagel

1 points that out, and I must say I'm a little disturbed  
2 myself. This project started in 1992, 7 years. Do all the  
3 members feel that this is a reasonable amount of time for  
4 the kind of work they see in front of them?

5 DR. KRESS: Well, we'd have to know whether this  
6 work was continuously done and how many people --

7 DR. APOSTOLAKIS: Mr. Cunningham is here. He can  
8 explain that to us. Were there any --

9 DR. POWERS: Well, come on, George. It's  
10 difficult, is it not, to manage the NRC? And besides, on  
11 the performance that they want --

12 DR. APOSTOLAKIS: No, but on the other hand, if  
13 I'm presented with a piece of work, I mean, how much effort  
14 has been expended on it is a factor in deciding whether the  
15 work is good or not.

16 DR. POWERS: It is? That stuns me. It certainly  
17 is not in the thermal hydraulics community.

18 [Laughter.]

19 DR. APOSTOLAKIS: After such a powerful  
20 argument --

21 [Laughter.]

22 DR. APOSTOLAKIS: I defer humbly to -- I withdraw  
23 my question.

24 DR. SEALE: The thing is that the entropy is  
25 always increasing, whether you do a damn thing about it or

1 not.

2 [Laughter.]

3 DR. KRESS: Only in closed systems.

4 DR. BONACA: One thing that I'd like to -- I like  
5 the process, et cetera. Still, it seems to me that the  
6 process doesn't distinguish, for example, between the French  
7 situation and the American situation. In the U.S., we have  
8 extremely detailed procedures that the operators will live  
9 by, and literally 10 years were expended to put them  
10 together, going through a process which was as thorough as  
11 this and involved all kinds of people, from the operators to  
12 engineers to everybody else. And it seems to me that -- I'm  
13 trying to understand if I go to review a possible situation  
14 that develops in an accident under the French plan, where,  
15 in fact, there isn't a structural procedure; I understand  
16 how I would have used it.

17 In fact, I would use it to see if the operator was  
18 discussing the elements and what kind of errors he will  
19 make. I would make a hypothesis. But in the U.S., I would  
20 tend to say that applied in a way to review the procedures  
21 that they followed to see what errors he would make in the  
22 U.S. and to eliminate all of those elements that are then  
23 focused purely on the many possible -- see what I'm trying  
24 to say? I don't see any of the --

25 MR. KOLACZKOWSKI: Yes.

1 DR. POWERS: It seems to me that it would be that  
2 way because of the tie to the DBAs. When you tie them to  
3 the DBAs, you've only got one measure. You say, gee, I can  
4 use this just to make sure my -- but I think that when you  
5 go into the severe accident space, and you have multiple  
6 failures, this network of deviations, there is an infinite  
7 net that they show, and it changes character.

8 DR. BONACA: It does. There are new procedures.  
9 It's totally different. They're not at all looking at these  
10 DBAs. They're looking at the air pressure, temperature  
11 condition, et cetera, is moving in this direction; what are  
12 you going to do?

13 DR. BARTON: And you still have underlying error.

14 DR. POWERS: But still you have underlying a  
15 failure, and when you go to multiple failures --

16 DR. BONACA: You do, and it makes an assumption  
17 that, you know, you are going to a key procedure, because  
18 you have conditions that will require your ECCS to come up,  
19 for example, so there are some entry decisions you make, but  
20 then, especially for the EPGs, for BWRs, they're extremely  
21 symptom-oriented. I mean, at some point, you forget where  
22 you came from.

23 DR. POWERS: Even with the symptom-oriented, you  
24 do things that apply to an area that ultimately get you to  
25 what's wrong.



1 DR. BONACA: I understand, but again, if it was a  
2 plant X, and they would use this, the first thing I would  
3 do, I would go through this process to understand where my  
4 procedures were invested billions of dollars; you're  
5 correct. That's really what happened. I mean, if it  
6 followed literally, then, it would be different in certain  
7 respects from the application that we make for -- where I  
8 have no prescribed way, and so, I may discover that that's  
9 why I led the operator in the situation we are in.

10 Now, I don't know if this had to have a different  
11 perspective when you apply it to our plants, which are going  
12 through very structured procedures. It seems to me every  
13 scenario would be still open if you review it in a way where  
14 everything is possible, and yet, you're ignoring the  
15 existence of the framework, which is exactly the pattern of  
16 the steps you're suggesting here.

17 MR. CUNNINGHAM: I guess my reaction is that I  
18 think we would have to kick that around among the team as to  
19 implications of the French style versus the American style  
20 and that sort of thing. I just -- I don't think we've  
21 thought much about that.

22 DR. APOSTOLAKIS: It may require a designer  
23 approach.

24 We will recess for 12 minutes, until 10:35.

25 [Recess.]

1 DR. APOSTOLAKIS: We have about an hour and 5  
2 minutes, so you will decide how best you want to use it.  
3 It's yours.

4 MR. FORESTER: Okay; I think what we'd like to do  
5 is present an example of application of the method to some  
6 fire scenarios. This is part of another task that we have  
7 to apply ATHEANA to fire scenarios. We want to sort of do a  
8 demonstration of the methodology for fire applications, and  
9 Alan Kolaczowski is going to present this.

10 DR. APOSTOLAKIS: We have this or we don't have  
11 this? We don't have it. No, we don't have the report.

12 MS. RAMEY-SMITH: It hasn't been written.

13 MR. KOLACZKOWSKI: My name is Alan Kolaczowski.  
14 I work for Science Applications International Corporation.  
15 George, I'm one of the new team members. I've only been  
16 around for about a year and a half so --

17 DR. KRESS: You're saying we can't blame you.

18 MR. KOLACZKOWSKI: Blame? No, I guess you can't.

19 Okay; well, you've heard at least in the abstract  
20 now what the methodology involves, and again, I think the  
21 important points is that -- and I think George articulated  
22 this very well -- is that we're really trying to look at the  
23 combination of how plant conditions can, based on certain  
24 vulnerabilities either in the operator's knowledge about how  
25 the scenario might proceed, weaknesses in the procedures,

1 whatever, how those two things may come together in a way  
2 that if the scenario is somewhat different from, if you  
3 will, the base case scenario that maybe the operator is  
4 prone to perform certain actions which would be unsafe in  
5 light of the way the scenario is actually proceeding.

6 I want to demonstrate now, actually, the stepping  
7 through the process that will make some of these things and  
8 some of these abstract ideas perhaps a little bit more  
9 concrete, step through it by actually showing you an  
10 example, and as John pointed out, what I want to do is take  
11 you through a set of a couple of fire analyses that we've  
12 done, and as Ann pointed out, this report is currently in  
13 process in terms of being put together.

14 So, the first slide, what I'd like to point out  
15 here really is focus primarily on the third bullet, unless  
16 you have questions on the others, and that is if you look at  
17 current HRA methods and the extent that they look at fire  
18 events, and certainly, this had to be done as part of the  
19 IPEEE program by the licensees, et cetera, what you find is  
20 that a lot of the current HRA methods look at the human  
21 reliability portion of the issue pretty simplistically.  
22 Most of the IPEEEs, if you look at them, what they've done  
23 is they've taken their human error probabilities from the  
24 internal events, and they might put a factor of five on it  
25 and say, well, the stress is probably higher because there's

1 a fire going on, and there's a bunch of smoke, et cetera,  
2 and that's what we're going to use for our human error  
3 probabilities.

4 And there really is, for the most part, not a hard  
5 look at what is the fire doing? How is the equipment  
6 responding? Might some of those responses be erratic? How  
7 might that change the way the operator responds during the  
8 scenario, et cetera? That kind of look at what the human is  
9 doing is typically not looked at. It's treated pretty  
10 simplistically, for the most part. And so, we thought that  
11 this was an error that would be very fruitful for ATHEANA to  
12 look at in order to look at the context of fires and how  
13 scenarios from fire initiators might affect the way the  
14 operators will respond as the fire progresses and so on and  
15 so forth. So that's kind of why we looked at this.

16 DR. APOSTOLAKIS: What is SISBO?

17 DR. POWERS: Self-induced station blackout.

18 DR. APOSTOLAKIS: What?

19 DR. POWERS: Self-induced station blackout.

20 MR. KOLACZKOWSKI: I'm going to describe that in  
21 the next slide, I believe.

22 So we decided that this was a pretty fruitful area  
23 to look at, and that's why we chose this one as a good  
24 example to present here in front of the committee.

25 DR. POWERS: Do we have a good phenomenological

1 understanding of how the fire affects equipment and other  
2 things?

3 MR. KOLACZKOWSKI: I guess I don't know how to  
4 measure good. I think we have some general ideas, but  
5 that's part of the problem is that fires can affect  
6 equipment in many, many different ways, which can,  
7 therefore, make scenarios be somewhat different than what we  
8 expect, and it's these kinds of deviation scenarios that  
9 we're talking about.

10 MR. CUNNINGHAM: In parallel with our work on  
11 human reliability analysis, we have a separate program  
12 that's looking at the issue of modeling of fires in risk  
13 analyses.

14 DR. POWERS: They repeatedly tell me that they  
15 can't really predict what -- that that's why their research  
16 needs to go on --

17 MR. CUNNINGHAM: Yes.

18 DR. POWERS: -- is because they don't know what  
19 kinds of things will happen to equipment.

20 MR. CUNNINGHAM: That's right; both are viable  
21 subjects, reasonable subjects for research.

22 DR. POWERS: And I have had the licensees in  
23 saying the vicious and evil thing about the NRC staff,  
24 because they take too conservative a position on  
25 fire-induced changes and things like that.

1 MR. CUNNINGHAM: Again, we have another program.  
2 Part of the reason for picking the fire example was to try  
3 to bring some of these -- bring the two programs a little  
4 closer together.

5 MR. KOLACZKOWSKI: The next slide, as you're going  
6 to see in a moment, we picked two particular scenarios to  
7 look at, but first, you have to understand a little bit what  
8 the plant design is like, at least in a general sense, for  
9 dealing with fires and what this SISBO concept is, because  
10 we did decide to look at a so-called SISBO plant.

11 This cartoon, if you will, is meant to at least  
12 show you what the separation is typically like in a nuclear  
13 power plant for dealing with fire, and then, as I said, I  
14 want to introduce the SISBO concept. You can see here that  
15 if you look at the cabling equipment in the plant and so on,  
16 typically, for Appendix R purposes and so on, in a very  
17 simple, two-division kind of plant, you end up with  
18 separating the cables in the various cable trays and having  
19 certain walls and rooms and fire barriers, et cetera,  
20 between equipment such that all the division A equipment is  
21 located somewhat separately and at least are protected from  
22 a fire standpoint from division B equipment, and we see that  
23 displayed in this cartoon.

24 Of course, plants have now a remote shutdown panel  
25 associated with them. Usually, that remote shutdown panel

1 has a limited amount of instrumentation and controls  
2 associated with it for controlling one of the divisions of  
3 equipment for shutting down the plant safely should the  
4 operators have to leave the main control room, which might  
5 be the case for fire in the control room area as well as, as  
6 you'll see in a moment, if it's a SISBO plant, there are  
7 other reasons why they may leave the main control room as  
8 well.

9           So anyway, we have this standard separation  
10 between the two divisions, and that separation, to the  
11 extent possible, is maintained all the way up through the  
12 cable spreading room, the relay room, the main control room,  
13 where we have the various fire barriers and so on and so  
14 forth. As I indicated, we have this remote shutdown panel,  
15 the idea being that if we need to leave the main control  
16 room, we go down to the remote shutdown panel as well as  
17 other local areas in the plant, and we operate this --  
18 what's called dedicated areas of equipment or division A  
19 equipment, and typically, what's done is that there is a set  
20 of switches there on the remote shutdown panel, and that's  
21 just shown as one switch in this little cartoon, that are  
22 thrown such that we become now isolated from the main  
23 control room so that shorts, hot shorts or other electrical  
24 problems that might be propagating up through the main  
25 control room won't come down to the remote shutdown panel.

1           And now, we hook in the remote shutdown panel  
2 directly with the equipment out in the field, and then we  
3 safely shot down the plant from there. What's unique about  
4 the SISBO idea is that some plants, in order to respond to  
5 various requirements in Appendix R and other fire-related  
6 requirements for dealing with potential hot shorts and so  
7 on, have taken on this so-called self-induced station  
8 blackout approach, in which basically, what happens is the  
9 plant, once the fire gets so severe that they feel that they  
10 are losing control of the equipment because of erratic  
11 behavior, potentially because of hot shorts, whatever, they  
12 essentially de-energize all of the equipment in the plant,  
13 and at the same time, energize only either the alternate  
14 area equipment if the fire is in a dedicated area zone, or  
15 they would go down to the remote shutdown panel and operate  
16 the dedicated area of equipment if the fire is in an  
17 alternate equipment zone and then re-energize that equipment  
18 off that diesel. And then, they operate just that  
19 particular set of equipment to safely shut down the plant.

20           So essentially, they put the plant into a loss of  
21 power situation and then re-energize either A-bus or B-bus  
22 and then use just selected equipment off of that bus that  
23 they think is not being affected by the fire. Of course,  
24 the advantage of that is that now, hot shorts can't occur in  
25 the A equipment, let's say if that's where the fire is,



1 because you've got it all de-energized, and so, you won't  
2 have a spurious opening of the PORV or something like that  
3 that could make the scenario much worse. So that's kind of  
4 the concept behind the SISBO idea.

5 Next slide. Now, for illustrating the ATHEANA  
6 process, what we've done is we've reanalyzed two fire  
7 scenarios that have been previously analyzed in an existing  
8 PRA. This just highlights what the two fires are and what  
9 the potential effects of the fires are for this particular  
10 plant. One is an oil fire in the auxiliary feed water  
11 system pump B room. This is for their classification, a  
12 so-called alternate fire area, and you can see that if the  
13 fire does become significant, the effects are quite severe.  
14 Four out of four of the non-safety busses become affected  
15 and would potentially have to be shut down. You also  
16 potentially lose the division B 4160-volt safety bus.  
17 That's the safety bus for the various safety loads.

18 Of course, you lose, obviously, pump B of  
19 auxiliary feed water, and it turns out in this particular  
20 plant, because of where the cabling is located, if you had a  
21 severe fire in this room, you would also affect the ability  
22 to operate and control the turbine pump. This is a  
23 three-pump system that has two motor pumps, A and B, as well  
24 as a turbine pump. This fire would affect one of the motor  
25 pumps as well as the turbine pump.

1           If this situation got this severe, the  
2 expectations, according to the procedures, would be that you  
3 would leave the main control room, and then, you would shut  
4 down using limited division A, that is, dedicated equipment,  
5 from the remote shutdown panel, and there is an EOP, so  
6 called FP-Y, that governs how this is actually implemented.

7           The other fire is, as I indicated there, a fire  
8 concerning certain safety busses, and it turns out these  
9 safety busses are located in the same area, room, if you  
10 will, that the remote shutdown panel is located. So this is  
11 a so-called dedicated area fire, and again, if this fire got  
12 severe, such that the feeling was that the operators were  
13 losing control of the plant, the expectations, per the EOP,  
14 would that -- well, first of all, you would lose the  
15 division A busses and the ability to use that diesel and its  
16 various loads, and the expectations would be you would shut  
17 down using division B equipment or so-called alternate  
18 equipment.

19           In this case, they would stay in the main control  
20 room to operate that equipment, but they're still going to  
21 de-energize everything and then only energize the B busses  
22 and then use the B equipment. So you're still going into a  
23 self-induced loss of power situation.

24           Lastly on this slide, I wanted to indicate what  
25 the current PRA insights are about the human reliability

1 performance in these two fires. And if you look at what are  
2 the sort of dominant lessons learned from the HRA analysis  
3 for this existing PRA, those are highlighted there on the  
4 third slide, that there is a potential for a diagnosis error  
5 to even enter the right EOP, either EOP-Y if it's an  
6 alternate area fire or EOP-Z if it's a dedicated area fire,  
7 so notice that one of the things they have to know is where  
8 is the fire in order to know which EOP to enter.

9 And the reasons why the existing human reliability  
10 analysis technique says that a diagnosis error might occur  
11 are indicated here: either the operator would misread or  
12 miscommunicate the cues to enter the procedure, or he might  
13 just plain skip the step and not enter the procedure or  
14 might misinterpret the instruction regarding when to enter  
15 the procedure. Those were highlighted in the PRA as  
16 possible reasons for why he might make this diagnostic  
17 error.

18 The more dominant errors, however, in the HRA, if  
19 you actually look at the quantified results: they claim  
20 that it's much more likely the operators will make mistakes  
21 in actually implementing the EOPs themselves, just because  
22 they're very complex and so on and so forth. There are a  
23 lot of steps involved.

24 Most of the errors, they claim, will be as a  
25 result of switch positioning errors or just because of the

1 fact that they may omit certain steps because they're in a  
2 high stress situation. So that's kind of what you learn  
3 from the existing PRA if you look at the human reliability  
4 analysis for these two fires.

5 DR. POWERS: The regulation is that they're  
6 required to be able to shut this plant down, so you're going  
7 to look at carrying out that requirement.

8 MR. KOLACZKOWSKI: That is correct; we don't look  
9 at the errors associated with still safely shutting down,  
10 but look at it now from an ATHEANA perspective and say that  
11 if we think about the context of these fires a little more,  
12 what might we learn that might be new, more lessons learned  
13 that we could apply to ways to make the operators  
14 better-prepared for dealing with these fires than just  
15 simply, well, they might skip the step. Well, what are we  
16 supposed to do about that? I guess we could say increased  
17 training, maybe, but we want to see if ATHEANA can provide  
18 some additional insights as to how the operator may not  
19 bring the plant back to a safe condition.

20 Yes?

21 DR. APOSTOLAKIS: Who did the PRA you are  
22 referring to?

23 MR. KOLACZKOWSKI: I'm sorry?

24 DR. APOSTOLAKIS: The PRA, the existing PRA. Is  
25 that the utility?

1 MR. KOLACZKOWSKI: It is a -- yes, it's an IPEEE  
2 from a licensee.

3 DR. APOSTOLAKIS: Okay.

4 MR. KOLACZKOWSKI: Now, John indicated that one of  
5 the first things we do after really defining the issue,  
6 which, in this case, is how can we learn better how the  
7 operators might make mistake given these two kinds of fires  
8 and, therefore, take from that lessons learned and ways to  
9 improve operator performance given these kinds of fires,  
10 once we're able to identify that issue, one of the first  
11 things we have to do is try to understand how does an  
12 operator, how does he think these two fires would normally  
13 proceed?

14 This is that defining the base case scenario step.  
15 This is trying to come up with that collective operator  
16 mindset as to what his expectations would be given that  
17 these fires actually occurred, and our base case is  
18 essentially summarized in this and the next slide, and let  
19 me just kind of quickly go through this, and then, if you  
20 have any questions, we can proceed to those.

21 Of course, one of the first things that would  
22 eventually occur most likely is once the fire has happened,  
23 let's assume for the moment that it happens without a person  
24 being in the room at the particular time, et cetera; it's  
25 going to start to affect some equipment, et cetera, but one

1 of the first things that will probably occur is that we will  
2 eventually get a fire detection alarm. There are, at this  
3 plant, multiple alarms for detecting smoke, et cetera, in  
4 these rooms and so on, so we would expect that fairly early  
5 in the scenario that one of the first indications would be  
6 this fire detection alarm.

7 The operators then enter what is called EOP FP-X  
8 upon a fire detection alarm, which basically provides the  
9 initial things that they do for dealing with once a fire has  
10 been detected in the plant. One of the first steps in that  
11 procedure is they ask another operator out in the plant to  
12 go and visually validate that there actually is a fire, that  
13 this is not a spurious or false alarm, and the procedure  
14 almost reads as though the intent is that they don't do too  
15 much more until that validation comes back.

16 Let's assume they do get the validation. Then,  
17 the fire brigade is then assembled. It's called on. And  
18 one of the things they do is they unlock the doors to the  
19 suspected area to make sure that the fire brigade is going  
20 to have fairly easy access to that area, et cetera, and  
21 there's a general notification over the Gaitronic system  
22 that there is a fire in the plant and those kinds of things.

23 Now, during this time, especially if the fire is  
24 not yet all that severe, the plant is still running. It's  
25 just humming along, running along fine, and, in fact, the

1 main control room staff are attempting to just maintain the  
2 plant online and under proper control while the fire brigade  
3 is now getting assembled and getting ready to do their  
4 thing.

5 We expect that as time proceeds, and let's say the  
6 fire brigade is finally getting down there, perhaps entering  
7 the room, et cetera, but if the fire is getting to the point  
8 where it's approaching the severities that I talked about in  
9 the previous slides, then, we're going to start seeing  
10 erratic operation of some of the normally-operating  
11 equipment. Perhaps we're going to start seeing flow acting  
12 erratically; maybe if you have current indications on  
13 certain pumps, like the AFW pump, you might begin to see  
14 erratic indications of the current or maybe voltages on  
15 certain busses, depending, again, on which cables are  
16 affected and when that occurs.

17 DR. POWERS: Isn't it much more likely that the  
18 things that are going to be affected are the instrumentation  
19 and not the core itself?

20 MR. KOLACZKOWSKI: That is true, too. I mean, it  
21 depends on, looking at in each individual room, how much  
22 control and power cables there are versus how much  
23 instrumentation cables. Certainly, the AFW pump is  
24 instrumented to some degree, but the flow instrument for  
25 flow going to the steam generator might be in an entirely

1 different room, and it's unaffected at all.

2 So it's very, very plant-specific, obviously, as  
3 to what the specific effects are, but we would generally say  
4 erratic operation of equipment, and certainly, your point is  
5 well-taken, Dana, of some indications may be possible. But  
6 the point is the plant isn't necessarily going to trip right  
7 away, and in a lot of small fires, as we know, the plant ran  
8 through the entire scenario just fine. They put the fire  
9 out, and that's it.

10 Now let's assume for the --

11 DR. POWERS: There is nothing at this point to  
12 indicate to trip this plant.

13 MR. KOLACZKOWSKI: I'm sorry?

14 DR. POWERS: There is nothing at this point --

15 MR. KOLACZKOWSKI: No, FP-X does not require them  
16 at this point yet to trip the plant. And, in fact, they  
17 will try to maintain plant operation per their procedure at  
18 this plant.

19 So we have potential erratic behavior of some of  
20 the normal operating equipment, perhaps some of the  
21 indications. Notice that certain standby equipment may also  
22 be affected; for instance, that turbine pump, the turbine  
23 auxiliary feed water pump, and it may also, maybe, have  
24 cables associated with that pump's control that are burning,  
25 and yet, they will have no necessarily idea that that pump



1 has been affected, because they haven't asked it to try to  
2 work yet. They're still running the plant; feed water  
3 plants are still on. They'd have no idea that the AFW  
4 turbine pump has now become inoperative. They won't know  
5 that until they try to use it.

6 So just recognize that there is some missing  
7 information with their situation assessment as to how bad  
8 this fire is, okay? Now, also during this time; let's  
9 assume the fire brigade is trying to do its job. There is  
10 going to be some diversion of attention as well, because  
11 there's going to be periodic communication between the fire  
12 brigade and the main control room staff. One of the things  
13 they do is hand out radios, et cetera, and there's going to  
14 be talking back and forth: how are you coming? What's the  
15 situation?

16 Maybe the brigade is saying, well, we haven't  
17 entered the room yet; there's an awful lot of smoke, et  
18 cetera, et cetera. There's going to be some diversion of  
19 attention dealing with the fire brigade as well as trying to  
20 just make sure that the plant is okay. That's part of the  
21 overall situation.

22 Let's assume for the moment that the conditions  
23 get even worse. Either the fire brigade is having trouble  
24 getting out the fire or whatever. At some point, if enough  
25 erratic behavior is occurring, and we're actually beginning

1 to have a lot of difficulty in actually controlling the  
2 plant, maintaining pressurizer level, maintaining feed water  
3 flows, whatever, that's when the judgment occurs for the  
4 operators to then enter either EOP-FP-Y if the fire is in an  
5 alternate zone or EOP-FP-Z if the fire is in a dedicated  
6 zone, and at that point, one of the first steps in that  
7 procedure is, yes, trip the plant, okay?

8           Secondly, then, what they do after that is they,  
9 in the procedures, is they basically isolate the steam  
10 generators, and then, they leave -- if they have to, if  
11 they're in EOP-FP-Y, they have to actually leave the main  
12 control room, and then, they start the de-energization  
13 process, and that's when they actually are pulling fuses,  
14 pulling breakers out locally in the plant, et cetera, and  
15 essentially putting the plant into a self-induced blackout.

16           Simultaneously, they are -- and they actually take  
17 the crew and separate them up into about three or four  
18 different areas of the plant, so you have to also recognize  
19 that the crew is no longer working as a unit in one room  
20 anymore; they're now located in various areas of the plant  
21 talking on radios. One guy is over pulling fuses in a DC  
22 panel; another person is over pulling breakers in an AC bus,  
23 et cetera. So they're acting now certainly still in  
24 communication but as separate entities.

25           They de-energize the various buses in the plant,

1 and then, they bring on the appropriate bus, depending on  
2 whether the fire is in an alternate or dedicated zone, and  
3 then begin to bring on manually the equipment they're going  
4 to use to safely shut down the plant. Now, in the base case  
5 scenario, even if the fire got this bad, the expectations of  
6 the operator would be, okay, we enter the right EOP  
7 procedure; we go through its implementing steps; we carry it  
8 out; we eventually restabilize the plant. Sometime during  
9 this time, the fire eventually gets extinguished, and the  
10 scenario is over.

11 So in a general sense, this would be sort of the  
12 expectations, even if the fire got fairly severe, as to what  
13 the operators' expectations would be as to how the scenario  
14 would proceed, and that's going to be our starting point to  
15 then build deviations on that scenario.

16 One of the things we'll also do early on in the  
17 process is we try to focus on, well, what human failure  
18 event or events and what particular unsafe acts are we  
19 really interested in analyzing for? And this slide is meant  
20 to attempt to try to summarize really the specific human  
21 failure event that we're looking at, which is really failure  
22 to accomplish heat removal. Let's say we get to the point  
23 where they have to trip the plant, and now, they have to  
24 bring it back into a stabilized, cooled state, recognizing  
25 they may have to leave the main control room and go through

1 this de-energization process and so on, and what if they  
2 fail to carry that out correctly for one reason or another?

3 Taking that overall human failure event and really  
4 breaking it down into, as we have here, three separate  
5 unsafe acts that we're really going to be trying to analyze  
6 and determine, if we can, the probability of that occurring.  
7 UA-1 is really very much closely associated with that  
8 diagnostic error I talked about in the original PRA; that  
9 is, one unsafe act could be the failure to enter the right  
10 EOP or wait too long to enter that EOP, to the point where,  
11 perhaps by that point, so much equipment damage has  
12 occurred; maybe hot shorts have also occurred that they have  
13 essentially lost all control of the plant and the ability to  
14 even bring it back to a cooled and safe and stable safe.

15 DR. APOSTOLAKIS: What's too long? Who determines  
16 the length of fire?

17 MR. KOLACZKOWSKI: For purposes of this  
18 illustration, we haven't tried to necessarily answer that  
19 question, George. It would obviously depend on the specific  
20 plant; how big the fire grows; how fast the equipment gets  
21 affected. You know, you could do that by doing various com  
22 burn runs for that room and so on and so forth. It would be  
23 very plant specific. I mean, I could try to give you some  
24 general ideas, I suppose, but we have not tried to address  
25 that specifically in this illustration.

1 DR. APOSTOLAKIS: Okay; but in terms of the base  
2 case scenario --

3 MR. KOLACZKOWSKI: Yes?

4 DR. APOSTOLAKIS: -- do you have an idea as to how  
5 much time they have? I thought that was one of the premises  
6 of defining the base scenario.

7 MR. SIEBER: It depends on how big the fire is.

8 DR. APOSTOLAKIS: Well, okay, but they have to  
9 have some sort of an idea how quickly they have to do it.

10 MR. KOLACZKOWSKI: I agree that as part of the  
11 base case scenario, you would describe for a specific plant  
12 how long do they think it would take before this fire would  
13 get that large and so on, and that's going to be a very  
14 plant-specific answer.

15 DR. APOSTOLAKIS: I see Jack is shaking his head  
16 here.

17 MR. SIEBER: I don't think you can do it.

18 DR. APOSTOLAKIS: So how will the operators act?

19 MR. SIEBER: You act as quickly as you can without  
20 making any mistakes.

21 [Laughter.]

22 DR. POWERS: What's happening in reality is that  
23 you've got something, the fire alarm or something. You've  
24 got some people doing things. They're talking to you about  
25 what they're finding. In the mean time, you're going to

1 have instruments that are telling you something is going on,  
2 and the urgency, well, it's urgent to get the fire out, but  
3 it's not urgent to take the plant, to trip the plant until  
4 you get something urgent. Who says that? It's the  
5 instrumentation board or the people that are talking about  
6 it. They say the fire is very big, and we can't get it out  
7 with the people we've got; you're going to trip the plant.

8 DR. APOSTOLAKIS: And this is now on the order of  
9 minutes?

10 DR. POWERS: Minutes.

11 MR. KOLACZKOWSKI: It could be.

12 DR. POWERS: Yes; I know. I mean, some of us are  
13 more incredulous than others, but maybe that's just an area  
14 that somebody is going to have to work on. It's in the area  
15 of most extreme abuse, I think; what's already a very  
16 laborious process.

17 DR. APOSTOLAKIS: I think that's related also to  
18 the problem of screening at the beginning. In other words,  
19 you really have to try to make this not to look like it's an  
20 open-ended process that only a few select people can apply.

21 I have another question. I'm confused there by  
22 the second paragraph.

23 MR. KOLACZKOWSKI: Okay; I was going to get to  
24 that, George.

25 DR. APOSTOLAKIS: I think we have to hurry.

1 MR. KOLACZKOWSKI: Okay; go ahead.

2 DR. APOSTOLAKIS: Triggered error mechanisms  
3 include no entry to procedures. And then, it says tends to  
4 lead to unsafe acts, including taking no action. I thought  
5 the mechanism was something different. I agree with the  
6 last statement, but if they delay or they take no action,  
7 that's an unsafe act. I just don't see how it is an error  
8 mechanism.

9 MR. KOLACZKOWSKI: Yes, it looks like maybe that  
10 is miscategorized and should be down as an error type.

11 DR. APOSTOLAKIS: Okay; so it shouldn't be  
12 classified as a trigger mechanism.

13 MR. KOLACZKOWSKI: I think I would agree with you,  
14 George.

15 DR. APOSTOLAKIS: Okay; I think we've got the  
16 flavor of the search.

17 MR. KOLACZKOWSKI: Okay.

18 DR. APOSTOLAKIS: Unless the members want to see  
19 two, three -- do you want to continue on to the deviation  
20 scenario development now?

21 MR. KOLACZKOWSKI: That's fine; that's fine.

22 DR. APOSTOLAKIS: Number 30?

23 MR. KOLACZKOWSKI: That's fine.

24 So we go through various searches to try to come  
25 up with credible ways a scenario could be different, such

1 that they trigger certain error mechanisms that we think  
2 will lead to the error types of interests, okay? Now, we  
3 actually -- once we've gone through those searches, and we  
4 have some idea of credible ways that the scenario might  
5 deviate from the base that really sets up the potential for  
6 the unsafe acts that we're interested in, we then summarize  
7 those characteristics into a troublesome scenario or  
8 scenarios; it might be more than one, okay?

9 In this particular case, based on what we learned  
10 on the searches in this illustration, we selected the  
11 following time line of events that would be somewhat  
12 different. Imagine, if you will, that the fire detection  
13 for whatever reason was delayed, either because of perhaps  
14 some of the fire detection equipment not working and/or the  
15 fire develops very slowly, which is getting sort of to the  
16 next bullet but progressively.

17 Also, let's say the fire brigade has trouble  
18 putting out the fire, although perhaps it reports back to  
19 the main control room that it is almost under control.  
20 Obviously, with the kinds of things that that's going to do,  
21 it's going to delay the decision process; allow the  
22 potential for more equipment to be damaged before, in fact,  
23 the operational staff take action; and if they're getting  
24 reports back by the fire brigade saying we've just about got  
25 it out, again, the feeling is going to be one of almost



1 relief and say well, we're just about out of this thing.

2 Now, beyond the initial fire conditions, also some  
3 other later deviations that we're going to include in this  
4 "deviation scenario" is that suppose that the fire duration  
5 and progression is such that it gets so severe that it  
6 actually has cross-divisional equipment effects. Perhaps it  
7 lasts longer than two or three hours, and eventually, fire  
8 barriers get defeated or whatever, and/or other good  
9 equipment, that is, the equipment they're going to try to  
10 use to safely shut down the plant, what if it fails to  
11 function, like the diesel doesn't start? Those that we  
12 think are credible, realistic deviations in the scenario  
13 that could make the scenario much more troublesome. Next  
14 slide.

15 DR. APOSTOLAKIS: So where are you using the fact  
16 that they may be reluctant to abandon the control room?

17 MR. KOLACZKOWSKI: Well, again, that's been  
18 recognized as part of one of the vulnerabilities, and the  
19 fact that we have a scenario now that is going to develop  
20 slowly, and also, they're going to be getting good reports  
21 from the fire brigade, we're basically saying that's going  
22 to strengthen that reluctance. They're going to be less  
23 willing to leave the main control room given that's the  
24 situation, because they think the fire is just about out,  
25 and they're not sure what all the effects of the fire are,

1 in fact, because it's progressed so slowly.

2 DR. APOSTOLAKIS: So that's not part of the  
3 deviation scenario?

4 MR. KOLACZKOWSKI: It is a reason why the  
5 deviation scenario is what it is. We're saying that this  
6 kind of a scenario, as described, is going to strengthen or  
7 increase the reluctance factor. The scenario is not the  
8 PCF. The scenario is described in an equipment sense.

9 DR. APOSTOLAKIS: What's the PCF?

10 MR. KOLACZKOWSKI: I'm sorry; I said PCS; PSS.  
11 The scenario is going to strengthen certain performance  
12 shaping factors. In one case here, one of the performance  
13 shaping factors, one of the negative ones, is this  
14 reluctance.

15 DR. APOSTOLAKIS: So if one asks now what is the  
16 error forcing context --

17 MR. KOLACZKOWSKI: Yes.

18 DR. APOSTOLAKIS: How many do you have, and which  
19 ones are they?

20 MR. KOLACZKOWSKI: Okay; in this case, I guess we  
21 would say we're describing one overall context. What you  
22 have before you on this deviation scenario slide, the  
23 previous slide, is essentially the plant conditions part of  
24 it. The actual performance shaping factors, I don't think I  
25 have a slide on that, but the performance shaping factors

1 which make up the other part of the context would be things  
2 like unfamiliarity with such a situation; reluctance to want  
3 to deenergize the plant and/or if necessary leave the main  
4 control room and so on and so on.

5 And so, you would then describe those performance  
6 shaping factors, and then, together, if you say given those  
7 performance shaping factors and this kind of a scenario, we  
8 think we have an overall context which may lead to higher  
9 probabilities of not entering the procedure in time or  
10 carrying it out incorrectly, et cetera, those three UAs that  
11 I talked about.

12 DR. APOSTOLAKIS: I mean, I thought that the error  
13 forcing context is central to all of this. So I sort of  
14 expected the view graph that said this is it.

15 MR. KOLACZKOWSKI: Probably should have stressed  
16 the performance shaping factors; you're right. We only  
17 presented this --

18 DR. APOSTOLAKIS: Is it the performance shaping  
19 factors or the context? Or these are part of the context?

20 MR. KOLACZKOWSKI: Yes; if you go back to the  
21 framework, you'll notice that the error forcing context box  
22 has in it two things: the plant conditions --

23 DR. APOSTOLAKIS: Yes.

24 MR. KOLACZKOWSKI: -- and the operator performance  
25 shaping factors, and what we're saying is suppose the plant

1 conditions are as I've described in this deviation scenario.  
2 That's going to trigger a lot of those other vulnerabilities  
3 that we talked about in the previous step, which really  
4 become the performance shaping factors; that is, he's going  
5 to have a reluctance to want to deenergize the plant, et  
6 cetera, et cetera.

7 DR. APOSTOLAKIS: So you have a number of error  
8 forcing contexts by selecting from the deviation scenario  
9 development.

10 MR. KOLACZKOWSKI: Yes, you could; yes, you could.

11 DR. APOSTOLAKIS: I think that's a critical --

12 MR. KOLACZKOWSKI: You could potentially have  
13 numerous contexts.

14 DR. APOSTOLAKIS: You need to emphasize it and say  
15 these are the contexts we're identifying.

16 MR. KOLACZKOWSKI: Okay; okay, good point.

17 Okay; given now we think we have a scenario that  
18 will, if it develops in the way that we described in the  
19 deviation scenario, we think along with the performance  
20 shaping factors provides us a more error-prone situation or  
21 error forcing context, as we call it. One of the things  
22 that we also do before we really enter the quantification  
23 stage is think about well, what if it really did get this  
24 bad? What are the potential recoveries?

25 I guess just quickly, for the case where he

1 doesn't enter the EOP or enters it way too late, we've  
2 assumed that if things got that bad, right now for this  
3 illustrative analysis, we're not allowing any recovery in  
4 that situation, and by the way, that's very similar to what  
5 was done in the existing PRA. The existing PRA said if  
6 things get that bad that he never made the decision to even  
7 enter the EOP, he's not going to get out of this thing if  
8 the fire continues. So we're sort of in line with what the  
9 existing PRA was in that case.

10 If the fire grows, and it affects both the  
11 alternate and the dedicated equipment, which was one of the  
12 aspects of our deviation scenario possibilities, well,  
13 obviously, now, now, the question becomes what's he going to  
14 do, given he's got alternate equipment burning as well as  
15 dedicated equipment burning, and really, there is no  
16 procedural guidance for that. He's supposed to enter one or  
17 the other case, not both. So if the fire grows and affects  
18 both the equipment, or, if when he gets to the so-called  
19 good equipment, that is, the equipment not affected by the  
20 fire that randomly fails, that could occur because of --  
21 this is getting to your point, George -- the operator could  
22 be making those problems occur, not just that the equipment  
23 fails.

24 This is sort of the operator inducing an  
25 initiator; in this case, this is the operator actually

1 causing the reason why the equipment doesn't work. Maybe he  
2 doesn't try to start it up in the right sequence or  
3 something like that, and so, it doesn't work properly.

4 Now, we have allowed recovery for that in the  
5 analysis, and I think maybe the best thing I ought to do is  
6 go to the event tree, which is the next slide, that will  
7 show the interrelationship of the recovery with these unsafe  
8 acts. This is obviously very simplistic, but what it's  
9 meant to do is cover really the key points that we're  
10 worried about in how the scenario could progress. Notice we  
11 have the fire at the beginning. Suppose the operator does  
12 not timely enter into the correct EOP? That was the one  
13 that we said we're not going to allow a recovery for.  
14 That's unsafe act number one. If that occurs, we're going  
15 to assume for event tree purposes that that goes to core  
16 damage, like the existing PRA did.

17 But suppose it does enter the procedure, and  
18 suppose the fire does not jump to separation barriers; that  
19 is, it still remains in only the alternate area or only the  
20 dedicated area. And then, additionally, if the good  
21 equipment that he then tries to operate works, well, that's  
22 the way out. That's the okay scenario he's trying to get  
23 to. But if there is a problem either with the equipment  
24 working or if the fire, in fact, jumps over into -- let's  
25 say it starts in the alternate area and jumps to the

1 dedicated area, maybe because of an Appendix R weakness, or  
2 maybe there's a fire door inadvertently left open, something  
3 like that, so the fire could get into the AFW pump A room,  
4 for instance, as well.

5 Then, the operator is going to have to try to deal  
6 with this situation that he's got fire affecting both  
7 alternate and dedicated equipment, or he has to deal with  
8 the fact that the good equipment has randomly failed and is  
9 not working, and when allowing a recovery there, he has to  
10 make a decision as to what sort of recovery action to take,  
11 and then, obviously, he has to carry out that recovery  
12 action.

13 That recovery action would probably be something  
14 like, well, let me go try to use the A equipment again, even  
15 though it's the equipment that's burning, because the B  
16 diesel isn't starting, so I've got to go try to use the A  
17 diesel. That's my only out at this point. So in event tree  
18 space, this is sort of the relationship between the UAs and  
19 the equipment and the recovery and how that's sort of all  
20 panning out.

21 DR. APOSTOLAKIS: Isn't this similar to an  
22 operator action?

23 MR. KOLACZKOWSKI: I guess certainly from the  
24 concept standpoint, yes; in terms of laying out the possible  
25 sequences, yes.

1           Next slide. George, I don't know if you want to  
2 get into the details --

3           DR. APOSTOLAKIS: No.

4           MR. KOLACZKOWSKI: -- of the codification other  
5 than to say that we used the existing PRA information to try  
6 to quantify, well, what's the chance this set of plant  
7 conditions would actually occur this way. And then, as we  
8 said, as far as actually coming up with the probabilities of  
9 the unsafe acts, at this point, they're still largely based  
10 on judgment and using other types of techniques like HEART  
11 to try to get some idea of what those numbers ought to be.

12          DR. APOSTOLAKIS: Why don't you go on to the  
13 difference between existing --

14          MR. KOLACZKOWSKI: Okay.

15          DR. APOSTOLAKIS: -- PRAs?

16          MR. KOLACZKOWSKI: So that takes me to the last  
17 slide in my presentation, which is really what we want to  
18 stress more than the quantitative numbers. As with PRA, the  
19 real value of doing PRA is what you get out of doing the  
20 process. The numbers are fine, and they sort of set some  
21 priorities, but we think the same is true of ATHEANA. And  
22 from a qualitative aspect, what we've done here is compare  
23 the existing PRA human performance observations and sort of  
24 what you learned out of the existing HRA and what you might  
25 learn out of doing an ATHEANA type of HRA on these same two



1 fires, and these are meant just to compare the types of  
2 fixes or lessons learned, if you will, out of the HRA  
3 analysis that one might gain from the existing PRA versus  
4 the ATHEANA results, and let me just generally characterize  
5 them as I think the existing PRA gives you some sort of very  
6 high level ideas of some things that you might fix, and they  
7 generally fit the category of well, let's just train them  
8 more, or let's make this step bolder in the procedure so he  
9 won't skip it.

10 I think in going through the ATHEANA process and  
11 really understanding what the vulnerabilities are and how  
12 the scenario differences might trigger those vulnerabilities  
13 to be more prominent, I think you learn more specifics as to  
14 ways to improve the plant, either from a procedural  
15 standpoint, a labelling standpoint, et cetera, and what the  
16 specific needs are, such as like that first one up there on  
17 the extreme upper right. Clearly, there is a need for a  
18 minimum and definitive criteria for when to enter EOP-FP-Y  
19 or Z.

20 DR. BARTON: That may be almost impossible to come  
21 up with: how many meters; out of whack by how many degrees?  
22 Some of that is going to be real hard to put numbers on,  
23 numbers or definite criteria for getting in there.

24 MR. KOLACZKOWSKI: Granted; I'm not saying that  
25 all of them can be done or should be done, but these are the

1 types of insights one can gain out of doing an ATHEANA type  
2 of analysis out of this. Unless you want to go through  
3 specific ones, that pretty much ends the presentation. It's  
4 trying to be a practical illustration of how the actual  
5 searches and everything work.

6 DR. POWERS: I guess I'm going back to the  
7 question of what has been accomplished? Why do we feel it's  
8 necessary to go to such a heroic effort on the human  
9 reliability analysis? And if we could understand why we  
10 want to do that, maybe we could decide whether we've  
11 accomplished what we set out to do.

12 MR. KOLACZKOWSKI: My short answer to that is go  
13 back to one of the first slides we had this morning. If you  
14 look at real serious accidents, they usually involve  
15 operators not quite understanding what the situation was;  
16 certain tendencies, et cetera, are built into their response  
17 mechanisms, and therefore, they made mistakes, and PRAs,  
18 quite frankly, as good as they do to try to determine where  
19 the risks of nuclear power plant accidents lie, et cetera,  
20 still do not deal very well with possible errors of  
21 commission, places where operators might take an action  
22 that, in fact, would be unsafe relative to the scenario. So  
23 maybe we're missing some of where the real risk lies.

24 DR. POWERS: I think we see this kind of a  
25 problem, especially when we look at severe accidents,

1     pertaining to accidents where the operators disappear.  
2     Something happens to them, because they don't affect things  
3     very much.

4             And you get peculiar findings out of that, like we  
5     have people swearing that the surge line is going to fail;  
6     the four steam generators to fail or the vessel fails,  
7     because that's where -- the operator has apparently taken a  
8     powder and gone someplace and don't try to put any water  
9     into it, and despite what we saw at TMI, the surge line  
10    fails, and so, accidents become benign that otherwise would  
11    be -- and understanding the operator is going to take a  
12    powder, that will do something that seems like a very  
13    valuable thing.

14            The question you have to ask is is this enough, or  
15    should we do something much more?

16            [Laughter.]

17            MR. KOLACZKOWSKI: I don't know how to respond to  
18    that.

19            DR. POWERS: Well, putting it another way, I  
20    assume you can figure out the inverse to that statement,  
21    because that's already too much.

22            MR. CUNNINGHAM: Part of the reason we're coming  
23    out to talk to the committee and other people is just to  
24    sort out, okay, what are the next steps? We've taken a set  
25    of steps. We've made an investment and made a decision to

1 go down a particular route.

2 DR. POWERS: Well, could you work and research  
3 just maybe operators might put water in and the surge line  
4 not fail first?

5 [Laughter.]

6 MR. KOLACZKOWSKI: We'll do that. We'll try to  
7 convince them.

8 DR. POWERS: Try to convince them that TMI  
9 actually did occur.

10 [Laughter.]

11 MR. CUNNINGHAM: People forget things.

12 DR. POWERS: But it is possible that it pours down  
13 under pressure and not had the surge line fail.

14 MR. CUNNINGHAM: Yes.

15 DR. APOSTOLAKIS: Are you going to be here this  
16 afternoon?

17 MR. CUNNINGHAM: I don't know about most of us  
18 but --

19 DR. APOSTOLAKIS: Until about 3:00?

20 MR. FORESTER: I'd have to change my flight.

21 MR. CUNNINGHAM: Some of us will be here.

22 DR. APOSTOLAKIS: Okay; I propose that we recess  
23 at this time so that Tom and I can go to a meeting, and we  
24 will talk about the conclusion, followup activities at  
25 12:45.

1 MR. CUNNINGHAM: 12:45 is fine by us.

2 DR. THOMPSON: I only have two more slides.

3 MR. CUNNINGHAM: We just have two slides, George,  
4 if you can just bear with us.

5 DR. APOSTOLAKIS: Yes, but I want to go around the  
6 table.

7 DR. POWERS: Unfortunately, he has an hour and a  
8 half of questions.

9 DR. APOSTOLAKIS: Yes.

10 [Laughter.]

11 DR. APOSTOLAKIS: Is the staff requesting a  
12 letter?

13 MR. CUNNINGHAM: We are not requesting a letter,  
14 no.

15 DR. APOSTOLAKIS: Okay.

16 MR. CUNNINGHAM: If you would like to write one,  
17 that's fine, but we are not requesting it.

18 DR. APOSTOLAKIS: Okay.

19 DR. POWERS: We could write one on surge line  
20 failures.

21 [Laughter.]

22 DR. APOSTOLAKIS: So let's reconvene at 12:45.

23 MR. CUNNINGHAM: 12:45.

24 [Whereupon, at 11:45 a.m., the meeting was  
25 recessed, to reconvene at 12:43 p.m., this same day.]

## A F T E R N O O N   S E S S I O N

[12:43 p.m.]

DR. APOSTOLAKIS: Okay; we are back in session.

Mr. Cunningham is going to go over the conclusions, Catherine, so then, perhaps, we can go around the table here and get the members' views on two questions: the first one, do we need to write a letter, given the error forcing context that the staff is not requesting a letter.

[Laughter.]

DR. APOSTOLAKIS: And the second, what do you think, okay? So the staff will have a record of what you think. So, who is speaking? Catherine?

DR. THOMPSON: Okay; just real quickly, I want to go over two slides: the conclusion slide, we talked about all of this in the last couple of hours that we think ATHEANA provides a workable approach that achieves realistic assessments of risk. We can get a lot of insights into plant safety and performance and have fixes, if you will.

DR. POWERS: It boils down to a lot on what you call workable. It looks to me like it's not a workable approach. If I try to apply it unfettered, I have some limitation on where I'm going to focus it, but it completely gets out of hand very quickly.

MR. CUNNINGHAM: That's also true of event tree and fault tree analysis and lots of other parts of PRA. I

1 think one of the issues that was discussed this morning of  
2 how do we fetter it, if you will, or keep it from becoming  
3 unfettered, and I think that's a legitimate issue that we  
4 perhaps can talk to you about more.

5 DR. POWERS: Yes; you need something that says,  
6 okay, you need something that's a nice progression, so that  
7 you can go from zeroeth order, first order, second order and  
8 have everybody agree, yes, this is a second order  
9 application.

10 MR. CUNNINGHAM: Yes, yes, and that, I think,  
11 again, probably within the team, we have those types of  
12 things in our heads.

13 DR. POWERS: Yes.

14 MR. CUNNINGHAM: But it's not very constructive  
15 from the outside world, yes.

16 DR. APOSTOLAKIS: The same goes to a  
17 straightforward.

18 MR. CUNNINGHAM: Of course; it's intuitively  
19 obvious, perhaps, that it's straightforward or some such  
20 things.

21 DR. POWERS: I got the impression that you had a  
22 variety of search processes that made it comprehensive; they  
23 may not have made it straightforward but a comprehensive  
24 search process.

25 MR. CUNNINGHAM: Okay.

1 DR. THOMPSON: Some of the followup activities.

2 DR. APOSTOLAKIS: Wait a minute, now, Catherine,  
3 you were too quick to change that.

4 DR. THOMPSON: Good try.

5 DR. APOSTOLAKIS: This comes back to the earlier  
6 comment regarding objectives. I don't think your first  
7 bullet should refer to risk. Your major contribution now is  
8 not risk assessment. You may have laid the foundation;  
9 that's different. But right now, it seems to me the  
10 insights that one gains by trying to identify the contexts  
11 and so on is your major contribution, you know, and that can  
12 have a variety of uses at the plant and so on.

13 So I wouldn't start out by saying that you have an  
14 approach to achieve a realistic assessment of risk.

15 MR. CUNNINGHAM: Okay.

16 DR. APOSTOLAKIS: You don't yet.

17 MR. CUNNINGHAM: Okay.

18 DR. APOSTOLAKIS: I, in fact, would make it very  
19 clear that there are two objectives here, if you agree, of  
20 course. One is this qualitative analysis, which I think I  
21 view as been knocked down a little bit and then the risk  
22 part, okay?

23 MR. CUNNINGHAM: Yes.

24 DR. APOSTOLAKIS: I think you should make it very  
25 clear, because if I judge this on the basis of risk



1 assessment, then I form a certain opinion. If I judge it  
2 from the other perspective, the opinion is very different.

3 MR. CUNNINGHAM: Okay; I'll note that.

4 DR. APOSTOLAKIS: Develops insights: I have  
5 associated over the years the word insights with failed  
6 projects.

7 [Laughter.]

8 DR. APOSTOLAKIS: Whenever some project doesn't  
9 produce anything --

10 [Laughter.]

11 DR. APOSTOLAKIS: -- you have useful insights.

12 [Laughter.]

13 DR. APOSTOLAKIS: So in my view, you should not  
14 use that word, even though it may be true.

15 MR. CUNNINGHAM: Okay.

16 DR. APOSTOLAKIS: Supports resolution of  
17 regulatory and industry issues; you didn't give us any  
18 evidence of that, but I take your word for it.

19 MR. CUNNINGHAM: Okay.

20 DR. APOSTOLAKIS: Okay.

21 MR. CUNNINGHAM: So insights will be removed from  
22 the lexicon.

23 [Laughter.]

24 MR. CUNNINGHAM: Along with forcing, I guess, is  
25 another one we have to remove.

1 DR. APOSTOLAKIS: Yes; the thing about unsafe acts  
2 and human failure events, I really don't understand the  
3 difference.

4 MR. CUNNINGHAM: Yes; that's one of the things I  
5 was thinking about this morning in listening to this is  
6 again, within the team, I think it's well understood what  
7 those different terms means. But to the --

8 DR. APOSTOLAKIS: Yes.

9 MR. CUNNINGHAM: -- the general public, it's not  
10 going to be real clear.

11 DR. APOSTOLAKIS: But if it's an unsafe act, it  
12 should be a failure demand? That's why it's unsafe?

13 MR. CUNNINGHAM: I don't know.

14 DR. APOSTOLAKIS: From the words, from the words;  
15 it doesn't follow. And you are saying in the text that they  
16 are expected to act rationally. So why are you calling what  
17 they did -- anyway.

18 MR. CUNNINGHAM: Anyway, yes, we will try to do a  
19 better job of mapping those things out.

20 DR. THOMPSON: Okay.

21 MR. CUNNINGHAM: Followup issues?

22 DR. THOMPSON: These are some activities that we'd  
23 like to get in a little bit more. Some of them are already  
24 planned.

25 DR. POWERS: You don't have any my surge line up

1 there.

2 DR. THOMPSON: Surge line?

3 [Laughter.]

4 MR. CUNNINGHAM: There was a typo. We meant to  
5 say surge line.

6 [Laughter.]

7 DR. POWERS: What you do is you didn't get the  
8 steam generator tube rupture problems.

9 DR. THOMPSON: Okay; we obviously are pretty much  
10 done with the fire issue. We're now working on PTS issue  
11 with Mr. Woods and some other members of the branch and  
12 helping him look at the human aspects of that. We'd like to  
13 get into some of the digital INC area, see what that could  
14 add to the human error when they start working along with  
15 digital INC.

16 DR. UHRIG: Are you looking at that strictly from  
17 the operations standpoint, or are you going to get back into  
18 the code development aspect?

19 DR. SEALE: The software side.

20 DR. THOMPSON: Software; we haven't -- these are  
21 things that possibly we could get into. This isn't really  
22 planned yet, digital INC part. So I don't know how far we  
23 would get into that.

24 DR. APOSTOLAKIS: So when you say digital, what  
25 exactly do you mean? I guess it's the same question. The

1 development of the software or the man-machine interaction?

2 DR. THOMPSON: I think the man-machine.

3 MR. CUNNINGHAM: We were thinking not so much the  
4 development as it's being used in the facilities.

5 DR. THOMPSON: Right.

6 DR. UHRIG: The difference between an analog and a  
7 digital system is relatively minor when it comes to the  
8 interface. It's the guts that's different. Pushing the  
9 wrong button, it doesn't make any difference whether it's  
10 digital or analog.

11 MR. CUNNINGHAM: Yes; again, this has been  
12 suggested as a topic that what we're doing here might  
13 dovetail well with other things that are going on in the  
14 office. It hasn't gone much further than that at this  
15 point.

16 DR. POWERS: At what point do we get some sort of  
17 comparison of the leading alternatives to ATHEANA for  
18 analyzing human fault so that you get some sort of  
19 quantitative comparison of why ATHEANA is so much better  
20 than the leading competitors?

21 MR. CUNNINGHAM: A quantitative comparison or --

22 DR. POWERS: Well, a transparent comparison. You  
23 tried some things where you said here's what you get from  
24 ATHEANA, and here's what you get from something else. Any  
25 other different? But it's hard for me to go away from

1 saying this saying ATHEANA is just infinitely better than  
2 the existing PRA results. Quite the contrary; I'm feeling  
3 that the things in the existing PRA must be pretty good.

4 DR. BARTON: A lot of them are very similar.

5 DR. POWERS: Yes, pretty similar.

6 MR. CUNNINGHAM: Okay; they are similar but --

7 DR. BARTON: The whole process may end up fixed it  
8 sooner to the fix out of play, the methods I'm using now.

9 MR. CUNNINGHAM: What happens in the context of  
10 like the fire example is you're identifying new scenarios as  
11 you go through the trees that seem to have some credible  
12 probability. How, you know, what the value or what the  
13 probabilities are that will be associated with them is still  
14 something we're still exploring. We expect that we will  
15 find scenarios that will have a substantial probability and  
16 will, you know, lead to unsafe acts or core damage accidents  
17 or whatever. Again, they go back to you look at the history  
18 of big accidents in industrial facilities, and you see these  
19 types of things occurring, so we're trying to match the  
20 event analysis with the real world, if you will. In a  
21 sense, that's one of the key tests, I think, of how well  
22 this performs is that do we seem to be capturing what shows  
23 up as important in serious accidents?

24 There are a couple of things that aren't on this  
25 slide that we've talked about this morning. We discussed

1 for a good while the issue of quantification, that that may  
2 be -- is that on there? I can't read the thing; okay,  
3 improved quantification.

4 DR. APOSTOLAKIS: What is that?

5 MR. CUNNINGHAM: It's one of those bullets.

6 DR. APOSTOLAKIS: Full-scale HRA/PRA?

7 MR. CUNNINGHAM: No, the fourth one down, improved  
8 quantification tools.

9 DR. APOSTOLAKIS: I would say in degrading  
10 quantification.

11 MR. CUNNINGHAM: I'm sorry? Okay; quantification  
12 tools comes up as an issue.

13 DR. APOSTOLAKIS: Why does the NRC care about  
14 whether ATHEANA applies to other industries?

15 MR. CUNNINGHAM: Because it gives us some  
16 confidence that it's capturing the right types of human  
17 performance. As we've talked about many times or several  
18 times this morning, big accidents and complex technologies,  
19 we think, have a similar basis in human performance or are  
20 exacerbated or caused by similar types of events. Given  
21 that we don't have many big accidents in nuclear power  
22 plants, I think it's important that we go out and --

23 DR. APOSTOLAKIS: Did we ever apply this to other  
24 industries to gain the same kind of lessons? Let them use  
25 it.

1 MR. CUNNINGHAM: Again, it's not so much the --

2 DR. APOSTOLAKIS: In my years at the Nuclear  
3 Regulatory Commission, I don't know how much effort you plan  
4 to --

5 MR. CUNNINGHAM: Well, part of it, it's not a big  
6 effort, but it's also something where I think it's important  
7 to help establish the credibility of the modeling we have.

8 DR. APOSTOLAKIS: Like among pilots or airliners?

9 MR. CUNNINGHAM: Yes, the aircraft industry, over  
10 the years, we've had some conversations with NTSB and with  
11 NASA and places like that. Again, it's complex industries  
12 where you have accidents and --

13 DR. APOSTOLAKIS: I think developing  
14 quantification tools and the team aspects in NNR will keep  
15 you busy for another 7 years, so I don't know about the  
16 other industries. Again, that's my personal opinion.

17 MR. CUNNINGHAM: Well, you can take that in  
18 several ways. One of them is do you consider those the  
19 highest priority issues on the --

20 DR. APOSTOLAKIS: I find them the most difficult,  
21 the most difficult, applying it to other industries.

22 MR. CUNNINGHAM: I don't think we'd disagree with  
23 you.

24 DR. APOSTOLAKIS: I mean, it makes sense to --  
25 adds credibility to say, yes, we did it in this context and

1 it's --

2 MR. CUNNINGHAM: Yes.

3 DR. APOSTOLAKIS: But I wouldn't put too much  
4 effort into it.

5 DR. SEALE: But the preferable thing would be to  
6 have someone else use ATHEANA, and then --

7 DR. APOSTOLAKIS: Yes.

8 DR. SEALE: -- you could get them to act as an  
9 independent reviewer of your work and vice versa.

10 MR. CUNNINGHAM: Sure.

11 DR. SEALE: That strikes me as a much more --

12 MR. CUNNINGHAM: In that context, maybe apply is  
13 the wrong word but interact with other industries --

14 DR. SEALE: Yes.

15 MR. CUNNINGHAM: -- complex industries on the --  
16 for the credibility and the application of ATHEANA.

17 DR. APOSTOLAKIS: Well, you also have, it seems to  
18 me, a nuclear HRA community. Why are the teams developing  
19 whatever processes or whatever? Is it because they're not  
20 aware of ATHEANA yet?

21 MR. CUNNINGHAM: You're taking some of the next  
22 presentation, which is on the international work that we're  
23 doing.

24 DR. APOSTOLAKIS: I'm not sure that we're going to  
25 have that presentation.



1 MR. CUNNINGHAM: Okay.

2 DR. APOSTOLAKIS: I think we should conclude by  
3 discussing what we've heard, unless you really feel that --  
4 I mean, I look at it. It's not just really useful.

5 MR. CUNNINGHAM: No, no, I'm sorry; there's a  
6 separate presentation.

7 DR. APOSTOLAKIS: There is?

8 MR. CUNNINGHAM: Yes; remember this morning that  
9 we discussed -- one of the first things on the agenda was  
10 the work we're doing internationally. We put that off until  
11 after that.

12 DR. APOSTOLAKIS: How many view graphs do you have  
13 on that?

14 MR. CUNNINGHAM: It's about eight or something  
15 like that. We can cover it in 5 or 10 minutes.

16 DR. APOSTOLAKIS: I think we should do that right  
17 now.

18 MR. CUNNINGHAM: Okay; it's up to you.

19 DR. POWERS: I would hope you would be able to  
20 tell me that little -- the Halden program plays or could  
21 play in the ATHEANA methodology.

22 MR. CUNNINGHAM: Do you want to go ahead and go to  
23 the international?

24 DR. POWERS: Whenever it's appropriate.

25 DR. APOSTOLAKIS: It's up to you, Mark. I think

1 we're done with this.

2 MR. CUNNINGHAM: We're done with this; then, let's  
3 go ahead, and we'll cover the international thing.

4 DR. APOSTOLAKIS: I want to reserve at least 5  
5 minutes for comments from the members.

6 MR. CUNNINGHAM: Okay.

7 DR. APOSTOLAKIS: Before we go on to the Sorenson  
8 presentation.

9 MR. CUNNINGHAM: Okay.

10 Basically, as we've been doing this ATHEANA work  
11 and our other HRA work, we've had two principal mechanisms  
12 for interacting internationally with other developers and  
13 appliers of HRA methods. One is through the CSNI principal  
14 working group five on PRA; in particular, there was  
15 something called the task group 97-2, which is working on  
16 the issue of errors of commission.

17 DR. APOSTOLAKIS: Who is our member?

18 MR. CUNNINGHAM: I'm sorry?

19 DR. APOSTOLAKIS: Who represents the NRC there,  
20 PWG-5?

21 MR. CUNNINGHAM: We have two or three different  
22 interactions. Joe Murphy is the chairman of PWG-5; I'm the  
23 U.S. representative on 5; the chair of the 97-2 task group  
24 was Ann Ramey-Smith. We also have our COOPRA programs. One  
25 of the working groups there was established to look at the

1 impact of organizational influences on risk.

2 DR. APOSTOLAKIS: Is that what the Spaniards are  
3 doing?

4 MR. CUNNINGHAM: Yes, that's where the Spanish  
5 come in. It's the international cooperative PRA research  
6 program. It doesn't fit the --

7 DR. APOSTOLAKIS: That is one of the Former  
8 Chairman Jackson's initiative papers.

9 MR. CUNNINGHAM: Correct; she wanted to -- she  
10 wanted the regulators to work more closely together, and  
11 there were a couple of research groups established as part  
12 of that.

13 Anyway, okay, the PWG-5 task 97-2 had three  
14 general goals. You want to look at insights, although  
15 perhaps that's no longer the right word to use; develop  
16 perspectives on errors of commission to apply some of the  
17 available methods which supposedly handle errors of  
18 commission and for quantitative and non-quantitative, more  
19 qualitative analysis of errors of commission and to look at  
20 what data would be needed to support types of analysis.

21 DR. POWERS: Have any of the technical fields -- I  
22 can with modest amount of effort, have you seen the database  
23 that -- is there someplace that I would go to find data that  
24 are pertinent to human reliability analysis?

25 MR. CUNNINGHAM: Do you want to answer that? I'm

1 going to have one of my colleagues come up and answer that a  
2 little more explicitly. One of the people over here was  
3 shaking her head; I don't know.

4 MS. RAMEY-SMITH: No, that's a short answer.

5 [Laughter.]

6 DR. APOSTOLAKIS: Would you identify yourself  
7 please?

8 DR. POWERS: Before she identifies herself as a  
9 major expert in the field that I noticed last year our first  
10 exposure to ATHEANA was on human reliability analysis, brand  
11 spanking new, put out by a book publisher, and so I  
12 immediately acquired a copy of this book; read it for an  
13 entire airplane flight from Albuquerque to Washington, D.C.  
14 and found not one data point in the entire book. But there  
15 were 30-some papers on various human reliability analyses  
16 but not one data point.

17 DR. SEALE: We still need to know who she is. For  
18 the record, please?

19 MS. RAMEY-SMITH: Ann Ramey-Smith, NRC.

20 If I can recall, the question was is there a  
21 database that you can turn to, and the short answer from our  
22 perspective of the kind of analysis that -- and from the  
23 perspective that we think you should do an analysis, which  
24 is within the context of what's going on in the plant and  
25 performance shaping factors and so on, there is not a

1 database that exists that we can turn to and go -- and make  
2 inferences based on statistical data.

3 The fact is that we've developed our own small  
4 database that has operational data in it that we have  
5 analyzed. There are various and sundry databases of various  
6 sorts. The question comes down, and one of the questions  
7 that this PWG-5 is going to address is the fact that we have  
8 a lot of databases, none of which may serve the needs of the  
9 specific methods that people are trying to apply.

10 DR. UHRIG: Would there not be a lot of  
11 information available through the LERs?

12 MS. RAMEY-SMITH: Oh, if that were true.  
13 Actually, there is quite a lot of information available on  
14 the LERs. Unfortunately, it's difficult oftentimes in those  
15 writeups to understand fully what the context was; to  
16 understand why the operators did what they did and what were  
17 the consequences and what were the timing and so on and so  
18 forth. One concern that some of the HRA folks have is that  
19 possible changes to the LER rule will even strip from the  
20 reports the little information that it had before, so we're  
21 concerned about that.

22 The better source for information, actually, has  
23 been the AIT reports and some very excellent reports that  
24 were previously done by AEOD when they did studies of  
25 particular events that maybe didn't rise to the level of

1 AITs but were very in-depth analyses, and we were able to  
2 make use of those, particularly early on when we were doing  
3 this iterative evaluation of operating experience. It was  
4 quite helpful.

5 DR. POWERS: One of the issues that NRR is having  
6 to struggle with is these criteria in what actions should be  
7 automated as opposed to being manual. How long does it take  
8 somebody to diagnose a situation and respond to it? And  
9 there are several that they have, because they have some  
10 good guidelines; they just don't have any data.

11 MS. RAMEY-SMITH: I think this approach would be  
12 very helpful for understanding -- what is it? -- B-17, the  
13 safety-related operator actions. I think that the agency  
14 would be wise to evaluate that issue within the context of  
15 PRA.

16 DR. APOSTOLAKIS: This looks to me like a  
17 benchmark exercise. Is that what it is?

18 MR. CUNNINGHAM: No; the sense that I have is that  
19 someday, we might be able to get to a benchmark exercise,  
20 but the principal players weren't comfortable at this point  
21 in constraining the analysis to that degree.

22 DR. APOSTOLAKIS: So, oh, yes, because you're  
23 saying they apply to events of the --

24 MR. CUNNINGHAM: That's right; we have a variety  
25 of different methods, and what we were doing was trying to

1 see what these methods were giving us, so we didn't try to  
2 constrain it to a particular method or a particular event.

3 DR. APOSTOLAKIS: Okay; thank you.

4 MR. CUNNINGHAM: As you can see on page 4, we have  
5 a number of different methods applied. ATHEANA was applied  
6 by the U.S. group, the Japanese in people in the  
7 Netherlands; also different methods applied such as MERMOS,  
8 SHARP. We have the Czech Republic spelled correctly today,  
9 so that was an advancement over yesterday.

10 [Laughter.]

11 MR. CUNNINGHAM: And some other models that, as  
12 you can see, we go back to the Borsele theory.

13 DR. APOSTOLAKIS: Is SHARP really a model?

14 Okay; let's go on.

15 MR. CUNNINGHAM: Okay; slides five and six are a  
16 number of the conclusions that are coming out of the task  
17 97-2. I'm not sure I want to go into any of the details  
18 today, but you can see the types of the issues that they're  
19 dealing with and what the report will look like. The report  
20 has been by and large has been finished; the report of this  
21 group has been finished. It's going to go before the full  
22 CSNI next month, I believe, for approval for publication.  
23 So it's essentially -- this part is particularly -- is  
24 essentially done.

25 DR. APOSTOLAKIS: The words are a little bit

1 important here. The rational identification of errors of  
2 commission is difficult. What do you mean by rational?

3 MS. RAMEY-SMITH: That was the word that was  
4 chosen in the international community that everyone was  
5 comfortable with. But the way you can think of it is it's  
6 as opposed to experientially, you know, so that it's more  
7 predicting to sit down and to be able to identify errors of  
8 commission a priori.

9 DR. APOSTOLAKIS: Do you mean perhaps systematic?

10 MS. RAMEY-SMITH: Yes, that could have -- I guess  
11 the point is to be able to I guess systematically analyze  
12 it, you know, a priori be able to identify an error of  
13 commission. Systematic is a perfectly good word. This was  
14 just the word -- we used on this slide the words that, in  
15 the international group that was working on this, they were  
16 comfortable with.

17 DR. APOSTOLAKIS: And what is cognitive  
18 dissonance?

19 MS. RAMEY-SMITH: Okay; perhaps Dr. Thompson would  
20 like to --

21 DR. APOSTOLAKIS: That was an international term?

22 MS. RAMEY-SMITH: No, cognitive dissonance is from  
23 the good old field of psychology.

24 DR. APOSTOLAKIS: Oh, okay.

25 DR. BARTON: It's Greek.



1 DR. APOSTOLAKIS: What?

2 DR. BARTON: It's Greek.

3 [Laughter.]

4 DR. SEALE: Could I ask if this group of  
5 international experts had all of these different approaches,  
6 presumably, they would have a great deal of common interest  
7 in making certain things like LERs helpful about what's  
8 there. Has anyone put together a sort of a standard format  
9 for what it would take to get an LER that had the  
10 information you needed in it be able to generate a database?

11 MR. CUNNINGHAM: Actually, one of the follow-on  
12 tasks of this work is for the HRA people here to go back and  
13 try to lay out what data do they need based on their  
14 experience with this type of thing. So today, I don't think  
15 we have it, but I think over the next year or so, CSNI PWG-5  
16 is going to be undertaking an effort to put that in the  
17 lifestyle.

18 DR. SEALE: It seems to me that should be  
19 something you could go ahead on, and whatever happens, at  
20 least now, you'll be getting information that's complete --

21 MR. CUNNINGHAM: Yes.

22 DR. SEALE: -- in some sense.

23 MR. CUNNINGHAM: Yes.

24 DR. APOSTOLAKIS: That would be a very useful  
25 result.

1 MR. CUNNINGHAM: And that's one of the things that  
2 PWG-5 is going to undertake.

3 MR. SIEBER: Does that mean that every LER a plant  
4 puts out here goes through the ATHEANA program?

5 DR. APOSTOLAKIS: No, no, no, no. The ATHEANA has  
6 developed guidance about the LERs. The guys who write the  
7 LERs don't need to know about ATHEANA.

8 MR. CUNNINGHAM: Okay.

9 DR. SEALE: Just what it takes to have all of that  
10 planning data and things like that in it so that you've got  
11 a picture.

12 MR. CUNNINGHAM: Just two clarifications. One was  
13 this isn't the ATHEANA guys; it's the -- this international  
14 group of HRA people, so it's the MERMOS guys and all those  
15 guys are going to be doing it. It's not an ATHEANA specific  
16 issue.

17 The second, I was talking about data needs in  
18 general. I wasn't trying to suggest that all of the data  
19 needs that we had would automatically translate into  
20 something at LER, a change in the LER reporting  
21 requirements. I wasn't suggesting that.

22 DR. APOSTOLAKIS: There has been a continuing set  
23 of discussions on human liability, and as I remember, former  
24 member Jay Carroll was raising that issue every chance he  
25 had. How can you restructure the LERs so that the

1 information is useful to analysts? Because the LERs were  
2 not designed -- they were designed for the PRA phase, right?  
3 You don't need another review for that.

4 MR. CUNNINGHAM: The LERs have a particular role,  
5 and as that role is defined even today, it's not going to  
6 provide a lot of the detailed information. Now in parallel,  
7 though, with the development of all of the LER generation,  
8 you have the NPO and NRC and industry work in EPIX, which  
9 will be collecting information that is much more relevant to  
10 PRA types of analyses. So I wouldn't so much focus on LERs  
11 as EPIX.

12 DR. APOSTOLAKIS: It would be nice to influence  
13 what those guys are doing.

14 MR. CUNNINGHAM: Yes.

15 DR. APOSTOLAKIS: Okay; next.

16 MR. CUNNINGHAM: Okay; going on to slide seven on  
17 the COOPRA working group on risk impact of organizational  
18 influences, basically, we're trying to -- the goal of the  
19 working group is to identify the relationships between  
20 measurable organizational variables and PRA parameters so  
21 that you can bring the influence in and explicitly model the  
22 influence in PRAs.

23 DR. APOSTOLAKIS: Next.

24 MR. CUNNINGHAM: Overall, I don't think I need to  
25 go into the outcomes as much as -- I think it's understood

1 as to what that is. Right now, it's fairly early in the  
2 process. We're trying to get a better understanding of what  
3 people are doing in this area. You alluded to the Spanish  
4 work in this area. The Spanish are one of the key  
5 contributors in here. How many countries are involved in  
6 this?

7 MS. RAMEY-SMITH: It's about six or seven.

8 MR. CUNNINGHAM: Okay; about six or seven  
9 countries; the UK, France, Spain, Germany, did you say?

10 MS. RAMEY-SMITH: Yes, Germany.

11 MR. CUNNINGHAM: Argentina, Japan?

12 MS. RAMEY-SMITH: Japan.

13 MR. CUNNINGHAM: Japan. They're trying to work  
14 together on this issue. Basically, again, this is fairly  
15 early in the work here. There's going to be another meeting  
16 early next year to basically take the next step forward in  
17 the COOPRA work. That's --

18 DR. APOSTOLAKIS: That's it?

19 MR. CUNNINGHAM: That's the short summary of the  
20 international work.

21 DR. APOSTOLAKIS: Okay.

22 DR. POWERS: And so, the Halden program has no  
23 impact on your --

24 MR. CUNNINGHAM: I'm sorry?

25 DR. POWERS: The Halden program has no impact on

1 your --

2 MR. CUNNINGHAM: The Halden program has  
3 traditionally -- Jay Persensky sitting back here knows far  
4 more about it than I -- but has traditionally been oriented  
5 towards not so much human reliability analysis for PRA but  
6 for other human factors issues. There has been some ideas  
7 that Halden will become more involved in human reliability  
8 analysis. That's at least, I guess, in the formative  
9 stages.

10 MR. PERSENSKY: Jay Persensky, Office of Research.

11 Halden has proposed for their next 3-year program,  
12 which starts in November, the development of an HRA-related  
13 activity based primarily on input from PWG-5, because a  
14 number of the people that have been involved with the Halden  
15 human error analysis project also serve on that or have  
16 served on that task force. The goal, as I understand it at  
17 this point, is aimed more towards trying to take the  
18 recommendations with regard to kinds of data and seeing  
19 whether or not they can play a role in that. At this point,  
20 it is in the formative stage, but it's looking more at that  
21 aspect of data since they do collect a lot of data, at least  
22 simulator data in-house.

23 Now, whether it can be used or not is another  
24 question. And that's what they're looking at at this point.

25 DR. POWERS: Is cross-cultural data any good? In

1 other words, if I collect data on the Swedish or Norwegian  
2 operators on a Finnish plant, is that going to be any good  
3 for human error analysis, modeling or for American operators  
4 on American plants?

5 MS. RAMEY-SMITH: It has the same context.

6 MR. CUNNINGHAM: When you say data, it depends.  
7 If you're talking about probabilities, I don't know that any  
8 of the particular probabilities will apply, because again,  
9 there's a strong context influence. Can it provide some  
10 more qualitative insights? I suspect it could but again --

11 DR. POWERS: Cognitive things? What does it tell  
12 you about processing information, things like that? Are  
13 there big enough cultural differences that it's not  
14 applicable? I would assume that Japanese data would just be  
15 useless for us.

16 MR. CUNNINGHAM: I wasn't thinking of the  
17 Japanese, but there may be some cultures where it would be  
18 of real questionable use depending on the basic management  
19 and organization and how they do things and whatever, it  
20 could be and not be very applicable.

21 DR. APOSTOLAKIS: Okay; all right, why don't we go  
22 quickly around the table for the two questions: Should we  
23 write a letter, and what is your overall opinion?

24 Mr. Barton?

25 DR. BARTON: Yes; I think we need to write a

1 letter. But let me tell you what my opinion is first --

2 DR. APOSTOLAKIS: Okay.

3 DR. BARTON: -- and maybe we can figure out if my  
4 opinion is similar to others; maybe not. I fail to see the  
5 usefulness of this tool for the work that's involved. Maybe  
6 I need to see some more examples. I mean, the fire example  
7 doesn't prove to me that ATHEANA is much better than  
8 existing processes I know when looking at EOPs and how I  
9 train people and how people use procedures or react to plant  
10 transients.

11 I think that as I look at this process, I also see  
12 where a lot of some of these actions depend on safety  
13 cultures, conservative decision making, et cetera, et  
14 cetera, and those two tie into this to understand more help  
15 and more safety culture and conservative decision making  
16 also.

17 I think the tool -- I don't want to poo poo the  
18 tool, but I think it's a lot of work, and I don't see that  
19 you get a lot of benefit out of going through this process  
20 to really make it something that people are going to have to  
21 use in their sites unless this is a voluntary thing. I  
22 don't know what the intent of ATHEANA is, but I don't see  
23 that benefit with the amount of effort I have to put into  
24 it.

25 DR. APOSTOLAKIS: And you would recommend the

1 committee to write a letter stating this?

2 DR. BARTON: Well I think that if everybody else  
3 feels the same way, I think we need to tell somebody, you  
4 know, maybe that they ought to stop the process or change  
5 course or whatever.

6 DR. POWERS: I guess I share your concern that  
7 what we've seen may not reveal the definite capability of  
8 this, because there seem to be a lot of people here who are  
9 very enthusiastic about it. Based on what was presented on  
10 the fire, I come away with -- it just didn't help me very  
11 much.

12 DR. BARTON: It didn't help me either, frankly.

13 DR. POWERS: But putting a good face forward or  
14 seeing how it's applied I think is something we ought to do  
15 more of and more of a comparison to why is it so much better  
16 than the other, and I agree with you, the fire analysis just  
17 didn't help me very much at all.

18 DR. APOSTOLAKIS: Mr. Siebert?

19 MR. SIEBER: I will probably reveal how little I  
20 know about this whole process, but I did read the report,  
21 and I came away first of all with a nuclear power plant  
22 perspective -- it's pretty complex; for example and this  
23 reviews HRA, PSF, UA, HFE and HEM, all of those were used in  
24 this discussion. For a power plant person, I have  
25 difficulty with all of those acronyms. I had some



1 difficulty in figuring out ordinary things like culture and  
2 background and training, and we struggled with that. So it  
3 could be -- the writeup could be a little simpler as it is.  
4 The only way I could read it was to write the definitions of  
5 all of these things down, and every time one would come up,  
6 I would look at what I wrote down.

7 The second thing was the actual application. In a  
8 formal sense, I think it's pretty good. And it would be  
9 useful to analyze some events to try to predict the outcomes  
10 of some events from a quantitative standpoint. That was  
11 left unreasoned. It was sort of like you arrive at a lot of  
12 things without -- and to me, that's not quantification.  
13 That's just a numerical opinion, and I'm not sure that  
14 that's -- the other thing that I was struck by was when I  
15 figured the cost to apply it would be with NUREG 2600 which  
16 was 10 to 15 people to do a level three PRA over a period of  
17 several months.

18 If I add ATHEANA onto that, I basically add 5  
19 people. I add 5 people over a period of a year or so.  
20 That's a lot of people. Several of the people are key  
21 people, like the SRA. The training manager; the simulator  
22 operator; I mean, our simulators are running almost 24 hours  
23 a day at this point. So I think that the ability to make  
24 that investment, they would have to decide who am I going to  
25 lay off?

1           So there would have to be a clear description of  
2   why some of the somebody other than the NRC would be  
3   motivated to do this, and I can't find it in the fire  
4   scenario. There would be an awful lot of places where it  
5   would be very, very difficult to describe, you know, where  
6   all of this decision making or lack of decision making is.  
7   It is understandable and logical; it's complex to read.  
8   It's the state of the art. It would be expensive to apply.  
9   If you could show how this benefits safety --

10           DR. BARTON: And improve safety?

11           DR. THOMPSON: And improve safety.

12           DR. APOSTOLAKIS: That's it?

13           MR. SIEBER: That's it.

14           DR. APOSTOLAKIS: Bob?

15           DR. SEALE: Well, I have to apologize first for  
16   not being here for the presentation on fire. Mario and I  
17   were doing some other things on license renewal. I was  
18   impressed with the fact that the information that was  
19   presented on ATHEANA seemed to be a lot more detailed and a  
20   lot more thoughtful than what we had heard in the past.  
21   It's very clear that the staff has been busy trying to firm  
22   up a lot of the areas that we had raised questions about in  
23   the past. At the same time, I think of the 7 years. I seem  
24   to recall that it had something to do with the cycle on some  
25   things in the Bible.

1 [Laughter.]

2 DR. SEALE: But it seems to me for all of the  
3 reasons that you've heard from these people here and which  
4 I'm sure that you'd hear from other people, including plant  
5 people out there plant inspectors; that is, NRC people at  
6 the sites and so forth that you very badly need some  
7 application to show where this process worked, and I don't  
8 know enough about it to make a dogmatic judgment on my own  
9 as to whether or not those applications are there, but I  
10 would advise you to look very carefully to see if you can  
11 find someplace where you'd have a gotcha or two, because you  
12 clearly need a gotcha.

13 The other thing, though, is that in terms of the  
14 things that are in this international program, I do believe  
15 that whatever format the human performance problem takes in  
16 the future, you can make some recommendations as to what it  
17 takes to put our experience as we live it today in a form  
18 which would be more readily retrievable when we do have a  
19 human factors process that's a little more workable, and so,  
20 you know, I just think you need to look at examples and an  
21 application. That's where you're going to find your  
22 advocates if you're going to find any.

23 DR. BARTON: George, they did a fire scenario,  
24 and, you know, if you find this thing to the Indian Point II  
25 or the Wolf Creek draindown, what would you learn from that

1 plant? Because I just left the plant yesterday, and one of  
2 the agenda items we had was human performance at the plant,  
3 and it's not improving. And I look at how could ATHEANA  
4 really help? And when you look at the day-to-day human  
5 performance events, this wouldn't do a thing for those kind  
6 of, you know, day-to-day errors.

7           You know, you're doing control rod manipulation.  
8 This is typical kind of stuff. You're doing control rod  
9 manipulation. You have the guy at the controls. He's  
10 briefed; he's trained; he's licensed. You have a peer  
11 checker. You go through the store; you go through all of  
12 the principles. You get feedback into your three-way  
13 communications; the whole nine yards. You're going to move  
14 this rod two notches out, and you do everything, and the guy  
15 goes two notches in.

16           Now, tell me how ATHEANA -- and this is the  
17 typical stuff that happens in a plant on a day-to-day basis.  
18 Now, tell me how I go through the ATHEANA process, and it's  
19 going to help me do something different other than whack  
20 this guy's head off, you know. And, see, Jay agrees with  
21 me.

22           MR. PERSENSKY: They didn't get to the part of  
23 cutting his head off.

24           [Laughter.]

25           DR. POWERS: Well, it strikes me that they will

1 find an approach that they could tackle exactly that  
2 question. It strikes me that I came in here saying ah, they  
3 have a new way to do PRA, put human reliability analysis in  
4 total in this, and I see a nice package. I think they're  
5 not. I think they need to work on the way they tackle  
6 really tough reliability issues.

7 For instance, you pretty much set up one where you  
8 could apply all of these techniques that we talked about  
9 here to that particular issue, and I bet you they would come  
10 up with a response. In fact, that's the lesson I get.  
11 There is enough horsepower on it that you will get something  
12 useful on it. And what they don't have is something that  
13 allows me to go and do the entire human reliability portion  
14 of a safety analysis, you know, and just turn the crank.  
15 This is more for working on the really tough issues. It's  
16 perfect for my surge line issue. I mean, they could really  
17 straighten Tray Tinkler out.

18 [Laughter.]

19 DR. POWERS: Which would be a start.

20 MR. CUNNINGHAM: We don't want to promise too  
21 much.

22 MR. SIEBER: One of the things that's stated early  
23 on in the NUREG concept is that you don't blame people, and  
24 I'm sure you want to do that. On the other hand, when I  
25 read that, I thought secretly to myself some people just

1 mess up. You pull records on operators, and you find some  
2 will make one mistake and some another, and when you move in  
3 instead of moving out, you know, there may be a lack of  
4 attention to detail or a lack of safety culture or a lack of  
5 attitude or what have you that is preventing that person  
6 from doing the right thing, and I think that you've  
7 missed --

8 DR. POWERS: The documentation used to be a lot  
9 worse. I mean, earlier documentation was really anathema to  
10 dare say that somebody screwed up.

11 [Laughter.]

12 DR. APOSTOLAKIS: Dr. Uhrig?

13 DR. POWERS: I'll take another shot at it.

14 DR. APOSTOLAKIS: Okay; Dr. Uhrig?

15 DR. UHRIG: A couple of things. One, anytime I've  
16 ever been involved with a plant with a serious problem,  
17 there has always been some unexpected turn of events that  
18 actually changed the nature of the problem, and I don't know  
19 how you would approach that. That's an observation.

20 The second one is it strikes me that if you need  
21 data, a modification of the LER procedures is a pretty  
22 straightforward process. It's not simple. I don't think  
23 you go to rulemaking to get the information that you need.  
24 I don't think so.

25 MR. CUNNINGHAM: It would require rulemaking,

1 absolutely, and a major fight.

2 DR. UHRIG: Yes.

3 MR. CUNNINGHAM: And a major fight before that  
4 rulemaking every got very far.

5 DR. POWERS: I don't think that's the problem. I  
6 really don't.

7 DR. APOSTOLAKIS: But if you convince people you  
8 have the right approach --

9 DR. POWERS: I don't think it's a question of  
10 approach. You know, when I first came in, you need a bunch  
11 of data to prepare this, and I'm not sure. I think you need  
12 a bunch of problems to solve --

13 MR. CUNNINGHAM: Yes.

14 DR. POWERS: -- more than they need data to  
15 verify. I think if I were these guys, I'd be out looking  
16 for every one of these problems, and there's just one on the  
17 criteria for when they have to automate versus manual action  
18 that's been sitting over like a lump, and I think you guys  
19 could attack that problem and get something very useful out  
20 of it.

21 DR. APOSTOLAKIS: Anything else?

22 DR. UHRIG: That issue is another one that somehow  
23 needs to get addressed. We have literally done what we can  
24 do with training. I think we're asymptotically  
25 approaching this problem, well, you can train people. Maybe

1 automation is the next step. And I don't know quite how  
2 this would be done.

3 DR. POWERS: They have a very interesting kind of  
4 plan that would allow for people to accomplish -- you can't  
5 do it in that period of time, you have to automate. How  
6 long do you have to rely on somebody to recognize; they've  
7 got to do something to do it, and then, you would surely  
8 have to -- you need those kinds of numbers, and we've got  
9 some, you know. But there's no reason to think that it's  
10 real well-founded. The database that they're based on is  
11 proprietary. We can't even get it. And this looks like a  
12 methodology that I think attacks that problem very well.

13 DR. APOSTOLAKIS: Dr. Bonaca?

14 DR. BONACA: Well, you know, thinking about what's  
15 being done here, one of the problems I always see is about  
16 operators, people are always writing about what the  
17 operators will do at the most distant -- and it's very hard  
18 to bring most of this together. But, again, you know, I  
19 want to reemphasize the fact that where it is happening in  
20 that unique fashion was in the thinking-oriented procedure.  
21 Any experience that has been in the industry, it was a  
22 massive experience. Only when you put thousands of man  
23 hours when you have operators thinking together with  
24 engineers, with people who develop event trees, very  
25 specific trees with multiple options and so on and so forth;



1 I think there has to be some opportunity to benefit by  
2 grounding some of the work in ATHEANA on comparison to what  
3 was done there, maybe just the EPGs, for example, taking  
4 some example, getting some of the people involved in those.

5 I think the products will be people. You have  
6 some model of verification. You have some way to stand on  
7 some of the hypotheses of ATHEANA. Everything is  
8 speculative. It's probably correct, but we need to have  
9 some benchmark.

10 And second, that may offer you some simplification  
11 process and some issues that already have been dealt with in  
12 those efforts; take a look at procedures that may -- may  
13 help you in simplifying the process. But I can't go any  
14 further in speaking about it. But again, the point I'm  
15 making is that that's the only place that I know operators  
16 and analysts and development of processes came together for  
17 a long time. But I think that there will be a great  
18 benefit, actually, in trying to anchor ATHEANA on some  
19 benchmark, some comparison or some statement.

20 DR. APOSTOLAKIS: Well, I find it a bit disturbing  
21 that two of the members with hands-on plant experience are  
22 so negative. I would like to ask the subcommittee whether  
23 we should propose to write a letter, whose form will have to  
24 be discussed and content.

25 DR. POWERS: I don't think we have to write a

1 letter that's critical. We need to have something that  
2 tells you to judge that data, and I don't think we need to  
3 write a letter on the external safety mechanisms. Cultural  
4 data, for example, on an organization.

5 DR. APOSTOLAKIS: The letter may say that.

6 DR. POWERS: If it says that, then fine.

7 DR. APOSTOLAKIS: Express reservations for the  
8 present state and may urge the further application with the  
9 explicit wish that the thing become more valuable.

10 DR. BARTON: I would agree with that.

11 DR. APOSTOLAKIS: The letter doesn't have to say  
12 stop it. In fact, I wouldn't propose such a letter.

13 DR. POWERS: Maybe we should say that these people  
14 should spend a year tackling three or four problems,  
15 visible, useful problems that -- and show the value of this  
16 technique, because I think it's not a technique that's going  
17 to get used. It would be wrong to hurt this, when I think  
18 they're just getting to the point where they can actually do  
19 something.

20 DR. APOSTOLAKIS: The letter, the contents of the  
21 letter are to be discussed; I think I got a pretty good idea  
22 of how you gentlemen feel, and certainly, I didn't hear  
23 anybody say stop this, although Mr. Barton came awfully  
24 close.

25 Yes, sir?

1 MR. SIEBER: I wouldn't want to be interpreted as  
2 negative, but I think things --

3 DR. APOSTOLAKIS: But you have been.

4 MR. SIEBER: No, I think things are needed.

5 DR. APOSTOLAKIS: Yes.

6 MR. SIEBER: I think simplification is needed; a  
7 good objective is needed; what we need to accomplish.

8 DR. APOSTOLAKIS: Does everyone around the table  
9 agree that a letter along those lines, which, of course will  
10 be discussed in December will be useful?

11 DR. POWERS: I have reservations about the  
12 simplification, because I know in the area -- we do have  
13 computer codes that are highly detailed, very complex things  
14 that we use for attacking the heart of very complex, tough  
15 problems; much more simplified techniques that we use for  
16 doing broad, scoping analyses, and I think there's room in  
17 this field, and I think maybe one of the flaws that's  
18 existed in the past in this human reliability area is that  
19 everybody was trying to make the one thing that would fit  
20 all hard problems, easy problems --

21 DR. APOSTOLAKIS: Right.

22 DR. POWERS: -- long problems, short problems, and  
23 maybe we do need to have a tiered type of approach in which  
24 you say, okay, I've got a kind of a scoping tool that --

25 DR. APOSTOLAKIS: No, I think --

1 DR. POWERS: I've got this one that's attacking  
2 the really tough, really juicy problems that have defied any  
3 useful resolution in the past.

4 DR. APOSTOLAKIS: I think the issue of screening,  
5 scoping the analysis, the raised approach that was mentioned  
6 earlier, all that part, I understand as part of this, and  
7 that was that you should have -- there also is -- but you  
8 have to convince me first that this event deserves that  
9 treatment.

10 DR. POWERS: Yes.

11 DR. APOSTOLAKIS: And that's what's missing right  
12 now. I would agree with Dana that you don't have to  
13 simplify everything, but I'm inclined to say that the  
14 majority of the events would deserve it.

15 Now, naturally, when you develop a methodology, of  
16 course, you attack the most difficult part, but I think a  
17 clear message here is develop maybe a screening approach, a  
18 phased approach that would say for these kinds of events, do  
19 this, which is fairly straightforward and simple; for other  
20 kinds of events, you do something else until you reach the  
21 kinds of events and severe accidents that really deserve  
22 this full-blown approach that may take time, take experts to  
23 apply.

24 You know, this criticism that plant people should  
25 be able to apply it, I don't know how far it can go, because

1 if it's very difficult, they are known to hire consultants.  
2 So this is the kind of thing that they have to think about.  
3 We're not going to tell them how to do it, but that's what I  
4 understand by your call for simplification. You're not  
5 asking for something that says do A, B, C, and you're done.

6 Okay; so it seems to me that we have consensus,  
7 unless I hear otherwise, that a letter along these lines  
8 will be appropriate to issue, and I'm sure we'll negotiate  
9 the words and the sentences in December.

10 Dana? Your silence is approval?

11 DR. POWERS: No, my silence is that I'm  
12 encouraging at this point.

13 DR. APOSTOLAKIS: Yes; yes.

14 DR. POWERS: It's okay to have a methodology at  
15 this point that only Ph.D.s in human reliability analysis  
16 can understand very well.

17 DR. APOSTOLAKIS: I understand the concern about  
18 the tone, but I also want to make it very clear in the  
19 written record that these gentlemen have reservations and  
20 not random members. I don't think Mr. Bonaca is going to  
21 express as extreme views as you, but I'm not sure he's far  
22 away from your thinking. So if I have the three utility  
23 members thinking that way, I think the letter should say  
24 something to that effect without necessarily discouraging  
25 further development or refinement.

1 DR. POWERS: Yes.

2 DR. APOSTOLAKIS: But it's only fair; the letter  
3 will be constructive, but it will clearly state the  
4 concerns, and perhaps we should meet a year from now or  
5 something like that. We can say something like that in the  
6 letter. We look forward to have interactions with the  
7 staff.

8 DR. POWERS: I think I would really enjoy giving  
9 them some time to go off and think about some problems to  
10 attack and come back and say we think we're going to attack  
11 these two problems next time or something like that. I  
12 think that would be really interesting, because I think  
13 there are some problems out there that line organizations  
14 really need some help on solving, and I'm absolutely  
15 convinced that the human element is going to become of  
16 overwhelming importance if we're going to have a viable  
17 nuclear energy industry in this country.

18 The operators are asked to do so much, and it's  
19 going to be more and more with less and less over time, and  
20 we need to have something that constrains us saying, yes,  
21 the operators will do this, because right now, nothing  
22 constrains us from saying yes, the operators have to be  
23 trained on this; they have to know this; they have to worry  
24 about this and like that, and at some point, where that  
25 process has to be constrained a little bit.

1 But I think I really come in much more  
2 enthusiastic about this than you thought I would.

3 DR. APOSTOLAKIS: Okay; I think I've heard enough.  
4 I can draft a letter. I'm sure it will be unrecognizable  
5 after --

6 [Laughter.]

7 DR. APOSTOLAKIS: But at least I have a sense of  
8 the subcommittee.

9 DR. SEALE: Nobody overhead.

10 DR. APOSTOLAKIS: Yes.

11 MR. SIEBER: Can we see a copy of it before the  
12 meeting?

13 DR. APOSTOLAKIS: I'll do my best; I'll do my  
14 best, Jack, before the meeting. I urge you to send emails  
15 with your concerns; yes, and I will do my best to include  
16 your thoughts. I took notes here, but, you know, John, if  
17 you want to send me a fax or call me.

18 DR. BARTON: Okay.

19 DR. APOSTOLAKIS: Or Jack, because I'm  
20 particularly interested -- I mean, this is the way this  
21 committee has functioned in the past. I mean, if cognizant  
22 members express reservations, their views carry a lot of  
23 weight.

24 Is there anything else the members want to say  
25 before we move on to safety culture?

1 [No response.]

2 DR. APOSTOLAKIS: I must say I was pleasantly  
3 surprised to hear again the same members talk about how they  
4 wanted to see safety culture addressed. Miracles never  
5 cease, I must say.

6 MR. CUNNINGHAM: Could I ask a question? I  
7 believe we're on the agenda for the full committee in  
8 December.

9 DR. APOSTOLAKIS: Yes.

10 DR. BARTON: I think it has to be. I think after  
11 this, you're going to have to be.

12 MR. CUNNINGHAM: That's the question. What would  
13 you like for us --

14 DR. BARTON: To brief the other members.

15 DR. APOSTOLAKIS: How much time do you have?

16 MR. PERALTA: Probably just 45 minutes?

17 DR. BARTON: How much?

18 DR. APOSTOLAKIS: Forty-five minutes.

19 Would it be useful to talk about the fire scenario  
20 and in the context of the scenario explain ATHEANA? I don't  
21 think they can do both.

22 MR. CUNNINGHAM: I would agree. I don't think we  
23 can do both.

24 DR. POWERS: I think they ought to just explain  
25 ATHEANA. I don't think they should try the fire scenario.



1 DR. APOSTOLAKIS: I thought the scenario, the  
2 members found extremely useful.

3 DR. BARTON: Well, I think yes, it is, because it  
4 shows how they tried to apply --

5 DR. APOSTOLAKIS: Right.

6 DR. BARTON: -- the principles to an actual  
7 situation. I think that does help. Are you sure we can't  
8 squeeze some more time off?

9 DR. POWERS: No.

10 DR. BARTON: No, we can't.

11 DR. APOSTOLAKIS: Let us ask if Mr. Cunningham can  
12 structure it in such a way that he has the scenario, and on  
13 the way, you are explaining the method?

14 MR. CUNNINGHAM: Mr. Cunningham will try in 45  
15 minutes.

16 DR. APOSTOLAKIS: We are reminded here -- is the  
17 document going to be available before the meeting on the  
18 fire scenario?

19 MR. CUNNINGHAM: I'm sorry; the --

20 DR. APOSTOLAKIS: We don't have anything in  
21 writing on the --

22 MR. CUNNINGHAM: On the fire scenario? Will we  
23 have that for the full committee?

24 MR. KOLACZKOWSKI: There is certainly a draft  
25 available.

1 MR. CUNNINGHAM: Okay.

2 MR. KOLACZKOWSKI: The NRC has not a chance to  
3 review it yet, so it certainly is subject to revisions.

4 DR. THOMPSON: It's still in development.

5 MR. CUNNINGHAM: Okay.

6 DR. APOSTOLAKIS: So we're not going to have it?

7 MR. KOLACZKOWSKI: I don't think you're going to  
8 have it.

9 MR. CUNNINGHAM: No, okay.

10 DR. APOSTOLAKIS: Will that be a factor? We  
11 cannot comment on something that we don't have? But we have  
12 a presentation. We have view graphs with a comparison, so  
13 we can comment on those, right? We can say that we didn't  
14 have a written document, but they have some nice statements.

15 Mark, again, I don't want to tell you how to  
16 structure the presentation, but the figure you have -- well,  
17 the classic ATHEANA --

18 MR. CUNNINGHAM: Yes.

19 DR. APOSTOLAKIS: -- maybe you can use that one  
20 and explain the elements of the process and then jump into  
21 the scenario.

22 MR. CUNNINGHAM: Okay.

23 DR. APOSTOLAKIS: I don't know.

24 MR. CUNNINGHAM: Okay.

25 DR. APOSTOLAKIS: Okay? And we will try to

1 refrain from repeating the same questions that we have done  
2 here, right? And I see some smiles on the faces of some of  
3 my colleagues.

4 [Laughter.]

5 DR. APOSTOLAKIS: But we will try; we will try.

6 I think in fairness to Mr. Sorenson, we should  
7 move quickly on to his presentation, and I must tell you  
8 that I have to disappear at 3:30, so, Jack -- where is Jack?

9 MR. CUNNINGHAM: Jack is in the back.

10 DR. BARTON: He said 3:30.

11 DR. APOSTOLAKIS: But I want some discussion.

12 DR. BARTON: And you have to leave at when?

13 DR. SEALE: He has to leave at 3:30.

14 DR. APOSTOLAKIS: Who's leaving at 1:00?

15 DR. BARTON: No, I said you have to leave when?

16 DR. APOSTOLAKIS: 3:30. So we have about an hour  
17 and a half. I think it should be plenty, yes?

18 DR. SEALE: I have to leave at about 3:30, too.

19 DR. APOSTOLAKIS: Okay; no problem. 3:30, 3:32.

20 [Pause.]

21 DR. APOSTOLAKIS: Okay; this is an initiative of  
22 the ACRS. We don't know yet how far it will go; for  
23 example, our last initiative was on defense in depth, and it  
24 went all the way to presenting a paper at the conference PSA  
25 1999, writing a letter to the commission and so on. That

1 does not mean that every single initiative we start will  
2 have that evolution.

3 This is the first time that members of this  
4 committee besides myself are being presented with this, and  
5 we also plan to have a presentation to the full committee at  
6 the retreat; then, the decision will be up to the committee  
7 as to what the wisest course of action will be. We have  
8 asked members of the staff to be here, like Mr. Rosenthal,  
9 who left; he is coming back. Jay is here, and we asked the  
10 ATHEANA people to stay. They kindly agreed to do it. So  
11 we'll get some reaction from experts to our initial thoughts  
12 here, and again, where this is going to go is up to the  
13 committee, and we'll see.

14 Mr. Sorenson has been working very diligently on  
15 this, so I think he deserves now some time.

16 Jack?

17 MR. SORENSON: Thank you; I am Jack Sorenson.  
18 This discussion is based on a paper that George asked me to  
19 write earlier this year. There is a draft on his desk for  
20 comment. But getting to this stage took a bit longer, I  
21 think, than either one of us thought.

22 What I've attempted to do is put together a  
23 tutorial that will help non-practitioners of human  
24 factors-related things to understand what the state of the  
25 art is and what all the pieces are. This morning, you heard

1 -- and early this afternoon -- a great deal of discussion on  
2 one piece of a picture that I would like to draw in somewhat  
3 larger terms. There is no attempt here to advance the state  
4 of the art in safety culture; just to understand it. There  
5 is no attempt to review or critique the NRC human factors  
6 program.

7 What you will hear is undoubtedly a somewhat naive  
8 view, and I would encourage those of you who are expert in  
9 one or more aspects of the subject to offer, I hope, gentle  
10 corrections when you feel I have misrepresented something.

11 DR. APOSTOLAKIS: I wonder why anyone would ask  
12 this committee to be gentle?

13 [Laughter.]

14 DR. APOSTOLAKIS: Aren't we always?

15 MR. SORENSON: I was not, of course, not referring  
16 to the committee as being ungentle.

17 DR. APOSTOLAKIS: Oh, I see.

18 [Laughter.]

19 MR. SORENSON: The three questions that were  
20 posed, I think by the planning and procedures subcommittee  
21 relative to safety culture are what is it? Why is it  
22 important? And what should the ACRS and NRC do about it?  
23 We'll find out that the middle question, why it's important,  
24 is probably easier to deal with than either what it is or  
25 what people should do.

1           The term safety culture was actually introduced by  
2 the International Nuclear Safety Analysis Group in their  
3 report on the Chernobyl accident in 1986. A couple of years  
4 later, they actually devoted a publication to safety  
5 culture, and in that publication, they define it as shown  
6 here: safety culture is that assembly of characteristics  
7 and attitudes in organizations and individuals which  
8 establishes that as an overriding priority, nuclear plant  
9 safety issues receive the attention warranted by their  
10 significance.

11           There are other definitions that may be useful,  
12 and we may get to them later if it turns out that they're  
13 important, but the main thing is that there are -- whatever  
14 definitions of safety culture you use, there are  
15 requirements established essentially at three levels. There  
16 are policy level requirements and management level  
17 requirements, and those two things together create an  
18 environment in which individuals operate, and it's the  
19 interaction between the individuals and the environment that  
20 is generally understood to be important here.

21           The framework is determined by organizational  
22 policy and by management action and the response of  
23 individuals working within that framework. Go on to four,  
24 please.

25           Just a quick preliminary look at why it's

1 important. To understand its importance, I think you can  
2 simply look at what James Reason refers to as organizational  
3 accidents that have occurred over the 10 years following  
4 TMI. Of course, within the nuclear industry, it was the TMI  
5 accident that focused everybody on human factors issues. In  
6 the 10 years following TMI, there were a number of accidents  
7 where management and organization factors, safety culture,  
8 if you will, you know, played an important role.

9           The numbers in parentheses following each of these  
10 on the list are the number of fatalities that occurred.  
11 There was an American Airlines accident, plane taking off  
12 from Chicago where an engine separated from the wing. It  
13 was later traced to faulty maintenance procedures. The  
14 Bhopal accident in India, where methylisocyanate was  
15 released resulting in 2,500 fatalities; the Challenger  
16 accident; Chernobyl; Herald of Free Enterprise; some of you  
17 may be less familiar with that. This was the case of a  
18 ferry operating between the Netherlands and England that set  
19 sail from its Dutch port with the bow doors open; capsized  
20 with somewhere around 190 fatalities.

21           And the last one was Piper Alpha; it was an  
22 accident on an oil and gas drilling platform where one  
23 maintenance crew removed a pump from service, removed a  
24 relief valve from the system, replaced it with a blind  
25 flange which was leaking and leaking flammable condensate,

1 and the second maintenance crew, the second shift crew,  
2 attempted to start the pump, and there was an explosion and  
3 resulting fire.

4 In the nuclear business, other than Chernobyl and  
5 TMI, we typically end up looking at what are called near  
6 misses or significant precursors. Two that come to mind are  
7 the Wolf Creek draindown event, where the plant was  
8 initially in mode four, I believe; 350 pounds per square  
9 inch; 350 degrees Fahrenheit. There were a number of  
10 activities going on; heat removal was by way of the RHR  
11 system. There was a valve opened, and 9,200 gallons of  
12 water were discharged from the primary system to the  
13 refueling water storage tank in about a minute. The cause  
14 was overlapping activities that allowed that path to be  
15 established.

16 There were numerous activities. The work control  
17 process placed heavy reliance on the control room crew.  
18 There was the simultaneous performance of incompatible  
19 activities, which were boration of one RHR train and strobe  
20 testing of an isolation valve in the other train. The  
21 potential for draindown was identified but was not acted  
22 upon. Probably the most significant item here was that the  
23 test was originally planned, the strobe testing was  
24 originally planned for a different time and was deferred,  
25 and there was no proper review done of the impact of that



1 deferral.

2 More recent event, Indian Point II, trip and  
3 partial loss of AC power. The plant tripped on a spurious  
4 overtemperature delta-T signal; off-site power was lost to  
5 all the vital 480-volt buses. One of those buses remained  
6 deenergized for an extended period and caused eventual loss  
7 of 125-volt bus and 120-volt AC instrument bus. All diesels  
8 started, but the one powering the lost bus tripped.

9 This had a number of human factors related to it.  
10 The trip was due to noise in the overtemperature delta-T  
11 channel that was known to be noisy, and the maintenance to  
12 fix it had never been completed. The loss of off-site power  
13 was due to the fact that the load tap changer was in manual  
14 rather than automatic, and that resulted in the loss of  
15 power to the buses. The diesel trip occurred because there  
16 was an improper set point in the overcurrent protection and  
17 an improper loading sequence, and after that, post-trip  
18 activities were criticized by the NRC for being more focused  
19 on normal post-trip activities and not enough on the state  
20 of risk that the plant was in in attempting to recover from  
21 that risk.

22 One of the things that is worth spending just a  
23 minute on is the idea of culture as a concept in  
24 organizational behavior. The International Nuclear Safety  
25 Advisory Group introduces the term safety culture pretty

1 much out of the blue. They make no attempt to tie it back  
2 to the rather substantial body of literature that exists in  
3 either anthropology, where culture is a common term, or in  
4 organizational development, where it has become somewhat  
5 more common in the last 20 years or so.

6           The term is not without controversy, if you will,  
7 particularly among the organizational development people.  
8 The term -- the idea of ascribing something called culture  
9 to an organization started to show up in the organizational  
10 development literature in the very early eighties. The two  
11 best-known books are probably Tom Peters' In Search of  
12 Excellence and a book by Deal and Kennedy entitled Corporate  
13 Cultures, and they essentially set out to determine why it  
14 was that organizations or at least some organizations didn't  
15 behave in ways that were clearly reflected in their  
16 structures; they were looking for some other attribute of  
17 the organization, and they settled on the term culture.

18           There are people in the literature who take  
19 exception to that. The expectation is if you use the term  
20 culture in an organizational sense or in the sense of a  
21 safety culture that it carries with it some of the  
22 properties of its original use. That may or may not be true  
23 in the case of organizational culture or safety culture, but  
24 the fact remains that it has found a place in the  
25 literature. It is quite widely used, particularly with

1 respect to nuclear technology. You will also find it in  
2 other writings in other industries, such as the process  
3 industries and aviation.

4 Having said that, you find that virtually everyone  
5 then goes on to define it in a way that suits their  
6 immediate purpose. I would like to go back to an opening  
7 remark which I missed, and that's that I knew I was going to  
8 have some difficulty with this assignment when I ran across  
9 an INSAG statement that said safety culture was the human  
10 element of defense in depth, and having spent a couple of  
11 years in defense in depth, it just seemed unfair that --

12 [Laughter.]

13 DR. POWERS: One thing that you have to remember  
14 about the origins of the concept is that it came up after  
15 the Chernobyl accident. There was a strong effort among  
16 parts of some people in the IAEA to shelter the RBNK design  
17 criticism, and you had to criticize the operators, okay?  
18 But criticizing the operators individually was not going to  
19 fly any better, okay? Because if you had a bad operator  
20 individually, why did they allow it? Why did the system  
21 allow this bad operator to be this? You had to go to this  
22 safety culture, okay?

23 [Laughter.]

24 DR. POWERS: That preserved the RBNK from being  
25 attacked, and at the same time, it led to protecting the

1 operators individually.

2 DR. BARTON: You have to admit they were a poor  
3 example of safety culture?

4 DR. POWERS: What did you say?

5 DR. BARTON: Nothing.

6 MR. SORENSON: Well, that makes a good bit of  
7 sense, obviously. Although the idea of employee attitude or  
8 management and worker attitude having a significant impact  
9 on safety of operations, you know, considerably predates  
10 Chernobyl. You can find references back to the early 20th  
11 Century when industrial accidents started to become  
12 significant in some way.

13 Okay; I think we can, yes, go on to -- the  
14 definition on organizational culture, which is a little  
15 easier to deal with than safety culture, that was offered by  
16 a critic of the Peters and Kennedy and Deal books is the  
17 definition here. Organizational culture: the shared  
18 values; what is important and beliefs, how things work that  
19 interact with an organization's structure and control  
20 systems to produce behavioral norms; the way we do things  
21 around here. This one appeared in an article by Brill, Utah  
22 and Fortune in the mideighties, and you'll see it repeated  
23 in very much the same form in current literature.

24 The last phrase, the way we do things around here,  
25 I actually tracked back to one of the managing directors of

1 MacKenzie and Company. It seems to be the most concise  
2 definition of culture that --

3 DR. APOSTOLAKIS: That's the best one I like.

4 MR. SORENSON: There are competing terms: safety  
5 culture, organizational culture, management and  
6 organizational factors, safety climate, safety attitudes,  
7 high reliability organizations, culture of reliability, and  
8 they all mean more or less the same or slightly different  
9 things, depending on how they're used and what the  
10 investigator decides to do with them.

11 So I think it's important to keep in mind that  
12 there are no -- there is no generally agreed upon  
13 definition. We are dealing with the way organizations work  
14 and the way people within those organizations react, and at  
15 some point, you choose a definition that fits your use and  
16 then hopefully apply it consistently thereafter.

17 Dr. Powers?

18 DR. POWERS: This one is the sixth sigma?

19 DR. APOSTOLAKIS: I've heard that, to.

20 DR. BARTON: Sick or sixth?

21 DR. POWERS: Sixth.

22 MR. SORENSON: That's one of the zero-defect --

23 DR. POWERS: Yes.

24 MR. SORENSON: -- cults, is it not?

25 DR. POWERS: Do everything right, yes.

1 MR. SORENSON: Yes; I've run across the term  
2 within the last few weeks and I --

3 DR. POWERS: There was a survey in the Wall Street  
4 Journal about a month ago.

5 DR. APOSTOLAKIS: Did this agency actually do a  
6 self-assessment of its safety climate a couple of years ago?

7 MR. SORENSON: There was a survey by the inspector  
8 general. I've actually been through the slides that are on  
9 the Web on that. I don't think I've ever seen the text of  
10 the report. And they were looking for something a little  
11 different than I would have called -- than what I would have  
12 termed safety culture. They were looking for, I think, more  
13 of the focus of the organization on its mission and assuming  
14 that if people were focused on the mission of the  
15 organization that that is factory safety culture. I may be  
16 misrepresenting that but --

17 DR. APOSTOLAKIS: They put climate.

18 MR. SORENSON: They used the word culture.

19 DR. APOSTOLAKIS: No, I remember the word climate,  
20 because I was impressed.

21 MR. SORENSON: Well, they may have used that also,  
22 but I think the survey was titled a safety culture survey.

23 DR. APOSTOLAKIS: The French are using climate as  
24 well. Climate is supposed to be really culture. Culture is  
25 more permanent, presumably.

1 MR. SORENSON: One of the better-known writers in  
2 this general field, James Reason, in his book on managing  
3 organizational accidents lists the characteristics of a  
4 safety culture as a culture that results in -- that  
5 encourages the reporting of problems and the communicating  
6 of those problems to everybody throughout the organization;  
7 a culture in which or an organizational climate in which the  
8 members, the workers, feel justice will be done; an  
9 organization that is flexible in the sense of being able to  
10 shift from a hierarchical mode of operation under normal  
11 circumstances to a different mode of operation during a  
12 crisis or an emergency and then shift back; and then,  
13 finally, a learning organization where the information that  
14 is made available is incorporated into the way things are  
15 done.

16 DR. SEALE: That clearly indicates, then, that a  
17 safety culture is not an evolving set of values but rather a  
18 break with the past; I mean, I can think of organizations  
19 you might characterize as a benevolent dictatorship, and  
20 that was the way in which safety was imposed. I guess under  
21 those circumstances, you would have to say the old DuPont  
22 organization really didn't have a safety culture, although  
23 it had a remarkable safety record.

24 MR. SORENSON: Yes; I think that's a fair  
25 characterization, as a matter of fact.

1 DR. APOSTOLAKIS: And I think a lot of the  
2 old-timers in the U.S. nuclear Navy also dismiss all of this  
3 and say Rickover never needed it.

4 Now, the question is was the culture of the Navy  
5 good because of one man? And do you want that? Or do you  
6 want something more than that? Rickover certainly didn't  
7 think much about human factors.

8 DR. POWERS: If you don't have enough people to go  
9 around --

10 DR. APOSTOLAKIS: I don't know, but Rickover did a  
11 good job.

12 DR. POWERS: There are people who would take a  
13 different view on that.

14 [Laughter.]

15 DR. POWERS: And I think you can fairly honestly  
16 show that there are good and bad aspects of his approach, of  
17 his tyranny.

18 MR. SORENSON: There were two boats lost.

19 DR. POWERS: The time it takes to put a boat to  
20 sea, the mission of those boats and things like that -- you  
21 can change your approach.

22 MR. SIEBER: We did a survey a number of years ago  
23 of the idea of safety culture. About 700 people out of  
24 1,100 responded. They had the same list you have, except  
25 they added personal integrity to that and caring attitude to



1 that.

2 DR. BARTON: There were other characteristics.

3 MR. SIEBER: And that seemed to really work. It  
4 changed the attitude in that facility; it really did, just  
5 finding out the practices.

6 DR. BONACA: Although the attribute of  
7 flexibility, I think, goes a long way in the direction.  
8 That's the key item that you described there of when you go  
9 to technical issues, the ability of flattening out  
10 organization and not having any more pecking order or a fear  
11 of bringing up issues. Flexibility is very important.

12 MR. SORENSON: One can deduce from the literature  
13 a few common attributes that virtually every -- all of the  
14 investigators share: good communications; senior management  
15 commitment to safety; good organizational learning and some  
16 kind of reward system for safety-conscious behavior, and the  
17 lists expand from that point, if you will.

18 DR. BARTON: Conservative decision making.

19 MR. SORENSON: I'd like to take a step back here  
20 just a little bit and try to put the safety culture issue  
21 into the context of the larger issue of human factors, and  
22 to do that, I think looking at the National Research Council  
23 report done in 1988 on the NRC human factors program is  
24 useful.

25 The National Research Council identified five

1 areas that they thought the NRC, the nuclear regulators,  
2 should address in their human factors research. First was  
3 the human-system interface; second, the personnel subsystem;  
4 the third, human performance; the fourth, management and  
5 organization; and the fifth, the regulatory environment.  
6 The first two items, human-system interface and personnel  
7 subsystem, deal primarily with the man-machine interface,  
8 the way the machines are designed and the way the personnel  
9 are trained.

10 Human performance in the context of that report is  
11 intended to deal with what this morning was referred to as  
12 unsafe acts of one kind or another, the actions of the  
13 system and equipment operators, and the management and  
14 organization, what they call management and organization  
15 factors are part of what they called a culture of --  
16 fostering a culture of reliability. That was their phrase  
17 rather than safety culture; and third, the regulatory  
18 environment which dealt with the issue of how regulatory  
19 actions impacted the way the licensees did business.

20 The safety culture, as I'm attempting to deal with  
21 it today, is focused on the fourth item, management and  
22 organization. It creates the environment that human actions  
23 are taken in, and it may contain the ingredients to create  
24 what James Reason calls latent errors, those things which  
25 change the outcome of an unsafe act, but the issue of safety

1 culture deals with the management and organization factors  
2 and the climate it creates, the conditions it creates for  
3 the human to operate in.

4 One of the difficulties I had in going through the  
5 literature was trying to understand what all the pieces  
6 were, and so, one of the things that I ended up doing that  
7 helped me, and I think could be generally helpful in putting  
8 some of the pieces together is to look at all of the things  
9 that go into the process of establishing some interesting  
10 relationship between something called safety culture and  
11 operational safety or ultimately some measure of risk, and  
12 this figure shows the first half-dozen steps in that  
13 process.

14 But the idea here is if safety culture is  
15 interesting for me from an operational safety standpoint,  
16 you need to be able to establish something about those  
17 relationships. The process typically starts off with  
18 defining some kind of an organizational paradigm.  
19 Mintzberg's machine bureaucracy is very often used for  
20 nuclear power plants, and then, as soon as it's used, it's  
21 criticized for having several shortcomings. The  
22 investigators need to have some idea of how the organization  
23 works, and they generally should start with some definition  
24 of safety culture, what it is.

25 Having done that, then, they need to define some

1 attributes of safety culture, and it might be the ones that  
2 I listed a few minutes ago: good organizational learning,  
3 good communications and so forth, but there are somewhere  
4 between a half a dozen and 20 of those attributes that can  
5 be identified, and having done that, then to evaluate  
6 organizations, you need to look -- you need to have a way to  
7 measure those things that you've just identified, and you  
8 might put together personnel surveys or, you know, technical  
9 audits or whatever, but you need some kind of evaluation  
10 technique that involves looking at how the organization, how  
11 an organization actually works.

12           Having designed the evaluation techniques, you  
13 need to collect data, and then, you need to have, once you  
14 have data, you need to have something to -- that tells you  
15 how to judge that data, and I've indicated that by choosing  
16 external safety metrics; if you collect cultural data, for  
17 example, on an organization, how do you decide that that  
18 organization is safe or not safe in judging the cultural  
19 data?

20           In their simplest form, those external metrics  
21 might be a SALP score. They might be the performance  
22 indicators that we're using now. They might be earlier  
23 performance indicators. But the investigator makes some  
24 choice of what he's going to compare his cultural parameters  
25 to.

1           And typically, that correlation is done with some  
2 sort of regression analysis, and as a result of doing the,  
3 you find out that some number of the safety culture elements  
4 you started with, you know, correlate with your safety  
5 parameters, and some don't. And the output from that first  
6 stage, then, is which of these safety culture elements turn  
7 out to be significant.

8           The remainder of the process, then, if you want to  
9 carry it, you know, all the way to its logical conclusion is  
10 you would like to be able to use these significant safety  
11 culture elements to modify in some way your measure of risk,  
12 and the next figure -- if you can move that one over a bit;  
13 pick up the balance of that. The bottom path there  
14 identifies, you know, relating the elements that you've  
15 decided are significant to the PRA parameters or models; box  
16 11 finally modifying the PRA parameters and ultimately  
17 calculating a new risk metric.

18           DR. APOSTOLAKIS: So I guess ATHEANA, then,  
19 because you don't necessarily have to go to that, ATHEANA  
20 would be somewhere there in between 9 and 10, perhaps?

21           MR. SORENSON: I would put -- well, it doesn't  
22 work on performance indicators, as I understand it. I would  
23 say ATHEANA covers 8 and 11; is that a fair statement?

24           DR. APOSTOLAKIS: It definitely does, but perhaps  
25 to take advantage of the qualitative aspects, you need an

1 extra box so you don't just make it PRA. So before eight,  
2 you might have the qualitative aspects of ATHEANA, and then,  
3 at the start of eight, of course, you have to do the  
4 quantification.

5 MR. SORENSON: I would be delighted to get  
6 critiques on this, too.

7 DR. APOSTOLAKIS: Don't worry; don't encourage  
8 people.

9 [Laughter.]

10 DR. APOSTOLAKIS: Susan, you wanted to say  
11 something? You have to come to the microphone, please;  
12 identify Your Honor.

13 MS. COOPER: Susan Cooper with SAIC.

14 I think with respect to interaction with ATHEANA,  
15 there are certainly two different ways. Already, we're  
16 trying to incorporate some symptoms, if you will, of culture  
17 and some of the preparation for doing ATHEANA. We'd like  
18 the utility people to try to examine what are their  
19 pre-operational problems as part of identifying what their  
20 informal rules or maybe some things that are, if you will,  
21 symptoms of a culture that, when they play it out through a  
22 scenario development and deviations, it would be  
23 organizationally-related, but we don't have what we see from  
24 some of the events, some of the other things that the  
25 organization can do that might set up a scenario, so we

1 recognize that there may be some pieces missing, and we  
2 certainly need some kind of input to know not only what --  
3 you know, what from the organization is going to cause  
4 things but then also, then, what is the impact on the plant?  
5 There are a couple of different pieces.

6 DR. APOSTOLAKIS: Now, if just for a couple of  
7 historical purposes, we go to the previous one, no, yes; box  
8 four, collect and analyze data, that was essentially the  
9 reason why one of the earlier projects on organizational  
10 factors funded by this agency was killed. The proposed way  
11 of collecting data was deemed to be extremely elaborate.  
12 They implemented it at Diablo Canyon, and the utility  
13 complained.

14 So, there is this additional practical issue here  
15 that you have to do these things without really --

16 DR. POWERS: I don't know why.

17 DR. APOSTOLAKIS: Dana's commentary here, I mean,  
18 certain things, by their very nature, require a detailed  
19 investigation. I mean, I don't know where this idea has  
20 come from that everything has to be very simple and done in  
21 half an hour, but I think it's important to bear in mind  
22 that the utility complained, and the management of the  
23 agency decided no more of this. I'm willing to be corrected  
24 if anybody knows any different, but that was my impression.

25 MR. SORENSON: Well, and we'll touch on that

1 one --

2 DR. APOSTOLAKIS: Okay; sorry.

3 MR. SORENSON: -- a little in a couple of slides,  
4 as a matter of fact, but you're right: one of the results  
5 early on was that people did try to look for non-intrusive  
6 ways to collect data. One possibility is to look at the way  
7 the organization is structured, which you can deduce from,  
8 you know, organizational documents, if you will.

9 DR. APOSTOLAKIS: Yes, but the attitudes, you  
10 would never get that.

11 MR. SORENSON: You don't pick them up and --

12 DR. APOSTOLAKIS: These attitudes, you don't pick  
13 that up.

14 MR. SORENSON: And interestingly enough, the  
15 people that started down that path after a few years started  
16 to pull in something that they called culture, the way an  
17 organization worked.

18 Yes; I will, time-permitting, go through at least  
19 one example that sort of traces through those boxes, if you  
20 will. I would like to comment on the upward path on slide  
21 16. The -- what you would really like to do is to be able  
22 to identify some number of performance indicators that were  
23 indicative of the safety culture elements and that you could  
24 translate, in turn, into modifications of the PRA  
25 parameters, and the idea there is if you can identify those



1 performance indicators, then, you don't have to go back and  
2 do the intrusive measurements once you've validated the  
3 method.

4 And so, in the best of all possible worlds, you  
5 know, one would, you know, have processes that follow that  
6 upward path. Now, I would hasten to add in summarizing on  
7 this figure that there is a lot that goes on inside every  
8 one of those boxes, and, in fact, when I was discussing this  
9 with Joe Murphy -- I guess he's not here today -- and at one  
10 point, we pointed at one box in particular, and I asked him  
11 a question about it, and he said, well, of course, in that  
12 box, miracles occur, and that's still --

13 DR. APOSTOLAKIS: Did he also tell you that  
14 there's a NUREG from 1968 whose number he remembered that  
15 addresses it?

16 [Laughter.]

17 DR. APOSTOLAKIS: I mean, Joe usually does that.

18 [Laughter.]

19 DR. APOSTOLAKIS: PNL published a report in 1968  
20 in March --

21 [Laughter.]

22 DR. APOSTOLAKIS: -- that is relevant.

23 MR. SORENSON: So the -- anyway, the summary here  
24 is that this path is neither short nor simple.

25 DR. APOSTOLAKIS: Yes.

1 MR. SORENSON: There are a lot of pieces that go  
2 into establishing a relationship between safety culture or  
3 other management and organizational factors and some risk  
4 metric.

5 Let me see what we might need to do here. How  
6 much time do you want to leave for discussion, George?

7 DR. APOSTOLAKIS: Well, you are doing fine.

8 MR. SORENSON: Okay.

9 DR. APOSTOLAKIS: I think people can interrupt as  
10 they see fit.

11 MR. SORENSON: Okay.

12 DR. APOSTOLAKIS: So, you're doing fine.

13 MR. SORENSON: What I'd like to do now is go  
14 through some of the boxes and some examples of some work  
15 that has been done referring back to figures 15 and 16. As  
16 the figure indicates, the process starts out somehow with a  
17 model of the organization you're interested in, and my  
18 conclusion as a layperson was that you can look at  
19 essentially the way an organization is structured; the way  
20 it behaves or its processes or some combination of those  
21 things.

22 If you look at slide 18, this was an attempt to  
23 look at structure only. The work actually started at, I  
24 believe, Pacific Northwest Laboratories and was continued by  
25 the same investigators, although at different places, over

1 the next several years, and here, they attempted to look  
2 strictly at what they could deduce from the way the  
3 organization described itself, if you will. It does not  
4 involve culture. If you look at the literature referenced  
5 by these folks versus the literature referenced by  
6 organizational culture people, it's a different body of  
7 literature. There's very little cross-referencing.

8           This was designed to be non-intrusive. It has an  
9 obvious difficulty right up front, and that is that there  
10 are a lot of factors to try to correlate. They made an  
11 attempt to correlate with things like unplanned scrams,  
12 safety system unavailabilities, safety system failures,  
13 licensee event reports and so forth. There was other work  
14 sponsored by the NRC that began at, I believe, at  
15 Brookhaven; Sonia Haber and Jacobs and others, not all at  
16 Brookhaven, I would hasten to add, and this was a slightly  
17 different perspective on the same thing. They came up with  
18 20 factors that included something they called  
19 organizational culture and safety culture, and this was the  
20 -- where the -- one where the data gathering, if you will,  
21 did become very intrusive. They made up surveys and went  
22 out and talked to a bunch of plant people and shadowed  
23 managers and so on and so forth, and they probably got  
24 pretty good data, but it was not an easy process.

25           Then, there is another process developed by -- I

1 was going to say that eminent social psychologist.

2 DR. APOSTOLAKIS: I would like to add that Mr. et  
3 al. is here.

4 MR. SORENSON: Yes, good.

5 DR. APOSTOLAKIS: His first name is et; last name  
6 is al.

7 [Laughter.]

8 DR. APOSTOLAKIS: We call him Al.

9 MR. SORENSON: Anyway, one of the contributions  
10 here was to reduce the 20 factors to half a dozen, which  
11 makes the process more tractable, if you will, but it's a  
12 little different also in the sense that it focuses on the  
13 work processes of the organization and how those are  
14 implemented, and, in fact, the next figure, I believe, is an  
15 example of their model of a corrective maintenance work  
16 process, and the analysis includes looking at the steps in  
17 the process and identifying the -- what they call barriers  
18 or defenses that ensure that an activity is done correctly,  
19 and you can map these activities back onto the earlier list  
20 of six attributes, if you will, to determine the  
21 relationship between the organization and the work  
22 processes.

23 DR. APOSTOLAKIS: One important observation,  
24 though: these six are not equally important to every one of  
25 these. This is a key observation. For example, goal

1 prioritization really is important to the first box,  
2 prioritization of the work process, whereas technical  
3 knowledge, for example, means different things for execution  
4 and different things for prioritization. So that was a key  
5 observation that Rick made on the factors that Haber and  
6 others proposed to deal with the work process. Then, it  
7 meant different things than he proposed.

8 And most of the latent errors of some significance  
9 were the result of wrongful prioritization. That is, we  
10 will fix it at some time, when it breaks; unfortunately, it  
11 breaks before you could --

12 MR. SORENSON: Okay; moving on to the next box in  
13 the activity diagram, coming up with some way to measure  
14 safety culture or whatever organizational factor you are  
15 concerned with, there is, you know, the obvious candidates:  
16 document reviews, interviews, questionnaires, audits,  
17 performance indicators. But I think the thing that struck  
18 me here is that regardless of what list of safety culture  
19 attributes you start with, in this process, you're going to  
20 end up with some questions that you hope represent those  
21 attributes in some way, so when you get done, you don't have  
22 just, you know, a direct measurement of organizational  
23 learning; you have answers to a set of questions that you  
24 hope are related in some way to organizational learning.

25 DR. POWERS: The difficulty in drafting the

1 questionnaire that gives you the information that you're  
2 actually after must be overwhelming. I mean, the problems  
3 that they have on these political polls, they can get any  
4 answer they want depending on how they construct the  
5 question. I assume that the same problems affect the  
6 questionnaires.

7 MR. SORENSON: I would assume so, but this is also  
8 to assume what psychologists -- the organization --

9 DR. APOSTOLAKIS: Never rely on one measuring  
10 instrument.

11 MR. SORENSON: Would anybody like to comment on  
12 the difficulty that goes on within that box?

13 DR. APOSTOLAKIS: It's hard.

14 MR. SORENSON: It's hard.

15 DR. POWERS: That's a separate field of expertise,  
16 formulating questionnaires, is it not? I'm really concerned  
17 that you asked too much to be able to formulate a  
18 questionnaire that allows somebody to map an organization  
19 accurately when you have this difficulty that I can get any  
20 answer that I want depending on how I construct the  
21 questions.

22 MR. SORENSON: Of course, part of the way round  
23 that is -- well, there are ways of designing questionnaires  
24 so that the same question gets asked six different ways, and  
25 you can check for consistency and poor wording.

1 DR. POWERS: What do you do when they're  
2 inconsistent? Do you throw it out?

3 MR. SORENSON: That's what you pay psychologists  
4 for.

5 DR. POWERS: I mean, I don't see that you're out  
6 of the game here. I mean, I had enough to do with employee  
7 opinion poll taking and what not that it's been known that  
8 there is a culture or a discipline doing these things, and  
9 there are well-known principles, like the second year of the  
10 employee opinion poll, the results are always worse than the  
11 first year; the people filling out the questionnaires have  
12 gotten better at filling out questionnaires, so they can be  
13 more vicious in their evaluations. I mean, it just strikes  
14 me as a flawed process.

15 MR. SORENSON: Well, I think part of the answer to  
16 that is you try to measure enough things that if your  
17 measure is flawed on one or two or three of them, you can  
18 still get the -- an indication of the attribute that you're  
19 really trying to measure.

20 DR. SEALE: It's interesting, because so many  
21 organizations now have been convinced that their  
22 organization has to be a participatory autocracy, and so,  
23 they ask these questions in the questionnaires, and as you  
24 say, they deteriorate almost invariably, but they also  
25 systematically ignore the results, so that --

1 [Laughter.]

2 DR. SEALE: But, you know, in the name of, as I  
3 say, participatory autocracy, they do it.

4 DR. POWERS: I am intimately familiar with one  
5 organization who is absolutely convinced that the fact that  
6 they conducted a questionnaire on a particular aspect of  
7 behavior excuses them from ever again having to attend to  
8 that.

9 [Laughter.]

10 DR. APOSTOLAKIS: Why didn't you include the  
11 behaviorally anchored rating scales?

12 MR. SORENSON: I didn't intentionally exclude it.  
13 I didn't see it as different from -- in a process sense from  
14 what's here. I may have misread that.

15 DR. APOSTOLAKIS: Anyway, okay, that's another of  
16 the instruments that's available.

17 But let's go.

18 MR. SORENSON: Okay; selecting external safety  
19 metrics: I mentioned that briefly earlier, you know, one  
20 can rely on performance evaluations, performance indicators,  
21 do some sort of expert elicitation to evaluate the  
22 organization. In some industries, which we'll touch on in  
23 particular, process in aviation, actually, I have accident  
24 rates that you can use as a metric, where there is good  
25 statistical data on accident rates. But again, the point



1 I'm trying to make here is that the investigator chooses  
2 that as part of the evaluation process, and sometimes, that  
3 is lost sight of.

4 In the chemical industry, process industries in  
5 particular, they tend to use the audit techniques. They  
6 don't have the same reluctance to gather field data that  
7 seems to exist in the nuclear power business. They tend to  
8 use the terminology safety attitudes and safety climate  
9 versus safety culture, and the studies that I've looked at  
10 used either self-reported accident rates or what they call  
11 loss of containment accident rates, you know, covering  
12 relatively large numbers of facilities. One study covered,  
13 I think, 10 facilities managed by the same company, for  
14 example; 10 different locations.

15 And these studies in the process industries have  
16 resulted in very strong statistical correlations between the  
17 attributes of safety culture that we've been talking about  
18 here and accident rates, and you can show that the low  
19 accident rate plants, you know, show strong safety culture  
20 attributes. The typical correlation they might start out  
21 with, you know, 19 or 20 attributes as the Brookhaven people  
22 did and find out that 14 or 15 of those correlate and five  
23 don't for some reason.

24 DR. SEALE: Jack, how much of that, though, is due  
25 to the fact that the elements of positive numbers on the

1 accident rate are the inverse or one minus the numbers on  
2 the safety culture? I mean, they're almost -- the way you  
3 characterize your safety culture almost certainly is painted  
4 by the idea that one of the worst things that can happen to  
5 you is an accident.

6 MR. SORENSON: Well, certainly, you've got to look  
7 at how the measurement is done. I don't have a quick  
8 answer.

9 DR. SEALE: No, I mean, what if you had just for  
10 instance or just for the fun of it, let's say we had two  
11 plants, and both of them didn't have any accidents; one of  
12 them had a good safety culture and one of them didn't. I  
13 don't know if your questionnaire would actually detect or  
14 make that distinction.

15 MR. SORENSON: In that case, I think you're  
16 absolutely right, but precisely the point I'm trying to make  
17 here is that in this case, we are not looking at plants with  
18 zero accident rates. We're looking at plants that have very  
19 low accident rates and very high ones.

20 DR. SEALE: Yes.

21 MR. SORENSON: So we've got statistics here that  
22 we don't have in the nuclear power business. The ratio of  
23 the best performing to the worst performing in terms of  
24 accident rates is typically about 40, the factor is. And,  
25 in fact, I'll come back to that later. The reason that one

1 of these folks makes the point is in aviation --

2 DR. APOSTOLAKIS: PSA is one minus the -- you  
3 know, that's my problem.

4 MR. SORENSON: The aviation business, which  
5 presumably uses roughly the same equipment and roughly the  
6 same training methods worldwide for commercial passenger  
7 airlines, there's a difference of about a factor of 40  
8 between the best and worst performing airlines.

9 DR. SEALE: Yes.

10 MR. SORENSON: So the point here is precisely that  
11 in those areas where you've got data, you can correlate  
12 these safety culture elements, if you will.

13 Which brings us to, you know, the areas of  
14 weakness or discomfort, most of which have been touched on  
15 here earlier. One of them is that at this point, nobody  
16 pretends to understand the mechanism by which the thing we  
17 call safety culture affects operational safety. Second area  
18 was what you just touched on, Bob. There is a lack of valid  
19 field data in the nuclear power business in particular.  
20 First, the actual accident rates are low, but there's even a  
21 lack of data on the safety culture side in general.

22 And the third area is there are no good  
23 performance indicators that have been identified at this  
24 point; clearly an area that needs additional attention, not  
25 only in the nuclear power business.

1 DR. BARTON: I think you're looking at too high a  
2 level for the field data to be looking at accidents. I  
3 think you don't have to look at accidents. Go look at lower  
4 levels of performance in the organization; go look at  
5 industrial safety events. Go look at human performance or  
6 look for operator errors. Go look at maintenance people not  
7 following procedures.

8 If you go look at a whole bunch of those things  
9 and relate that, you'll find out that the culture is  
10 different at that plant than it is at the other plant that  
11 hasn't had a major accident either but doesn't have the same  
12 numbers of those types of --

13 DR. SEALE: You could probably use LERs just as  
14 easy of that.

15 DR. APOSTOLAKIS: Or any number of attributes --

16 DR. BONACA: The trouble with LERs is there are  
17 not enough LERs written. These plants write three or four  
18 LERs a year. I don't know if there's enough data there.

19 DR. BARTON: Or whatever the correct level of --

20 DR. SEALE: Yes.

21 DR. BONACA: There are corrective action systems  
22 at the plants --

23 DR. SEALE: Yes, yes.

24 DR. BONACA: Because there are 20,000 inputs per  
25 plant.

1 DR. SEALE: Yes.

2 DR. BONACA: Probably, that's the biggest window  
3 that you have.

4 DR. APOSTOLAKIS: So you are saying that it would  
5 be perhaps worthwhile to see if some performance indicators  
6 can be formulated using this kind of evidence?

7 DR. BARTON: I think so.

8 DR. APOSTOLAKIS: Instead of going to models?  
9 That's a good idea.

10 DR. BARTON: Think about it.

11 DR. APOSTOLAKIS: It would be extremely tedious to  
12 go through those records.

13 DR. BARTON: Oh, yes.

14 DR. APOSTOLAKIS: But it would probably be  
15 worthwhile.

16 MR. SIEBER: A lot of plants.

17 DR. POWERS: You can find people within an  
18 organization oftentimes who know those records surprisingly  
19 well. If you have a lot more, then it's a lot easier.

20 DR. BONACA: I mean, an example of performance  
21 indicators at IAEA and all places, one could ask whether or  
22 not they should be nine or whatever. But have they had  
23 those elements that were --

24 DR. SEALE: They weren't accidents.

25 DR. BONACA: No, incidents.

1 DR. APOSTOLAKIS: But that is a necessary  
2 assumption that this really is a good indication of what  
3 will happen if there is a need for an ATHEANA kind of  
4 system, but it may be very good when it comes to a major --  
5 when they pay attention. In fact, we had a guy call  
6 maintenance people; more than 50 percent, to my surprise,  
7 thought that the procedure was useless; they never followed  
8 them. They thought they were for idiots.

9 Now, those guys probably are very good, but if you  
10 are blind, you say oh, they don't use the procedures; my  
11 God, bad, bad boy. Yes; they're probably doing a better job  
12 than somebody else who goes with --

13 DR. BONACA: Even there, that's another issue.

14 DR. APOSTOLAKIS: So I think there is this  
15 presumption, although I like the idea, because at least you  
16 get something concrete, but maybe that's something else to  
17 think about: how much can you extrapolate from these fairly  
18 minor incidents, because there is this -- Jack didn't  
19 mention, but people also distinguish between the formal  
20 culture and the informal culture, the way things really get  
21 done. And do they take shortcuts? They do all sorts of  
22 things. And these are good people usually. I mean, they're  
23 not -- but I think that's a good idea. It's a good idea.  
24 It's just that, I mean, they have -- you know, whenever  
25 anybody proposes anything here, you have to say something

1 negative about it. So, there it goes.

2 Alan, you have to come to the microphone.

3 MR. KOLACZKOWSKI: Alan Kolaczowski, SAIC.

4 George, that's the very reason why, in the ATHEANA  
5 part, I think we're looking at both the EOPs and the formal  
6 rules, but then, you saw we also look at tendencies and  
7 informal rules.

8 DR. APOSTOLAKIS: Right.

9 MR. KOLACZKOWSKI: That's where we're trying to  
10 capture some of those -- part of the culture, if you will:  
11 how do they really do it? What are the ways they really  
12 react when this parameter does this? What are their  
13 tendencies? I think we're trying to capture some of that.  
14 We use the terminology informal versus formal rules, but I  
15 think we're talking about the same kind of thing.

16 DR. APOSTOLAKIS: Yes.

17 MR. SORENSON: By the way, though, not all  
18 investigators agree that let me call them near misses or  
19 incidents extrapolate properly to accidents.

20 DR. APOSTOLAKIS: Yes, you have to make some  
21 assumptions.

22 MR. SORENSON: And also, the people who question  
23 that also question whether the human performance information  
24 or models in the nuclear business translate to those in  
25 other hazardous industries. That's not a given.

1 DR. APOSTOLAKIS: Go ahead.

2 DR. SEALE: But the point may be, though, that the  
3 extent to which the organization has the capability of  
4 absorbing near misses in such a way that they do not  
5 propagate to major accidents may be the thing that's the  
6 measure of safety culture.

7 MR. SORENSON: Well, Reason would agree with that  
8 very precisely, because his definition of safety culture,  
9 you know, is, in effect, that culture which leads to a small  
10 incidence of latent errors that go undiscovered. And it's  
11 the latent errors that translate, you know, a single unsafe  
12 act into a disaster.

13 DR. SEALE: And then, but the ability to correct  
14 for the error in other parts of the organization so that it  
15 doesn't grow --

16 MR. SORENSON: Right.

17 DR. APOSTOLAKIS: But I think another measure of  
18 goodness which is really objective is to see whether they  
19 actually have work processes to do some of these things.  
20 Rick is working with -- Rick Weil is trying to develop  
21 organizational learning work. So what you find is that yes,  
22 everybody says, boy, organizational readiness, sure, yes, we  
23 do that. But how do you do it? And that's where he gets  
24 stuck. We do it. Somehow, we do it. There is no work  
25 process; they have no formal way of taking a piece of



1 information, screening it, because that's the problem there:  
2 they get too many of those.

3 DR. BARTON: How many do they get a week or about  
4 a year?

5 DR. APOSTOLAKIS: About 6,000 items a year; I  
6 mean, here, you're not going to be producing power just to  
7 study 6,000 items.

8 [Laughter.]

9 DR. BARTON: I hope not.

10 DR. APOSTOLAKIS: So there is no formal mechanism  
11 for deciding what is important, which departments should  
12 look at it, and I think that's an objective measure.

13 DR. BARTON: Yes, it is, because you can  
14 prioritize those 6,000.

15 DR. APOSTOLAKIS: But they don't.

16 DR. BARTON: You can put them in buckets. Well, I  
17 know plants that do.

18 DR. APOSTOLAKIS: I'm sure; and those have a  
19 better culture.

20 DR. BARTON: I don't necessarily agree with that.

21 [Laughter.]

22 DR. APOSTOLAKIS: All right; no, but it is an  
23 objective measure of the existence of the processes  
24 themselves. It is a measure of some attempt to do  
25 something.

1 DR. BONACA: But it is also a measure of the way  
2 the work is getting accomplished or not accomplished that  
3 gives you some reflection on potential initiators. For  
4 example, a process that is overwhelmed that is unable to  
5 accomplish work on a daily basis, something is going to  
6 happen out there, because we're starting an item; you are  
7 closing it. You're delaying items, and something is going  
8 to start in a new activity before you close the other one at  
9 some point.

10 And so, if you look at that, you have a clear  
11 indication, and we're trying to begin to correlate that. So  
12 you have some indication of really what kind of a story.  
13 Now, the question is are they going to affect the  
14 unavailability of a system? See, we don't know that.

15 DR. APOSTOLAKIS: It may, but -- but there is  
16 something to the argument that -- not just nuclear. But it  
17 seems to be consensus of organizational learning is a key  
18 characteristic of good organizations. Now, if I see that, I  
19 really don't need to see real data to prove that. I mean,  
20 those guys are not stupid. They know what they're talking  
21 about. And, in fact, I remember there was a figure from a  
22 paper in the chemical, whatever; it was a British journal,  
23 comparisons of good organizations, excellent organizations.  
24 The key figure that distinguished excellent from everybody  
25 else was this feedback loop, organizational learning, from

1 your own experience and that of others, and it's universal.

2 Anyway, let's have Jack continue. He's almost  
3 done, I understand.

4 MR. SORENSON: Yes; there are a couple more slides  
5 here, and I did want to touch on what we've just been  
6 discussing, you know, the evidence that a safety culture is  
7 important to operational safety. There is an overwhelming  
8 consensus among the investigators; if there is a subculture  
9 that thinks an attitude doesn't matter, I didn't find it in  
10 the literature in any event.

11 The accident rate data is pretty convincing. I  
12 confess obviously to not being an expert, but the writing,  
13 again, supports that. People outside of the field seem to  
14 think they have good statistical information there. And the  
15 little bit of nuclear power plant field data that there is,  
16 some of what the Brookhaven people did, Hauber and her  
17 colleagues and the little bit that was done in the Pacific  
18 Northwest Laboratory work confirmed a correlation between  
19 safety culture elements and operational safety as they  
20 defined it. There are not enough data, but what's there was  
21 positive.

22 I'm going to, on the last slide, relate my  
23 impressions again as a non-practitioner as to what is  
24 missing from the literature. Some of this, I've deduced  
25 from what other people have written and some just from my

1 own feelings on the papers that I review. There is a lack  
2 of field data relative to nuclear power plant operations.  
3 There might be easy ways to get it, but right now, it's not  
4 there.

5 One needs to understand the mechanism by which  
6 safety culture or other management and organizational  
7 factors affect safety. We need performance indicators for  
8 safety culture or related things. We need to understand the  
9 role of the regulator in promoting safety culture, and we  
10 need to know something about the knowledge, skills and  
11 abilities of the front line inspectors in a regulatory  
12 environment where safety culture is important. One of the  
13 things that struck me in doing the research on this work is  
14 that we are -- we, the NRC -- are right in the middle of  
15 attempting to change the way we do regulation. We are  
16 embarking on and evaluating a new reactor oversight process.  
17 We are trying to convert our regulatory basis to something  
18 we're calling risk-informed and maybe performance-based, and  
19 other regulators elsewhere in the world, particularly in the  
20 UK, are observing that. If one is going to make this kind  
21 of a change, then you probably cannot do it within the kind  
22 of prescriptive regulatory framework that the U.S. is using  
23 at the moment.

24 That being the case, something called safety  
25 culture and how one fosters it becomes very important

1 relative to the new regulatory process that we are expecting  
2 to implement. There is certainly a reluctance on the part  
3 of the NRC to, you know, venture into anything that would  
4 smack of regulating management and an even stronger  
5 reluctance on the part of the industry to, you know, allow  
6 any small motion in that direction, but it seems to me that  
7 in the context of this new regulatory regime, that  
8 management is terribly important, and at a minimum, the  
9 agency needs to understand in what ways is it important, and  
10 how does the agency best foster this ownership of safety  
11 amongst its licensees, and I don't think we know that right  
12 now.

13 That's all I have.

14 DR. APOSTOLAKIS: Yes; the big question is really  
15 what is it that a regulator can do without actually managing  
16 the facility. That's really the fear.

17 Dennis Bley, please?

18 MR. BLEY: My name is Dennis Bley. I'm with  
19 Buttonwood Consulting. I have to leave in just a minute --

20 DR. APOSTOLAKIS: Sure.

21 MR. BLEY: -- so I thought I would say a couple of  
22 words quickly. The last 5 years, I've been on the National  
23 Academy committee overseeing the Army's destruction of  
24 chemical weapons, and the program manager for chemical  
25 weapons destruction has sponsored a lot of digging into this

1 area, and I think maybe they would be willing to share what  
2 they've found.

3 We've had people on our committee from DuPont,  
4 and, you know, the strong view from DuPont, coming back to  
5 what you were talking about earlier, is that if you get the  
6 little things under control, the industrial accident rates,  
7 those things, you won't have a bad accident. A lot of  
8 people don't believe that. They do very strongly. Jim  
9 Reason's book you were talking about, I think the last  
10 chapter, tenth chapter, he goes into that in some detail.

11 I kind of think from NRC's point of view, it gets  
12 difficult, because the expertise the Army has brought  
13 together to help them look at this in many places has all  
14 argued strongly that strong regulation and compliance don't  
15 get you where you want to be with respect to safety; it has  
16 to be the individual organization taking ownership, and all  
17 the way through, certain things are unacceptable, certain  
18 kinds of behavior are unacceptable by anybody, and that has  
19 to get buried into the whole organization.

20 Just an aside on ATHEANA, it would be -- where you  
21 pointed out where they would fit together, I think that's  
22 about right, and we've actually got, if you look at some of  
23 our examples, a little of that coming in but nothing like a  
24 real solid process for trying to find all of it. But I  
25 think you can -- there has been so much work in this area by

1 so many different people, including studies in industrial  
2 facilities, that it probably doesn't make sense to do it all  
3 over again.

4 But I'll just leave it with that. That's the one  
5 source I've seen where people have -- they've really tried  
6 to draw a broad range of expertise together to help them  
7 with the problem, which they haven't solved.

8 DR. APOSTOLAKIS: I believe the fundamental  
9 problem that we have right now is that people understand  
10 different things when the issue of culture is raised and so  
11 on. There was a very interesting exchange between the  
12 commissioners and the Senators. Senator -- I don't  
13 remember; Inhofe?

14 DR. SEALE: Inouye?

15 DR. APOSTOLAKIS: No, no, no.

16 DR. SEALE: Inhofe, yes.

17 DR. APOSTOLAKIS: He was told by Former Chairman  
18 Jackson something about -- it was somebody else; not the  
19 chairman about culture and organizational factors and boy,  
20 he said I've never heard -- he said I'm chairing another  
21 subcommittee of the Senate where we deal with Boeing  
22 Corporation and all of those big -- and I've never heard the  
23 FAA trying to manage the culture at Boeing and this and  
24 that, and how dare you at the NRC think about that?

25 And then, of course, we have our own commission

1 stopping all work, you know, overnight a year or so ago, and  
2 I think it's this misunderstanding; you know, I really don't  
3 think it's the role of the regulator to go and tell the  
4 plant manager or vice president how to run his plant. On  
5 the other hand, there are a few things that perhaps a  
6 regulator should care about. I don't know what they are,  
7 but for example, the existence of a minimum set of good work  
8 processes, in my opinion, is our business, and especially if  
9 we want to foster this new climate that I believe both  
10 Dennis and Jack referred to. In a risk-informed  
11 environment, some of the responsibility goes to the  
12 licensee. Now, we are deregulating electricity markets and  
13 so on, so that's going to be even more important.

14 But I guess we never really had the opportunity to  
15 identify the areas where it is legitimate for a regulatory  
16 agency to say something and the areas where really it is  
17 none of our business, and it's the business of the plant.  
18 And because of the fear that we are going to take over and  
19 start running the facility, we have chosen to do nothing as  
20 an agency.

21 DR. SEALE: Well, that goes to the question of  
22 where is it we ought to butt out? Where should we butt out?  
23 What are the things that we do that are counterproductive?

24 DR. APOSTOLAKIS: Absolutely right; absolutely  
25 right.



1 DR. BONACA: But again, I think if you want to  
2 talk about culture, management up there, it's very, very  
3 hard, and again, we're struggling with looking at an  
4 indication of an organization that works or doesn't work.  
5 At the industrial level, there are indications all over the  
6 place. But those indicators have to do with does the work  
7 process work, for example? Is the backlog that people  
8 perceive they have overwhelming them? What kind of --  
9 absolutely. And again, there is work that is being done  
10 inside these utilities to look at those indicators there,  
11 and they don't even measure management per se; simply  
12 something is wrong with the organization. When you have  
13 something wrong with the organization, you go to the  
14 management, and you change it, because you expect that you  
15 will be able to manage that.

16 But I'm saying that it's probably feasible to come  
17 down to some of these indicators, and I think that the  
18 utilities are trying to do that.

19 MR. SIEBER: I would sort of like to add: I've  
20 been to some regional meetings for clients of mine where the  
21 plants have been having problems, where the regional  
22 administrator or his staff has asked questions about  
23 performance indicators on productivity, and for example, a  
24 lot of these processes are just a bunch of in-boxes, you  
25 know, like your work process. Which one is the in-box that

1 has big holes in it? Why isn't work getting done? I've  
2 seen the NRC ask those questions. I think they're  
3 legitimate questions, and on an individual basis, I think  
4 that they're appropriate questions, but I have not seen an  
5 initiative to ask them across the board.

6 DR. BARTON: They all do relate to cultural  
7 issues.

8 MR. SIEBER: That's right.

9 DR. POWERS: Yes.

10 MR. SIEBER: Each one of them by itself is an  
11 indicator, and I think industrial safety is a prime  
12 indicator. You know, if you --

13 DR. BARTON: If it wasn't, they wouldn't spend so  
14 much time looking at it.

15 MR. SIEBER: Yes, and we actually hired DuPont,  
16 who is very good, to help us with ours, and our record, our  
17 accident rates, went down by over 90 percent. I mean, it  
18 actually worked, and that's part of the culture. If you  
19 can't make yourself safe, how can you make a power plant  
20 safe?

21 DR. BARTON: There are things you can look at  
22 without really getting into the management, so to speak, of  
23 the company. I think you have to draw that line, because  
24 the industry is going to get nervous as heck. They're just  
25 going to say -- they'll start looking at the safety culture

1 and management's confidence and all that stuff. I think  
2 there is a set of things that you can look at objectively  
3 and determine what is the culture of this organization. You  
4 just have to figure out how to package it.

5 DR. APOSTOLAKIS: That's the problem.

6 DR. BARTON: How to package it.

7 DR. APOSTOLAKIS: That's the problem.

8 DR. BARTON: Expect that if you're looking at a  
9 bunch of indicators right now that I would tell you would  
10 fit into a box called culture. Look at it right now.

11 DR. BONACA: Well, I mean, again, there have been  
12 efforts; I've been participating in one, and I believe that  
13 if you look at other people who do it, they're finding out  
14 the same points. Now, again, you're going down to opinions  
15 for objective readings of certain boxes of work being  
16 accomplished or not accomplished.

17 DR. BARTON: And that's the problem. It's what  
18 you can do when you take this data, and you get it back to  
19 the region, and that's where people really get nervous now.

20 DR. BONACA: But I was talking about trying to  
21 correlate, for example, working efficiencies of backlogs,  
22 actual outcomes that you can measure somewhat for using PRA.  
23 That's -- I mean, that's probably something that you can do.

24 MR. SIEBER: One of the problems is that the boxes  
25 from plant to plant are not standardized. The thresholds

1 that differ from plant to plant. So interplant comparisons  
2 are not very accurate. On the other hand, you know,  
3 something is better than nothing. And that's what plant  
4 managements use to determine the state of culture and how  
5 safe they are and how safe they aren't and how well their  
6 processes work. That's how you run the plant.

7 DR. POWERS: One of the things that I find most  
8 troublesome right now is taking the DuPont experience, and  
9 this attitude I hear all the time, the Mayer approach toward  
10 safety; you take care of all the little things, and the big  
11 things will take care of themselves versus we want to focus  
12 on the most important things in risk assessment. We seem to  
13 be dichotomizing opposite views. I'm wondering if we really  
14 want the outcome we're going to get going to risk-informed.

15 DR. SEALE: I'm not so sure.

16 DR. POWERS: It seems like it's worth thinking  
17 about, because these things have been very successful in  
18 another industry.

19 DR. SEALE: The thing, though, is that the things  
20 that are getting ruled out, if you will, on the basis of not  
21 contributing to risk are not the little things that show up  
22 in the plant performance things. They're truly the --  
23 they're the not even on the radar screen things. At least  
24 that's my impression. It's a good point, but I don't think  
25 you're talking about the same population when you say risk

1 versus low risk on the one hand and little things versus big  
2 things on the other hand.

3 DR. APOSTOLAKIS: Anyone from the staff or from  
4 the audience want to say anything?

5 [No response.]

6 DR. APOSTOLAKIS: Okay; any other comments?

7 [No response.]

8 DR. APOSTOLAKIS: Thank you very much. We will  
9 adjourn. So, this meeting of the subcommittee is adjourned.

10 [Whereupon, at 3:10 p.m., the meeting was  
11 concluded.]

12

13

14

15

16

17

18

19

20

21

22

23

24

25


REPORTER'S CERTIFICATE

This is to certify that the attached proceedings  
before the United States Nuclear Regulatory Commission in  
the matter of:

NAME OF PROCEEDING: MEETING: HUMAN FACTORS

PLACE OF PROCEEDING: Rockville, MD

were held as herein appears, and that this is the original  
transcript thereof for the file of the United States Nuclear  
Regulatory Commission taken by me and thereafter reduced to  
typewriting by me or under the direction of the court  
reporting company, and that the transcript is a true and  
accurate record of the foregoing proceedings.



Mark Mahoney

Official Reporter

Ann Riley & Associates, Ltd.