

**Official Transcript of Proceedings**  
**NUCLEAR REGULATORY COMMISSION**

Title: Design Certification Rulemaking  
(DCR)  
Public Meeting

Docket Number: N/A

Location: Rockville, Maryland

Date: December 4, 1995

Work Order No.: NRC-435

Pages 1-162

NEAL R. GROSS AND CO., INC.  
Court Reporters and Transcribers  
1323 Rhode Island Avenue, N.W.  
Washington, D.C. 20005  
(202) 234-4433

1 UNITED STATES OF AMERICA  
2 NUCLEAR REGULATORY COMMISSION  
3 + + + + +  
4 DESIGN CERTIFICATION RULEMAKING

5 (DCR)

6 PUBLIC MEETING

7 + + + + +

8 MONDAY,

9 DECEMBER 4, 1995

10 + + + + +

11 ROCKVILLE, MARYLAND

12 + + + + +

13 The Public Meeting was held in the Auditorium of  
14 the Nuclear Regulatory Commission, Two White Flint North,  
15 11565 Rockville Pike, at 1:00 p.m., Jerry N. Wilson,  
16 presiding.

17  
18 PRESENT:

19 Dino Scaletti	NRC/DRPM/PDST
20 Jerry Wilson	NRC/DRPM/PDST
21 Ralph Architzel	NRC/DRPM/PDST
22 Stu Magruder	NRC/DRPM/PDST
23 Joe Sebrosky	NRC/DRPM/PDST
24 Tom Kenyon	NRC/DRPM/PDST
25 Bill Huffman	NRC/DRPM/PDST

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1	Tom Boyce	NRC/DRPM/PDST
2	Diane Jackson	NRC/DRPM/PDST
3	Harry S. Tovmassian	NRC/RES
4	Brad Hardin	NRC
5	Brian Grimes	NRC
6	A. S. Masciantonio	NRC
7	J. Taylor	NRC
8	L. Raghavan	NRC/OEDO
9	L. Soffer	NRC/OEDO
10	Bob Weisman	NRC/OGC/HOE
11	Myron Karman	NRC/OCM/KR
12	John Moaninger	NRC/DSSA/SCSB
13	Michael Markley	NRC/ACRS
14	Geary Mizuno	NRC/OGC
15	Marc Rowden	FF-GE
16	Regis Matzie	ABB-CE
17	Ninu Kaushal	COM ED
18	Don Croneberger	GPU NUCLEAR
19	Stan Blanton	BALCH & BINGHAM (SNC)
20	Joseph R. Egan	EGAN & ASSOCIATES
21	Mel Gmynek	NEI
22	Robert W. Bishop	NEI
23	Russ Bell	NEI
24	Joe Colvin	NEI
25	R. P. McDonald	ARC

# NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

(202) 234-4433

(202) 234-4433

1	Steven Stone	STONE & WEBSTER
2	Sterling Franks	DOE/NE-50
3	Norm Fletcher	DOE
4	Ernie Condon	DOE
5	Frank Ross	DOE
6	Brian McIntyre	WESTINGHOUSE
7	Albert Michaels	EPRI
8	Gary Vine	EPRI
9	Mike Schoppman	FPL
10	David Helker	PEPCO ENERGY
11	Steve Frantz	MORGAN, LEWIS & BOCKIUS, LLP
12	Steve Breaver	AEP
13	Joseph Quirk	GE-NE
14	Evyrett Whitaker	TVA
15	John Trotter	POLESTAR-APP. TECHNOLOGY
16	Steve Katradis	NUS CORP.
17	Darrell Eisenhut	NUS
18	Charles B. Brinkman	ABB-CE
19	Barton Z. Cowan	ELITERT SEAMANS
20	David L. Rehr	DUKE POWER CO.
21	W. C. Ramsey	SOUTHERN CO. SERVICES
22	Ben J. George	SOUTHERN NUCLEAR
23	Jose Conto	TEPCO
24	Jay Silberg	SHAW PITMAN
25	Harold R. Denton	SELF/NUS/DOE

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 Tricia Heboux

SELF/DOE

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

(202) 234-4433

(202) 234-4433

## I N D E X

	<u>AGENDA ITEM</u>	<u>PAGE</u>
1	Purpose and Procedures - Jerry N. Wilson, NRC	6
2	Opening Statements	8
3	DCR Issues:	
4	Scope of Finality for Design Certification	21
5	Finality of Permitted Changes	30
6	Applicable Regulations	87
7	ITAAC Verification	103
8	Severe Accident Consideration in Tier 2 Change	
9	Process	108
10	Role of DCD Introductory Provisions	113
11	Criteria for Determining Existence of Unreviewed	
12	Safety Question	53
13	Expiration of Tier 2* Restrictions	134
14	Process for Control of Plant Technical	
15	Specifications	146
16	Applicability of ITAAC Under Part 50	152
17	Duplicate Documentation, Simplification of	
18	DCR Language, and Generic Process Issues	157
19	Adjourn Meeting	162

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

(202) 234-4433

(202) 234-4433

P R O C E E D I N G S

1:06 p.m.

MR. WILSON: Can we go on the record? On behalf of the Nuclear Regulatory Commission, I welcome each of you to another public meeting on the design certification rulemaking for the ABWR and System 80+ designs.

This meeting was announced in the Federal Register on October 18th and invitations to this meeting were sent on November 2nd to the 22 organizations that submitted comments on the proposed design certification rules.

If you haven't already registered, please do so at the desk outside and copies of the agenda and proposed design certification rules are also available at the registration desk.

I'm Jerry Wilson. I'm the lead for design certification rulemaking. Also representing the NRC at the head table are Mr. Crutchfield at my left, Mr. Russell at my right and Mr. Malsch at his right.

Proceedings of this meeting are being recorded by a court reporter and the transcript will be available at the NRC's public document room. Copies of the transcript of this meeting may also be obtained from Mr. Corbett and you may see him after the meeting.

If you have a statement during the meeting, please use a microphone and identify yourself to Mr. Corbett.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 Previously, the NRC held public meetings on these  
2 design certification rules in July of 1992, November of 1993,  
3 and May of 1995. Also, there have been numerous public  
4 meetings on the GE and CE applications since 1987.

5 The purpose of this meeting is to provide an  
6 opportunity for clarification of the submitted comments.  
7 This is not an opportunity to provide new comments, nor will  
8 we be negotiating or achieving resolution issues at this  
9 meeting.

10 We plan to adjourn this meeting at 5 p.m.,  
11 however, as a contingency, we have made arrangements to  
12 continue this meeting tomorrow morning if we have not  
13 completed the agenda by 5 p.m.

14 Now four individuals have requested an  
15 opportunity to make opening remarks at this meeting. We ask  
16 that these presentations be limited to no more than five  
17 minutes in duration so that we may have sufficient time for  
18 the remaining issues on the agenda.

19 I will call the individuals alphabetically  
20 beginning with Mr. Colvin.

21 MR. COLVIN: Thank you and good afternoon. I'm  
22 Joe Colvin from the Nuclear Energy Institute and on behalf of  
23 the nuclear energy industry, including all the utilities, the  
24 vendors, the plant designers and nearly 300 member companies  
25 of the nuclear energy industry, I want to extend our thanks

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005



1 and appreciation for the opportunity to schedule this meeting  
2 and to appear before you to meet with the staff and the other  
3 members of the public and discuss the design certification  
4 rulemaking for the ABWR and the System 80+.

5 I think it's important to go back and look where  
6 we've come from and go back to the bold step and decisive  
7 step that the NRC took in 1989 to issue Part 52, 10 CFR 52.  
8 That initiative, then and now, aims to achieve the early  
9 resolution of licensing issues and enhance safety and  
10 reliability at nuclear power plants. We agree with these  
11 goals explicitly. Those goals must be achieved in order to  
12 preserve the viability of this important option as a safe,  
13 clean and reliable source of energy to meet our country's  
14 future energy needs.

15 Complementing the NRC's part 52 initiative, the  
16 industry has its own strategic plan for building advanced  
17 light water reactors and I have given Jim Taylor a copy. We  
18 intend to release the fifth annual update of this plan at a  
19 meeting on Thursday, and I'll provide this copy for you also  
20 at this meeting.

21 If you look back to that strategic plan when the  
22 original issue was in November 1990, we've really made  
23 remarkable progress and we've made remarkable progress across  
24 all fronts, particularly in the improved safety and  
25 reliability operating reactors. But perhaps most noteworthy

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 in all these successes is the success that we share with the  
2 NRC trying to resolve these safety issues, bringing these  
3 world class designs to the threshold of the first ever design  
4 certifications.

5 The staff, the ACRS and certainly the Commission  
6 are to be commended for their efforts in working through  
7 literally thousands of important policy issues that have been  
8 before us as we near these important milestones of Part 52.

9 These design certification rules do more than  
10 formally establish the safety of the ABWR and System 80+  
11 designs. They also lay out key aspects of a licensing  
12 framework for the original Part 52 system and as the  
13 Commission stated in their staff requirements memorandum back  
14 in March of this year, these rulemakings "provide final  
15 opportunity to examine the design certification process, to  
16 insure that it will accomplish what is intended."

17 In that same SRM, the Commission stressed the  
18 importance that these potential combined licensed applicants  
19 perceive the process to be workable and it requested the  
20 staff to give special attention to the resolution of comments  
21 aimed at insuring a workable process.

22 When I looked at this issue and I've watched  
23 this, it seems to me very remembering of the license renewal  
24 rulemaking we were in last year addressing Part 54 when  
25 Chairman Selin basically said, and I quote, "in this case we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 have a rule which is designed to encourage licensees to do  
2 something which in certain circumstances we believe is  
3 desirable. So it's not enough for us, the NRC, to think it's  
4 a good rule. If the potential applicants don't find it a  
5 good rule, it will not accomplish its objectives. So in this  
6 case dealing so closely with representatives of the industry,  
7 so long as we preserve the health and safety aspects that's  
8 clearly called for since it's their activity that is to be  
9 induced, rather than just command it as we would normally  
10 do." I think it's precisely from that perspective that we're  
11 really looking at some of the discussions today and as we  
12 discuss these design certification rules to insure that these  
13 issues, that this is an inducement rather than an obstacle to  
14 potential combined license applicants.

15 In our August 4th comments, we explained exactly  
16 why we perceived there to be some obstacles and certain key  
17 aspects of those proposed rules that would cause them to fail  
18 to meet the key objectives, including the early once and for  
19 all resolution of safety issues and more productive and  
20 stable licensing process.

21 As a result, we've proposed some alternatives in  
22 there. Our objective for this meeting is as originally  
23 intended by Mr. Taylor to be a full and open discussion of  
24 some of these remaining issues, to assist the NRC in  
25 understanding these issues, understanding the industry's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 viewpoint and leading to ultimate development of final design  
2 certification rules that will achieve our intended results.

3 We're here as the industry to provide you with  
4 these comments, to discuss these issues. We're counting on  
5 hearing candid feedback from the staff on the merits of our  
6 comments and recommendations and any concerns, certainly,  
7 that the staff has with those.

8 In particular, we believe those recommendations  
9 are really designed to hit at the process and try to make  
10 that process workable. We ask that the staff consider in  
11 that vein the industry's recommendations and discuss why  
12 those could not be in fact, incorporated, if we've addressed  
13 the public health and safety issues up front.

14 I think it's appropriate that we focus on  
15 insuring that that process is sound as these designs are  
16 being certified. With that in mind, we look forward to  
17 today's discussions in which we hope we will contribute to  
18 the final development of these rules.

19 I might add there is significant interest in  
20 today's proceedings and this outcome from around the world,  
21 principally Asia, and also in Europe, where they are watching  
22 how we are going to address these issues to determine the  
23 viability of this process as we move forward.

24 Thank you very much.

25 MR. WILSON: Thank you, Mr. Colvin. Mr. Franks?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 MR. FRANKS: Thank you, Jerry, and I'd like to  
2 take the opportunity to thank everyone including industry as  
3 well as NRC for being able to hold this public workshop and  
4 express our views so that the public understands our views  
5 and be very candid to try to work toward the resolution of  
6 some of those issues.

7 As you're aware, the design certification program  
8 is vital to the national energy strategy for the U.S.  
9 government. The Department's involvement represents over  
10 \$140 million of investment by taxpayers of which that \$140  
11 million has been matched equally or in excess of by the  
12 nuclear industry.

13 The strategy supports the goals that were set  
14 forth in Part 52, standardization, to enhance safety and  
15 reliability of future designs and provide a basis for stable,  
16 predictable licensing processes and to provide a forum for  
17 early resolution of licensing issues.

18 As we went forward over the last several years  
19 implementing the technical aspects of Part 52, we were all in  
20 the throes of addressing significant policy in those veins  
21 that the design certification rules have been published. I'd  
22 like to express that in publishing those certifications that  
23 the designs that the NRC has made a statement with regard to  
24 the final design approvals is from the Department's  
25 standpoint valid and correct. There is significant

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 enhancement in the safety and design of these new advanced  
2 light water reactor plants.

3           So I'm here today principally to address a couple  
4 of fundamental issues and those issues are process related.  
5 They're either process related or interpretations used that  
6 we have concerns about that would potentially cause some  
7 uncertainties with potential furtherance of combined  
8 operating license application and I'll briefly mention those  
9 because I think the industry is going to talk in detail about  
10 those during the course of the day.

11           But first, as I said, when we implemented this  
12 and we came to the point where we had developed a draft of  
13 those rules, I felt it was time to take a step back since  
14 we've been so enthralled in the reviews and really reassess  
15 the rule as it's written, reassess Part 52 as it was written,  
16 and the way I accomplish that was to form a group of folks  
17 that had not been involved in the day to day heat of the  
18 battle of resolving and making determinations with regard to  
19 the acceptability of these designs. So we established an  
20 independent review team and independent in that they had not  
21 been involved on a day to day basis over the last several  
22 years like we had.

23           I wanted to step back and put their sales  
24 acquisition where they were 10 years from now and they had  
25 the responsibility as the chief financial officer, chief

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 executive officer to make a determination whether they --  
2 which reactor plant designs they were going to select and  
3 whether the certification that had laid in front of them for  
4 the last 10 years was of sufficient detail and clarity that  
5 one would feel comfortable in selecting a nuclear option.

6 By and large, the independent review only had one  
7 major concern and that was the confusion and the lack of  
8 clarity and the process not in the actual technical details  
9 of the designs.

10 So let me point out five key issues I think we  
11 need to put on the table today and hear from the industry on  
12 and then later on after the industry has spoken on those,  
13 there are a couple of other processes I'd like to discuss.  
14 So first is that the language in the text of the  
15 certification or the notice of proposed rules is not specific  
16 in the degree of finding that the NRC has.

17 MR. WILSON: Could we do those when we get to  
18 them?

19 MR. FRANKS: Yes. I'm just going to mention the  
20 issues on the part of the U.S. government's record and then  
21 represent views on that.

22 The finding is limited, in other words, we  
23 haven't made a sufficient statement with regard to the  
24 acceptability of these designs.

25 The Department feels the change process is too

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 restrictive and it adds some confusion as to how you go about  
2 implementing a change process. The change control and  
3 requirements of the probabilistic risk assessments appears to  
4 be very cumbersome and imposition of the term new applicable  
5 regulations in my opinion, provides no useful purpose. In  
6 certifications you have specified the regulations that you  
7 were against and you've made a determination of those  
8 regulations so that imposed another term like applicable  
9 regulations may not be very beneficial and may cause some  
10 uncertainties.

11 I've presented the potential negative aspects but  
12 I wanted to reinforce the positive aspects that the standard  
13 designs are acceptable as you appropriately concluded in your  
14 design review, that all I'm concerned are process matters and  
15 I say "all" very similar to Mr. Colvin mentioned about Part  
16 54, that the rule on implementing the license extension was  
17 process related. I think that's where we're at with these  
18 new advanced designs, the safety of these new advanced  
19 designs is acceptable, it meets or exceeds current day  
20 standards and in most cases exceeds.

21 So with that in mind, I would like for us all to  
22 objectively do what I challenged our independent team to do  
23 and that's pull away from the throes of the details and  
24 reassess, do we have a process that will be customer driven  
25 and provide the customer the competence to order the next

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005



1 generation nuclear plant.

2 Thank you very much.

3 MR. WILSON: Thank you. Mr. Matzie?

4 MR. MATZIE: I'd like to thank the staff for the  
5 opportunity to make some brief remarks at this workshop. Good  
6 afternoon. My name is Regis Matzie. I'm the Vice President  
7 of Engineering for ABB Combustion Engineering Nuclear  
8 Systems. I'm responsible for the design, licensing and  
9 engineering of the System 80+ standard plant design. System  
10 80+ is one of the two evolutionary advanced light water  
11 reactor designs featured in rulemaking under discussion  
12 today.

13 With me are Mr. Charles Brinkman, ABB Combustion  
14 Engineering's Director of Nuclear Licensing and Mr. Joe Egan  
15 of Egan & Associates, counsel for ABB in the rulemaking  
16 proceedings.

17 Also, in the audience is Mr. Steve Stam  
18 representing our System 80+ partner, Stone & Webster  
19 Engineering Corporation.

20 I want to make some very brief observations about  
21 why we are here today. In 1987, Combustion Engineering began  
22 work with the NRC staff to gain approval of the System 80+  
23 standard plant design. In 1989, when the NRC issued 10 CFR  
24 Part 52 to cover the certification of standardized plants,  
25 ABB-CE applied for a design certification for System 80+.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 What followed was a long, arduous and extremely thorough  
2 review of the System 80+ complete plant design by the NRC  
3 staff and the advisory committee on reactor safeguards.

4 In July 1994, all this culminated in the NRC  
5 granting a final design approval for the System 80+ design.  
6 ABB is proud of this achievement and is very pleased with the  
7 System 80+ standard plant design which is even now being  
8 offered in world markets.

9 However, the purpose for which ABB Combustion  
10 Engineering and the U.S. Department of Energy expended these  
11 efforts and resources was to couple the design improvements  
12 of the System 80+ design with the licensing process  
13 improvements we believe were incorporated in Part 52. Part  
14 52 was developed to foster a new and more effective licensing  
15 regime in the expectation that few, if any, U.S. nuclear  
16 utilities would ever again build a nuclear power plant  
17 without licensing reform.

18 The intent of this new regime was to solve key  
19 design and licensing issues up front and thereby make it  
20 possible for the industry to consider once again building  
21 nuclear power plants of a safer, more advanced and  
22 standardized design.

23 In essence, design certification rules were to be  
24 rules for use by the industry. It follows that if the  
25 industry believes it cannot use these rules, notwithstanding

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 the fact that they are based on the best designs ever  
2 approved by the NRC, then the objectives of Part 52 will not  
3 have been realized.

4 Having reviewed the April 7, 1995 notice of  
5 proposed rulemaking, we have concluded that the rules  
6 proposed by the staff do not meet the industry's  
7 expectations. We believe significant changes must be made to  
8 the proposed rules and we and our colleagues are here today  
9 to discuss what those changes should be and why they're  
10 necessary.

11 We look forward to discussions to follow. Thank  
12 you.

13 MR. WILSON: Thank you, Mr. Matzie. Mr. Quirk?

14 MR. QUIRK: Good afternoon. My name is Joseph  
15 Quirk. I am GE's project manager for the ABWR certification  
16 program. The ABWR is one of two advanced light water reactor  
17 designs that are the subject of pending Part 52 design  
18 certification rulemaking.

19 I'm accompanied today by Marcus Rouden on my left  
20 and by Steven Franz on his left, consulting counsel for GE  
21 Nuclear and the ABWR proceeding.

22 My statement today is on behalf of Steven Specker  
23 who heads GE's nuclear operations. Dr. Specker is  
24 unavailable to be here today because he is in Japan  
25 furthering the program for plants of ABWR design, a design

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 that has long since gained the approval of Japan's safety  
2 authorities and the first units of which are now nearing  
3 construction completion there. And in fact, the first unit  
4 has begun to load fuel operations.

5           The issuance of a final design approval for the  
6 ABWR is a milestone for design standardization and stands as  
7 the major accomplishment for the NRC as well as GE. The  
8 challenge now is to embody that pioneering safety approval in  
9 a workable design certification rule, a rule that will give  
10 practical viability to the Part 52 licensing process.

11           Accordingly, we welcome today's opportunity for  
12 dialogue with the staff on what we consider to be the  
13 critical process issues in the certification rules for the  
14 ABWR and the System 80+ designs.

15           You will hear from GE and other commenters today  
16 some pointed criticism of specific process provisions and a  
17 proposed design certification rules and equally direct  
18 recommendations for remedial changes. Such forthright  
19 expression by those affected by these rules is a necessary  
20 part of the rulemaking process. Indeed, it would be a  
21 disservice to the Commission and to our common interest in  
22 realizing workable Part 52 licensing if we did not make our  
23 comments clear.

24           The purpose of our recommendations for process  
25 change in the proposed rules is to strengthen these rules so

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 as to achieve the stable and predictable facility licensing  
2 process, of which Part 52 and the Energy Policy Act of 1992  
3 are intended to bring about.

4 We want Part 52 to work. And our comments are  
5 made in that constructive spirit. The substantial financial  
6 and technical resources extended on ABWR development and  
7 obtaining NRC design approval demonstrates GE's part 52  
8 commitment unmistakably.

9 Our workshop aim is straight forward, a candid  
10 expression of use by the rulemaking participants and direct  
11 responses by the NRC staff. In particular, we would like to  
12 hear the staff's reaction to our recommendations so that we,  
13 in turn, can respond to any concerns the staff may have.  
14 Such an exchange is essential to the formulation of effective  
15 final rule.

16 Without it, needless misunderstanding can  
17 persist. The NRC will lack an appreciation of the adverse  
18 impacts of the provisions we asked to have changed and the  
19 Commission will be deprived of the record it needs for sound  
20 rulemaking action.

21 The provisions with the industry has identified  
22 for discussion today are central to whether the design  
23 certification rules adopted by the Commission will be  
24 considered for use by future utility customers. Our  
25 customers have expressed their deep misgivings about the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 deficiency of those provisions and in particular, regarding  
2 the lack of issue finality and the lack of licensing  
3 stability and predictability. Remedying those deficiencies  
4 is essential if Part 52 is to achieve its objectives and if  
5 the safety and economic benefits of these advanced designs  
6 are to be realized in our own country.

7 Thank you.

8 MR. WILSON: Thank you, Mr. Quirk. Would anyone  
9 else like to make an opening statement? Seeing no requests,  
10 let's move on to the main agenda.

11 In response to our invitation to this meeting, we  
12 received requests from NEI and the Department of Energy to  
13 include specific issues on the agenda. These issues are  
14 listed in the order specified and their requests. I will  
15 introduce each issue and open the meeting up for questions  
16 from the NRC staff and others in the audience.

17 The first item on the agenda is the issue of  
18 scope of finality for design certification. And this is in  
19 NEI's comments Section I.B and I.D. There's two subissues  
20 here. One, NEI believes that all matters within the  
21 certified design should have finality including proprietary  
22 safeguards theory and secondary references. And the other  
23 subpart is NEI's request that the design certification rules  
24 include finality for proceeding subsequent to the combined  
25 license for operating license proceedings.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 Does staff have particular questions on this  
2 issue?

3 MR. MALSCH: My name is Marty Malsch. I'm NRC  
4 Deputy General Counsel. Let me just break this down into a  
5 couple of subissues. Clearly, the overall objective of the  
6 certification process is to achieve issue finality for the  
7 purpose of later proceedings and so the question really is  
8 not so much overall objective, but the fine points of how  
9 that's worded in the design certification rule and the  
10 subissues appear to be (1) whether a conclusion that the  
11 design is safe and acceptable and complies with the  
12 Commission's regulations includes, as inherent in such a  
13 finding, a determination that additional or alternative  
14 structures or features are not necessary, that's one issue.  
15 Lack of need of additional structures, components or other  
16 features or analyses, for that matter. Whether issues should  
17 be considered resolved if they are inherent within the scope  
18 of the design but don't appear to have received specific  
19 attention in the staff's safety evaluation report and then I  
20 think what is the most interesting issue of all, what kind of  
21 finality should be associated with changes made in accordance  
22 with the change process, that is to say, changes made in the  
23 Tier 2 of the rule.

24 Let me just see if I've captured, around the  
25 table here, captured the essential questions here under No.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 1.

2 MR. WILSON: Ron, will you be fielding the  
3 questions and decide who is going to respond? How do you  
4 want to handle that?

5 MR. SIMARD: The main responder would vary with  
6 the issue. Jerry, in this case we thought Bob Bishop would  
7 begin with the clarification of what are our concerns.

8 MR. BISHOP: Well, I think Marty has summarized  
9 them well. We think that this is an issue that goes to the  
10 heart of the process and really is critical to the  
11 determination of the scope, the nature and the viability of  
12 the design certification.

13 We think that the fundamental attributes that  
14 need to be highlighted are clear in all of these prospects  
15 that Marty has laid out, that each of them have been reviewed  
16 and in turn approved by the staff and anything that has been  
17 subject to that scrutiny deserves finality, deserves not to  
18 have the issue reopened, either during this process or during  
19 some subsequent process, with the caveat that of course  
20 anything that's site specific would need to be dealt with in  
21 site specific proceedings when they occur.

22 Our concern is that -- let me restate that. We  
23 appreciated the clarification that the staff provided in the  
24 public meeting on June 27th that based upon the reflection of  
25 the comments received we believe that the features within the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

(202) 234-4433

(202) 234-4433



1 scope of the certified design would be considered final. I  
2 guess that's probably the first thing that we could discuss.  
3 Our view of finality is it does go to the entire scope of  
4 what the design was that was certified, whether or not it is  
5 explicitly mentioned in the DCD or in the FSAR, if it is  
6 within, and fairly within the scope of the design, then that  
7 issue cannot be raised subsequently. My shorthand example is  
8 the fifth main coolant pump, that nobody proposed and nobody  
9 evaluated in the DCD and certainly never mentioned nor in the  
10 FSAR have addressed, yet we would presume that no one have  
11 the authority or the opportunity to raise that issue in any  
12 kind of a subsequent proceeding, because in our view that's  
13 within the scope of the design that was approved. So  
14 perhaps, Marty, if you could --

15 MR. MALSCH: Well, I might want to pass this over  
16 to Jerry, but that relates basically to the kind of review we  
17 conducted. WE thought it was probably kind of reasonable to  
18 suppose that as a reviewer was going through the design it  
19 was those kinds of issues that were in the reviewer's head,  
20 even though they weren't specifically marked down in the FSAR  
21 and that was adherence in the safety review. But it really  
22 depends upon the nature of the review and let me just pass it  
23 over, I guess, to Jerry and see whether he would confirm  
24 that's the kind of process reviewers went through.

25 MR. WILSON: In a word, yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 MR. BISHOP: And that's why, Marty, I'm going  
2 back to your comment as I've tried to write it down.

3 MR. RUSSELL: Can I ask for clarification? Bill  
4 Russell, Director of NRR. The issue appears to be one of if  
5 the staff did not explicitly exclude things, the potential,  
6 I guess is something new could be identified with enhancement  
7 later to be brought in and so it's the sufficiency of finding  
8 that the design as described is adequate. Is that the  
9 fundamental issue that you're dealing with?

10 MR. BISHOP: Yes.

11 MR. RUSSELL: One area that I see could be of  
12 concern and that is the issue of backfit that meets an added  
13 protection standard. Let's say something occurs as a result  
14 of operating experience, some new phenomena or issue is  
15 identified and we conclude through a rulemaking process that  
16 backfitting is necessary to meet an adequate protection  
17 standard. That part of the process you do not object to?

18 MR. BISHOP: Absolutely not.

19 MR. ROUDEN: Can I just add a point? We believe  
20 that the fact the constraints contained in 52.63 really  
21 reinforce our position that all matters within the scope of  
22 the design have been deemed adequate by the NRC and that the  
23 backfit mechanism, the backfit -- either the compliance with  
24 applicable regulations or necessary for adequate protection,  
25 those are the sole standards for dealing with matters within

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 the scope of the design as far as changes are concerned. So  
2 your question really reinforces our position.

3 MR. RUSSELL: That's what I wanted to understand.  
4 Your view is that the design, as it's proposed, is the design  
5 which is certified and that any changes to that design which  
6 would be of a generic nature as compared to something which  
7 may come up on a site specific interface issue or parameter  
8 would be something that would be governed under the backfit  
9 procedures for backfitting through a rulemaking activity?

10 MR. ROUDEN: That's right. There's one other  
11 addition to that, that changes to the design which are  
12 facility specific, not site specific, but facility specific,  
13 would also be governed by those backfit procedures. So there  
14 is parity.

15 MR. MALSCH: Yes, I think what we have to do is  
16 take a look at -- I know NEI has suggested some language  
17 changes that we've gone through preliminarily and we'll look  
18 at more carefully again.

19 My perspective, I think, we kind of had the same  
20 objectives that maybe our language wasn't as clear as it  
21 should have been and I think what we need to do is take a  
22 look at your language to see whether we can find chunks of  
23 that acceptable for our purposes.

24 MR. RUSSELL: There's a second piece that you  
25 mentioned and that is to the extent changes are made to Tier

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVENUE, N.W.  
WASHINGTON, D.C. 20005

1 2 material, that's a more difficult issue.

2 MR. MALSCH: That's a problem. That's issue no.  
3 2, I think. Am I right?

4 MR. WILSON: Yes.

5 MR. CRUTCHFIELD: Well, before we get to issue 2,  
6 for the most part the rulemakings have been done in open and  
7 publicly available. There are two aspects that are not  
8 covered by that. That's proprietary and safeguard material.  
9 How would you propose that they be addressed with respect to  
10 this finality question?

11 MR. BISHOP: Denny, my view is treated exactly  
12 the same way. That information has been, again, it shares  
13 the fundamental attributes of being an integral part of the  
14 design as much as the design of the main coolant. It's been  
15 reviewed and approved by the staff. It's been vetted or been  
16 able to be analyzed and evaluated by members of the public as  
17 they saw fit to comment in the rulemaking proceeding. There  
18 are processes available for it to be similarly available in  
19 individual licensing proceedings. I think the same  
20 attributes apply and the same result should append. That is  
21 also final and resolved.

22 MR. MALSCH: Let me chime in on that one. I  
23 should have mentioned that initially. That's kind of a  
24 tricky issue. The Commission decided some time ago they  
25 wanted the design certification rule to be publicly available

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 in total like any other NRC rule, virtually in any other NRC  
2 rule.

3           If we incorporate by reference to the rule and I  
4 think we're talking about Tier 2 of the rule at this point,  
5 right? We now have a rule which is in part not publicly  
6 available which is certainly, I'm not sure it's unique ion  
7 NRC practice, but it's certainly unequal in NRC practice and  
8 so there's a policy issue which I think we have to bring to  
9 the Commission's attention regarding the desirability of  
10 having a rule which is not generally available in the Federal  
11 Register like all other NRC rules. And there's two  
12 implications to that. There are two follow-on issues  
13 associated with that. One is, I guess, the policy, the  
14 desirability of having the rule, in part, not publicly  
15 available, and two, how would you accord issue preclusion to  
16 a rule which is not publicly available? We've done some  
17 research on that and there's case law that suggests that even  
18 though a rule may not be published and available for  
19 constructive notice purposes, it still may be binding on  
20 people with actual notice. I guess the question then is when  
21 we have sort of a complicated process, we'll need to make  
22 sure in any subsequent proceeding that there's a means  
23 available to make the rule available to those who would be  
24 potentially bound by it, bound by it in the sense that  
25 they're seeking to make issues which will be unraisable

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 because of issue preclusion.

2 MR. BISHOP: And I think that's my point, Marty.  
3 You had earlier described the difference between available to  
4 members of the public and generally available and I think  
5 that's an important distinction here. Surely it's not  
6 generally available and this information is available in the  
7 public document room, but there are good and solid public  
8 policy reasons why that's true. Safeguards is the easiest  
9 one. Propriety information and the commercial viability of  
10 that is also separately defensible, but it is in fact through  
11 this process and through any individual licensing process, it  
12 will be made available to members of the public who have an  
13 interest and who are participants in that proceeding.

14 The only threshold is you can't just go in the  
15 PDR and ask to have it opened up to you. There's another  
16 procedural step or two that has to be followed, but the whole  
17 purpose was to make it available to satisfy the public policy  
18 interest that underlies the publication of all the material  
19 that an agency uses in making its rulemaking decisions.

20 MR. ROUDEN: Marty, let me just add a thought  
21 here with regard to the policy aspect to this which is by the  
22 way not discussed in the notice of proposed rulemaking. All  
23 you discuss is the Office of Federal Register requirement for  
24 approval by incorporation by reference.

25 I think if you look at the legal avenues open for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 giving requirement or issue preclusion status to propriety  
2 and safeguards information, you also deal implicitly, if not  
3 explicitly with the policy considerations because the legal  
4 considerations embody national policy considerations. Number  
5 one, we think that by any fair reckoning and Bob has stated  
6 the function and the role that proprietary and safeguards  
7 information play in this process, that by any fair reckoning  
8 this information comprises matters that are available to the  
9 class of persons affected and thereby qualify for  
10 incorporation by reference approval by the Office of the  
11 Federal Register. That's number one. I think that's an  
12 avenue worth exploring in terms of dealing with the realities  
13 of the situation. You've got information which has all the  
14 functional attributes which would give it finality and we're  
15 dealing with a formality which precludes it from having  
16 finality.

17               Secondly, the same provision of the  
18 Administrative Procedure Act also calls for giving  
19 requirement status to this material if it's available on a  
20 timely basis to persons who are affected and as the  
21 discussion that you and Bob initiated, I think would  
22 indicate, if we followed it through, leads to the conclusion  
23 that this would be available to persons that are affected.  
24 Notices of its availability in connection with COL  
25 proceedings would be published, presumably in the Federal

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 Register or could be published in the Federal Register.  
2 Persons with an interest which could be affected, that is  
3 intervenors and potential intervenors could have access to  
4 this information under appropriate protective agreements.

5 We believe that it qualifies as material that  
6 would be timely and reasonably available.

7 MR. MALSCH: I have to ask a question. Looking  
8 at the process, let's say a future process, let's say  
9 combined licensing procedure, the normal process heretofore  
10 has been that if you're an intervenor and want to get access  
11 to let's say safeguards information or classified information  
12 that you would first need to get a contention admitted in a  
13 proceeding which would presume you've read the application  
14 and are filing contentions, address the specific parts of the  
15 application.

16 Now the extent to which the application is not  
17 available at that particular point in time then they couldn't  
18 frame contention, so the question would be whether if we went  
19 forward with this proposal and accorded finality to  
20 information which is not publicly available in a general  
21 sense, at least not prior to the particular licensing  
22 proceeding, whether the industry would be willing to make the  
23 material available to people, let's say, with an interest,  
24 prior to them having to establish contentions.

25 MR. ROUDEN: I think we would be willing to sit

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005



1 down and discuss with you a process which we discussed with  
2 you in connection with this design certification rulemaking  
3 proceeding.

4 Remember this issue has sort of been a work in  
5 progress. We started out by precluding availability of the  
6 interested public, of proprietary and safeguards information.  
7 We urge the Commission to change its position. The staff  
8 endorsed that recommendation. The Commission did so the  
9 commenters who showed a legitimate interest could have access  
10 to this information under protective arrangements.

11 I see no reason why we couldn't work out  
12 something comparable as far as COL proceedings are concerned.  
13 There is an anomaly, you know, in the staff's position. Even  
14 though on the one hand you say that these can't be deemed to  
15 be generally applicable requirements, the introductory  
16 material to the notice of proposed rulemaking which  
17 presumably would be incorporated in a statement of  
18 considerations says that these would be requirements for COL  
19 applicants.

20 MR. MALSCH: I recognize that.

21 MR. RUSSELL: Can I ask a follow-up question to  
22 your point? Thinking back now on the number of technical  
23 issues that came in, there were only a few and most of the  
24 issues have been associated with process, but if we were to  
25 either renote and indicate that certain information which

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 is proprietary or safeguards could be made available to  
2 qualified individuals or organizations who wish to comment  
3 and went through that process providing either in camera or  
4 some type of protective mechanism, that that might be a  
5 process that could be followed now in the context of the  
6 present rulemaking?

7 MR. ROUDEN: You've already done that in the face  
8 of the present rulemaking, so that's an obstacle that's  
9 already been overcome.

10 MR. RUSSELL: Was that sufficient clear at the  
11 time to potential commenters?

12 MR. ROUDEN: I think that was clear. In fact,  
13 that was a major point with us and we made it explicit. What  
14 I'm suggesting is we go one step further and that in  
15 connection with COL proceedings this information would be  
16 available to a defined class which had an appropriate  
17 interest and is prepared to accept appropriate protective  
18 arrangements.

19 In other words, they then would fall within a  
20 category of persons that would have timely notice of these  
21 requirements.

22 MR. MALSCH: Let me ask a question. Do you think  
23 it would -- let's suppose we went forward with this and at  
24 least with the concept to the extent we've taken this  
25 information and treated it as requirements. We also want to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 accord comparable issue finality. Would -- in your view,  
2 would it be fair to that proposition that we could not get  
3 approval of the Office of the Federal Register?

4 MR. ROUDEN: No, I think there are two different  
5 provisions. As a matter of fact, I'd be happy to quote them  
6 in the Administrative Procedure Act. The first is exclusion  
7 from the requirement of publication and that is to the extent  
8 a person has an actual and timely notice of the terms  
9 thereof, that's the one we've just been discussing.

10 The second is the standard for approval for  
11 incorporation by reference by the Office of the Federal  
12 Register and that is that matters reasonably available to the  
13 class of persons affected. I think there are two avenues for  
14 dealing with this. One is to seek approval of the Office of  
15 Federal Register for incorporation by reference. What the  
16 obstacles are to that, I don't know. We discussed in the  
17 past sitting down with the Office of the Federal Register,  
18 but independent of that, there are mechanisms within the  
19 existing regulatory process of the NRC and the licensing  
20 process for giving timely notice to persons with an interest  
21 in this, in COL proceedings.

22 MR. MALSCH: I think that could be. We may have  
23 to sit down with the Federal Register fellows and see. I  
24 think from their standpoint, my understand is they consider  
25 this to be a highly unusual proposition that there would be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 anything incorporated by reference that is not available  
2 publicly at the time the rule itself is published.

3 I think we'd be making from their standpoint a  
4 novel argument to argue that it's available at some point in  
5 the future when its actual effect is expressed.

6 MR. ROUDEN: Not only it has been, it is now and  
7 it will be available to qualified individuals and I think  
8 that we would urge that the Federal Register be asked to look  
9 at this in the context of the specifics of the NRC rulemaking  
10 and licensing process, not as an abstract proposition and  
11 we'd be happy to contribute what we can to go forward in  
12 those arguments.

13 MR. MALSCH: What if, for example, we publish the  
14 rule and let's say a month after that someone wrote in and  
15 asked to see a copy, would you be willing under some  
16 restrictive protective order to make it available even then  
17 prior to any kind of licensing procedure?

18 MR. ROUDEN: I'm not sure that it would be  
19 necessary for someone at that point to see it. On the other  
20 hand, one would have to contemplate that at some future time  
21 those persons who you said must submit this information in  
22 connection with sealed applications would have to have the  
23 opportunity to see this information. We have to work our  
24 arrangements for that.

25 I don't really think we've thought our way

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 through all the avenues that could lead down a success path,  
2 to resolution of this issue.

3 MR. MALSCH: You just think of some simple issues  
4 like we publish a design certification rule and a short time  
5 afterwards before any actual combined licensed applications  
6 use it as filed, someone writes in and says I want to see a  
7 copy of the rule.

8 MR. ROUDEN: No. I think that goes too far. In  
9 setting up the procedures for access by commenters, there  
10 were criteria specified by the Commission as indicators of a  
11 sufficient interest to allow this to be done.

12 We'd be happy, I think, to discuss with you  
13 comparable indicators as far as future actions is concerned.

14 MR. MALSCH: That's all I'm suggesting. It is  
15 not a blanket approval for anyone who wants to come in and  
16 take a look at this. I think there has to be a justifiable  
17 interest.

18 We're talking about people who are affected by  
19 this, classes of people who are affected by this.

20 MR. WILSON: Okay, any other questions on issue  
21 number one?

22 MR. MALSCH: Have you, let me just ask a  
23 question, have you had any discussions with the Office of the  
24 Federal Register? I don't think we have.

25 MR. ROUDEN: We have not had any discussions with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 the Office of the Federal Register on this. Our view,  
2 rightly or wrongly, has been that since this is an NRC  
3 regulation we should not approach the Office of Federal  
4 Register unless you're prepared to say our licensing process  
5 works in such and such a way.

6 MR. MALSCH: Okay.

7 MR. RUSSELL: Maybe we could approach them again.

8 MR. MALSCH: I guess that's a possibility. In  
9 the past they've been, as I said, reluctant to go ahead with  
10 a rule which incorporates by reference a document which is  
11 not then and there.

12 MR. ROUDEN: I would suggest that the NRC  
13 licensing process is less than transparent so that an  
14 explanation of how it works might be useful.

15 (Laughter.)

16 MR. FRANKS: Marty, Sterling Franks again. We  
17 have, from a Department of Energy standpoint, looked -- you  
18 know, pressed the Federal Register about this. There aren't  
19 many cases where they've asked for exceptions, but that  
20 doesn't say that they couldn't.

21 MR. RUSSELL: We just did this with the  
22 rulemaking for the vehicle barrier safeguards information as  
23 it relates to the size of the explosive charge being  
24 considered and size and mass of the vehicle. There we had a  
25 rulemaking where there is safeguards information that is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 referenced in the rulemaking, but is not generally publicly  
2 available. So I think there is a precedent even with the  
3 rulemaking we've just recently done.

4 I'm a little less sure about the proprietary  
5 aspects than the issue that I think I'm wrestling with in my  
6 own mind is the -- at the time of a combined license  
7 proceeding, the issues would be one as to whether there are  
8 any site specific interfaces that might impact the  
9 information. Other than that, the only other time it would  
10 come up is whether the actual facility has been constructed  
11 consistent with a proprietary information in the context of  
12 an ITAAC challenge which would be after a combined license  
13 proceeding. And so I think making the information available  
14 such that it could be challenged in the context of whether  
15 the facility was built in accordance with the terms and  
16 conditions of the design certification would be a case that  
17 it could conceivably come up. And there, I could see it  
18 would be very difficult to frame a contention, absent knowing  
19 what the design details are that it's supposed to be  
20 constructed to. So I think there's a ways to go in  
21 describing under what circumstances information would be  
22 released and how that might need to be dealt with. I could  
23 see it in the context of an ITAAC challenge. I don't really  
24 see these issues being challenged in a COL proceeding where  
25 the matters had been addressed from a design standpoint

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 because the site interface issues really should not impact  
2 proprietary information. I'm just not aware of any. They're  
3 going to be more utility unique operating licenses kinds of  
4 issues that are outside the scope of what we're trying to do  
5 now with design certification.

6 I'm almost of the opinion we're at a null set of  
7 issues of concern as it relates to design for a combined  
8 license proceeding, but they could be real issues come time  
9 to demonstrate an ITAAC if you're relying on proprietary  
10 information as a part of the basis of saying the facility has  
11 been constructed in accordance with a particular ITAAC.

12 MR. ROUDEN: Well, I think I can make a  
13 commitment on behalf of those with whom I've discussed this.  
14 We can sit down and work out parameters which would give  
15 persons who have a proper interest and access to this  
16 information, timely access to the information under  
17 appropriate protective agreements. They would not be  
18 prejudice thereby. If they disagree with the way the issue  
19 is resolved, they can use 7158. I mean we have a regulatory  
20 process which really accommodates this issue. I'm just  
21 saying we have to have the wit to apply that process to the  
22 issue.

23 MR. WILSON: Okay, we'll move on to item 2 which  
24 is related, that is finality of permitted changes. NEI has  
25 four subparts to this comment: changes subject to prior NRC

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005



1 approval and hearing opportunity; changes made in conformance  
2 with 50.59 like process; hearing opportunities for 50.59 like  
3 changes they claim are time dependent; and 50.59 like changes  
4 should have protection of the backfit standard in 10 CFR Part  
5 52.63.

6 Are there any questions on this particular area  
7 of comment by NEI?

8 MR. BISHOP: Perhaps I could begin again, Jerry.  
9 This boils down to a fairly straight-forward issue. Part 52  
10 itself provides for a defined, and some would say, a refined  
11 change process. It provides for different processes for  
12 changes of different significance, a change that has safety  
13 significance, tier 1 material has a dramatically different  
14 and appropriately so, change process than for instance those  
15 materials or those matters that have no safety significance  
16 which would fall within the proposed process of using the  
17 50.59 type change process.

18 I don't think there's any question as to those  
19 changes in the change process for safety significance. What  
20 we're really talking about is how the 50.59 process would  
21 work in this context. I guess I'd begin with just the  
22 observation that by definition the 50.59 process and its use  
23 cannot involve something that's safety significant. If you  
24 go through the process and you find it safety significant,  
25 you're no longer in the process. You now go to a different

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 change process. We think that there's no reason to move away  
2 from that process. It's a lawful, predictable, proven  
3 process. It's worked very well in operating plants and we  
4 think the same principles should apply in the context of  
5 using it in a plant that's been licensed under Part 52 as it  
6 does in a plant that's been licensed under Part 50.

7           We feel the same way, frankly, about the idea of  
8 a hearing that might be inserted in the process as was  
9 defined in the proposed rule. To use that as a process to  
10 restrain Tier 2 changes, in our view, frankly, that's a  
11 misuse of the hearing process. It does not merit any logical  
12 kind of consideration other than it does indirectly what  
13 might be better done or at least challenged on a more direct  
14 fashion.

15           In our view on that issue, economic benefits of  
16 standardization notwithstanding the NRC's flexibility that  
17 enables design changes to be made under the 50.59 process,  
18 where appropriate, will provide necessary controls into the  
19 future. We do not think that we ought to exert what I termed  
20 as creating a perversion in the regulatory process to  
21 accomplish indirectly that goal.

22           I think the NRC has the opportunity to challenge  
23 whether Part 50.59 has been properly applied, as it does now  
24 in operating plants. Members of the public who do not agree  
25 with the substance or the process have the 2.206 process

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 available to them to bring up any challenge they might like,  
2 so I guess at heart we think that the Part 50.59 process  
3 ought to work in the Part 52 context in the same way as it  
4 does in the Part 50 context and frankly, to have the same  
5 attributes of finality that it does in the Part 50 process  
6 that the flexibility built into the design change process in  
7 Part 52 and in fact in aspects to the proposed rule provides  
8 the necessary workability of the system, but maintains  
9 standardization where it's important which is on the safety  
10 significant aspects. Those things that are not safety  
11 significant ought to be able to be dealt with subject to the  
12 NRC's oversight, of course, on an on-going basis through the  
13 use of the 50.59 process.

14 MR. WILSON: Okay, any questions or  
15 clarifications on that?

16 MR. MALSCH: Let me just describe how the logic  
17 behind the proposal in the proposed rule is, which I think  
18 really does draw most directly from the current process.

19 Here's what we are thinking. Normally, when you  
20 think of issue preclusion you think of let's say a universe  
21 of issues which are relevant to say a combined licensing  
22 proceeding or a simple CP proceeding. And when you have  
23 finality associated with the rule, normally we have thought  
24 in the past the rule simply carves an issue or bunch of  
25 issues out of that process, looks at it, resolves it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

(202) 234-4433

(202) 234-4433

1 generically and then that generic resolution is binding in  
2 subsequent proceedings.

3 Now this is a little different. Clearly, we have  
4 looking at it from the standpoint of combined licensing  
5 proceeding, we have looked at all safety issues associated  
6 with the certified design and Tier 2 of the certified design  
7 and issues associated with that design are carved out and  
8 resolved.

9 Now once somebody makes a change in that design  
10 under the change process, let's say a change in Tier 2 of the  
11 design, we now have -- and let's say that change is picked up  
12 by an applicant to buy a license, we now have a situation in  
13 which an issue is presented within the scope of the certified  
14 design which has not been reviewed by the staff so we can't  
15 point to a rulemaking proceeding which has looked at this  
16 particular issue and resolved it. A change could be made by  
17 anybody, let's say, and the safety of that change would never  
18 have been reviewed by the NRC. You could point to no  
19 rulemaking proceeding in which the issue is taken up, carved  
20 out, resolved, and then applied generically to subsequent  
21 licensing proceeding.

22 In a sense, that's exactly now the 50.59 change  
23 process for operating licensees. There is no, when someone  
24 has an operating license and there's a change in the facility  
25 as permitted under 50.59, and then proceeds to make the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

(202) 234-4433

(202) 234-4433

1 change based upon its review under 50.59, that's allowed to  
2 happen not because NRC has approved the change and resolved  
3 it either generically or specifically as being safe, it's  
4 just part of your authority as an operating licensee to make  
5 those kinds of changes without NRC approval. So there isn't  
6 finality in the sense associated with those changes, in the  
7 ordinary sense because we never looked at those changes.  
8 There's no NRC decision you can point to as a part of -- not  
9 a change process that would say NRC you have reviewed and  
10 approved this change process. So when we draft a proposed  
11 rule we are analogizing this to the normal 50.59 like process  
12 in which there is authority to make the change, but there's  
13 no representation that the change has been reviewed by the  
14 Agency and approved by the Agency.

15           Now the problem is, all right, what do you do?  
16 The problem is, I guess, the premise. Clearly, if there's no  
17 safety significance in the change there's no issue. The  
18 problem as I see it is how you resolve contests over safety  
19 significance of the change. Suppose someone in a combined  
20 licensing proceeding disputes the applicant's 50.59 like  
21 analysis and says this is a significant change and it does  
22 impact materially and relevantly on the finding NRC must make  
23 to issue the combined license. That kind of issue doesn't  
24 normally arise in connection with the 50.59 change processes  
25 for operating licensees because there is no licensing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 procedure within which to raise the issue. It's an  
2 enforcement space.

3 Now we could create a 2.206 like petition process  
4 for that, but that's going to be kind of awkward because  
5 there's no enforcement action. We're talking about issuing  
6 a combined license. We're not talking about taking an  
7 enforcement action. We're talking about issuing a license.  
8 And so -- and we can't say there's issue finality because  
9 we've looked at it, because by definition if they followed  
10 the change process, the Agency hasn't looked at it. So from  
11 my perspective I was having difficulty seeing according  
12 finality to the usual traditional finality sense by virtue of  
13 a rule making proceeding when the rulemaking proceeding never  
14 examined the safety issue in question, namely, the  
15 significance of this particular design change.

16 Now looking at it though from another  
17 perspective, I think there is, as I thought about it,  
18 something that is anomalous that's associated with this  
19 particular process and I guess it's really the same anomaly  
20 is inherent in the existing process. What if -- if we went  
21 with the NRC staff's original proposal you would find a  
22 situation in which in theory an applicant for a combined  
23 license makes a change in accordance with the change process.  
24 The change is then litigable as is any safety issue in the  
25 combined licensing proceeding, but let's suppose the change

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 is not made then. Let's suppose a change is not made until  
2 one second after the combined license is issued at which  
3 point it doesn't become litigable except perhaps as part of  
4 a ITAAC challenge which would be the case in any event. And  
5 so why should there be a difference in terms of litigability  
6 depending on whether or not the issue is raised one second  
7 before a combined license issuance or one second afterwards.

8           Of course, the same anomaly appears in an  
9 operating licensing proceeding under the current rules. Some  
10 could raise an issue about a design that would be litigable,  
11 I suppose, in the OL proceeding where the very same issue, if  
12 it arises because of a change made one second after OL  
13 issuance, 50.59 would not be, but that's because there's no  
14 mechanism available. The license is issued. The only  
15 mechanism is a 2.206 enforcement process. Now that makes  
16 sense when you're talking about a license already issued  
17 because it would be an enforcement action taken against a  
18 licensee. In our case, prior to CP combined, let's say COL  
19 issuance, there's no enforcement action to be taken because  
20 we're talking about not an enforcement action, but issuance  
21 of a license in the first place.

22           Now maybe we could think about instead of issue  
23 preclusion in the ordinary sense of issue that's been  
24 reviewed and resolved, but instead talk about what would be  
25 the normal mechanism as part of or as an adjunct to a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

(202) 234-4433

(202) 234-4433

1 combined licensing proceeding for an intervenor to raise as  
2 an issue whether the change process standard has been met,  
3 i.e., whether there was a significant safety issue here.

4 Now maybe we could create some sort of pleading  
5 threshold that would say listen, we won't admit an issue in  
6 the combined licensing case unless you make some kind of a  
7 threshold showing that the change process hasn't been applied  
8 properly.

9 Now there could be a difference here in the sense  
10 of the outcomes because if you just treat it as a normal  
11 enforcement action, there's no judicial review, whereas  
12 normally as part of a licensing case, there would be judicial  
13 review and I wonder if I could get your reaction to whether  
14 it's essential that we treat this as final in a sense of an  
15 issue reviewed subject to enforcement action only, with no  
16 judicial review or whether we can treat this as kind of a  
17 scope question or maybe a threshold pleading question in a  
18 combined licensing case.

19 MR. ROUDEN: I think it's not a material issue in  
20 COL licensing procedure. We've wrestled with this in  
21 somewhat the same fashion you have and I think basically the

22 BN Commission would be writing on a clean sheet and we  
23 would be urging it to do something that makes functional  
24 sense in this regard, (a) you have a rule which provides  
25 changes of this type can be made because by definition

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005



1 they're not safety significant. As a matter of fact, a test  
2 of their nonsafety significance is you're not requiring staff  
3 review of them. These are not issues which are material to  
4 the licensing determining that staff would make in issuing a  
5 combined license.

6 Our assumption is that the hearing process is  
7 geared to matters which are material to the licensing  
8 decision. If this is not material to the licensing decision,  
9 there should be some external mechanism that's required to be  
10 exhaustive before you can rate this as an issue. We sought  
11 2.206 as a vehicle for doing this. After all, you are  
12 dealing with where you are in compliance with a regulation,  
13 50.59, so we didn't see why 2.206 couldn't be fitted to that.  
14 We also saw virtue in having consistency utilizing the 2.206  
15 process throughout, whether the change was made prior to the  
16 COL's issuance or after the COL's issuance. And we also  
17 wrestled with the same problem that you had, are you really  
18 encouraging people to wait to make these changes after the  
19 COL issues as contrasted in making the changes before the COL  
20 issues and does that make sense?

21 We still think eh 2.206 process is the  
22 appropriate mechanism for dealing with this. We think it's  
23 lawful for the Agency to do this because we don't believe  
24 that this is an issue that would be material to the COL  
25 licensing determining by the staff. As far as the safety

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 significance is concerned, the staff has already agreed to  
2 treat these as nonsafety significant, if indeed, they do  
3 qualify under 50.59.

4 MR. MALSCH: I think the difficulty, the problem  
5 I see with the argument that makes it complicated is the  
6 premise. Clearly, if you grant the premise that the change  
7 which has been made at Tier 2 is in compliance with the  
8 change process, I think the argument follows.

9 The problem is how do you deal with disputes over  
10 the validity of the premise? If the premise, let's say it's  
11 false, then it's no longer so clear to me that we have an  
12 issue that is immaterial to the combined licensing process.

13 MR. ROUDEN: You get intervenors in an escape  
14 valve mechanism just like we do for the operational stage at  
15 2.206 type petition.

16 MR. MALSCH: I guess that's the issue. That's  
17 the way I was looking at it. You need to create a special  
18 process that's a part of or adjunct to the combined licensing  
19 process that would treat this kind of an issue. One question  
20 that struck us is let's suppose we have the staff for that  
21 matter or the intervenor challenging the adequacy of the  
22 review done by -- it could be a vendor, let's say an  
23 applicant, made to support a change. And let's say we were  
24 to agree with the intervenor or come to our conclusion that  
25 the change process was applied inappropriately, if in fact

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 there was a safety question. What would be the nature of the  
2 enforcement action we would take? Normally, we take  
3 enforcement actions against licensees and there would be no  
4 licensee here, I suppose. I suppose in theory you could  
5 issue an order to the applicant directing the applicant to  
6 modify the application to delete the change.

7 MR. ROUDEN: Our preference is to apply existing  
8 mechanisms to address this problem, rather than to create new  
9 mechanisms. There are enough mechanisms in this process now  
10 and I think that the 2.206 mechanism can be adapted to do  
11 what we all agree seems to make sense here.

12 Admittedly, there are competing considerations.  
13 We think the balance is in favor of treating it this way.

14 MR. MALSCH: And you see these things as  
15 reviewable like any other enforcement action?

16 MR. FRANTZ: There are precedents. We've had  
17 other cases involving applications for operating licenses  
18 where somebody has also raised a 2.206 petition. The  
19 Commission has found that to be worthy of a hearing and has  
20 basically merged that the 2.206 issue into the operating  
21 licensee hearing which is not reviewable by the courts.  
22 We're saying something very similar here with the changes,  
23 that if a Commission believes that there is ground to believe  
24 that the change did evolve around a safety question it would  
25 merge that issue into the 2.206 hearing context and that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 would be reviewable by the courts.

2 MR. RUSSELL: I have a question that relates to  
3 knowledge that changes have been made. I don't want to have  
4 a process that would cause people to make changes and make  
5 them afterward. I would much prefer to have a change be made  
6 when the engineering reviews are being done. You finalize it  
7 and get the change through the process and get it resolved.

8 But if changes are being made and the staff does  
9 not become aware of them because we run an audit type  
10 inspection oversight or the public in this matter to make a  
11 meaningful 2.206 petition is going to have to know that some  
12 changes have been made, what have you envisioned as it  
13 relates to collecting or notifying the staff or putting  
14 something in the public domain that indicates changes have  
15 been made pursuant to a 50.59 like process? Your conclusion  
16 that these changes are permissible, therefore they're not  
17 material to the licensing issue, but still at the same time  
18 providing an opportunity for a challenge, whether it be under  
19 2.206 or whether it be an inspection activity on the part of  
20 the staff to go look at it and see whether we agree in the  
21 context of enforcement whether this was a permissible change  
22 or not?

23 MR. FRANTZ: Currently, I believe it's 52.79 that  
24 requires FSAR to incorporate the DCD and I could envision  
25 that for CO applicant, the CO applicant would identify as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 part of this FSAR DCD package the changes they are proposing  
2 to make or deviations they are proposing to make from the DCD  
3 itself so that the staff would have knowledge of this and of  
4 course members of the public would have knowledge of that  
5 through the initial submission or any updates of that  
6 submission.

7 MR. ROUDEN: There are really two aspects of your  
8 question. First is already inherent in what the staff  
9 proposes, namely, allowing COL applicants to make 50.59  
10 changes and we'd have to spell out the mechanisms for the  
11 applicant notifying the staff in terms of whatever  
12 periodicity is agreed upon. That's something that has to be  
13 done. We recognize that.

14 The second, if our proposal is adopted, namely  
15 that there is no hearing on these changes, but there is a  
16 2.206 or some analogous petition right, we would have to  
17 devise a mechanism to notify the public that changes have  
18 been made. We recognize that that has to be done. Some  
19 notice in the Federal Register that these changes have been  
20 made and that the information is in the public documents.

21 MR. BISHOP: Perhaps something like they use now.

22 MR. RUSSELL: But if the COL application comes in  
23 and you're in a proceeding and there are changes which are  
24 identified, which are permissible changes under 50.59, the  
25 fact that those are changes that are made prior to the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 issuance of a combined license should be absent a challenge  
2 that was an impermissible change, should provide some degree  
3 of finality as it relates to how you would make a judgment  
4 against an ITAAC later as to whether the facility conform the  
5 design as modified at the time of the application in granting  
6 the operating license.

7           It would appear to me there's a benefit on the  
8 industry's side to having these identified in the proceeding,  
9 bars on the side of the application saying this was changed,  
10 maybe a reference number to the 50.59 review or something so  
11 that that's not an issue that comes up later as to whether a  
12 design does or does not conform in the context of an ITAAC.

13           MR. ROUDEN: We agree this should be documented  
14 and publicly identified. I think it's in our interest.

15           MR. RUSSELL: Okay.

16           MR. WILSON: Any other questions on this issue of  
17 finality associated with changes?

18           MR. FRANTZ: Mr. Wilson, there is one additional  
19 issue which I believe you have this number, Section 8, which  
20 may be fruitful to discuss now. It also pertains to the  
21 change process and that involves the criteria for determining  
22 whether there's an unreviewed safety question. We were  
23 somewhat concerned when we looked at the statement of  
24 consideration for the proposed rule because it states that  
25 unreviewed safety question exists "if the change involves

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 issues that the NRC staff has not previously approved" or "if  
2 changes were made to the DCD have violated the resolutions  
3 without prior NRC approval."

4 We believe that those two statements are  
5 inconsistent with both Section 8 of the proposed rule and  
6 with Section 50.59. In particular, both the proposed rule  
7 and Section 50.59 define unreviewed safety questions in terms  
8 of three criteria, namely, whether there's an increase in  
9 probability or consequences of an accident, whether there's  
10 a new or different kind of accident or whether there's a  
11 decrease in margin of safety.

12 None of those three criteria embody the criteria  
13 in the statement of considerations and we were wondering  
14 whether the staff intended to change the definition of  
15 unreviewed safety questions and if it did, we have concerns  
16 because we believe that the process has worked well in the  
17 past. We have 30 years worth of experience in 50.59. We  
18 believe that's a mature process and we're concerned that by  
19 establishing new criteria, we could really be going down an  
20 unpaved road and encountering many new questions in the  
21 future as to what constitutes an unreviewed safety question.

22 MR. WILSON: Could you clarify why do you think  
23 it's outside of the existing definition?

24 MR. FRANTZ: Well, for example --

25 MR. WILSON: Change created an issue that was not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 previously reviewed or approved, then why wouldn't that be an  
2 unreviewed safety question? One of the criteria you referred  
3 to points out there's a possibility for an accident or a  
4 malfunction of a different type evaluated previously. It's  
5 a similar type approach if it's something that hasn't  
6 previously been approved.

7 MR. FRANTZ: I'm not sure that's necessarily  
8 true. If you have an issue or a change that involves a  
9 matter by the staff that has not been previously approved,  
10 that issue or change does not necessarily create the  
11 possibility of a new accident. It's just something the staff  
12 hasn't reviewed previously.

13 MR. WILSON: What's your concern?

14 MR. FRANTZ: Well, my concern is that if the  
15 staff classifies this as an unreviewed safety issue, we're  
16 then required to seek prior staff approval and go through the  
17 hearing process for an issue that under today's rule, under  
18 50.59 would not require prior staff approval or a hearing on  
19 it.

20 MR. WILSON: Are you saying that you would  
21 evaluate a change, but then you would determine whether that  
22 change created a new accident or an increase or decrease in  
23 safety?

24 MR. FRANTZ: That's correct. We have to go  
25 through and for each one evaluate whether it's satisfied any

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005



1 of those criteria and if it does that's an unreviewed safety  
2 question that would require NRC prior approval.

3 If it does not, even if it's not something that  
4 stands as previously approved, then there would be no  
5 unreviewed safety question and no need for prior NRC  
6 approval.

7 MR. WILSON: But you wouldn't ignore that change  
8 in your process of evaluation?

9 MR. FRANTZ: Absolutely not. We would be  
10 required to go through and evaluate every change against  
11 those three criteria.

12 MR. WILSON: Okay, that was part of the concern.

13 MR. BISHOP: Again, we see that as the sibling of  
14 the 50.59 process. It's like a different delineation.

15 MR. RUSSELL: So the only differentiation then is  
16 getting back to the issue of whether severe actions or  
17 whether the scope of that 50.59 review process are not and  
18 that would come up later.

19 MR. BISHOP: That's correct.

20 MR. RUSSELL: And you're saying the evaluation  
21 would be against each of those three criteria, each time?

22 MR. BISHOP: Yes, yes.

23 MR. RUSSELL: And that would be the outcome of  
24 the evaluation, whether they had or had not been impacted as  
25 compared to whether it's a level of detail that the staff has

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 previously reviewed or not?

2 MR. BISHOP: Exactly.

3 MR. RUSSELL: Okay.

4 MR. MALSCH: Can I come back to the 2.206  
5 analogy? I was wondering how far we can carry this? Let's  
6 suppose we have a prototypical challenge to a 50.59 like  
7 change made by an operating reactor licensee. And let's say  
8 we get a petition that contains extensive documentation and  
9 affidavits just to make it the worse possible case. In  
10 theory, that's a discretionary enforcement matter. The staff  
11 would have the discretion in theory to say well, this is a  
12 very interesting issue. You may have something here, but  
13 we're too busy to get to it now. We're going to schedule it  
14 for resolution a few years from now and in any event it looks  
15 like a severity level 4 or civil penalty and not the need for  
16 an order, so we're not, basically, going to take any action.  
17 And that's not judicially reviewable on the theory that this  
18 is inherently the exercise of enforcement discretion, the  
19 ordering of an enforcement agent priority, safety priorities,  
20 etc. etc.

21 Now let's step back and imagine the same petition  
22 which is filed by an intervenor, let's say combined licensing  
23 proceeding. A change has been made which has been identified  
24 by the applicant in the FSAR, let's say, and an intervenor  
25 files the same petition of some sort saying that no, this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 raises a significant safety question and he attaches  
2 affidavits and studies them and argues that because of the  
3 significance of the safety question, the NRC cannot make the  
4 findings which are required for issuance of the combined  
5 license and argues this is not a discretionary force of the  
6 matter. The making of the findings for combined license  
7 issuance is not a discretionary matter. Unless you make the  
8 findings, you can't issue the license. So this is not an  
9 enforcement matter and therefore the resolution of this  
10 question should and must be subject to Commission review and  
11 it is material to the licensing process because if I'm right,  
12 you can't make the findings required for issuance of a  
13 combined license.

14 Where am I wrong on that?

15 MR. ROUDEN: Well, it's not a question of you  
16 being wrong. I mean I see no reason to believe that the  
17 staff will not discharge its responsibility in issuing a COL  
18 and considering all matters which are material to a licensing  
19 determining on safety. That's number one.

20 We suggest 2.206 which admittedly has to be  
21 adapted to fit this situation as being a mechanism which  
22 could be utilized. I can think of another mechanism to be  
23 utilized. If you consider a 50.59 change from a design  
24 certification rule, to be part of the rule that is applied in  
25 the licensing proceeding itself, perhaps an intervenor could

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 use 2.758 to seek, admittedly it's discretionary, but it fits  
2 in with the licensing process. I just don't think it's  
3 insurmountable. But again, I think there are lawful ways to  
4 achieve a practical result here. I think these are policy  
5 determinations on the part of the Commission as to how they  
6 deal with it.

7 We think that notwithstanding the competing  
8 considerations that you suggested that the balance of  
9 interest really favors dealing with these as you would expect  
10 a 50.59 change to be dealt with, that it would be up to the  
11 discretion of the staff to determine whether it rose to a  
12 level of significance that warranted consideration as a  
13 material issue in a licensing proceeding.

14 MR. RUSSELL: A nuance of this issue, we propose  
15 to allow an applicant to make changes pursuant to 50.59, yet  
16 until such time as they have a license, what would be the  
17 enforcement vehicle?

18 Now if the challenge is whether the change was a  
19 permissible change or not under the regulations so you have  
20 a threshold of process and significance as compared to the  
21 individual change, we have had experience where the change  
22 process was flawed and we've even cited people for the change  
23 process, but in the end we found that the substance of the  
24 actual change was acceptable.

25 How do you deal with that in the context of a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 2.206 when there's no one to take enforcement against yet.  
2 You only have an application. You don't have a licensee.

3 MR. ROUDEN: I suggested 2.758 may be a more  
4 elegant mechanism to deal with it because then what you're  
5 saying if you purported to make a change in compliance with  
6 the provisions of the rule, you did not comply with the rule  
7 in making that change, we will not accept this as a basis for  
8 the licensing.

9 I do believe that there are ways to deal with  
10 this. If we have a theological problem with regard to the  
11 use of 2.206.

12 MR. BISHOP: And I think you also have  
13 enforcement control over applicants.

14 MR. RUSSELL: You just don't grant the license.  
15 Pretty strong enforcement authority.

16 MR. BISHOP: Well, that gets into the Catch-22  
17 that Marty was talking about, that is for this issue, that's  
18 not a very good answer.

19 MR. RUSSELL: I agree.

20 MR. MALSCH: Well, the other problem is if the  
21 action that NRC would take would be not granting a combined  
22 license, it's hard to argue in the same breath that the issue  
23 is not material to the combined licensing process.

24 Now maybe the solution could be to develop a  
25 2.758 like process whereby in some sort of a threshold

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 showing that change process hadn't been applied properly is  
2 enough to mount a challenge that at least gets to the  
3 Commission itself to decide whether or not to admit the  
4 issue. I think that might be workable, but I think that  
5 would be an exaggeration to say that's accord and issue a  
6 finality to the change. I think that might be more  
7 reasonable and something we could work out.

8 MR. ROUDEN: There's no magic in the term "issue  
9 a finality." What we want to be able to do is make sure this  
10 is not a matter that can be raised in a subsequent licensing  
11 proceeding. You can call it issue preclusion rather than  
12 issue finality, if it fits better intellectually.

13 Our objective is the functional one, to achieve  
14 the results that we indicated we want.

15 MR. MALSCH: I guess what I want is, at this  
16 point I feel more comfortable exploring 2.758 analogies than  
17 I do 2.206 petitions and all that carries with it in terms of  
18 enforcement and initial review, so if you think that's a  
19 workable thing, let me think about that some more and we can  
20 build that into the rule. We built it into the change  
21 process. I suppose we can build into the new rule a change  
22 process challenge vehicle.

23 MR. RUSSELL: I'm not concerned about it after  
24 issuance of a license. I do like the idea of any changes  
25 that are proposed being identified in the license proceeding

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 and the issue becomes one of how do you challenge individual  
2 changes once again. There's got to be some threshold  
3 associated with that. It's got to be argued it was an  
4 impermissible change.

5 And then if you prevail on that, the answer is  
6 we'll change it back. You can build it the way the design  
7 certification was. So it is clearly something that's  
8 reversible at that point in time.

9 MR. MALSCH: I just point out that I guess if  
10 it's a clear violation at the properitoneal stage in  
11 connection with an ITAAC compliance question, if you could  
12 somehow relate the change to compliance with an ITAAC, you'd  
13 have a similar kind of an issue.

14 MR. BISHOP: Potentially.

15 MR. MALSCH: Potentially.

16 MR. RUSSELL: I can also see similar issues  
17 coming up with late filed allegations, but that's a matter  
18 for the staff to look to and the threshold is whether the  
19 allegation, if true, would have an impact of licensing  
20 decision, if the change was impermissible would it have an  
21 impact.

22 MR. MALSCH: There though if you have an  
23 operating licensee and it's easy to fit that, more easily to  
24 fit that into the enforcement process.

25 MR. RUSSELL: So from this the issue is with the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 period of time prior to issuance of a COL where changes are  
2 made pursuant to a 50.59 like process, there's agreement on  
3 notification in making such changes visible, such that they  
4 are addressed in the context of the proceeding. The  
5 remaining issue is what is the appropriate threshold  
6 challenging those changes in the proceeding and the threshold  
7 needs to be that it was an impermissible change under 50.59.  
8 So there's some threshold or standard --

9 MR. BISHOP: The process is not correct.

10 MR. RUSSELL: So it failed one of a three part  
11 questions, increase the probability of consequence of an  
12 accident, create a new or different type of accident, etc.  
13 So it's a challenge that would have to be careful and the  
14 venue for doing that whether it's 2.206 or some other portion  
15 of the proceedings is something we need to address.

16 MR. BRINKMAN: I'd like to submit that  
17 enforcement, if you're in a position where the NRC felt that  
18 it needed to have an enforcement proceeding but didn't have  
19 the authority to do it in this situation, that really isn't  
20 the issue for the industry. The industry wants to know as  
21 soon as possible if the NRC considers that it's violated  
22 50.59 process. The industry wants to rectify that. It  
23 doesn't want to go on with false assumptions. I don't think  
24 enforcement is even an issue.

25 MR. RUSSELL: I certainly agree with that and I'd

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005



1 rather address the issue before the facility is constructed  
2 rather than after.

3 MR. BRINKMAN: That's exactly right.

4 MR. RUSSELL: So the issue is what's going on in  
5 the engineering activities in parallel with a COL.

6 MR. MALSCH: That's an interesting question.  
7 Would you see -- it just occurs to me -- would you see that  
8 the combined licensing process would entail an Agency finding  
9 that all the changes that have been identified are  
10 acceptable? That has a down side and a plus side. The plus  
11 side would be you have absolute finality in terms of any  
12 later properitoneal challenge. The down side would be it  
13 would pretty clearly make it an issue in the combined  
14 licensing proceeding.

15 MR. BRINKMAN: I don't think I can speak for the  
16 industry, but I certainly would make a very clean slate as  
17 you present, and the industry, I must repeat this again, is  
18 very much interested in anybody determining at the NRC that  
19 we haven't done the process part.

20 MR. ROUDEN: You know, I think we need to discuss  
21 this a little more. I think you've identified the two sides  
22 of this particular coin.

23 I see the desirability of tying a ribbon around  
24 these things. I also see making these into issues in a COL  
25 proceeding that otherwise wouldn't be. I'm not sure that the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 down side doesn't outweigh the plus side.

2 MR. MALSCH: I don't know. In a sense, you can  
3 argue you don't need the extra benefit of finality because  
4 the real benefit of finality is associated with the drafting  
5 if the ITAAC and the restriction in terms of pre-operation  
6 issues to ITAAC compliance, but on the other hand, in terms  
7 of enforcement actions and enforcement space between COL  
8 issuance and fuel loading, this would get somewhere, but I  
9 guess this is something you could think about.

10 MR. ARCHITZEL: This is Ralph Architzel from the  
11 staff. I have one question for industry regarding the  
12 Charlie Brinkman comment about timeliness of these  
13 determinations that are made.

14 My concern is forget the COL proceedings. There  
15 isn't one here yet, but you've got your design surrogate, it  
16 may be finished. It may be in process. A vendor is doing  
17 these type changes although I guess they don't have authority  
18 yet. If you want timeliness on feedback of that process,  
19 maybe five years or whatever it is to the COL, what's your  
20 proposal there? As I've been hearing this whole  
21 conversation, those type of changes will be stockpiled for  
22 five, ten years or whatever. People won't be around who made  
23 those changes and won't be able to answer those questions.  
24 What is the position of industry with respect to those type  
25 of changes made prior to any COL even contemplating coming

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 in? There is no applicant and these changes are being made.  
2 It seems like a timeliness question arises in that arena.

3 MR. REHN: This is Dave Rehn from Duke. Let me  
4 answer that. That is on the list of items that -- number 6.  
5 We very much support the notion of proceeding on. The  
6 history of this, I guess, talked to -- we saw the need for  
7 these types of 50.59 changes obviously after COL, the  
8 issuance of the COL. I think the staff in their wisdom and  
9 vision saw the need, potentially for an applicant to process  
10 these and indeed asked for that in their SECY, I think it was  
11 92-287.

12 Since that time, we, the industry have been  
13 partnering with DOE and vendors to take these designs past  
14 certification to a greater level of detail and in that vein  
15 the industry, utility industry has acted as a surrogate  
16 owner, surrogate applicant to bring that perspective to the  
17 designs and we are finding the need for some of this. I  
18 think we would support the same type of notion whereby we  
19 would have a 50.59 like process available for the vendor  
20 design entity. They could send those in on some frequency as  
21 we've already discussed. They would be available then for  
22 the public to review and be handled in much the same vein  
23 then that's a COL applicant. And I think it would touch your  
24 issue, Bill, about these then being addressed as they come up  
25 rather than be stockpiled and being handed off to a COL

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

(202) 234-4433

(202) 234-4433

1 applicant later on and have to go back and dredge up the  
2 history.

3 MR. RUSSELL: My personal view is that that's an  
4 issue that needs to be addressed potentially outside the  
5 context of the rulemaking. With the exception of potentially  
6 extending the change authority to the vendor that owns the  
7 FDA, but there are rather significant resource implications  
8 associated with that with respect to reviews and other  
9 activities and we have generally stayed out of all of the  
10 first of a kind engineering issues. And so I guess what I  
11 need to understand is whether there is a proposal to do  
12 something differently, because if there is, outside of the  
13 rulemaking context, I've got issues from the standpoint of  
14 staff review resources and audits that may be going on, etc.,  
15 currently which are not going on. So I'd like to keep this  
16 focused right now to the issues that are subject to the  
17 rulemaking. If the industry wants to bring that up  
18 separately with respect to activities underway as part of  
19 first of a kind engineering or if one of the vendors wants to  
20 bring that up that holds a final design approval and they're  
21 looking at making changes to that final design approval using  
22 a 50.59 like standard for such a change, then I think we need  
23 to look at that separately.

24 MR. MALSCH: May I ask a related question. If a  
25 vendor makes a change, does that propose to be binding on COL

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

(202) 234-4433

(202) 234-4433

1 applicants or holders?

2 MR. BISHOP: Yes. We would envision that process  
3 working until you have the COL application.

4 MR. RUSSELL: The case would be similar to what  
5 is being done under Part 72 for some cask certificates  
6 proposing to allow the vendor who submitted the application  
7 to make subsequent changes and update them.

8 From one perspective, the person who knows the  
9 most about the design and what's been through the review  
10 process is clearly the vendor who did all the generic work.  
11 And so the ability to do the 50.59 like review I don't think  
12 would be in question. In fact, in many cases I would expect  
13 for some changes a COL applicant may have to go back to the  
14 vendor to get the information and be able to do a meaningful  
15 50.59 review. It's just that we have not taken it that far.  
16 We would be essentially treating that vendor as if they are  
17 a licensee and it raises all of the questions about  
18 enforcement and what if it's an impermissible change, etc.  
19 So that is a much broader scope issue than I think what we're  
20 proposing at this point in time.

21 I'd like to keep the issues reasonably confined  
22 to that which we deal with in the near term because I think  
23 that has some broader implications.

24 MR. MALSCH: I guess I'm wondering about that.  
25 Clearly, the design certification of rulemaking includes

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 within it the power on the part of let's say hypothetically  
2 vendors to make the changes, but how can we go one step  
3 further and say that we are giving the power to vendors to  
4 buying subsequent utilities even though the actual change was  
5 not part of the rulemaking proceeding?

6 MR. BISHOP: Marty, again, the 50.59 changes so  
7 by definition things that are not safety significant are  
8 binding in the context that we would envision it to be  
9 applicable to somebody using the design, but clearly grounds  
10 if licensee no. 2 didn't want to do it, then they administer  
11 a 50.59 against that change of design.

12 MR. FRANKS: There's another point, for the site  
13 specific submittal for the COL requires them to note any of  
14 the changes anyway, so irrespective, even if we don't have an  
15 applicant, at the COL stage you submit the site specific  
16 design that identifies the differences between it and the  
17 existing certified rule. At that point in time, you've got  
18 the applicant who has the responsibility under the regular  
19 rules.

20 MR. RUSSELL: But that's the status quo. You've  
21 been making the changes and whoever comes in first is going  
22 to have to justify why those changes are permissible changes  
23 under 50.59.

24 MR. BISHOP: But under that process so would  
25 everybody else as well.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 MR. FRANKS: Right.

2 MR. BISHOP: And that's one of the down sides we  
3 see in terms of skill, resources and other factors. And we  
4 are advocating -- I agree with you. This is an issue with  
5 great many ramifications, but to us it makes sense to put the  
6 opportunity in these rules in a design holder, if you'll  
7 allow me to use that term, the FDA holder, to be able to make  
8 50.59 changes under the same kind of orderly process to  
9 provide notice so everybody will have the opportunity on  
10 whatever frequency we think is the right thing to do and get  
11 them done in an orderly fashion.

12 MR. MALSCH: But why wouldn't it be sufficient  
13 from your standpoint that this would allow a combined license  
14 applicant to simply incorporate by reference the change  
15 evaluations the vendor had done as part of the license  
16 application?

17 MR. BISHOP: They could and therefore so would  
18 every other COL applicant. Our thought is that's just not  
19 administratively very wise use of resources.

20 MR. MALSCH: We could issue a rule that would  
21 bind a utility to a change made by a vendor that NRC never  
22 reviewed?

23 MR. BISHOP: You could issue a rule that allowed  
24 vendors to make 50.59 changes.

25 MR. MALSCH: I have no problem with that. My

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 problem is the next step which is to say that change having  
2 been made is binding on all the utilities in the country,  
3 even though NRC never reviewed it.

4 MR. BISHOP: I'm sorry, binding on subsequent COL  
5 applicants to the extent it's applicable, yes.

6 MR. MALSCH: Even though they never reviewed it?

7 MR. BISHOP: Sure. We never talked about you not  
8 having to review the 50.59 changes for current plans. I've  
9 always thought the materiality is the issue, not whether the  
10 NRC has reviewed the subject or not.

11 MR. MALSCH: If it's not material, it's  
12 irrelevant to us and not binding. If it was binding, we'd  
13 have a stake in it, wouldn't we? I mean if it's an  
14 immaterial issue, we would not have a sufficient stake in the  
15 resolution to make it binding, would we? Yes?

16 MR. RUSSELL: I can see a vendor coming up with  
17 a change that may be permissible under 50.59 that results in  
18 economic benefit to the vendor, but may not necessarily be an  
19 economic benefit to every applicant or present certificate  
20 holder.

21 MR. MALSCH: Let's suppose you have a vendor who  
22 has an interest in a gold mine. And he makes a change to go  
23 from steel widgets to gold plated widgets and then that would  
24 be binding on every utility in the future?

25 He would have to come in with an application for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005



1 gold plated widgets and the NRC would say we could care less  
2 whether they're steel or gold-plated. If we say we could  
3 care less, then there's no basis for our saying but you've  
4 got to do it, is there?

5 MR. REHN: The way it matters right now, once  
6 these certifications are on the street a whole host of folks  
7 could come in and say I want to be a COL applicant and go off  
8 and do their own design. I could own a gold mine, you could  
9 own a platinum mine and we could all define what we wanted  
10 and be on a 50.59 as COL applicants/licensees.

11 What we are seeing in the industry is that for  
12 standardization needs for the economies of design, the  
13 economies that we hope to see in operation one day, we want  
14 standardization so we would like to see these designs taken  
15 forward at one time and that potential owners would be part  
16 of the family that would buy into it and they would buy into  
17 these detailed designs. Buying into one of these detailed  
18 designs, that means that design is a package, you take it and  
19 it comes complete with certain 50.59 type changes that are  
20 part and parcel to that level of detail. I think that's what  
21 we're saying that that's how we would view that package.

22 MR. MALSCH: Okay, but isn't that more of a  
23 marketing strategy than a regulatory matter? I mean it's a  
24 regulatory matter, but the resolution heretofore has been put  
25 it in Tier 1. That's the standardization benchmark.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 MR. CRUTCHFIELD: Marty, what I think they're  
2 trying to say is they would make it commercially binding, but  
3 not binding from a regulatory standpoint.

4 MR. REHN: Yes.

5 MR. MALSCH: I can see that. That's up to you  
6 all.

7 MR. REHN: Right now those particular changes are  
8 limited only to someone processing them that has to be either  
9 an applicant or a licensee.

10 MR. MALSCH: I can see that. I personally have  
11 no problem seeing with seeing a vendor making changes. My  
12 difficulty is with the concept that we would give a vendor a  
13 power to issue something which is binding regulatorily on the  
14 subsequent purchaser as opposed to having a market strategy.

15 MR. REHN: Bill, I think your summary earlier was  
16 on target. We have not gone down this avenue completely yet  
17 with you and I think with the industry. We'd certainly like  
18 to continue this dialogue. We're receptive to these kinds of  
19 concepts. We're like you, we're exploring the nuances now of  
20 the 52 as we implement. We're getting there maybe in  
21 different ways than we envisioned and this is an issue that's  
22 come up. We'd like to be able to pursue it and see it come  
23 to a resolution that allows us this opportunity.

24 MR. MALSCH: I can see from our standpoint since  
25 the vendor is the one who knows the most about the design,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

(202) 234-4433

(202) 234-4433

1 he'd be especially interested in any applicant which has a  
2 design that's different from that which the vendor is  
3 currently offering. That's -- it's one step further for us  
4 to say in a regulatory sense we will accept nothing else.

5 MR. REHN: I didn't mean to imply otherwise.

6 MR. RUSSELL: Okay, for the purposes of the  
7 rulemaking we're going forward and getting comments on, we're  
8 looking at applicants and licensees to the extent we need to  
9 address what's being done when vendors, let's table that as  
10 a separate discussion, have either DOE or ARC or whoever has  
11 the right industry proponent for that come forward because I  
12 think there are a number of issues that would be very  
13 difficult to address in the context of a vendor essentially  
14 becoming a licensee with enforcement issues that we're  
15 talking about, other matters get involved; notice to changes.  
16 What would be the public's participation, whether there be a  
17 2.206 process or something else. I see this as a very much  
18 complex issue than an applicant or a COL holder.

19 MR. WILSON: While they're thinking about it  
20 maybe for the benefit of the audience we can take a look at  
21 issue 6, post certification changes by design certification  
22 applicants.

23 MR. BISHOP: Just one further comment. Bill, I  
24 do think we need to put a place holder in the rule to provide  
25 for the vendors to have the ability to make 50.59 changes

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 because they do not now.

2 I'm not sure we can escape --

3 MR. FRANKS: I don't necessarily agree with you  
4 there. I think the vendors do have the capability now and I  
5 think they do it through the COL applicant and that the COL  
6 applicant submits a site specific application. It differs  
7 from the certified document that has to be so noted.

8 MR. BISHOP: I think that's not the most  
9 effective way to deal with it.

10 MR. RUSSELL: The issue is one of delay and time.  
11 The first application doesn't come in for five years, you're  
12 going to have the loss of time. The practical issue, I'm not  
13 sure if that's a rule making issue.

14 MR. FRANKS: That's right.

15 MR. RUSSELL: It can be done that way. If you do  
16 it differently, I think it's gotten very significant  
17 implication for what might be staff resources by way of  
18 inspection activity of what's going on or review, 50.59 like  
19 changes being made by vendors, etc. and this has come up  
20 twice before and twice before the industry has said no, we  
21 don't want NRC in inspecting, reviewing or doing. What I'm  
22 hearing today for the first time is that you're seeing some  
23 role where you want the NRC to be looking at changes that are  
24 being made by vendors to the design certifications or to the  
25 FDA's issue. So it might be FDA amendment. That has

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 implications for both review and inspection activities that  
2 are currently not in the budget planning, etc. All the  
3 issues associated with recovery, you name it. This is a much  
4 broader issue to solve what is an issue of timeliness of an  
5 application coming in. You can have a consortium formed and  
6 apply and do it through a vehicle of an early application  
7 without having done site specific. There may be other  
8 options to resolve this beyond the one of making a vendor  
9 essentially a licensee.

10 MR. FRANKS: That's right.

11 MR. RUSSELL: All I'm saying is that issue,  
12 rather than taking it up right now in the context of this  
13 rulemaking is one that I think needs to be developed further  
14 to have some dialogue, because this is not a part of the  
15 proposed rule. This would be a substantive change which  
16 would cause it to go out with another round of proposed  
17 rulemaking.

18 MR. BISHOP: I think not necessarily.

19 MR. MALSCH: We'd have to think about that.

20 MR. McDONALD: Pat McDonald, Executive Director  
21 of ARC. As you know, ARC and its contractors, GE,  
22 Westinghouse are involved in first of a kind engineering.  
23 This issue is very important because I think that we all want  
24 to have a very well disciplined pristine process for assuring  
25 that any 50.59 type changes are indeed properly reviewed,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 processed and imbedded in the design. We're finding, in the  
2 first of a kind engineering that there are quite a few cases  
3 of necessities to change things in tier 2 as one would expect  
4 because there has been so much tier 2 information included in  
5 the SARs and our process for 50.59 has previously said if  
6 it's addressed in the FSAR or shown in there, you have to  
7 have a 50.59.

8               So it is really of very high necessity to keep  
9 the validity and discipline in the change process to have one  
10 design certified design going forward rather than a series or  
11 a group of certified design, not quite, we've got changes to  
12 it. So I think this is one that needs to be put as the place  
13 holder or to try to work this out at this time because it is  
14 a real concern to the utilities who are in ARC and who see  
15 how it's developing. We see it as Dave said, as a very key  
16 part of standardization. We see a design put on the market  
17 by a vendor to say whatever design it is. He says it's a  
18 certified design. We expect that design, certified design in  
19 any detailed work that goes along with it to be consistent.  
20 I think it's a real economic and possibly safety issue that  
21 we face up to this as part of this process.

22               MR. WILSON: Mr. McDonald, when several years  
23 ago, as you first mentioned, first of a kind engineering and  
24 we asked this question we were told it was a level of detail  
25 that was implementing Tier 2. Now you seem to be saying it's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 causing a number of changes in Tier 2. Shouldn't we be  
2 reviewing the tier 2 now then? I mean if it's that  
3 significant shouldn't we reopen the review?

4 MR. McDONALD: As Mr. Russell said and he called  
5 to our attention that you're not involved in FOKE. You are  
6 not overseeing the process and what have you. I suggest that  
7 you should with respect to changes to that material. That  
8 doesn't mean you have to conduct inspections to show that the  
9 proper procedures are used in developing the detail of a pump  
10 requirement or what have you. It does by necessity because  
11 you've put tier 2 processes in the licensing documents and  
12 you can hardly go through a detailed design program without  
13 finding many cases to where you want to change a little  
14 length or a little connection from one valve to another or  
15 cut out one valve out of the system. As long as that system  
16 which has safety components also have some other little  
17 valves in there to show it's a whole system, you have to  
18 consider it.

19 MR. RUSSELL: Pat, we've had at least two major  
20 meetings on this issue and in both of those meetings it was  
21 described that it was the industry's preference that the NRC  
22 not be involved. It was characterized that you were going to  
23 hold GE and Westinghouse responsible for identifying whether  
24 these would be permissible or not permissible changes and  
25 that you were going to collect them with time and from the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

(202) 234-4433

(202) 234-4433

1 time of the first application they would be submitted for NRC  
2 review. That's what we premised the proposed rulemaking on.  
3 What you're saying is you want to do that differently now, I  
4 would hope that this issue would be characterized in the  
5 industry strategic plan as to how we're going to be doing  
6 this differently because it has significant near term  
7 resource implications which are not on the NRC's planning  
8 horizon.

9 MR. McDONALD: Well, as resource implications  
10 too, for the vendors who would be paying for your resources  
11 --

12 MR. RUSSELL: Our inspection activity and review  
13 activity.

14 MR. McDONALD: That's right. Now I do believe  
15 that this issue was brought up as the potential issue in this  
16 LPR before it was issued. I think it was brought up, wasn't  
17 that right, Ron?

18 MR. SIMARD: Yes.

19 MR. McDONALD: Who did you bring that up with?

20 MR. SIMARD: I think it was brought up in a  
21 meeting on construction inspection and ITAAC verification  
22 that Mr. Russell attended, but I'm not positive.

23 MR. McDONALD: We saw this thing issue and your  
24 people at that time, we asked for it to be considered in the  
25 rule and we didn't know whether it was going to be and when

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005



1 it was issued, it wasn't considered. So it is an important  
2 issue relative to which we called to your attention for the  
3 rule when NOPR was put out.

4 MR. SIMARD: This is Ron Simard, Director of  
5 Advance Reactor Programs for NEI. If it was brought up and  
6 it was brought up only briefly, I don't think we've ever had  
7 this detailed a discussion and I think the proposal that  
8 we've raised now and judging from the discussion that's  
9 occurred so far might warrant a little more and if there's an  
10 opportunity outside this room to explore exactly what we see  
11 in terms of the impact on NRC resources and what differences  
12 there would be beyond NRC review of these changes as their  
13 summaries are submitted with the COL application versus the  
14 impact on NRC resources as the summaries are submitted over  
15 some prolonged period of time.

16 We're probably better off having that kind of  
17 discussion outside of the room, but the short answer is we do  
18 not anticipate that this proposal would have the kind of  
19 impact that is obviously treated your concern.

20 MR. RUSSELL: My view is this is 180 out from  
21 proposals that have been made in prior meetings between the  
22 industry and the NRC, where in all prior cases you said stay  
23 out, we're going to rely on vendors to do this correctly and  
24 we're just going to bank them and we'll come in with the  
25 review proposal and whoever comes in first will justify the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 changes that were made in that 50.59 like standards.

2 What I hear you saying is something different  
3 now.

4 MR. SIMARD: Well, I think what may be confusing  
5 the discussion here is the emphasis on first of a kind  
6 engineering. It's true that that program being underway now  
7 is, in fact, generating a lot of potential changes, or at  
8 least awareness. We need to be careful. There are not a lot  
9 of potential changes that are being generated, but that  
10 certainly raises the awareness of the types of changes that  
11 can be uncovered. But the need for this proposal goes beyond  
12 the first of a kind engineering. I mean the 80+ design, for  
13 example, is not currently in the first of a kind engineering  
14 program, but conceivably would be subject to the same sort of  
15 the desire to incorporate improvements in technology over the  
16 years, to incorporate operational experience learned by the  
17 industry or from NRC generic communications. So I think it's  
18 kind of unfortunate we're focusing on the first of a kind  
19 engineering. This proposal is meant to be broader.

20 MR. MALSCH: Could I just come back to this  
21 question of philosophy. If I can recall back when we first  
22 discussed the whole idea of Tier 1 and Tier 2, initially the  
23 idea was we have a design certification that would have lots  
24 of detail and the reaction we got back from industry was well  
25 really that's not necessary and it causes a problem because

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 you built into the concept of the design certification rule  
2 is now Tier 1, constraints on changes to promote  
3 standardization and the industry reaction was if you put too  
4 much detail into Tier 1, you thereby apply a level of detail  
5 in terms of standardization constraint which we think is  
6 undesirable. We wouldn't want flexibility to make changes  
7 independent of standardization and you leave standardization  
8 in terms of level of detail to the vendors in the marketplace  
9 and the self-interest of the industry and so you propose a  
10 tier 2 which has associated with it no standardization  
11 constraints at all, at least not an obligatory space. Now if  
12 what I'm now hearing is there are legitimate standardization  
13 concerns with the current ability of the industry to make  
14 changes under Tier 2, I mean there's a number of  
15 ramifications and one would be to at least think about we  
16 could build into the change process of tier 2 a  
17 standardization constraint much like the change process  
18 that's in Tier 1. That sort of comes exactly full circle of  
19 where we were several years before, but if there are  
20 standardization concerns of changes that can be made in Tier  
21 2, that's something I've never heard before. I've always  
22 heard in the past that's something that would be handled not  
23 in terms of NRC regulations or limitations or orders of  
24 constraints in design certification, but as part of the  
25 strategic plan of industry initiatives and NRC wouldn't get

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 involved.

2 MR. McDONALD: Let me bring forth an image, if I  
3 may, of what we're talking about. We're talking about Tier  
4 2, about the type of things that have been made in operating  
5 plants. Imagine a little example that I gave you of a system  
6 drawing that's in the DCD that has 2 valves which are really  
7 not pertinent. Maybe there's an instrument line going off  
8 one and maybe it's a sampling line off another or something  
9 else and we have a reason that one of those really shouldn't  
10 be there. It's not needed. It shouldn't be there. And it's  
11 not part of the so-called Tier 1 area. We want to take it  
12 out. So we have the vendor go in and he puts that in his  
13 data bank. He takes it out. He puts it in every drawing.  
14 He puts it in everything he has. He makes a description of  
15 it. Now that system will interact with another system and on  
16 and on and so if you try to carry forward more than one basic  
17 design at a time, you have these changes that are interactive  
18 and you have a data bank out there that probably the only  
19 real design you still have is what the DCD says. And that  
20 isn't the way that we like to watch the details and make sure  
21 they're all the right quality and properly made.

22 I think, Bill, when we talked about this earlier,  
23 you expressed your intentions not to get into first of a  
24 kind. We said fine. It will be done in accordance with the  
25 QA. It will be done in accordance with all the rules and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 we'll give it to you at COL.

2 But now I don't think that's equivalent to having  
3 changes made in the 50.59 process. I think we're talking  
4 about a periodic submittal by defenders when they get two or  
5 three documents or the year or something, put these in and  
6 they apply to the certified design which is up for sale for  
7 everybody. Let's say that one of our two vendors here win an  
8 award in Taiwan for a certified design or FDA. We the U.S.  
9 utilities would like that to be consistent with what they  
10 would build for us, except for site specific. We would like  
11 that to be a certified design so that we would have that for  
12 standardization for comparison purposes.

13 Now if in the detail design they can't do that,  
14 then we've got a problem. We have defeated our  
15 standardization from the very start. I beg you to consider  
16 this carefully.

17 MR. RUSSELL: I'm still trying to understand what  
18 the issue is. If the issue is these are 50.59 changes and  
19 you want to have some understanding that the change process  
20 that was used was consistent with the rule and we are not  
21 going to say it is an inadmissible change and therefore throw  
22 you back to square one, that's one issue. That's the issue  
23 that previously you were going to rely on QA and the vendors  
24 to make those judgments.

25 If you recall in the meetings, Pat, you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 mischaracterized a little bit, this is not the line where the  
2 NRC said we're not going to do this. This is one where you  
3 indicated you did not want us in it. We suggested that when  
4 you're doing first of a kind engineering, if we've got a  
5 concern with how you're developing the details such that we  
6 conclude that that's not acceptable and it came up in the  
7 context of seismic design and ASME code and changes, that was  
8 a big area and that issue, we said, we're not going to review  
9 it in process. It's your responsibility to do it in  
10 accordance with the certified design and in accordance with  
11 QA procedures. We'll review it when there's an application.

12 MR. MATZIE: I don't think the words, the  
13 concept, the thought about 50.59 changes ever came into our  
14 discussion. You're exactly right, but I don't think we ever  
15 mentioned that.

16 MR. SIMARD: It's probably worth noting since  
17 you brought it up. This latest issue of the strategic plan  
18 still has that position paper in the back of it about the  
19 industry commitment to standardization so even if this  
20 proposal doesn't go forward and even if we have no mechanism  
21 to gather these 50.59 changes and submit them with the first  
22 COL application, our commitment to standardization that every  
23 plant in that family is going to be identical means that we  
24 take that same package of changes and submit them again and  
25 again and again on the docket of each one of the successive

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 plants that comes in. And so one of the advantages we saw  
2 behind this proposal was some administrative efficiency of  
3 being able to submit this summary of changes at one point in  
4 time rather than repetitively.

5 MR. RUSSELL: But that efficiency already exists  
6 because if something is submitted on a docket at one time,  
7 the next time you identify the changes. That's been going on  
8 for years.

9 MR. MALSCH: Let me ask the question. Wouldn't  
10 a possible solution be a periodic updating of the FSAR and  
11 amending Tier 2, to update Tier 2, depending upon the current  
12 status of first of a kind engineering.

13 MR. McDONALD: That's, in essence, what a 50.59  
14 is.

15 MR. MALSCH: Except this would involve a specific  
16 rulemaking proceeding and agency approval that would be --

17 MR. RUSSELL: Then you're talking about  
18 periodically amending the rule.

19 MR. MALSCH: Yes.

20 MR. FRANTZ: Right now, that would require a  
21 change to Part 52 as 52.73 only allows changes for protection  
22 --

23 MR. MALSCH: We're just talking about Tier 2.

24 MR. MALSCH: That's the generic changes.

25 MR. ROUDEN: That should apply to Tier 2.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1                   MR. MALSCH:       We have to make a little  
2 adjustment. I suppose that's do-able. It's certainly do-able  
3 from a legal standpoint. There are obvious resource  
4 implications. And you have to make sure we didn't have this  
5 proliferation of petitions for rulemaking to amend Tier 2,  
6 that's resulted in this suite of 45 variations in design  
7 that's been certified.

8                   In terms of finality and preclusion and  
9 standardization that would probably get it for you.

10                  MR. ROUDEN: I'm not sure it would do electrical  
11 resource.

12                  MR. MALSCH: Well, no, it wouldn't. In fact, it  
13 may even exacerbate it.

14                  MR. WILSON: Have we had enough of this issue of  
15 changes? We'll move on to a new topic.

16                  MR. SIMARD: Let's switch to a little lighter  
17 topic, applicable regulations, the next one on the agenda.

18                  Again this is Ron Simard speaking. What we'd  
19 like to do is we'd like to ask a few questions to clarify the  
20 staff's views on why these are needed and how they would be  
21 implemented. The issue is that the proposed rules contain  
22 several technical requirements that deviate from or are not  
23 covered by the current regulations and the staff has proposed  
24 to codify these positions by defining them as applicable  
25 regulations as that term is used in the design certification

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005



1 books.

2           The industry strongly supports the goals of  
3 higher levels of safety performance and in fact, the  
4 implementation of these technical positions is found  
5 throughout tiers one and two of the designs that are being  
6 certified.

7           However, we believe the codification of these  
8 requirements is unnecessary and both the industry comments  
9 and I think the DOE comments as well questioned how their  
10 codification could be done, how they could be implemented  
11 without raising some fundamental instabilities. One of the  
12 proposed reasons for codifying these requirements was to  
13 allow the Commission to impose modifications to Tier 1  
14 information or to issue a plant specific order for reasons  
15 other than adequate protection of public health and safety.  
16 And it's this potential for compliance backfits that  
17 triggered the very strong concern we saw in the industry  
18 comments and the DOE comments and the problem that we tried  
19 to capture in our comments was that in codifying broadly  
20 stated requirements over a 60 year plant life time, there  
21 will be changes in the body of knowledge on severe accidents  
22 and differences in NRC staff interpretation what these  
23 broadly stated requirements mean.

24           That was the basis for the comments. And now  
25 what I'd like to do is just ask a couple of questions to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 clarify the staff's thinking with respect to why the  
2 codification is necessary and --

3 MR. WILSON: Before we proceed, let's not get off  
4 the track of the purpose of the meeting. Staff has provided  
5 the basis for its proposed rule. We've had meetings to  
6 discuss what we have in the proposed rule. This meeting is  
7 to discuss the comments and be sure we understand the  
8 comments. I don't know if Mr. Malsch wants to entertain  
9 those types of questions, but we've already been through this  
10 before.

11 You say you've read in our proposed rules all the  
12 various reasons we've given for regulations. The comment  
13 period is closed.

14 MR. SIMARD: Right, and we didn't intend to raise  
15 again positions that were rather to question reasons that  
16 were stated in the proposed rules, but subsequent to that in  
17 a public meeting, for example, staff did clarify something  
18 that was not stated in the rules and that was the basis of  
19 our questioning because what we heard in a public meeting on  
20 June 27th was that the staff intent was not to impose  
21 backfits based upon reinterpretation, based upon technology  
22 or something like that, but rather to allow compliance  
23 backfits if DCD information was found to be invalid.

24 So one of the things we wanted to ask today,  
25 Jerry, was clarification as to your intent there and in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 particular, what you meant by invalid, to make sure that the  
2 assumptions behind our comments are, in fact, correct.

3 MR. WILSON: Marty, would you like to address  
4 that? Let me say first of all in general these rules  
5 function like all other rules.

6 MR. MALSCH: Well, I guess I can -- I understand  
7 the concern. If we have applicable regulations as part of  
8 the design certification rule, they would function vis-a-vis  
9 people using the design certification like any other rule  
10 which would mean that under Part 52 we could backfit for  
11 noncompliance. There would be such a thing as a  
12 noncompliance backfit related to these requirements, whereas,  
13 without them there would only be an adequate protection  
14 question which is for severe accidents is probably  
15 conceivable.

16 So I think we're talking about the ability,  
17 should we have the ability to under any circumstances engage  
18 in a compliance backfit of a design certification based upon  
19 noncompliance with applicable regulations. We come up with,  
20 I guess the issues lies in connection with a possible  
21 backfit. It would arise in connection with renewal of the  
22 design certification which one of the rules is based upon  
23 regulations applicable and in effect at the time the original  
24 certification was issued and if there are no regulations out  
25 there, there are -- it wouldn't be an issue.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 I guess also there would be a question about  
2 change process, you know, if you have an applicable  
3 regulation then I suppose that might have implications for  
4 the change process. It wouldn't be the case if there was no  
5 applicable regulations.

6 Now, on the other hand, sure, I suppose, once you  
7 introduce the whole idea of an applicable regulation, it's  
8 going to be an issue in terms of either backfits or renewals  
9 or changes. You're right, there's going to be a question as  
10 to how that regulation is going to be interpreted and this is  
11 a new regulation that we got after 15 years of experience as  
12 you do with some of the other regulations.

13 On the other hand, that's inherent and the whole  
14 idea of reviewing these applications as against not just Part  
15 50 as it was currently stated, but in fact, against Part 50  
16 plus a bunch of extra stuff which the staff added and had in  
17 their mind when they were doing the review would be treated  
18 and be accorded the same status as all the other regulations.  
19 This is to be in lieu of a generic separate rulemaking  
20 proceeding on severe accidents for these plants.

21 The history is do we want to have -- and this  
22 goes back years ago -- do we want to have a gigantic  
23 rulemaking proceeding on severe accidents? Well, no we don't  
24 want to have that.

25 Do we want to have a rulemaking proceeding that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 updates the regulations and applies them in advance of design  
2 certification applicants to the next generation of design  
3 certification holders or applicants? And the answer is well,  
4 no, we don't need to do that. It's not timely. It will  
5 delay the design certification proceedings and so we say all  
6 right, we'll simply fold it in to the design certification  
7 proceeding itself and we would have the regulations developed  
8 as part of the design certification process and they'll be  
9 stuck into the design certification.

10 That's where we stand now. That was the  
11 assumption upon which the staff did the reviews. On the  
12 other hand, you're correct. It is essentially a collection  
13 of new regulations that apart from these proceedings, there  
14 is no regulatory experience. Now the staff clearly has no  
15 intention of putting things in here solely for the objective  
16 of backfitting the future all over the place. You can  
17 preclude the possibility.

18 MR. SIMARD: We understand. What we were hoping  
19 to get was a little better understanding of the statement  
20 that we heard in that meeting earlier. For example, you  
21 mention renewal. When the certification comes up for renewal  
22 and you have to do that verification that, in fact, it  
23 complies with applicable regulations that were in effect at  
24 the time of the certification, does the staff intend to look  
25 back at that determination as it was made in 1994, 1995,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 1996? In other words, to use the ASME codes, the regulatory  
2 guidance that was used initially by the staff in writing the  
3 FSAR or is there a possibility that in reexamining after 50  
4 years, whether that certification meets the applicable regs  
5 that they identify some, for example, new insights into  
6 severe accident technology or new interpretations, for  
7 example, coming out of the ASME code?

8 MR. MALSCH: Let me make a comment. I see two  
9 separate issues presented there. Let's suppose and I haven't  
10 got a particular applicable regulation in mind. Let's  
11 suppose it says you shall have adequate protection against  
12 zilch, zilch severe accident. Interfacing system LOCAs might  
13 be a good example.

14 MR. SIMARD: Okay. I can see a difference  
15 between new information which suggests that the resolution is  
16 accepted as part of the original certification simply is  
17 unsatisfactory. It doesn't accomplish the objective we had  
18 in mind. I can see -- I had thought that would be a basis  
19 for relooking at the issue as opposed to and something which  
20 I had not thought would be the basis for relooking, just  
21 something, a better way of doing it. It's better, but the  
22 old way is still okay. I thought that it was not the  
23 intention of the staff simply to update things because there  
24 are better ways of doing it, but only to update things in  
25 view of what could be revealed as actual inadequacies. Let

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 me turn it over to Jerry. This is where we kind of have an  
2 issue for the staff.

3 MR. WILSON: I think basically we agree with the  
4 way Marty's characterizing it. As I said, these regulations  
5 would function as any other regulations. This isn't a  
6 situation today and to further talk about what you brought  
7 up, our status right now is more stable, predictable than in  
8 a typical rulemaking in that not only we have the requirement  
9 but we have approved the implementation of that requirement.  
10 So there's -- you say there's uncertainty. I would say  
11 there's less uncertainty.

12 MR. SIMARD: It may be, if we could just  
13 understand. Let me use that example. At this point the  
14 staff has determined that in fact the piping systems  
15 connected to the reactor coolant pressure boundary do in fact  
16 to the extent practical, you know world-wide standings, and  
17 there are several pages of detailed calculations and  
18 assumptions in the SER and other places, for example, that go  
19 behind saying yeah, as long as you meet this particular  
20 pressure, low pressure systems and certain criteria on piping  
21 fits, it's okay.

22 So the question is suppose over the years, over  
23 the next 15 years when this thing comes up, suppose there are  
24 advances in the ASME code, for example, that might cause you  
25 to say you know, here's a better set of equations than the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVENUE, N.W.  
WASHINGTON, D.C. 20005

1 one used in 1994 SAR and if you apply this new set of  
2 equations, you come out with a wall thickness of something  
3 else. So is it the staff's intent, example, at the time of  
4 renewal or throughout the lifetime of the plant when having  
5 to make that sort of determination as to compliance to go  
6 back to the 1994 information or to use later information?

7 MR. WILSON: I would say we would rely on what we  
8 said in our evaluation and the only change would be if we  
9 discovered that that was wrong. It's not that we were  
10 sharpening our pencil and fine tuning it every year. That's  
11 certainly not the intent.

12 I might add to that, by the way, we are going to  
13 go back and take a look again at the wording of these  
14 regulations and make sure that we're not changing the intent  
15 of some buried, inherent ratchet in there that, I think it's  
16 probably the word to say.

17 MR. MALSCH: I'd only say I have to confess that  
18 the difference between something that's better and wrong is  
19 something that's going to be not so easy to distinguish.

20 In your example, a new set of equations are  
21 developed because a new model is developed which is more in  
22 the core of experimental information or whatever, well, in  
23 sort of a simplistic sense that suggests that the earlier set  
24 of equations was wrong. The question would be, I suppose,  
25 how wrong is it? Are we talking about a nuance or a slight

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005



1 adjustment or are we talking about something that's so long  
2 that the basic objective of the new requirement is no longer  
3 considered to be met. I think that's what the staff has in  
4 mind, but I think it would be fair to say that in some  
5 particular cases that may not be such an easy judgment to  
6 make.

7 MR. BISHOP: But I think if you could provide  
8 that clarification as well as looking at these words, a lot  
9 of our concern goes away.

10 MR. WILSON: I think we do have to look at --

11 MR. BISHOP: There are degrees in this are what  
12 really raise this issue.

13 MR. MALSCH: Or take a worse example, if you have  
14 a requirement that says mitigate severe accident sequence  
15 zilch to the extent practicable, well, someone would make a  
16 judgement about practicability in 1995 and things could be  
17 a lot cheaper in 2010, well, if that's what we mean by  
18 deregulation then we end up getting it updated purely because  
19 of advances in technology irrespective of new actual  
20 phenomenological information. I don't think that's what we  
21 intend. I would agree with you. The language in the  
22 regulations would at least admit on the surface of that kind  
23 of interpretation. I would see that problem.

24 MR. WILSON: Actually, the opposite of what  
25 happens is as time goes by and there are easier and better

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 ways of doing it that come along, the applicant, the licensee  
2 comes in who would like to do this differently because  
3 there's a better way.

4                   Stu, did you have a question?

5                   MR. MAGRUDER: Stu Magruder from the NRC staff,  
6 specifically on the GE comments you included a table where  
7 you discussed four regulations and a couple of them the staff  
8 just requests some clarification pertaining to just what we  
9 were talking about. For instance, I asked LOCA and core  
10 debris cooling, the staff in the SER concludes that the  
11 designs are acceptable and they fully meet the proposed  
12 regulations and I think the staff just wants to understand  
13 the industry concern be raised where you say the staff could  
14 go back in the future and basically contradict our finding.

15                   I just want some clarification on why you feel  
16 that way.

17                   MR. FRANTZ: I think our major concern there is  
18 the language in the FSER. I think core debris cooling, for  
19 example, the applicable regulation states that the continuing  
20 shall be able to withstand the emissions for approximately 24  
21 hours. If we look both of our design certification  
22 documents, that control document and the FSER, there are some  
23 scenarios in there that containment survives for 18 hours,  
24 for example. And the staff has found that to be acceptable  
25 and so has me, of course. We're concerned that ten years

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 down the road there will be new staff personnel. The staff  
2 would look at that statement in the FSEER and say 18 hours is  
3 not 24 hours, therefore you don't meet the applicable  
4 regulation. What we're going to do is impose a backfit on  
5 it.

6 MR. MIZUNO: This is Gary Mizuno. I believe this  
7 was specifically discussed at the working level and I believe  
8 it was the industry that at the working level asked for that  
9 kind of line to be inserted in because we were willing to  
10 have more precise language in terms of talking about specific  
11 sequences and the associated time periods that the  
12 containment would have to withstand, but no one wanted to go  
13 through the time of writing a regulation that went through  
14 all those things, so therefore a compromise was developed  
15 that would sort of say approximately 24 hours.

16 MR. FRANKS: But the language doesn't say it. We  
17 don't say compromising regulation. It's applicable, it's to  
18 be applied.

19 MR. FRANTZ: Our concern isn't in the guidance.  
20 The staff has reasonable guidance to apply. We're concerned  
21 about making that guidance into a regulation which doesn't  
22 have that kind of flexibility.

23 MR. MALSCH: Let me ask this, in the industry  
24 sampling would it be theoretically possible to reach  
25 agreement on acceptable drafting of a set of regulations that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 you could live with?

2 MR. FRANTZ: In terms of would we meet the FSER?  
3 In some cases it may be. In other cases, I'm not sure it's  
4 possible.

5 MR. SIMARD: I'm not sure that we can answer that  
6 because we have done an analysis and we tried to show where  
7 these regulations, I'm sorry, where these requirements are,  
8 in fact, applicable to the design. IS LOCA, for example, are  
9 commitments to Tier 1 of the design.

10 I understand that the staff has said design  
11 certification can't be a surrogate for evaluating proposed  
12 changes, but I guess the reason we had trouble understanding  
13 that you have a regulatory basis, it's Tier 1. So it's part  
14 of the regulation. You have a change control process and in  
15 terms of standards for evaluating a proposed change, you had  
16 the guidance that led you to make the initial determination  
17 that alternative A was acceptable, why wouldn't that same  
18 guidance be used in determining whether alternative B was  
19 equally acceptable?

20 I don't know if we have a ready answer to your  
21 question. Previously, we thought that we could point to a  
22 regulatory basis for all of these positions and that led us  
23 to question why it was necessary to codify them and get into  
24 this area of uncertainty.

25 MR. WILSON: Are there any other questions on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 applicable regulations?

2 MR. SIMARD: May I ask -- of the 14 applicable  
3 regulations or 15 if you include the steam generator one for  
4 80+, there are some of them that don't refer to the design to  
5 being certified, but imposed requirements upon licensees for  
6 later reference of the design. For example, a licensee would  
7 be required by this applicable regulation to have a pump and  
8 valve testing program over the plant lifetime and this is  
9 separately a requirement under 50.55(a) and we were wondering  
10 if the staff continued to see it, the appropriateness of  
11 having applicable regulations in the rule certified as a  
12 design that impose programmatic and operational requirements  
13 on a licensee down the road. Are you able to --

14 MR. WILSON: I thought all regulations applied to  
15 an applicant or licensee that references the design,  
16 including all the procedural requirements we've been talking  
17 about today.

18 MR. SIMARD: But you see no difference between a  
19 design requirement on piping thickness, for example, and a  
20 programmatic requirement that says over the lifetime of a  
21 plant the COL holder shall have an outage plan that addresses  
22 certain elements? Staff still feels that's appropriate?

23 MR. WILSON: The nature of the requirements is  
24 obviously different. All those requirements apply to the  
25 applicant or licensee that references the design. It's no

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

(202) 234-4433

(202) 234-4433

1 different than any other requirement when you reference the  
2 design. The ECCS requirement, plus, as I say, basically the  
3 key part of the design certification are these procedural  
4 requirements we're talking about and they all apply to the  
5 applicant or the licensee.

6 MR. CRUTCHFIELD: Is there a question whether the  
7 certified rules apply for the entire life of the license, the  
8 40-year life of the license, is that your question?

9 MR. SIMARD: No, the distinction is between --  
10 this isn't quite exactly -- let's say between the eleven  
11 requirements that are clearly related to the design being  
12 certified, like coolability, like interfacing system LOCAs.  
13 The three that have to do with requiring design certification  
14 rule that downstream a licensee would have to have an outage  
15 plant, a check valve testing program.

16 MR. CRUTCHFIELD: So your argument they're solely  
17 and specifically applicable to the design and others are  
18 applicable to the COL and why don't we pull those three out  
19 and handle them as part of the COL process?

20 MR. SIMARD: Yeah, we didn't understand that.  
21 When we saw them in the proposed rules, we understood the  
22 staff's rationale that was provided as to why these things  
23 are necessary and we saw that as being applied to the ones  
24 that are purely designed and we never did understand why  
25 these were in the design cert rules, so we were just seeking

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 clarification to see if the staff still thinks it's necessary  
2 to have them in the design.

3 MR. CRUTCHFIELD: So your proposal would be to  
4 separate the eleven and the three, if there are applicable  
5 regulations, make eleven of them specifically related to the  
6 design and handle the three others in another menu?

7 MR. SIMARD: And the comments we submitted did  
8 single out those three. We tried to provide reasons why they  
9 would be better addressed outside of the design  
10 certification.

11 MR. WILSON: Any other questions on this issue?

12 MR. VINE: Gary Vine from EPRI. Just a quick  
13 observation related to the earlier question about the need  
14 for applicable regulations. There's a long standing history  
15 here of industry positions and correspondence back and forth  
16 between the industry and the NRC regarding how to deal with  
17 severe accident issues. It has been our intent all along,  
18 this goes back to the late '80s, that the mechanisms for  
19 resolving technically the design requirements for severe  
20 accidents would be in the context of the utility requirements  
21 document and the NRC's view of those requirements. Having  
22 settled the issue technically in that -- with that vehicle,  
23 there's no need then to codify those requirements in the  
24 design certification rule other than the fact that you codify  
25 the design with those features included in Tier 1 and Tier 2.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1           So the need to establish new requirements as part  
2 of the certification rulemaking goes beyond what's necessary  
3 given the technical resolution of these issues.

4           MR. CRUTCHFIELD: Are you saying the requirements  
5 document is binding as a regulatory vehicle?

6           MR. VINE: No sir, just that the requirements  
7 document was the vehicle by which the industry and the NRC go  
8 through all of these technical issues and reach agreement on  
9 how best to address each of them in the context of your SER.

10          MR. WILSON: Okay, is that enough on applicable  
11 regulations? I think the next item on the agenda is ITAAC  
12 verification.

13          Ron, did you want to characterize this issue  
14 without a lot of restatement of what's in the comment?

15          MR. SIMARD: Yes --

16          MR. WILSON: I just point out that this is not an  
17 issue that was discussed in the proposed design certification  
18 rules.

19          MR. SIMARD: Yes, rather than restating what was  
20 in the comments, I thought it would be useful to explain why  
21 it was in the comments because we've been asked by the staff  
22 why we brought this up, given that the subject was not raised  
23 in the proposed rules.

24          The reason we did that is a strong concern  
25 surfaced earlier this year based on the SECY construction

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005



1 inspection and ITAAC verification and some of the  
2 interactions we had with the staff. The staff, some of the  
3 staff were proposing that a determination of whether or not  
4 an ITAAC was satisfied could involve from some fairly broad  
5 ranging evaluations of QA activities, training, test  
6 procedures, adequacy of procurement documentation and so  
7 forth. So we became concerned that ITAAC verification was  
8 heading down a track that was inconsistent with all those ten  
9 years of effort that we put into ITAAC development. And  
10 because the ITAAC are an integral part of the certification,  
11 we're proposing that the rules contain a statement to  
12 reinforce and explain the fundamental principles behind them,  
13 that the design certification ITAAC are meant to provide the  
14 objective safety standards by which the licensees and NRC can  
15 verify that a plant which references the design be built.

16               Consequently, the ITAAC focus on the end products  
17 and the results of construction and the words in these  
18 certifications that we spent so many man years carefully  
19 crafting reflect some -- reflect the need to insure the  
20 acceptance criteria are crisply defined and objectively  
21 verifiable and we feel that the process for verifying that  
22 the acceptance criteria have been met, must have a similar  
23 focus and be independent of the bulk of programmatic  
24 activities and the on-going NRC's inspection and enforcement.

25               So we thought that the rules contained a clear

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 statement similar to the one that we provided in our  
2 comments, a brief statement to reinforce the principle that  
3 guided the development of the words behind the ITAACs that  
4 are in these rules, it would be very helpful providing the  
5 direction to the follow-on work that needs to occur.

6           So I know that some of the staff raised questions  
7 about us getting in the details of ITAAC verification. That  
8 was not the intent. But what we're trying to establish is  
9 some baseline policy guidance that would be useful when we do  
10 get into that.

11           If I may ask just one question. I thought that  
12 we saw a similar interest on the part of the staff in that  
13 meeting on March 15 we referred to earlier. There were staff  
14 at that meeting who stated a deficiency could affect an ITAAC  
15 finding only if it was and I may be putting words in your  
16 mouth here, I need some clarification, but only if these  
17 factors were directly and causally related, but for the  
18 requirements of the ITAAC and we were just looking to see if  
19 that was, in fact, the intent.

20           MR. WILSON: Let me put my own words in my own  
21 mouth. But I thought we had an agreement at that meeting  
22 that any particular inspection finding would have to be  
23 relevant and significant as it applied to that particular  
24 ITAAC in order for it to be part of that determination and  
25 that burden, if you will, would be on the NRC to demonstrate

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 that some particular inspection finding was relevant to that  
2 ITAAC determination and of significance as to whether it had  
3 been met or not. I guess I would say I don't share the  
4 degree of concern that I read into the comments on this  
5 issue.

6 MR. SIMARD: No, your statement is helpful. As  
7 a matter of fact it was for this sort of reason. That  
8 clarifies it and it's very helpful and again we thought it  
9 would be very useful that these rules had a similar statement  
10 to the intent there that could then provide that basis.

11 MR. RUSSELL: We have an issue that was put on  
12 the table nearly three years ago as it relates to  
13 programmatic ITAAC, what I would characterize as Part C of  
14 Part 52. And things are going to come forward in the COL  
15 proceeding and clearly we're going to have a quality  
16 assurance plan and clearly we're going to have to address it.

17 Those issues have not yet been finalized. We  
18 were very careful to address what needs to be demonstrated  
19 and how it's to be demonstrated as it relates to hardware and  
20 design issues. That's what we are certifying now by way of  
21 rulemaking.

22 The issues as to what is the role of the quality  
23 program or how do you handle some of the soft issues such as  
24 operator licensing issues associated with availability of  
25 simulators prior to -- etc., are issues we have not yet had

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

(202) 234-4433

(202) 234-4433

1 dialogue on and so we agreed to table those issues. In fact,  
2 more than a year ago I suggested it would be useful to go  
3 through a list of COL action items. I identified those that  
4 are generic and then start to work on those issues, such that  
5 we can make similar progress on those softer issues, but  
6 there is a potential relationship between quality records.  
7 If you're relying on a record that demonstrate that an ITAAC  
8 has been met because something is now buried in a pile of  
9 concrete and you can no longer go look at it, that having  
10 confidence in the quality of programs that you can believe  
11 the record is one thing. Otherwise, you may have to go and  
12 use some kind of constructive examination technique to verify  
13 that the physical plant condition is satisfactory.

14               We've tied the ITAAC to the extent we can to  
15 physical parameters, things that can be done and measured and  
16 we've described the conditions under which that will be  
17 shown. We have separated out the quality issue because we  
18 have not yet addressed it.

19               You will have, on any inspection report, if we  
20 find a problem, we're going to pursue what we call extent of  
21 condition and we're going to be asking questions. You  
22 screwed up in this area, tell me why I should have confidence  
23 in some other areas that's not impacted and if that doesn't  
24 impact an ITAAC later on. It's the standard give and take  
25 we're going to be going through.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 MR. SIMARD: And again, all we're looking for  
2 with respect to the design certification ITAAC, not the COL,  
3 but the design certification, some statement as to relevance,  
4 causality, you know that sets a clear threshold for the staff  
5 now --

6 MR. WILSON: I think we clarify that in the  
7 statements of consideration.

8 Are there other questions on this issue of ITAAC  
9 verification? Next issue, number 5, severe accident  
10 consideration in tier change process.

11 My reading of the comment indicate that NEI wants  
12 to delete Chapter 19 from the scope of Tier 2 information  
13 considered in the change process under 50.59. Is that  
14 correct?

15 MR. FRANTZ: I don't believe that is correct.  
16 What we have proposed is a two criteria -- first of all, we  
17 believe that the 50.59 process should apply to the important  
18 features that have been identified from the PRA analysis  
19 considered acts of violation and the other evaluations in  
20 Chapter 19.

21 The staff and the applicants spent months trying  
22 to develop a list of important features. We believe it's  
23 comprehensive and we believe if the focus is on those  
24 important features we will accomplish the goal of the  
25 Commission to preserve the severe accident PRA insights.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 It's simply in accord with the Commission direction.

2           The other aspect of our proposal is to apply a  
3 standard similar to that and I was talking to Mr. Russell in  
4 a meeting last November whereby a change would involve an  
5 unreviewed safety question only if there is a substantial  
6 increase in consequences or probability. Right now the staff  
7 has proposed with one exception pertaining to one section of  
8 Chapter 19 that the traditional 50.59 definition be applied  
9 and we believe that that traditional process would result in  
10 unreviewed safety questions being determined for  
11 insignificant increases in severe accidents.

12           MR. RUSSELL: I need to take you back because I  
13 thought we talked about the standard 50.59 as it relates to  
14 classic design basis accidents and we had reached an  
15 agreement that in the context of severe accidents where there  
16 is a larger uncertainty that a substantial increase of  
17 probability was there, or the situation where it challenged  
18 the containment or scenario which was previously deemed to  
19 not be credible was now believed to be credible. That is,  
20 that there was some judgment to be made using the kinds of  
21 techniques we went through in the reviews of establishing  
22 what constitutes a credible or an incredible challenge.

23           MR. WILSON: And that's what's in the proposal  
24 and it applies to that section in the design control document  
25 where it describes how the severe accident issues are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 resolved.

2 MR. FRANTZ: Well, that's not quite correct.  
3 Back in November, we agreed to the part of the standard that  
4 Mr. Russell just mentioned and all of Chapter 19, as  
5 reflected as our DCD introduction.

6 Unfortunately, the rule says that standard only  
7 applies to the PRA Section 19.E and the associated  
8 appendices, 19.E(a) through E(e).

9 MR. WILSON: Right and that's where it's  
10 described as to how the severe accident issues are resolved.

11 MR. FRANTZ: But the rest of Chapter 19 also has  
12 discussions of severe accidents and PRA analysis. For  
13 example, we have --

14 MR. WILSON: Well, PRA information has been  
15 deleted. That's not an issue any more.

16 MR. FRANTZ: Currently, we have, for example, in  
17 the DCD probabilistic evaluations of things like fire  
18 protection, flooding, shutdown risks and all of those  
19 according to the current wording of the proposed rule to be  
20 judged by the existing design basis standard rather than the  
21 severe accident standard that we discussed last November.

22 MR. WILSON: Right, just like all other safety  
23 issues that are resolved throughout the application, those  
24 would have the -- be the same evaluation. Those aren't  
25 severe accident issues.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 MR. RUSSELL: I'm hearing two different things.  
2 I thought there was a general agreement back at the meeting  
3 in November as it relates to classic DBAs as they're  
4 described in the staff standard review plan that the  
5 potential for creating a new type of accident or the  
6 probability of increasing the probability of an accident you  
7 would use the classic 50.59 type process.

8 MR. FRANTZ: That's correct.

9 MR. RUSSELL: As it relates to severe accidents  
10 which are being addressed for the first time in licensing  
11 this type around. In the context of severe accidents, we  
12 agreed that a standard -- a substantial increase in the  
13 probability or the potential for creating severe accident  
14 that was previously deemed to not be credible now is  
15 considered to be credible.

16 MR. FRANTZ: That's correct.

17 MR. RUSSELL: Basically the threshold that we got  
18 to sounds like the issue is in the details as to how various  
19 sections are referenced for the operability of this. I think  
20 we'll look carefully at what your comments are and we'll look  
21 at it broadly. I don't see a basis for changing the  
22 standard, particularly in light of the uncertainty that's  
23 associated with severe accidents and the review process we  
24 went through, we found these to be acceptable. We documented  
25 the rationale as to why they were acceptable and I think that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005



1 there needs to be some significance test associated with it,  
2 not just that you can calculate and know that it's slightly  
3 greater than what you calculated before.

4 MR. FRANKS: You're right.

5 MR. RUSSELL: I thought the issue was also  
6 somewhat tied to separating portions of what would be in the  
7 application that is the separation of the PRA information and  
8 supporting information and some of those issues were going to  
9 be addressed in the context of living PRA which we also  
10 agreed would be addressed separately by way of separate  
11 rulemaking. We deferred that to an OL issue to begin later.

12 MR. WILSON: Right, the PRA information is taken  
13 out and we'll deal with that as an OL issue.

14 Any other questions on that item?

15 MR. RUSSELL: But clearly, the understanding is  
16 that on changes, the change we talked about in November had  
17 to do with potentially adding features to the design or  
18 operating in a manner different than previously considered  
19 and using the ABWR example and said that equipment under the  
20 vessel head could delay the migration of correaant florant  
21 spread, that that could constitute a different outcome than  
22 if there were no equipment in that space.

23 The design feature and the controls do not  
24 adequately address that from the standpoint of spreading  
25 area, etc. But that is a change in operation and it could

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 have an impact and assumptions were made as to how the  
2 accident would progress. It relates to that kind of feature.  
3 You may add features or do things that have unintended  
4 outcomes and it's not sufficient to just rely upon a  
5 description of the design to say this issue exists. You also  
6 have to understand what the assumptions were and how it  
7 behaved and make sure you didn't impact that analysis. And  
8 so there was agreement that there would be a review of  
9 changes to make sure you did not make a severe accident more  
10 serious or adverse, that you hadn't undone some of the design  
11 feature.

12 MR. FRANTZ: Agree. That is what was decided  
13 back in November last year.

14 MR. RUSSELL: Okay, so the issue is only the  
15 details of how the words close those agreements that we  
16 reached in November.

17 MR. FRANTZ: There were two issues. We are in  
18 full agreement it appears. With respect to the first issue,  
19 we realize the staff agrees with us on this one. We'd still  
20 like to confine the entire review to the important features,  
21 but we realize that going back to last November, obviously at  
22 this point it's up to the Commission to address that  
23 determination.

24 MR. WILSON: Issue number 7. Role of the  
25 introductory provisions to the design control document. NEI

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 requested that substantive provisions in the introduction to  
2 the design control document be incorporated in the design  
3 certification rules. Any questions on this item?

4 I can say what we said before and we'll restate  
5 it, is that we'll relook at the provisions of the  
6 introduction to the design control document to see which ones  
7 are maybe appropriate for inclusion in either, the rule or  
8 the statements of consideration. We'll do that as part of  
9 our comment analysis of the rule.

10 Any other questions on this particular comment by  
11 NEI?

12 MR. BRINKMAN: Our concern was that our intention  
13 to develop the introduction, if it was there for the purpose  
14 of allowing the design control document be a free-standing  
15 document and when the NOPR in the notice of proposed  
16 rulemaking was issued, it specified stated that the  
17 introduction is not part of the DCD as far as being  
18 incorporated into the rule and that it is subordinate to the  
19 statement of considerations which gives it virtually no legal  
20 standing whatsoever.

21 MR. WILSON: As you said though, when we first  
22 set out to do it we did it as a convenience and industry  
23 brought up they didn't feel that every time a utility person  
24 wanted to look at the DCD they had to go look up the rule and  
25 the statement of consideration, so we developed this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 information to be a convenience. It wasn't to be overruled.  
2 The rule itself or the statement of consideration would have  
3 to be in conformance with that and of course, once the  
4 rulemaking is final, I think what we'll have to do is go back  
5 and be sure that the introduction is in fact in conformance  
6 with the final rule and the statement of consideration. We  
7 probably will have to revise both of them to achieve that.

8 MR. BRINKMAN: We believe it's a lot more than  
9 any convenience. There are some very important principles  
10 that were wrestled out with the staff and ourselves and given  
11 a great deal of scrutiny that didn't get incorporated into  
12 the rule.

13 For instance, the matter of what happens to ITAAC  
14 after it's been satisfied. There is some statement in there,  
15 but it doesn't go all the way to what we worked out here.  
16 There are other areas that I could elaborate if you want me  
17 to --

18 MR. WILSON: No, we said that in the comments and  
19 as I said we'll go back.

20 MR. BRINKMAN: WE feel these are very significant  
21 and they have to have legal standing. The desired  
22 recommendation, as it was in the beginning that the DCD  
23 introduction is to be incorporated in toto in the rule, but  
24 if that isn't satisfactory to the staff, we have given you  
25 words and we would strongly recommend their inclusion in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 rule.

2 MR. SIMARD: Could I just follow up on that and  
3 ask, in the alternative that you are unable to incorporate  
4 the introduction, the industry comments provided two fairly  
5 detailed tables. They were 8A and 8B, one for the ABWR and  
6 one for the 80+ and we attempted to capture what we thought  
7 were the essential principles and the key guidance elements  
8 in the DCD introduction that would then be reflected in the  
9 rule.

10 Are you able to tell us that how we did? In  
11 other words, in your review of those tables do you think we  
12 have, in fact, captured all the key points that concerned  
13 you?

14 MR. WILSON: I can't give you an answer today.  
15 I will assure you that we will address all of those items  
16 when we do the comment analysis.

17 MR. SIMARD: Thank you.

18 MR. WILSON: Anything else on number 7?

19 MR. RUSSELL: I think there's a comment on that  
20 last one. My understanding of where we've been is that many  
21 of the issues that were in the introduction are what I would  
22 characterize as text that describes how the rules operate  
23 when the rules themselves are fairly complex and what we're  
24 concerned about is having a potential conflict between the  
25 introduction and what is the language of the rule as it has

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 been structured legally.

2           So issues, for example, the item of ITAAC, once  
3 ITAACs are satisfied the issue, the operating authorization  
4 we said in columns 2 and 3 are no longer operable, but the  
5 design description lasts for the life of the plant. I mean  
6 that's a practical interpretation that was worked out amongst  
7 engineers. It's in the design introductions, the DCD  
8 introductions. We operated with it for two years doing the  
9 reviews, but we didn't go back and use the same kind of plain  
10 English to write the rules. We wanted to stay away from  
11 changing the rules. So what it was it got changed as to how  
12 it worked. Maybe there is something that can be done to  
13 review it to say this is consistent to the rules, but should  
14 a conflict occur between the rules and the introduction, the  
15 rule applies and not the introductory material. Maybe there  
16 are other ways we can address them. We're going to be  
17 looking at it to see whether there are known conflicts. We  
18 don't know of any now. This is more of a concern as to which  
19 has precedent and the rule is clearly what has precedence.  
20 And so it's in that context we were hesitant to endorse the  
21 introductory material.

22           MR. ROUDEN: I think that's a good example from  
23 our standpoint of something that should be included in the  
24 rule. We believe it's of sufficient importance that it ought  
25 to be specified.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1           Our concern is not inconsistency of the statement  
2 of considerations and the rule. That statement of  
3 consideration over time is really going to disappear from  
4 people's consciousness and what we wanted was something that  
5 the original staff guidance provided, an integrated document  
6 that was a continuing specific guide to people who would have  
7 to implement the rule.

8           I mean I don't want to re-argue the points made.  
9 They're in our comments in detail. That is our concern and  
10 that is what we would want to address.

11           MR. BRINKMAN: Bill, I would like to add though  
12 that these issues are very important. We devised the ITAAC  
13 on that specific basis, but those two columns would  
14 disappear. somebody can later on reinterpret the rule that  
15 says these ITAAC are living documents that go on and on. For  
16 a plant, we've got a big problem with the ITAAC.

17           MR. RUSSELL: But I agree with Marcus' comment  
18 that if the issue is substantive, the issue ought to be  
19 captured in the rule itself.

20           MR. BRINKMAN: And that is our point as well. WE  
21 have proposed --

22           MR. RUSSELL: Some of the other changes are  
23 being considered would alleviate that concern. What we have  
24 to do is look at after comment resolution the final set  
25 language that goes in the rule and how does that comport to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 the various introductions, if it's consistent with or if we  
2 need to have changes with some of the DCD material, revise  
3 some of the introductions or are we going to have to have an  
4 iterative process to do that.

5 MR. BRINKMAN: I think we're in agreement in that  
6 you're saying that which is substantive should be in the rule  
7 and that's what we're seeking.

8 MR. EGAN: And to the extent that there is a  
9 provision that doesn't go in a rule, we're real interested in  
10 why it shouldn't go in the rule because when we did have the  
11 negotiations, we felt we really did achieve closure on those  
12 issues.

13 MR. RUSSELL: Well, I'm not interested in  
14 reopening three years of technical review, but based upon a  
15 number of assumptions as to how these things operate.

16 MR. WILSON: Okay, Mr. McDonald?

17 MR. McDONALD: On the subject of ITAACs, we went  
18 by discussion of ITAACs that are continuing. I think the  
19 discussions that we've had in industry groups about the  
20 ITAACs relate very much to what constitutes a part 52 level  
21 of a statement of compliance, what is to be provided as a top  
22 level conclusion on the ITAAC requirement has been met. In  
23 looking at the individual ITAAC, I believe we found that they  
24 are indeed very fine processes. They are thorough. They  
25 have a lot of meat to them. They're a good guide and far

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005



1 better than anything we've had in previous plants as an  
2 alternate to look at, a guide to where we're going. I also  
3 think that we all know that we have a large body of evidence  
4 that is made and developed concurrently or rather before  
5 those ITAACs are verified. And in essence, what I think that  
6 we need to understand in terms of a part 52 process and the  
7 discipline that we maintain in operations and construction  
8 rather and in regulations, is would it not be adequate and  
9 should it not be stated that the ITAAC requirements per se as  
10 contained in the ITAAC and their completion as determined by  
11 the owner, that those ITAAC per se, per word have been  
12 completed and he signs your name to it, that that is the  
13 conclusion that the regulator should look for.

14 And the regulator then has his own set of  
15 inspections in whatever arena there are to the part 52, part  
16 50 subset of Part 52, what have you. But I think what we're  
17 concerned about is the infrastructure that might be built up,  
18 a 20 story building with those ITAAC acceptance criteria on  
19 top of them, that is some way integrated in each one of those  
20 whereas what I think we're looking for, if we as a builder  
21 complete the plan and take the ITAAC and say ITAAC No. 2421,  
22 this requirement and repeat the requirement. It has been  
23 completed satisfactorily and give it to you, does that not  
24 constitute an adequate ITAAC verification by you? By ius to  
25 you?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 MR. RUSSELL: Probably not. The reason is  
2 because the ITAAC also described the method by which you  
3 demonstrate compliance had been met so there was a method and  
4 there was an acceptance criteria and you have to describe  
5 that you followed that method. There are also several cases  
6 where we indicated an acceptable way of meeting the ITAAC and  
7 put it in Tier 2, we said that's not the only way you can  
8 meet it, so there are other changes that could be made in the  
9 50.59 like process. It could even be applied to a  
10 demonstration methodology that will recognize that and so all  
11 I'm saying is that there are a number of nuances and we will  
12 be conducting inspections to the extent we find inspection  
13 activity that indicates failure to satisfactorily resolve the  
14 concern could impact one or more ITAAC that is going to be an  
15 issue we need to identify and the process provides for us to  
16 address that with construction in process and not wait until  
17 the end and simply rely upon a certification.

18 MR. McDONALD: I would submit that this subject  
19 needs to have further discussion along the direct line, that  
20 I believe in the spirit of the Part 52 process, that the  
21 simple restatement and affirmation that's been completed by  
22 the owner should be adequate, his QA program will build him  
23 up for that level. Your inspection program will build him up  
24 to that level and it provides a clean response for the record  
25 which will be open to intervenors in the hearings that come

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 later. I think we have not delved into this adequately and  
2 the time is late and we should make a determination that  
3 those words and those responses for ITAAC completion should  
4 be specified in the design certification rule. We know  
5 there's a lot more to building a plant and there are  
6 requirements that go into it. But if we don't have that,  
7 then we don't have the assurance that we need to have about  
8 the start up and the COL.

9 MR. WILSON: Well, as we said earlier on this  
10 issue we will seek to provide some clarification to that in  
11 the statement of consideration.

12 MR. McDONALD: Clarification -- I think we need  
13 more than clarification. We need a depth of understanding.  
14 In the past what gave rise to our concern was the  
15 construction plans that you put forth and called them Part 52  
16 inspections and what have you. In our mind, the Energy  
17 Policy Act called for a high level ITAAC and that high level  
18 ITAAC and that alone would be subject to intervention and  
19 that was why that we thought it would work well and the  
20 details of QA programs and what have you below it would be  
21 handled on a normal, every day basis like we have in Part 52.  
22 And when we don't have that assurance of what it takes to  
23 supply an ITAAC, we do not have the confidence that this Part  
24 52 design certification is going to be adequate for a  
25 customer buy.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 MR. WILSON: Well, the regulation for ITAAC is  
2 consistent with the Energy Policy Act of 1992 and  
3 furthermore, as Mr. Russell mentioned earlier, we agreed that  
4 there wasn't a need for a QA program ITAAC and in fact, we  
5 don't have one.

6 MR. McDONALD: I don't you don't. I would submit  
7 to you that the dialogue that we've had on those issues has  
8 been typically this, we have talked about the ITAAC and  
9 you've talked about the construction program, but the fact is  
10 that for us to see what a design certification means in terms  
11 of what to expect in the future, what to build for, we need  
12 to see something that's simple, clean and straight forward  
13 and when I asked Bill, I mean you're the smartest guy I know  
14 what all that stuff is about, but when I ask you about this  
15 and you stated that you would need more on how the methods  
16 were, then I'm not sure what you're talking about.

17 MR. RUSSELL: Well, let me give you two examples  
18 of ITAAC. One is the structural ITAAC which essentially is  
19 one that's based upon reconciling the as-built plan for the  
20 as-designed and showing it can structurally handle a load  
21 under the design conditions and there's a process that's  
22 built in there that says you build it in accordance with the  
23 engineering and assuming the engineering was done well and if  
24 it comes out that way that's fine. If not, if there are  
25 changes based upon as-built differences, then there's a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

(202) 234-4433

(202) 234-4433

1 process for resolving those differences and showing it's  
2 okay. So this is the capability of this structure  
3 performance design function that we're relying on analysis.  
4 The analysis met the design specified, so we're clearly going  
5 to look at the analysis and the reconciliation of as-built as  
6 to as-design and if there are no differences between as-built  
7 and as-design, we find the analysis is consistent with the  
8 package, we're done, but we're not simply going to accept the  
9 certification, but we're going to audit it, we're going to  
10 find out whether we can also support on an audit basis that  
11 that has been done.

12 MR. McDONALD: No problem. No problem with  
13 exactly what you said. And here I think it's more of a  
14 communication thing than anything else.

15 The ITAACs themselves, the things that are  
16 labeled ITAAC and the words that are labeled ITAAC are two  
17 different things because you have a summation and it has  
18 several parts to them. The detail in some ITAACs go one,  
19 two, three, you should do it by this method, you should do it  
20 by that, but the end product up there says these are done in  
21 accordance with the plan and so the question is in terms of  
22 the whole body of evidence that builds up to this, what's  
23 that body of evidence that we put on the table for  
24 intervention, for example, not that intervention is bad, but  
25 for intervention which will happen along the way? What do we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 put on the table? It seems to me that there is so much  
2 detail that could be in those packages as to make it  
3 meaningless. And I'm suggesting to you that one way to have  
4 everything in place is to use those ITAAC, the things that  
5 are labeled, the key questions or key things to be done as  
6 part of the ITAAC, the top tier up there is to simply for the  
7 owner to certify those have been completed.

8 MR. RUSSELL: It has to be done.

9 MR. McDONALD: That's right and that is --

10 MR. RUSSELL: We're digressing, Pat. We've had  
11 an activity underway for about a year and a half on this  
12 issue of what have been lessons learned from construction  
13 inspection activities. We've just gotten through a rather  
14 long licensing process associated with a plant in Tennessee  
15 that we had difficulties with representations that were  
16 certified that we found weren't quite accurate back in the  
17 1980s. Given that experience and those lessons learned,  
18 we're going to watch this much more closely. I would submit  
19 that the major lesson learned is do the engineering first and  
20 then build the plant based upon the engineering as compared  
21 to building it and then --

22 MR. McDONALD: We couldn't agree with you more.

23 MR. SIMARD: Pat, if I may, I think I understand  
24 that Mr. Wilson clarified earlier of the staff's intent and  
25 used the phrase "relevance". I understood that the staff's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 view as to the high level view of what constituted acceptance  
2 criteria, they used the word "relevance", we use the word  
3 "causal" relationship, but I understood our thinking to be  
4 similar, so the issue that we brought to you in the form of  
5 our comments here is a request that that statement, that  
6 principle be stated in the rule.

7 Now Mr. Wilson has suggested perhaps it will be  
8 in the statement of considerations and what we're saying is  
9 that package the phrase confidence to the potential  
10 customers, yeah, that would be good, but we would get even  
11 more confidence seeing a high level statement like that in  
12 the rule itself. I think that with respect to the issue  
13 that's on the agenda today, that high level of criteria, I  
14 thought I understood us to be in agreement as to relevance.

15 MR. WILSON: Yes, but I think Mr. McDonald has  
16 brought a different issue into this. You and I are speaking  
17 about the NRC made its verification that the ITAAC was met.  
18 Now Mr. McDonald is addressing the question it is the burden  
19 of the intervenor to be able to get a contingent on an ITAAC.  
20 That's a separate matter and spoken to in a different part of  
21 the regulation.

22 MR. MALSCH: Well, I thought the issue was -- is  
23 there an issue -- is the issue stated in terms of what's  
24 going to be in the public docket as opposed to what the staff  
25 is reviewing?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 MR. SIMARD: On the docket, what does the staff  
2 point to and say here's the package of documentation. That  
3 is my high level basis. We're verifying that yeah, that  
4 licensee is correct. He did, in fact, satisfy the acceptance  
5 criteria. And all we're looking for was some guidance that  
6 tends to focus people at the right threshold and try to  
7 restrict questions coming in about all the underlying  
8 programmatic activities and procurement, etc., that may not  
9 be --

10 MR. RUSSELL: Well, I don't understand how we got  
11 into the procurement and programmatic activities. We've  
12 already said that's a COL issue.

13 Part of the ITAAC that is going to be the most  
14 difficult is where you're relying on an analysis as a  
15 demonstration that the ITAAC had been met. When you're doing  
16 a physical test or you're walking down a plant to see that  
17 something exists because it's called for, those are fairly  
18 straight forward and easy to accomplish. When you're basing  
19 it on an analysis and you're basing it on how it's been  
20 constructed and you've got such things as concrete strength  
21 and rebar placement and other things, the plant is built in  
22 accordance with the engineering and there's some margin of  
23 the engineering assumptions, then that's a fairly straight  
24 forward analysis because you've already done the analysis and  
25 you say based upon building it this way, okay. That's what

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005



1 we embodied and we specify the methods would be used and we  
2 went through this with quite a bit of excruciating detail to  
3 reach agreement, both in the structural area and in other  
4 areas. So I don't understand what the issue is.

5 MR. McDONALD: The issue is what is going to be  
6 submitted -- you're going to -- we're going to come to you  
7 with a document that says this ITAAC we hereby say it's been  
8 completed. The builder has to provide that to you for you to  
9 be able to verify and approve.

10 What are we going to send you? Is that document  
11 to the public document room that you're going to use and put  
12 in the public document room and that is a Part 52 level of  
13 documentation.

14 MR. RUSSELL: I never understood your question to  
15 be that way, Pat.

16 MR. McDONALD: That's in essence --

17 MR. RUSSELL: What indication that you have  
18 completed the analysis and the ITAACs are met and the  
19 analysis is available on-site for inspection is probably  
20 sufficient. I don't see you sending in reams of analysis for  
21 example, or test documents and test reports and other things.  
22 Those are documents you have to maintain that are going to be  
23 quality records to support what you've done.

24 MR. McDONALD: That's good.

25 MR. MALSCH: I think we have to consider this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 because it would be possible to create a public document that  
2 would be so sparse, it would be physically impossible for  
3 anyone to raise the contentions about compliance with ITAACs.

4 MR. McDONALD: This is to the heart of the issue.

5 MR. RUSSELL: Our inspection reports that we have  
6 now, what we're seeing in current cases, our inspection  
7 reports are typically the source of information and used to  
8 frame what we done in our inspection in terms of what we  
9 looked at and what we found.

10 MR. MALSCH: Maybe that's enough.

11 MR. REHN: And I think that's the crux of our  
12 concern. You said is it something as simple as a test? We  
13 have a test report, we have a test methodology. We run the  
14 test. We get the results. We verify the results against  
15 whatever the criteria is and say yeah, verily, we've met the  
16 ITAAC.

17 The concern we run into in reviewing some of the  
18 construction details would tend to lead one also to a  
19 conclusion that we would then also have is a basis of  
20 information is everything back from Day 1 that gets into the  
21 procurement of the piping and the installation and the pump  
22 and this and that, all leading up to the performance of that  
23 test. What I'm hearing you say it is not your intention. We  
24 should focus on that.

25 And of course Marty raised another point and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 that's maybe too sparse a document in terms of that  
2 background information. Your inspection reports may cover  
3 it. Our concern was we don't end up with this voluminous  
4 submittal just to get to the test.

5 MR. McDONALD: And of course, this has to do with  
6 the Part 52 process that the COL stage starts and that's why  
7 it's an important issue.

8 So in a test process, the test procedure, some of  
9 them would be big as you know, would you expect that the  
10 procedure and another covering statement which mirrors the  
11 ITAAC requirement to be submitted for that particular part or  
12 would you expect a dozen test procedures? I guess what I'm  
13 suggesting is that we have better designs, better regulatory  
14 oversight, more detail, more professional all the way around,  
15 but we're trying to work with a process that is layered, in  
16 essence, layered. And we need to have some idea that we're  
17 not going to have to be tabling all those procedures and  
18 tests as a part of the Part 52 process, that the ITAAC  
19 referred in the Energy Policy Act referred to is in essence  
20 that summation statement on the ITAAC.

21 MR. CRUTCHFIELD: I don't think that's a problem.  
22 However, shouldn't there be a valid contention that the ITAAC  
23 not been met, it's possible that your procurement spec would  
24 be --

25 MR. McDONALD: Oh, absolutely, absolutely. WE're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 not trying to shortcut anything. WE're trying to look at the  
2 streamline of the process and how the context is to be put  
3 into it.

4 MR. EGAN: And one of the things we're trying to  
5 focus on by getting something in the rule is a valid  
6 contention in our view has to be one that's directly and  
7 causally related to the text of the ITAAC and that's where we  
8 want to know if we have any disagreement with the NRC because  
9 as I understand Gerry, I think we're pretty much in violent  
10 agreement.

11 MR. RUSSELL: You've got to show a chain of  
12 analysis from whatever the discrepant condition is to some  
13 ITAAC not being met, directly as a result of that particular  
14 entry.

15 MR. EGAN: See, and the potential to undo the  
16 years of ITAAC development is there unless you would get some  
17 statement like you have in the rule. Down the road, there's  
18 a new staff.

19 MR. McDONALD: This is the intent of the comment  
20 and the short way to look at it is to take each ITAAC and put  
21 the requirement, the summary requirement and that stands as  
22 the requirement that the ITAAC requirement and the ones that  
23 will be approved and submitted to you and that you would  
24 accept and that will clearly delineate the Part 52 process in  
25 all the details that support that are subject to the other

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 embodied processes.

2 MR. RUSSELL: Well, I don't understand your  
3 comment, Pat, because we have taken great pains and I sat  
4 through many, many, many hours of meetings and in each case  
5 where there was an analysis that was described we went into  
6 great detail of what were the analysis methods and in some  
7 cases we actually asked for looking at the analysis. I mean  
8 we spent literally hours and hours of review looking at it,  
9 reaching agreement on the methods, what was the acceptance  
10 criteria and in all cases there are assumptions that go into  
11 analysis that you built it in accordance with certain  
12 conditions.

13 MR. McDONALD: Bill, that's great. As I said  
14 these ITAACs are the best things that have happened to us and  
15 under your direction they came about. So I think you  
16 personally --

17 MR. RUSSELL: But I don't understand what your  
18 comment is.

19 MR. McDONALD: My comment is looking at the  
20 Energy Policy Act and Part 52 process, that it embodies and  
21 it says ITAAC. And if we expand the concept of an ITAAC to  
22 mean more in terms of documentation and data, then the simple  
23 ITAAC as so carefully stated, if we assume it means all that  
24 supporting document, then we've got a problem in the process.  
25 That's all I'm saying.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 MR. CRUTCHFIELD: Let me make sure I understand,  
2 Pat. Your view is you can satisfy an ITAAC from the  
3 regulatory Part 52 standpoint by basically sending us a  
4 letter saying I met delivery of 400 gpm load to this  
5 particular locale?

6 MR. McDONALD: Yes, but we know darn well that in  
7 order to have you buy it, that we've got to have the whole  
8 body of QA and test and everything else signed off properly.

9 MR. CRUTCHFIELD: Now, as soon as we see that,  
10 according to you, we then have the opportunity and the option  
11 to be able to go out and look at that big stack of  
12 information as we see fit?

13 MR. McDONALD: Absolutely. You were doing that  
14 beforehand anyway.

15 MR. CRUTCHFIELD: Yeah. Your concern is when you  
16 submit that you have demonstrated, you've met the ITAAC, but  
17 it's not that big stack of information, but rather a succinct  
18 statement that meets the high level ITAAC.

19 MR. McDONALD: That's all it says. And the  
20 problem here -- part of the problem in here comes in the  
21 process ITAACs as well as the other ITAACs. Process ITAACs,  
22 if you start trying to get all the programming-type stuff is  
23 a mess. We're not talking about giving away anything. We're  
24 not talking about level of regulation. We're not talking  
25 about anything except Part 52 process and how it can be, go

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 forward in a high confidence to the owner during an COL  
2 process.

3 Dave, did I state that right?

4 MR. WILSON: Okay, for the second time I think we  
5 finished number 4. I think we also covered number 8,  
6 criteria for determining existence of unreviewed safety  
7 question. Is that right?

8 MR. BRINKMAN: Yes.

9 MR. WILSON: Number 9 is expiration of Tier 2\*  
10 restrictions. Would you like to characterize that, Ron?

11 MR. BRINKMAN: Yes, I guess I have to start this  
12 one by asking you a question. In the notice to proposed  
13 rulemaking you issued several questions for public comment,  
14 one of which was what is the prepared regulatory process for  
15 NRC review of proposed changes for tier 2\* information?

16 It would be helpful to me if I knew where the  
17 staff is coming down on this because it would have relevance  
18 for the rest of my comments.

19 MR. WILSON: Okay, simply, if you looked at  
20 Section 8 of the rule that has to do with the change process,  
21 it says if you want to change tier 1 information, you do  
22 this. If you want to change tier 2 information you do that.  
23 There is a specific procedure laid out as to what to do if  
24 you want to change tier 2\* information and it's an obvious  
25 hole in the change process. The purpose of the question is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

(202) 234-4433

(202) 234-4433

1 to say we intend to look at that and we're seeking input on  
2 the type of process you would have to changing tier 2\*  
3 information.

4 MR. BRINKMAN: Well, what I'm trying to get to is  
5 talking about the opportunities for public participation in  
6 that process. Tier 2\* as it's now defined is information  
7 that is somewhere in the body of Tier 2 that requires NRC  
8 staff approval in order to be changed, but according to the  
9 way the rule is now proposed, as I understand it, it also  
10 provides the opportunity for public hearing on that  
11 information.

12 I thought the sense of this question was should  
13 that be the case or not.

14 MR. WILSON: That's another part of the question.

15 MR. BRINKMAN: That's the part I'm concerned  
16 about.

17 MR. WILSON: First of all, procedure, and second  
18 of all what opportunities come with that procedure.

19 MR. BRINKMAN: What I'm trying to elicit is that  
20 staff made a determination that is leaning in one direction  
21 with respect to whether opportunities for public hearing will  
22 be allowed for Tier 2\* changes.

23 MR. FRANKS: From my understanding on Tier 2\*, we  
24 discussed all this in our previous meetings, Bill, was the  
25 Tier 2\* process was recognized such as fuel where we have had

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005



1 gentlemen's agreements and we've come forward to the staff  
2 and we're going to go in with a new fuel package and seek  
3 prior approval, but what's happened is we started adding  
4 additional issues that we haven't had that standard applied  
5 to in the past. And then in addition to that, there was no  
6 intention in our discussions I thought to ever have that  
7 because it is Tier 2 as a basis for rehearing and reopening  
8 the rule.

9 MR. RUSSELL: The reality is that Tier 2\* is a  
10 compromise.

11 MR. FRANKS: Right.

12 MR. RUSSELL: We didn't feel we had sufficient  
13 information to put it in Tier 1 and codify it in the rule was  
14 some of the rationale for why we have these and in other  
15 cases it was something we knew was going to change, fuel  
16 design, digital I & C, control room design, those were issues  
17 that we relied on the process.

18 The dialogue that we had earlier and this goes  
19 back about three years was that if it was a change it was  
20 going to be made by an applicant and it was a change to Tier  
21 2\* and it should just be described in the application at the  
22 time of the review of the application and then would be  
23 addressed in the context of the COL proceeding.

24 MR. FRANKS: Right.

25 MR. RUSSELL: If there were a change made after

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 a license had been issued, a combined license and they wished  
2 to make a change based on something they saw afterwards, then  
3 it would simply be an amendment to the license which would  
4 follow the normal process and we'd have to potentially make  
5 a determination pursuant to Shalley as to why there did or  
6 did not have a significant hazard, but we would follow the  
7 normal amendment process and so the issue was if it's a Tier  
8 2\*, and you want to change it, the most efficient way to do  
9 it is to tell us about it prior to submittal of the  
10 application as part of the application process. If you want  
11 to make a change to Tier 2\* afterward, like you want to  
12 change your fuel design, you do it through a normal amendment  
13 process where you're changing the reference design that's  
14 described to some other design that you want to use.

15 MR. FRANKS: Right.

16 MR. RUSSELL: Pardon?

17 MR. FRANKS: It just doesn't say that.

18 MR. WILSON: As I pointed out --

19 MR. RUSSELL: There are hearing opportunities  
20 associated with amendments and there are hearing  
21 opportunities associated with the COL. Both of them occur on  
22 just the issue of --

23 MR. SIMARD: I gather from what you said the  
24 staff has not changed its direction on that and that it still  
25 would intend to have opportunity for public hearing as you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 would in an amendment.

2 MR. RUSSELL: That's correct.

3 MR. SIMARD: Okay, that's all preliminary to  
4 where I'm going because it has to do with the significance of  
5 what I'm talking about here. This --

6 MR. SIMARD: Because to do it otherwise you'd be  
7 looking at going back and revisiting those issues and  
8 deciding how much of it goes into Tier 1. You're going to be  
9 reopening a substantial part of the staff's technical view  
10 because the premise of our safety evaluation was on the  
11 detail that was described. We then went through and put  
12 little boxes around certain things in Tier 2 and we said,  
13 yeah, we recognize that there needs to be a more flexible  
14 process than rulemaking to change this and the process we  
15 said was a review and approval where that review and approval  
16 is done in a public arena, either in a COL proceeding or  
17 after the fact to an amendment process where Shalley applies.  
18 And that went up in a Commission paper. All I'm describing  
19 is what's in a public Commission paper. When this went  
20 forward we had a lot of debate back and forth with others.  
21 We decided this is something that really underpins the  
22 staff's ability to make the finding that's necessary and we  
23 recognize that the Warner process was a little more flexible  
24 than the rulemaking to be able to make the change.

25 MR. BRINKMAN: Well, you did ask the question in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 question 7 of the notice of proposed rule. Right know I  
2 understand where you're falling out on, so I'd like to  
3 proceed with the basic point, the basic contention here and  
4 that is when Tier 2\* items should expire and as you know,  
5 we've got a long list of Tier 2\* items and we're not  
6 contending any of those and many of them, most of them expire  
7 at first full power for the referencing plant. However,  
8 there are two in the case of System 80+ and four in the case  
9 of the ABWR which continue without any expiration.

10           Given that there are and I'm not disputing your  
11 history, Bill, but I have to tell you my own understanding  
12 was that when we were talking about these, we never had the  
13 intention that they would be the subject of hearings, but  
14 they would be matters that would be approved by the staff  
15 without public hearing similar to other issues that the staff  
16 is able to approve without public hearings.

17           MR. RUSSELL: Don't make a finding of no  
18 significant hazard determination, whether there is or isn't  
19 a request for hearing on an issue. We go through 1100  
20 amendments a year, 5500 in the last five years and have only  
21 had 25 requests for hearing and only a few hearings have been  
22 held.

23           MR. BRINKMAN: But there's a potential and that  
24 potential is destabilizing. I'm not trying to put this Tier  
25 2\* expiration issue in the same category as we hold

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

(202) 234-4433

(202) 234-4433

1 applicable regulations and finality and so forth. What we're  
2 trying to do here is put it in the context of a more stable  
3 licensing process for issues which are Tier 2\* and I've gone  
4 through each one that's listed, each that doesn't have an  
5 expiration date.

6           These are not things that rise to the level that  
7 they ought, in the totality at least, that they ought to be  
8 subject to applicant, excuse me, the licensee having 40 years  
9 of having to live with this or having to go through a  
10 potential for a hearing to change it. There are some matters  
11 here that we agree were important enough to go up to Tier 2\*  
12 so that when you got the first full power, we are sure the  
13 plant was built the way we wanted it, but the remaining 40  
14 years of the life, we don't think that most of these raise to  
15 that level the importance and things like defining what a  
16 typical level of friction coefficient is, you know, just  
17 doesn't seem like something a plant has got to live with for  
18 40 years must be subject of the hearing possibility of  
19 change. We've got seven pages of HFE material in here. They  
20 aren't that important, but we're willing to live with it up  
21 to the point of first full power for the plants, but why  
22 subject them for the rest of their life to the potential for  
23 a hearing if they want to change it.

24           MR. MALSCH: Do you think they become less  
25 important from a safety standpoint as time goes on?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20006

1 MR. BRINKMAN: Yes, in the sense that many of  
2 them are important to the safety standpoint, so I guess you  
3 wouldn't say they're less important, but the point is they  
4 are less likely to alleviate from safety because they've  
5 already met that design requirement, when the plant is  
6 constructed. So you've got the inertia of the plant being  
7 designed that way, mitigating subsequent changes.

8 MR. WILSON: I'm not sure of your question. Are  
9 you now re-arguing whether the Tier 2\* is significant?

10 MR. BRINKMAN: No, no. I'm re-arguing whether,  
11 I'm simply reopening the argument that we had from the  
12 beginning --

13 MR. WILSON: In the beginning this idea of  
14 expiration didn't exist or as Mr. Russell said, we originally  
15 decided that separation of Tier 1 and Tier 2, the industry  
16 was trying to minimize the amount of expiration in Tier 1 and  
17 felt that at first blush the staff would put in Tier 1 that  
18 we agreed to put in Tier 2\*, so coming down, it was with the  
19 understanding that Tier 2\* would apply for the life of the  
20 plant. It's only after that review NEI came forward and said  
21 well, it seems that some of it could have an expiration and  
22 I personally went back and said to each of the team reviewers  
23 and said is there some of this where if it's changed after  
24 the plant goes into operation you need to look at and they  
25 said yes and we ran that up the line and that's how the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 expiration came on. It was after the fact.

2 MR. BRINKMAN: I don't disagree with that. I  
3 agree with what you just said about that, however, the other  
4 factor is is that when we first started talking about Tier 2\*  
5 we were talking, my understanding, about very limited set of  
6 restrictions that eventually got expanded very extensively,  
7 so there's much more in there than we ever had in mind.

8 MR. WILSON: I'm not sure what you mean in terms  
9 of -- I mean the amount of Tier 2\* is what we agreed to at  
10 the time. It hasn't changed.

11 MR. CRUTCHFIELD: What is it that you're  
12 proposing, Charlie?

13 MR. BRINKMAN: I'm proposing that --

14 MR. CRUTCHFIELD: The expiration date?

15 MR. BRINKMAN: That they all expire at first full  
16 power.

17 MR. RUSSELL: Well, I can see we have a  
18 fundamental problem with that because the one example of the  
19 human factors review as it relates to control room design, we  
20 are basically licensing a process and not licensing a  
21 particular control room design and we would anticipate that  
22 innovation and changes are going to occur with time and that  
23 the reason we have confidence that that's acceptable is that  
24 there's a process that we have confidence in that would  
25 result in development of prototype testing, etc. and I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 recognize to the extent you want to introduce changes to a  
2 portion of the control room later on, and follow those  
3 portions of the process that are applicable to that change.  
4 That's what we agreed to.

5 Now to take and throw out the experience with  
6 human factors engineering and say that goes away at first  
7 full power and that you don't have to follow that process for  
8 subsequent change in the control room is not consistent with  
9 what we had discussed as it related to both control room  
10 design and I & C where you're looking at different software  
11 systems, different computer processes, etc., when you looked  
12 at a total system for introducing digital technology and they  
13 were process oriented. So we recognize that change can occur  
14 and what we did is we said if it follows this process it's  
15 okay.

16 Now if you want to do it differently than that  
17 process, then we'd like to understand what that new process  
18 is that you're going to use. So that was the basis for  
19 saying some of them did not have expiration dates.

20 MR. WILSON: We did it the opposite way. It was  
21 with the understanding that none of them would have  
22 expiration, but we went back and decided that some of them  
23 could. That's how we got to where we are.

24 MR. BRINKMAN: And we feel that the level of  
25 detail and significance, safety significance of these, don't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005



1 forget, we are still subject to the regular 50.59 process, so  
2 those are safety significant and we wouldn't be able to  
3 change without --

4 MR. WILSON: So if that was a sole determinant,  
5 we wouldn't have Tier 2\*.

6 MR. BRINKMAN: This brings us up to the  
7 construction of the plant and the operation of the plant, at  
8 that point the normal process. It seems to us that you're  
9 adding --

10 MR. WILSON: I don't know what you mean by normal  
11 process.

12 MR. BRINKMAN: Any 50.59 process.

13 MR. WILSON: The Part 52 process, Section 8  
14 applies to the life of the plant.

15 MR. BRINKMAN: Say that again?

16 MR. WILSON: The Part 52 process, Section 8  
17 applies to the life of the plant.

18 MR. BRINKMAN: That's right.

19 MR. WILSON: It doesn't change at operation.

20 MR. BRINKMAN: We would only have Tier 2\* until  
21 we resort to a Tier 2 status.

22 MR. WILSON: Some of it, yeah.

23 MR. BRINKMAN: In our case, you're suggesting  
24 some of it. We would like to see all of it.

25 MR. WILSON: The proposed rule has -- I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 understand we're going to go back and look at that.

2 Any other questions on No. 9?

3 MR. FRANTZ: Yes, there are two, as was mentioned  
4 Tier 2\* provisions that expire at first full power, the  
5 System 80+, but not for the ABWR. Can you explain what the  
6 difference is and why the ABWR should not have that same  
7 provision?

8 MR. WILSON: It's interesting you ask that. I  
9 went back and asked that of the staff also and first of all,  
10 you understand Tier 2\* isn't exactly the same for ABWR and  
11 System 80+ and second of all, the manner in which it's  
12 determined and what was in Tier 1 and Tier 2 and Tier 2\*  
13 affects a lot of these decisions, but also the approach is  
14 significantly different in a particular area, fuels, and that  
15 affected it also. And also there was some after the fact  
16 changes that were made to CE that weren't made to GE and  
17 we've gone back and looked at those. It appears that we may  
18 have made a mistake on the expiration of CE. I won't get  
19 into that in this meeting. I think we'll deal directly with  
20 CE and CE applicants in a specific meeting to discuss those.  
21 But we will address this point in the final rule as to what  
22 areas should have expirations and if those areas are the same  
23 between two applicants, how they should be treated.

24 Are we ready for Item 10, process control  
25 technical specifications?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 MR. SIMARD: Yes, we just wanted an opportunity  
2 to ask a question about again a clarification of the staff's  
3 intent with respect to tech specs because we came away from  
4 the June 27th public meeting a little confused. The proposed  
5 rule states that NRC approval is required for changes in the  
6 tech specs and what we heard in that June 27th meeting was a  
7 reference to tech specs in the rule was referring to Chapter  
8 16 of the DCD and the intent, as we took away from that  
9 meeting, was that a plant which references the certified  
10 design would have two sets, the phrase two sets of tech specs  
11 was used, namely, there would be one set would be the tech  
12 specs based on Chapter 16 of the DCD that are applicable to  
13 the standardized part of the plant and they would be subject  
14 to the change controls in the certification rule.

15 The other set, the second set would be those tech  
16 specs applicable to the site specific part of the plant and  
17 they would be subject to the Part 50 change process. So we  
18 wanted an opportunity to ask were we correct there? Do you  
19 foresee that or do you see that after license, after a COL,  
20 for example, these tech specs are merged into a single set  
21 much as they are in today's plants in forming the attachment  
22 to the license?

23 MR. WILSON: Let me see to how we got to where we  
24 are. First of all, there is going to be probably a different  
25 change process for that site specific design information, for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 example, the ultimate heat sink information that comes in  
2 different than the design certification information, so  
3 you'll have the DCD information and that site specific  
4 information. Now the actual change process of that site  
5 specific information hasn't been developed yet and we have a  
6 question in the proposed rule asking about that. It probably  
7 wouldn't be exactly like 50.59. I suspect it would be  
8 different, but I can't tell you exactly what it's going to be  
9 like. So in any final application you're going to have one  
10 body of information that comes under the change process for  
11 design certification rules and some other information that's  
12 different, possibly different change process. Not the tech  
13 specs itself, and I'm glad my Director is here, are in Tier  
14 2 because the staff wanted to achieve that level of  
15 standardization in the tech specs to the extent possible so  
16 that each applicant referencing it would basically have the  
17 same tech spec.

18 Now the consequence of that is that that's in  
19 fact in design control document and it would come under the  
20 design control document change process. Now if we were to  
21 adopt what you say and I suppose we could do that is that at  
22 some point we extract that tech spec out of chapter 16 and we  
23 have just one set of tech specs after the combined license is  
24 issued, then we would have one change process for all the  
25 tech specs, but then we're going to lose that earlier goal of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 having standardization of tech specs from applicant to  
2 applicant. There's a trade off here. So what you're asking  
3 us to do is go down a different road than we set out at the  
4 time we were citing what goes into Tier 2.

5 MR. SIMARD: I guess we understood what that up  
6 to the granting of the license, that there in the application  
7 stage the applicant would be subject to the change controls  
8 in the rule or any proposed change to those tech specs that  
9 in the DCD that require the NRC approval and I guess what we  
10 foresaw happening was that once the license is granted, we  
11 now have a single set of tech specs that are subject to the  
12 50.90 change control.

13 MR. WILSON: I understand your proposal --

14 MR. SIMARD: What you're saying, if I understand  
15 you correctly, you say even after the license has been  
16 granted, you see some of the tech specs in the license, the  
17 ones that you can trace back to the DCD are subject to a  
18 separate change control process?

19 MR. WILSON: It was the intent in the proposed  
20 rule that they would be the same change control process as  
21 all the other Tier 2 information. Now my question to you is  
22 well, to adopt your proposal, how do you achieve  
23 standardization of the tech specs once the plants get into  
24 operation?

25 MR. SIMARD: We foresaw that happening through

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20006

1 the industry, the standardization, the existing regulatory  
2 controls, the amendment process, so that's how we foresaw  
3 that happening. I guess our view was that after the license  
4 had been granted, at least with respect to that plant that's  
5 referencing the certification, Chapter 16 of that design  
6 control document is of historical interest. What matters to  
7 him and what he has to maintain under your scrutiny is once  
8 he's selected from there, he's filled in the blanks, the set  
9 points, whatever, and now that's part of his license, but I  
10 guess you've clarified --

11 MR. WILSON: I understand what you're proposing.  
12 I am just saying that recognize that we adopt what you're  
13 saying and we've lost that standardization.

14 MR. RUSSELL: I think a related issue as well and  
15 that is we have in dealing with the industry on how the  
16 changes to the generic standard tech specs and the process  
17 that we're following that we're going through with NEI and  
18 each of the owners groups to try and maintain consistency.  
19 These tech specs were developed based upon what I'll call  
20 Rev. 0, the standard tech specs. We now have had some  
21 implementation experience. There have been modifications  
22 made to the standard tech specs based upon our experience  
23 with them. Plants that have already converted are  
24 incorporating those changes with subsequent amendments.  
25 Plants that are yet to convert are getting them all at one

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 time.

2 I think this is an issue we need to relook at.  
3 The concept that I had in mind two years ago when we talked  
4 about this was that if it was going to be similar to the  
5 NUREG that constitutes the standard tech spec for that  
6 particular class reactor, whether it's a Westinghouse 4 loop.  
7 We had Westinghouse and we had different sections of the  
8 standard for Westinghouse depending on the ice condenser,  
9 etc. We had BWR-6s, BWR-4s, etc., but we recognize that  
10 those were going to be somewhat living documents and that we  
11 wanted standardization in the context of tech specs and  
12 that's consistent with the rulemaking that was put out in  
13 50.36 which was just done this last summer. So I think we  
14 need to look at what we're doing in this context with that  
15 rule and the statement of consideration associated with the  
16 rule.

17 When we did this, we did it as Rev. 0 as the  
18 standard tech specs. We factored in what we knew about risk  
19 significance. We did other things to the extent we could.  
20 There are still some site specific issues that have to be  
21 addressed and may cause them to have tech specs on a site  
22 specific basis. But I understood the comment, looking at  
23 this, I don't see two sets of tech specs. We have a process  
24 that we use for tech specs. The rule now identifies what is  
25 the appropriate content of tech specs. I believe in these

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20006

1 design certifications tech specs we have now in 16 are  
2 consistent with that rule, but the particular language in the  
3 bases could be refined or modified and we want them to be  
4 consistent with what we're doing broadly in the industry and  
5 since we may have five or ten years of operation before you  
6 actually get to issuing the first set of tech specs for one  
7 of the new designs, depending on what happens, I'd like to be  
8 consistent with that experience.

9           We found that tailoring these to the operators'  
10 needs, the people who are operating a plant is very  
11 important, keeping them current. So we need to relook at  
12 this as to how it fits in. We've identified the principal  
13 features, but I don't want to say we're locked into those  
14 particular words for the next 60 years.

15           MR. BISHOP: Our motivation was to have a set of  
16 integrated tech specs that were operator-friendly that we  
17 could continue to work with effectively.

18           MR. RUSSELL: Well, that's consistent with the  
19 rulemaking and the statement of considerations of the  
20 rulemaking just went forward. So we need to look at this.  
21 We have your comments. We understand it.

22           MR. MALSCH: I'd raise a related issue and I have  
23 gone back to check to see what we said about the description  
24 of the change process on this item, but it strikes me that  
25 looking, for example, referring briefly to the finality of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20006



1 the changes discussion in topic 2, we're talking about  
2 changes to Tier 2, but to the extent these tech specs are  
3 simply part of Tier 2, where you're changing tech specs,  
4 that's something that's obviously much more important in  
5 terms of materiality than anything else in the licensing  
6 process than just your ordinary change. These would have to  
7 be, if we were able to accommodate in some way in dealing  
8 with the finality for other parts of the Tier 2, we may have  
9 to carve the tech spec, maybe also Tier 2\*, I'm not sure,  
10 because the safety significance is a different order of  
11 magnitude.

12 MR. BISHOP: Just speaking for myself, I don't  
13 know that we've talked about any detail. I've always thought  
14 that 59 was the way to go.

15 MR. MALSCH: Right.

16 MR. BISHOP: We know that it works. It's not  
17 particularly smart or resource unintensive, but I think  
18 there's a level of confidence that the process works and  
19 that's what we're after.

20 MR. RUSSELL: But there is a major policy issue  
21 also with trying to keep tech specs standardized between  
22 plants, both from a regulatory consistency standpoint,  
23 interface issue and all of the lessons that we have learned  
24 from customized tech specs with requirements that vary from  
25 plant to plant. So those are real objectives that we have.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 We need to find a way of rationalizing those too.

2 MR. BISHOP: And I think we have even more  
3 incentive under Part 52 for standard plants to achieve those  
4 goals, but we're also working, as you know, to achieve those  
5 under Part 50 as well.

6 MR. RUSSELL: I think we're up to 75 now.

7 MR. WILSON: Okay, can we move on to item 11?  
8 This item is applicability of ITAAC under Part 50. It was  
9 interesting, Mr. McDonald said that ITAAC is the best thing  
10 that history has ever had and this one, the industry says  
11 they don't want to follow it. Perhaps you could characterize  
12 that.

13 MR. SIMARD: That question is so sensitive I am  
14 going to defer to legal counsel down the table here.

15 MR. EGAN: We put this up last on the list for  
16 the industry, not because it's last in importance. In fact,  
17 I think it plays out like this. We think this is either the  
18 most important issue on the list or is completely unimportant  
19 and that really depends on how successful we are with the  
20 comments I've heard on Part 52. Because I think by  
21 definition if we're worrying about this process, the ITAAC  
22 process in Part 50, it sort of presupposes that the ITAAC  
23 process is broken down in Part 52. We don't contemplate, I  
24 don't think, that an applicant would proceed under Part 50 as  
25 a first order of preference unless experience has

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 demonstrated that the process has somehow broken down and at  
2 this time, as Pat McDonald pointed out, we see a lot of  
3 uncertainties in how the ITAAC verification process will  
4 actually develop and we're not there yet. We maybe can agree  
5 on the first step, but we've got a long ways to go and so we  
6 continually look to Part 52 itself which preserved the option  
7 and the opportunity for someone to go in under Part 50 and  
8 thus, we were surprised, I would say that the proposed rule  
9 would come out this early in the game and propose that ITAAC  
10 should be applicable in the Part 50 context because the way  
11 we see it, there's a post-construction hearing in the Part 50  
12 context where you resolve construction and verification  
13 issues.

14 MR. WILSON: May I interrupt in the interest of  
15 time? I'm familiar with what the comments say and you may be  
16 characterizing the rule somewhat incorrectly. The rule just  
17 points out that when we wrote the ITAAC and in particular the  
18 whole Tier 1, Tier 2 with the ITAAC, we didn't write it with  
19 the understanding that someone would then come back under  
20 Part 50 and reference the rule with a cherry pick it. We  
21 were writing it with the understanding it would be used under  
22 Part 52 and it was all integral. As Mr. Russell pointed out,  
23 there are a lot of compromises in it. There were a lot of  
24 things that were covered up with the ITAAC and that's the  
25 reality of it. It just wasn't written to be used in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 context that you're now trying to use it in. That's the  
2 difficulty.

3 MR. EGAN: We don't see it as cherry picking. I  
4 think the ITAAC are all entirely derivative of Tier 1 and  
5 Tier 2, other material in Tier 1 and Tier 2, so -- and in  
6 fact, there's an SRM that says they can't --

7 MR. CRUTCHFIELD: In Jerry's interest of time, if  
8 I might, this issue you prefaced by saying that perhaps Part  
9 52 ITAAC process is failed and therefore someone might refer  
10 to Part 50. Since we really haven't got the rules out yet,  
11 much less have a series of applicants for which the process  
12 has or has not worked, perhaps this issue is best taken off  
13 line from the Part 52 certification process and considered  
14 elsewhere.

15 MR. EGAN: We couldn't agree more.

16 MR. RUSSELL: I'm still trying to understand what  
17 was the issue?

18 MR. EGAN: Well, right now the notice of proposed  
19 rulemaking has a statement in it that ITAAC would be  
20 applicable.

21 MR. CRUTCHFIELD: If somebody comes in under Part  
22 50 application and references a certified design that we  
23 would follow the ITAAC --

24 MR. RUSSELL: The reality is we started Reg Guide  
25 168 looking at properitoneal testing and where you could do

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 a test that's how we got to an ITAAC and since it has existed  
2 for a long time, I would characterize that there's probably  
3 a lot of good technical information that went in there as to  
4 how you would use it. So I don't see how you would  
5 disassociate yourself, how you're going to demonstrate  
6 something works in accordance with the design if you've gone  
7 through and you've identified and developed a test. I think  
8 this is kind of a moot issue.

9 MR. BISHOP: I agree with Denny's proposition.  
10 I would only observe, Bill, that you might want to use each  
11 and every one of them and the regulatory significance would  
12 be different.

13 MR. RUSSELL: Clearly, you would use it given  
14 that there would be an opportunity for hearing and  
15 contentions would be admitted, etc. It would be back to the  
16 Part 50 process. So it's more like an FDA that's going under  
17 Part 50 and I'm not sure that ITAAC would have any particular  
18 meaning until you get a license after you've already built  
19 the plant.

20 MR. MALSCH: Well, we could fit it into the  
21 ITAAC. Obviously, you put it in and make ITAAC a condition.

22 I think you can put it in there because you  
23 wanted to address the issue in the notice to proposed  
24 rulemaking.

25 I'm not sure we need to have it resolved --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20006

1 MR. CRUTCHFIELD: I'll go back to postulate  
2 before. Let's do it on another vehicle.

3 MR. WILSON: Any other questions on that item?  
4 I want to turn to Mr. Franks. We've been four hours at this  
5 and we have three more items on the agenda. They're your  
6 items.

7 MR. FRANTZ: I think for sake of expediency, I  
8 can roll them up into one item. I think we've sort of  
9 discussed all of them.

10 MR. WILSON: I was going to give you the option,  
11 I can give you more time if you need tomorrow. I can  
12 facilitate a meeting tomorrow meeting or we can try to  
13 quickly deal with it tonight.

14 MR. FRANTZ: I think I need five minutes maximum.  
15 And I'll just make some statements. In our interpretation of  
16 the Part 52 and looking at the requirements we have imposed  
17 a regulatory burden on ourselves by requiring these documents  
18 to be maintained, specifically the SARS and the DCDs which  
19 are difficult to maintain. I request that we go back and  
20 look at those.

21 Let me explain. 52.79 subpart (b) site specific  
22 SAR requires us to submit the final safety analysis report  
23 and reference the DCD. Okay? That's for an application.  
24 Then in issuance of the COL, 50.59 requires us to make  
25 completeness and accuracy of all the information. After the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20006

1 findings are maintained in accordance with 50.59 changes.  
2 I'm just talking about how the process is laid out.

3 Now you go over to maintenance up at DCD and we  
4 talked about maintenance all day, starting from convey until  
5 ultimately decommissioning of the plant. This requires a  
6 pinch of Part 52, Section 9 and 9(b)(1) reports required to  
7 maintain the DCD and the updates and we submit those with the  
8 applicant's amendments which is the SAR. And then it  
9 requires 50.9.2 the quarterly reports and the DCD departures  
10 and updates of the DCD. So here's inconsistencies in the  
11 requirements for submission of SAR, different from submission  
12 of the DCD.

13 So I'd just like for us to go back and reconsider  
14 the language associated there and make sure that we can at  
15 least streamline the SARs and the content and the context of  
16 the DCD and the DCR. Okay?

17 That sort of gets into my issue about  
18 simplification. That simplification is cutting out a lot of  
19 the duplicity and using the normal process that we described.  
20 WE talked about a 50.59 that the industry knows how to do  
21 well. We talked about a 50.59 like process that's not  
22 defined, but we got to define it and it should be part of the  
23 DCD. We talked about other ways we get into the normal  
24 regulatory process and I encourage us that the regulatory  
25 processes have been utilized and simplified, we ought to the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

(202) 234-4433

(202) 234-4433

1 extent practical use those for Part 52 provides us with an  
2 avenue for industry and we ought to consider those.

3 Those are my comments.

4 MR. WILSON: Any questions on Mr. Frantz'  
5 comments?

6 MR. RUSSELL: Would you say that the DCD to the  
7 extent that the language is identical and the SAR would be  
8 sufficient and then for proprietary information or other  
9 things that were in the SAR were excised to get the DCD  
10 maintain that in a separate document?

11 MR. FRANKS: Something to that effect.

12 MR. RUSSELL: So you don't have to duplicate it.  
13 So that basically the SAR is the DCD as change to the Tier 2  
14 process, plus the proprietary information so maybe there's a  
15 simple statement which DCD plus this additional information  
16 which is your proprietary safeguards information because the  
17 intent was to take the word processor and run it and simply  
18 delete that information to get to the DCD. That's how we got  
19 here.

20 If you just have a DCD, you have a supplement to  
21 it that includes the safeguards information and the  
22 proprietary information and that information with the DCD is  
23 called the updated FSAR.

24 MR. FRANTZ: I think the concept of streamlining  
25 the removing the duplicity of this thing is paramount to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005



1 regulatory stability.

2 MR. WILSON: I'd just say I think we addressed  
3 that issue in our guidance to Westinghouse recently on  
4 preparation of their DCD.

5 MR. FRANTZ: I don't think it was clear even in  
6 that. I looked at that and it was unclear to me that you  
7 were not requiring the same thing when we asked our two  
8 vendors about the DCD two years ago which was duplicating  
9 what we had already done in a SAR.

10 MR. RUSSELL: The only reason we came up with a  
11 DCD as compared to a SAR was because the proprietary  
12 safeguards information and the PRA information we decided  
13 would not be --

14 MR. FRANTZ: All of those issues convey with  
15 Marty and everyone about how do we accommodate the  
16 proprietary nature and the safeguards nature of this and  
17 there are existing rules and regulations that cover that. So  
18 why -- I'm not sure we even have to get into that, but all  
19 I'm suggesting is as we look through this, let's look through  
20 to make sure we get rid of the duplicity. That's all.  
21 Because with that, I think, simplicity and a clear  
22 understanding of the how in ten years when we're all retired  
23 some owner is going to come up and say I want that one and  
24 pull it off the shelf and be able to implement it. We're  
25 certainly not there yet.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 MR. WILSON: Okay, we'll address those issues and  
2 I'm going to hesitantly ask if there are any other questions.  
3 The answer is no. I'd like to finish at 5 o'clock. With  
4 that I'd like to thank everyone for coming out and --

5 MR. REHN: Jerry, could I make a closing --

6 MR. WILSON: Go ahead.

7 MR. REHN: I think on behalf of the industry,  
8 we'd like to extend our thanks to the NRC for taking time to  
9 have this discussion today. I think they're very valuable  
10 for us to exchange information, to gain an understanding of  
11 your thoughts and your viewpoints. Certainly, we sent you a  
12 great deal of our thoughts about four months ago in a rather  
13 thick document.

14 I think it's important too to note that in the  
15 audience today there are many utilities represented who are  
16 extremely interested. I think we represent a potential  
17 customer and hopefully a user and implementer of these  
18 designs and this rulemaking.

19 Our interest is and it has been in having an  
20 option in the future for generations, that involves the  
21 particular option. To that extent, we will have to each on  
22 our own evaluate one day when these designs are available or  
23 when the design certification is in place, whether indeed  
24 that is an option that we would choose to exercise. The  
25 comments that you have heard today, I think are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 representative not only of the individual vendors and to some  
2 extent some of our staff of lawyers that we have with us, but  
3 they also are strongly rooted in what the utilities see are  
4 the needs we have for this to be a viable option. We hope  
5 that you'll consider all of these as representative because  
6 they are the total industry representing each and every one  
7 of us in terms of our unique needs, but put together in a  
8 form that represents to you what we see as our composite  
9 desire to make this a viable rule and ultimately a viable  
10 option for us. So again, we thank you for your effort.

11 MR. WILSON: Thank you, Dave, and once again, if  
12 you want a copy of the transcript, see Mr. Corbett and with  
13 that, let's close the record.

14 (Whereupon, at 5:00 p.m., the meeting was  
15 concluded.)

16  
17  
18  
19  
20  
21  
22  
23  
24  
25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

C E R T I F I C A T E

This is to certify that the attached  
proceedings before the United States Nuclear  
Regulatory Commission in the matter of:

Name of Proceeding: DESIGN CERTIFICATION RULEMAKING

Docket Number: N/A

Place of Proceeding: ROCKVILLE, MARYLAND

were held as herein appears, and that this is the original  
transcript thereof for the file of the United States Nuclear  
Regulatory Commission taken by me and, thereafter reduced to  
typewriting by me or under the direction of the court  
reporting company, and that the transcript is a true and  
accurate record of the foregoing proceedings.



---

CORBETT RINER  
Official Reporter  
Neal R. Gross and Co., Inc.