

ORIGINAL ACRS 7-3128

**OFFICIAL TRANSCRIPT OF PROCEEDINGS
NUCLEAR REGULATORY COMMISSION
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS**

Title: ACRS MEETING WITH THE AD HOC
 SUBCOMMITTEE ON DIFFERING
 PROFESSIONAL OPINION ISSUES

PROCESS USING ADAMS
TEMPLATE: ACRS/ACNW-005

Work Order No.: NRC-1512

LOCATION: Rockville, MD

DATE: Thursday, October 12, 2000

PAGES: 255 - 616

ANN RILEY & ASSOCIATES, LTD.

1025 Connecticut Ave., NW, Suite 1014

Washington, D.C. 20037

(202) 542-9934

ACRS Office Copy Retain
for the use of the Committee
for the use of the Committee

DISCLAIMER

UNITED STATES NUCLEAR REGULATORY COMMISSION'S
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

OCTOBER 12, 2000

The contents of this transcript of the proceeding of the United States Nuclear Regulatory Commission Advisory Committee on Reactor Safeguards, taken on October 12, 2000, as reported herein, is a record of the discussions recorded at the meeting held on the above date.

This transcript has not been reviewed, corrected and edited and it may contain inaccuracies.

1 UNITED STATES

2 NUCLEAR REGULATORY COMMISSION

3 ***

4 ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

5 ***

6 AD HOC SUBCOMMITTEE ON DIFFERING

7 PROFESSIONAL OPINION ISSUES

8 ***

9 Thursday, October 12, 2000

10 U.S. NRC

11 11545 Rockville Pike, Room T2-B3

12 Rockville, Maryland

13
14 The above-entitled meeting commenced, pursuant to
15 notice, at 8:30 a.m.
16
17
18
19
20
21
22
23
24
25

1 PARTICIPANTS:

2 Dana Powers, Chairman, ACRS

3 Mario Bonaca, ACRS Member

4 John (Jack) Sieber, ACRS Member

5 Thomas Kress, ACRS Member

6 Ivan Catton, Consultant

7 James Higgins, Consultant

8 Ronald Ballinger, Consultant

9 Jack Strosnider, Division of Engineering, NRR

10 Jack Hayes, Probabilistic Safety and Assessment Branch, NRR

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

ANN RILEY & ASSOCIATES, LTD.
Court Reporters
1025 Connecticut Avenue, NW, Suite 1014
Washington, D.C. 20036
(202) 842-0034

P R O C E E D I N G S

[8:30 a.m.]

DR. POWERS: The meeting will now come to order. This is the third day of the meeting of the Ad Hoc ACRS Subcommittee on Differing Professional Opinion Issues.

The purpose of this meeting is this subcommittee will review the technical issues contained in the differing professional opinion on steam generator tube integrity.

The subcommittee will be hearing from the NRC staff today.

The meeting is being conducted in accordance with the provisions of the Federal Advisory Committee Act. Mr. Sam Duraiswamy is the designated Federal official for the meeting. Ms. Undine Shoop, a staff member who is assisting the panel, is also present.

We have received no written comments or requests for time to make oral statements from the members of the public.

A transcript of this meeting is being kept and it is requested that speakers use one of the microphones, identify themselves, and speak with sufficient clarity and volume so they can be readily heard.

Do any members of the panel have any opening statements they would like to make before we get started on today's proceedings?

1 [No response.]

2 DR. POWERS: Seeing none, I will turn the floor
3 over to Mr. Jack Strosnider, Director, Division of
4 Engineering, NRR. Welcome, Jack.

5 MR. STROSNIDER: Thank you. Thank you, Dr.
6 Powers, and I want to thank the subcommittee here and
7 consultants for your time and effort that you're putting
8 into reviewing the steam generator issues. I wanted to
9 started off with that acknowledgment.

10 As Dr. Powers indicated, I'm Director of the
11 Division of Engineering in the Office of Nuclear Reactor
12 Regulation. Historically, the Division of Engineering has
13 had the lead responsibility for steam generator integrity
14 issues, specifically related to inspection and maintenance
15 sort of activities.

16 But I think as everyone is aware, steam generator
17 issues are really a much more multi-disciplined effort and
18 if you look at my second slide, which is an abbreviated
19 version of the agenda, as you can see, in the next few days,
20 we're going to be talking about a lot of different technical
21 issues, ranging from iodine spiking and metallurgy and NDE
22 to probabilistic risk assessment, thermal hydraulics, and,
23 ultimately, integrated decision-making.

24 So you'll be hearing from staff both from the
25 Office of Research and from NRR and from a wide variety of

1 different branches and disciplines.

2 If you look at the more detailed agenda that you
3 have, the names that are listed there are the principal
4 speakers. I would just point out that they may be relying
5 on other staff members to help supplement some of their
6 discussions, and I would remind the staff that when they're
7 asked to do that, to use the microphone and identify
8 themselves.

9 We've tried to arrange these issues in some sort
10 of logical order. Basically, these various technical issues
11 are all issues that feed into a more integrated assessment
12 and culminating tomorrow afternoon, we're going to talk
13 about the integrated decision-making process, which is what
14 I described in Reg Guide 1.174 on how to do risk-informed
15 license amendment reviews.

16 And we're going to talk about two specific
17 examples, one which was mentioned yesterday. That was the
18 Farley review, in which the NRC found the risk-informed
19 amendment request acceptable, extended the operating cycle.

20 We're also going to talk about review earlier this
21 year on Arkansas Unit 2 regarding a risk-informed amendment,
22 which the staff followed this process and we found that
23 amendment unacceptable. The plant subsequently shut down to
24 perform steam generator inspections.

25 The presentations that we're going to make will

1 cover the DPO issues. However, they go beyond that. In
2 response to the agenda that we were provided, we are going
3 to talk about additional issues.

4 I think that's an appropriate thing to do, because
5 I think it will help to provide some additional context for
6 the issues and really bring you up-to-date on the whole area
7 of steam generator regulation.

8 With regard to NDE and cracking phenomena, I think
9 there's going to be a little bit of rearrangement in the way
10 we present some of that. Based on the discussions yesterday
11 with regard to Generic Letter 95-05, I think it's very
12 important that we spend a little more time on that than we
13 might have originally planned.

14 Frankly, I don't think the committee was left with
15 the clear understanding of exactly what's in that letter or
16 the basis for it or our experience with its implementation.

17 So when Ken Karwoski talks about these issues,
18 he's, first, I think, going to talk about the regulatory
19 framework in general, but then I think he's going to talk to
20 Generic Letter 95-05. We want to take that as sort of a
21 unit before we move into other NDE and cracking phenomena
22 issues, because I think we need to be careful. There is a
23 potential to mix different issues.

24 And Generic Letter 95-05 is a very specific --
25 deals with a very specific mode of degradation and there are

1 some very specific requirements, and we want to make sure
2 that's clear for everyone.

3 The final thing I would mention with regard to the
4 agenda, I've put some hours in here which I hope roughly
5 correspond to what's in the more detailed agenda you have.

6 The main reason I did that is just to point out
7 that I think it's important that we do try to stick to the
8 time schedule. Obviously, the staff is here, it's your
9 meeting, and we're going to respond to what you want us to
10 respond to.

11 But as I indicated earlier, all these things, we
12 want to try to show how they fit together and add up to this
13 overall process. So I would just encourage that we do watch
14 the clock.

15 I would also point out that there has been an
16 extensive amount of background information provided. My
17 understanding is you've got about a foot-and-a-half of
18 paper, literally.

19 DR. POWERS: It's about twice that.

20 MR. BALLINGER: Eighty-nine pounds.

21 MR. STROSNIDER: Eighty-nine pounds? Okay. But
22 it goes to a point. There is an extensive amount of
23 documentation on these issues. However, I'm somewhat
24 sympathetic in that I suspect you might suffer from some
25 information overload there. So as we go through these

1 issues, if there are specific questions that come up, I
2 would offer that we could help point to the right reference
3 and maybe the right location of that reference that you
4 could study later to help address some of your concerns.

5 DR. POWERS: Understand the weight is not usually
6 an indicator of content.

7 MR. STROSNIDER: Okay. If I could move on to the
8 next viewgraph, Dr. Hopenfeld presented, yesterday morning,
9 a very detailed timeline that he went through. This is my
10 abbreviated version.

11 I was hoping to make perhaps a few bigger picture
12 observations. If I start with the lower line on here, it
13 talks about the DPO activities and you're familiar with when
14 the DPV and the DPO were submitted.

15 I did indicate in here one ACRS meeting that was
16 held in October of '97 on the DPO consideration document. I
17 went back and I'm not sure I've got an accurate count, but I
18 think I'd just mention, for the record, perhaps, that there
19 have been 11 ACRS meetings from 1994 to the year 2000 on
20 steam generator issues.

21 Seven of those dealt explicitly with the DPO
22 issues and it's several of those Dr. Hopenfeld did make
23 presentations.

24 Having said that, I recognize, in Dr. Powers'
25 memorandum, I think it was September 11th, to the EDO, that

1 the intent is to take a fresh look at these issues,
2 notwithstanding that there have been prior meetings. And I
3 think there is merit to that, also, because things have
4 evolved. We have information today that we'll be presenting
5 that wasn't available in prior meetings. So I think that's
6 a worthwhile thing to do.

7 But I did want to point out for the record that
8 these issues have been discussed publicly in the past.

9 If we could look then at the upper timeline for a
10 minute, I wanted to focus for just a second on what went on
11 here with steam generator rulemaking, Generic Letter
12 NEI-9706, and there's -- I guess the best way I can say it
13 is that there is some frustration for everybody perhaps in
14 how long it takes to see things happen.

15 But I did want to point out there are some
16 processes that the staff follows in these sort of
17 activities. The processes were established to provide
18 appropriate checks and balances, opportunity for public
19 participation, opportunities for presentations to ACRS,
20 CRGR, those sort of activities.

21 So it does take time. I continue to read and hear
22 about the failed steam generator rulemaking. I just wanted
23 to comment on that, because I guess I can understand the
24 perspective that, yes, the staff said they were going to
25 embark on generating a new rule, and that in the end, we

1 didn't do that.

2 But what I wanted to point out is that part of the
3 rulemaking process is to go through a regulatory impact
4 analysis to determine whether the rule is justified, and
5 there are several different ways it can be justified, but
6 nonetheless, we went through that.

7 It involved a lot of work. It involved some
8 groundbreaking risk assessment to support the evaluation,
9 which subsequently was published in NUREG-1570. It took
10 time to do that.

11 In the end, when we look at the criteria, it
12 didn't support the idea of a rulemaking. I don't look at
13 that, personally, as a failure. I look at that as we
14 followed the process, we looked at the results, and that was
15 the outcome. We also recognized when we finished that,
16 though, that there were some improvements that needed to be
17 made within the existing regulations and regulatory
18 framework, and, of course, that led us to the generic
19 letter.

20 There was some suggestion yesterday that
21 abandoning the rule had something to do with the fact that
22 the industry might not like a steam generator rule. That
23 was not why the rule didn't happen. It was because of the
24 reg impact analysis.

25 When we started looking at the generic letter, and

1 we did have a lot of interaction with the industry, and I
2 think the staff had some influence on them. I'd like to
3 think they saw the technical and safety merits of some of
4 our issues, and they developed this industry initiative
5 9706.

6 This is a good thing. I think we need to credit
7 the industry for taking that initiative, and I'll just give
8 you a few examples on that.

9 The existing steam generator tech specs basically
10 say plug at 40 percent, except for where some alternate
11 repair criteria would ever have been added, but for most
12 plants, it's shut down, do the inspection, plug at 40
13 percent and you can restart. There are no explicit
14 requirements to do a condition monitoring of the steam
15 generator, to understand exactly what the condition was at
16 the end of the cycle, or to forecast or do this operational
17 assessment.

18 By 9706, all licensees, all PWR licensees have
19 committed to do those and they started performing those. So
20 that's a good thing. Those two things alone make this a
21 very important initiative.

22 MR. HIGGINS: Jack, you said all licensees have
23 committed to 9706. Is that a formal commitment or informal?

24 MR. STROSNIDER: We have a written commitment and
25 I don't remember if it's on each docket or if it's through

1 NEI. I think it may be through NEI. But we have a
2 commitment that all the PWR licensees will follow the
3 guidelines in 9706.

4 I would also point out that doing that did not
5 relieve licensees from meeting any of the existing
6 regulatory requirements. In fact, we sent a letter to NEI,
7 which was distributed to the licensees to make that clear to
8 them.

9 So this has been a good initiative and if you
10 follow this timeline, it didn't put on here
11 direction-setting initiative 13, the Commission guidance to
12 interact with the industry to look for voluntary
13 initiatives, and it made sense, when we started looking at
14 what was happening in 9706 and in the generic letter, that
15 we should work on that approach, and that's what has been
16 happening.

17 I would indicate that -- and I'll talk a little
18 bit more about this in the summary tomorrow, but we have put
19 this effort on hold following the Indian Point 2 steam
20 generator tube rupture, so that we can factor lessons
21 learned from that event into our review of this steam
22 generator licensing change package, which is 9706 and more.
23 This actually involves some new and improved tech specs.

24 But we haven't gotten to approving that yet and
25 we're going to factor in lessons learned from the most

1 recent tube failure event.

2 So that's what we'll talk about, how things have
3 evolved. The other thing I wanted to point out here is a
4 lot of the discussions that we had yesterday and that we'll
5 have in the next two days deal with the risk-informed
6 approach to addressing steam generator tube integrity
7 issues.

8 I put a couple things on here. If you look at
9 NUREG-1477, there was some risk analysis in there. It
10 didn't deal supplementary with the area of severe accidents;
11 that is, core damage events leading to tube rupture, except
12 in a qualitative way.

13 I would remind people that back in the early '90s,
14 when we first reviewed some of these proposals by the
15 licensee for voltage-based approaches, that we were still
16 doing a very much deterministic licensing basis sort of
17 review. When we got to this point, we tried to factor in
18 some of the risk perspectives.

19 As you move off in time, as I indicated, one of
20 the major things that happened with the steam generator
21 rulemaking was the development of NUREG-1570 and the work
22 that was in there.

23 It was very important work, because it dealt,
24 again, with some sequences that weren't specifically
25 addressed before.

1 Finally, I put a milestone on here of the issuance
2 of Reg Guide 1.174. That's the first time that the staff
3 actually had Commission-approved and formal guidance on how
4 to apply risk-informed regulation in reviewing license
5 amendments.

6 So you have to keep in perspective that this has
7 been an evolving process. As such, some of the information
8 that you're going to hear has evolved with time. And,
9 again, I'd mention I think it's worth going back and
10 reviewing today's state-of-the-art as opposed to some of
11 what we can talk about historically.

12 So those are a couple of the major points I wanted
13 to make with regard to the timeline. But one other thing I
14 wanted to come back to, when we talk about this process and
15 the time it's taking to work toward this improved framework,
16 we're often questioned, well, what about safety.

17 I would point out that during that timeframe, and
18 I counted them up last night, the staff issued seven generic
19 communications on steam generators, ranging from subjects
20 like the importance of optimizing the inspection methods
21 you're using to how you deal with circumferential cracking,
22 to dealing with U-bend cracking, externals, degradation of
23 steam generator secondary side components.

24 So we have been dealing with the issues as they
25 come up, interacting with the industry through generic

1 communications and through our other processes for dealing
2 with the licensees.

3 Finally, I'd like to talk just briefly on, I
4 guess, maybe I suggestion on what I think you need to be
5 looking for in terms of resolution of some of the DPO
6 issues. You're going to hear, in some of the areas we
7 talked about, some specific technical answers, if I can
8 characterize it that way, and one example might be the first
9 presentation we had this morning on iodine spiking.

10 You're going to see where work was done,
11 parametric studies were performed, and we concluded that
12 certain assumptions are valid for performing these analyses.

13 But there are other issues where you're going to
14 hear that it's more of a process resolution and I'm not
15 talking about the same -- well, in some cases, it might be
16 the process I talked about earlier. Some of the recent
17 issues with regard to vibration and dynamic loads during
18 blow-downs.

19 We put in the GSI process and it's working through
20 and you'll hear something about that.

21 But there's another aspect of this. Some of the
22 issues that come up, particularly from a risk-informed
23 perspective, when we start talking about probability or
24 frequency of bypass events and that sort of thing, what we
25 concluded from some of the work was that various alternate

1 repair criteria for steam generator tubes or ultimate repair
2 methods can, in fact, influence those frequencies.

3 Now, we don't know, the NRC staff doesn't know
4 what the next alternate repair criteria is that the industry
5 is going to send in to us for review.

6 So we can't, ahead of time, come up with here's a
7 specific solution. But what we have said is that we will
8 review those things considering the risk-informed aspects.
9 In fact, with regard to 9706, as an example, the industry
10 guideline document, and the tech specs that have been
11 developed, the industry very much would have liked to have
12 had freedom to define their own alternate repair criteria,
13 to define their own alternate repair methods.

14 We have, in working on those tech specs, indicated
15 that, no, whenever you come up with a new alternate repair
16 criteria or a new repair method, you need to come to the NRC
17 staff for approval, and the reason we did that is so that we
18 can look at it from a risk perspective and determine what
19 the impact will be with regard to some of these
20 risk-informed aspects of the issue that we've been studying.

21 Unfortunately, we don't have guidelines out there
22 at this point where the industry could pick it up and do it
23 themselves. That's what I mean by a process resolution.

24 We committed to look at some of these things as
25 part of our reviews. I think when you hear the discussions

1 on Farley and Arkansas, you'll see that we're doing that.

2 There may be discussions about assumptions that
3 are made, how we do those analyses, and I don't think that
4 that should be a surprise, given that, again, these are some
5 of the first ones that we've done and those discussions are
6 good.

7 But the point I want to make is that where we said
8 we were going to include these things in our evaluations,
9 that we did that, and that's the way some of these issues
10 have to be addressed.

11 So that's basically the opening comments I wanted
12 to make. I'd just ask if you've got any questions for me.

13 If not, again, we appreciate your time, and I will
14 turn it over to Jack Hayes. I think he's our first speaker
15 on iodine spiking.

16 MR. HAYES: Good morning. I'm Jack Hayes, and I'm
17 with the Probabilistic Safety and Assessment Branch, and I
18 will be discussing that aspect of the differing professional
19 opinion which deals with iodine spiking this morning.

20 This morning, I'm going to be discussing the DPO
21 author's concern. I'm going to be discussing the staff's
22 assessment of that concern, but I think it's really
23 important to understand that it was not the DPO's concern
24 that had us address iodine and spiking.

25 That was part of an overall reassessment we were

1 doing with respect to accident analysis. So to understand
2 how we arrived at our assessment of the DPO concern, I think
3 it's important to understand the staff's reassessment of
4 iodine spiking as a whole and the conclusions which we drew
5 with respect to iodine spiking.

6 Now, the DPO author's premise is the following.
7 If you have a reduction in the tech spec value of primary
8 coolant activity level of dose equivalent iodine-131, which
9 is typically one microcurie per gram, to low activity
10 levels, that that may result in a spiking factor which is
11 greater than 500.

12 Now, if you had that situation where you reduced
13 activity levels and you have a spiking factor greater than
14 500, then the premise is that the consequences you'll have
15 if you have a main steam line break accident, that Part 100
16 dose limits will be exceeded. That's the premise.

17 DR. KRESS: A question.

18 MR. HAYES: Yes, sir.

19 DR. KRESS: Have these tech spec changes been
20 approved?

21 MR. HAYES: Yes. It's tech spec values lower than
22 one microcurie have been approved.

23 DR. KRESS: What levels have they been taken down
24 to.

25 MR. HAYES: I think down to probably the lowest

1 has been about ten-to-the-minus-two, about
2 one-times-ten-to-the-minus-two, that ballpark.

3 DR. KRESS: Okay. Thank you.

4 MR. HAYES: Now, in order to understand this
5 further, there's some background areas we believe you need
6 to discuss. One is iodine spiking, what is it. We think
7 you need to understand that how do you incorporate iodine
8 spiking in the calculations of releases associated for a
9 main steam line break, and then how does this figure in with
10 the voltage-based criteria that licensees implement.

11 Now, what is iodine spiking? Well, it's an
12 increase in release rate from fuel to primary coolant
13 resulting from a transient. Most of us like to deal with
14 mathematical expressions. In essence, it's a release rate
15 from post-trip over the release rate at steady-state or
16 release, if you will, pre-trip. That's a way to define it.

17 Now, the question is how does it occur. Well, in
18 order for iodine spiking to occur, you have to have a fuel
19 defect. If you have a fuel defect, you will get water into
20 the gap associated with the fuel pellet.

21 When that water enters, because of the large delta
22 T between the fuel pellets and primary coolant, some of that
23 water is going to vaporize. Now, at the beginning of a
24 transient, the fuel pellet temperature decreases. This
25 causes the steam which is in that fuel rod gap to condense.

1 Once it condenses, it causes an imbalance between
2 the reactor coolant and between the fuel. You get
3 additional water which enters. Now, because the fuel pellet
4 is still at a much higher temperature than the reactor
5 coolant, it causes some of the entering water to vaporize
6 and sets up a local delta P, such that as you reduce
7 temperature in the fuel, you're going to get water which
8 will enter back into reactor coolant.

9 That's what the spike is. Now, as the fuel
10 temperature decreases, eventually you will shut off the
11 spike.

12 Spikes occur, power transients, startup, shutdown,
13 typical occurrences. These are included in the analysis
14 which we perform for steam generator tube rupture analysis
15 and main steam line break accidents.

16 DR. CATTON: This kind of says that the post-trip
17 release is somewhat independent of the steady-state release
18 rate, because you're really sort of clearing out the iodine
19 from the fuel itself.

20 MR. HAYES: Yes.

21 DR. CATTON: It's kind of separate.

22 MR. HAYES: Yes.

23 DR. CATTON: That would be why the ratio would
24 increase when you reduced.

25 MR. HAYES: That's correct.

1 DR. CATTON: Do you account for this?

2 MR. HAYES: Yes, we do, and we'll be going right
3 through it right now. It's a good lead into how we do these
4 calculations.

5 When we do a main steam line break accident or a
6 steam generator tube accident, we usually presume that the
7 calculations are done at tech spec values. For example,
8 normal operating primary to secondary leak rate, this value
9 is typically one gallon per minute.

10 The primary coolant activity level is also a tech
11 spec value. This is typically one microcurie per gram of
12 dose equivalent iodine-131. And then the spiking factor
13 which we assume in these calculations is a factor of 500.
14 Now, for this particular scenario, the dose acceptance
15 criteria is 30 rem thyroid for the exclusionary boundary,
16 EAB, the low population zone, LPZ, and for the control room.

17 Now, one thing I would like to point out is that
18 when we do these calculations, typically we don't approach
19 this value of 30. In other words, in essence, most of the
20 PWRs, they're probably anywhere from a factor of three to
21 ten below these values. That's where you typically are in
22 terms of the evaluations in normal situations such as this.

23 Now, in order to perform these calculations, it's
24 necessary to determine the equilibrium release rate
25 associated with the fuel. For example, it might be that

1 four microcuries per gram of dose equivalent iodine-131,
2 that the release of iodine-131 is five curies per hour.

3 When you factor that into a main steam line break
4 or steam generator tube rupture accident analysis, since the
5 spiking factor is a factor of 500 larger, this goes into the
6 release rate.

7 So in other words, when you start this accident,
8 you have your primary coolant activity level and then you
9 start releasing from the fuel into primary coolant. In this
10 case, it would be 2,500 curies per hour of iodine-131.

11 DR. KRESS: A question. To get that five curies
12 per hour out of the .4, which is what's measured, you have
13 to favor in the cleanup system.

14 MR. HAYES: Yes.

15 DR. KRESS: And the decay constant for iodine.

16 MR. HAYES: Right. The terms, if you will, you
17 have a release into the fuel, but you have a removal, and
18 the removal consists of decay, let-down flow, and also
19 primary to secondary leakage.

20 So all three of those factors are utilized to
21 arrive at the five curies per hour.

22 DR. KRESS: The major one being the cleanup
23 system.

24 MR. HAYES: Yes. And depending upon the isotope,
25 also, decay. Primary to secondary leakage --

1 DR. KRESS: You deal with more than just I-131.

2 MR. HAYES: Yes.

3 DR. KRESS: You use the other isotopes.

4 MR. HAYES: Yes. All five isotopes of iodine are
5 utilized.

6 DR. KRESS: All five isotopes.

7 DR. POWERS: A couple of questions. On the
8 previous slide, you indicated most calculations were done
9 with the tech spec limit, which you cited as one microcurie
10 per gram.

11 MR. HAYES: Yes.

12 DR. POWERS: And now you've switched to .4
13 microcuries per gram. Was there a reason for that?

14 MR. HAYES: The only reason I did that is because
15 in doing the slides and the preparations, one of the
16 examples I had was that .4. Let me give you what an actual
17 number is. I've looked up an actual number. I'm just doing
18 an amendment associated with Watts-Barr. And this number,
19 one microcurie is, for Watts-Barr, corresponds to like 13.8
20 curies per hour release rate and the 500 times that value is
21 like around 6,900 curies per hour.

22 So that was just chosen. I probably should have
23 put an example of one, but that's what the number is. Also,
24 if you like numbers, the typical primary coolant activity
25 level at one microcurie for Watts-Barr, that's 161 curies of

1 iodine-131 starting out. So that gives you some numbers.

2 DR. KRESS: Is there a wide variation in the tech
3 specs?

4 MR. HAYES: No.

5 DR. KRESS: It's generally around one.

6 MR. HAYES: Yes. In essence, for all plants which
7 do not have the alternate repair criteria, the value is, in
8 essence, one.

9 DR. POWERS: There is a peculiar habit of iodine,
10 it usually gets called hideout. Did you attempt to account
11 for hideout?

12 MR. HAYES: No. We don't have any special
13 function that includes hideout.

14 DR. POWERS: What does DE stand for?

15 MR. HAYES: Dose equivalent. I'm sorry.

16 MR. SIEBER: Could you tell us again what the
17 basis for the 500 spiking factor is and is it the same for
18 every plant under every condition, with any amount or no
19 fuel leaks?

20 MR. HAYES: Right. Okay. The value of 500 is the
21 same for all plants which was utilized. I cannot tell you
22 the basis, other than to say it's in the standard review
23 plan. I can't tell you how it was arrived at back probably
24 in the '70s.

25 I presume that someone did an enveloping estimate,

1 but I don't know what the basis for it is.

2 MR. SIEBER: Would that not be the most important
3 factor to consider in trying to figure out what the dose
4 equivalent at the exclusionary boundary and the control room
5 would be? It would seem to me to be the most important
6 thing.

7 MR. HAYES: No, it isn't. The most important
8 thing is your primary coolant activity level and also the
9 primary to secondary leak rate, because -- let me go back to
10 a slide.

11 MR. SIEBER: The primary coolant activity level,
12 the spike actually is where the dose comes from and if it's
13 500 times greater than what you would ordinarily have as a
14 dose commitment from primary coolant, that's a substantial
15 increase.

16 DR. POWERS: We're talking about a release rate
17 and not -- he's not multiplying his primary coolant
18 concentration by 500. He's multiplying his release rate by
19 500.

20 MR. HAYES: The other thing I think is important,
21 this is the definition of a spiking factor. We have two
22 terms. We have one as the numerator and one as the
23 denominator. For example, if the denominator is extremely
24 small, this spiking factor will be very large.

25 So the absolute value of the spiking factor isn't

1 as important as is really the primary coolant activity that
2 you have and the primary to secondary leak rate.

3 In further discussions, when we go into the
4 parametric analysis that we did, we hope that we will be
5 able to show you that that is indeed the case.

6 MR. BALLINGER: A question. You say that you
7 don't really consider hideout, as it were.

8 MR. HAYES: Yes.

9 MR. BALLINGER: But do you look at the sort of
10 steady-state, if you want to call it steady-state, iodine
11 concentration in the system as a function of time versus how
12 the plants operate, to try to get an idea of whether you're
13 using an average which has a lot of uncertainty in it or
14 not?

15 I mean, how do you arrive at the .4, for example?

16 MR. HAYES: The value of one is a tech spec value
17 and plants do not operate even close to that. The reality
18 of the situation is this. When plants start to get at
19 around ten-to-the-minus-two, they get real, real antsy and
20 they start to take action.

21 And, see, the presumption that we have with this
22 particular analysis is that you are already at one
23 microcurie.

24 MR. BALLINGER: But the proposal is to reduce that
25 in some cases.

1 MR. HAYES: Yes.

2 MR. BALLINGER: So a value that's supplied to you,
3 that comes in at some number less than one.

4 MR. HAYES: Right.

5 MR. BALLINGER: But how do you evaluate whether or
6 not that's a number which you believe?

7 MR. HAYES: You mean whether they're going to get
8 to that number?

9 MR. BALLINGER: No. Whether the -- oh, even the
10 lower one is a tech spec number?

11 MR. HAYES: Yes.

12 MR. BALLINGER: Okay.

13 DR. KRESS: The assumption seems to be that if you
14 have a number in the tech specs that is an allowed number,
15 that there is a potential then for when the accident occurs,
16 the steam generator tube rupture, that you may be at that
17 tech spec number, since it's allowed.

18 MR. HAYES: That's an assumption made in the
19 calculation.

20 DR. KRESS: So when you do the design basis
21 accident calculation, that's why you use the one or whatever
22 the tech spec number is and not the actual, because the
23 actual is not really of interest.

24 MR. HAYES: That's correct. That's very good.
25 Voltage-based criteria. As Jack Strosnider --

1 DR. CATTON: Excuse me. I kind of got lost in a
2 little bit of this. You use the number one when you do your
3 calculation.

4 DR. KRESS: Or whatever is in the tech spec.

5 MR. HAYES: Or whatever the tech spec value is.

6 DR. CATTON: Right. So if somebody comes in and
7 says, gee, I want you to relax a little bit, I'm going to
8 reduce my tech spec value to .1 or .5, in reality, nothing
9 has changed because they're already operating at a much
10 lower number.

11 DR. KRESS: Something would have changed, because
12 if they --

13 DR. CATTON: If they operated at one, it would
14 change, but if they operated at .1, then nothing really
15 changes, except the fact that they've reduced the --

16 DR. KRESS: There is a virtual change, and that is
17 that if they did approach this new number, they would have
18 to shut down and do something.

19 DR. CATTON: We heard that they don't.

20 DR. KRESS: I know, but that's -- but it's a
21 virtual change. They would have to if they did.

22 DR. POWERS: A virtual change is no change at all.

23 DR. KRESS: That is a change.

24 MR. HAYES: I understand some of your quandary.
25 Let me share some experience with respect to generation of

1 the steam generator rule.

2 The value of one is not a value that is frequently
3 met. People maintain their concentrations much lower than
4 that. So, if you will, it's not in a usual operating area.

5 In the discussions with some of the utilities, as
6 part of the steam generator rule, they had mentioned to the
7 staff, they said, hey, we think your evaluations are too
8 conservative, and what the staff -- we went back and
9 reassessed that.

10 Well, what we found is when you reassessed it,
11 hey, one of the things you licensees and we can do is let's
12 change the tech spec value, and the operators said, no, we
13 don't want to change the values. We want that margin.

14 So what you actually find out is plants don't want
15 to change that value of one unless they have to and what
16 happens is with the ARC amendments, in essence, they're
17 forced to change it, but they don't want to do that. They
18 want to keep that value of one.

19 As another example, there's another tech spec
20 value which is a maximum instantaneous value, that we're not
21 talking about today, which is a value of 60. That value, no
22 one has come close to it.

23 We've had three values above 15 in the whole
24 operating time period. The highest value is 18. They don't
25 want to change the value of 60. The value of 18 was in

1 1972, in Ginna.

2 DR. KRESS: In essence, then, what I read into
3 that statement is that by changing the tech spec value, you
4 have eroded the margins. You have to have. The question
5 that comes to mind when you make that statement is how much
6 margin do you need in design basis space.

7 MR. HAYES: You've eroded the operating margin.
8 Dose margin, you're still at the same number.

9 DR. KRESS: Well, you've eroded the margin to how
10 well you've protected against receiving a particular dose at
11 the site boundary or the control room, which is what you're
12 interested in, how well you control the potential for having
13 that dose.

14 So you've definitely eroded that margin when you
15 lower the tech spec value, there's no doubt, in my mind,
16 because in essence, you allow more leakage to meet the
17 values.

18 DR. CATTON: You're swapping real safety for
19 virtual safety.

20 DR. KRESS: Yes, exactly.

21 DR. POWERS: You can do that on virtual changes,
22 you can do that on margins, too. He has enormous capacity
23 for --

24 DR. KRESS: So this all gets embroiled in how much
25 margin do you need in design basis space and why did you

1 have the margin you had in the first place and those types
2 of questions.

3 DR. BONACA: It seems the issue is with the
4 leakage rate, right?

5 MR. HAYES: That's correct. That's correct.

6 DR. BONACA: The accident analysis is used on GPM
7 and that's why the number is in tech specs, but some plants
8 operate with less than that.

9 MR. HAYES: That's right.

10 DR. BONACA: And if they have problems, in fact,
11 meeting those limits, especially control room issues, leads
12 you at times to the need to tighten up that leakage rate,
13 which means you have to perform your analysis with a lower
14 leakage rate.

15 But I'm trying to understand how that affects the
16 margin issue and the tradeoff.

17 MR. HAYES: And I think you all are doing very
18 good, well, leading right into the succeeding slides,
19 because in this voltage-based criteria, that's the tradeoffs
20 we're getting into.

21 As Jack Strosnider mentioned, he said that the
22 tech specs, as they're written, at 40 percent through wall,
23 you have to start plugging tubes.

24 What the voltage-based criteria does, it allows
25 tubes that you would normally be plugging to remain in

1 service, but there's a tradeoff with that. That is, it's
2 postulated that if you have a high pressure transient, such
3 as a main steam line break accident, you're going to cause,
4 because of the high differential pressure across those
5 tubes, you're going to cause those tubes to open up and
6 they're going to leak at a certain level.

7 For example, let's say that you have a main steam
8 line break associated with a given steam generator and let's
9 say in that steam generator, you have 100 tubes which have
10 this voltage-based criteria.

11 If it is postulated that each of those tubes which
12 has that criteria would leak at half a gallon per minute
13 when exposed to that pressure, then for those 100 tubes, you
14 would have a 50-gallon per minute leak.

15 Now, that's a new source. We hadn't had that
16 before. The source we had was normal operating primary to
17 secondary leakage, but now we've got what we refer to as the
18 accident-induced leakage, and that value is like, for
19 example, in the case I used, 50 GPM. So that has to be
20 added into your source.

21 DR. KRESS: If I view this from the perspective of
22 Reg Guide 1.174, this is sort of a change to the licensing
23 basis that increases risk a little, it's a question of how
24 much. The Reg Guide 1.174 calls for maintaining the
25 defense-in-depth philosophy and it also calls for preserving

1 margins.

2 I'm not sure I quoted it correctly with those and
3 that's why I'm looking behind me. It seems to me like this
4 increase in risk, it's bound to reduce your defense-in-depth
5 a little bit. I don't know how much. I don't know how
6 that, quote, preserves the defense-in-depth philosophy and
7 it also erodes the margins, so I don't see how it preserves
8 the margins, which are sort of part of the whole integrated
9 analysis.

10 Maybe someone back here could speak to those
11 questions.

12 MR. HOLAHAN: This is Gary Holahan, from the
13 staff. I think in Reg Guide 1.174, the principals are laid
14 out to keep any risk changes small and to preserve
15 defense-in-depth philosophy and to preserve sufficient
16 margin, but the discussion of defense-in-depth and margin
17 wasn't meant and doesn't mean that we're not prepared to
18 make any changes.

19 So there's a judgment involved and there's some
20 guidelines involved as to how much margin ought to be
21 preserved and what does it mean to be preserving
22 defense-in-depth.

23 I think what you really need to do is to look not
24 only at this design basis case, but look at the implications
25 of any of these changes from a severe accident risk point of

1 view.

2 I think Jack isn't going to cover all of it, but
3 when Steve Long speaks later, you'll see the whole picture
4 of how we consider these issues and I think by the time we
5 get to tomorrow's examples that Jack mentioned this morning,
6 the Farley and the Arkansas amendments, you'll see, in fact,
7 that there is an explicit discussion by the licensee and by
8 the staff on safety margins and defense-in-depth and risk
9 implications of these sort of changes.

10 DR. KRESS: Thank you.

11 MR. STROSNIDER: I'd like to provide one other
12 perspective, too, which is with regard to the type of
13 degradation that's being dealt with here, which is outside
14 -- stress corrosion cracking at tube support plates, again,
15 a very specific form of degradation.

16 There was some discussion yesterday and there will
17 be some additional discussion today about the difficulty in
18 using eddy current methods to size racks and that sort of
19 thing.

20 Before the voltage-based criteria went in, what
21 licensees were doing was they were attempting to size these
22 indications and they were leaving them in service. So when
23 you look at the delta between what the practice was and
24 what's coming here, you need to ask yourself the question
25 which of these is really providing a more reliable approach.

1 Now, I will acknowledge there is another approach,
2 which would be plug every tube that has an indication, which
3 is what they typically do with stress corrosion cracking.

4 But if sufficient margins can be demonstrated by
5 the industry, then that's not necessarily the way you have
6 to go. So you need to look at this in terms of the
7 perspective, you know, do you have greater uncertainty
8 trying to size these cracks in terms of their actual
9 physical dimensions, which is what people were doing and
10 there was large uncertainty in that, and, to a certain
11 extent, dealing with accident-induced leakage was, to some
12 extent, probably just acknowledging reality and specifically
13 dealing with it.

14 So that's a different perspective. Steve, have
15 you got something you wanted to add?

16 MR. LONG: This is Steve Long, with the staff.
17 Just a couple of things to make sure we're clear on. When
18 Jack does this calculation in design basis type analysis,
19 he's assuming that leak rates that are measured as if
20 they're in the free span are going to occur.

21 So he essentially has data from tubes that they
22 tried to figure out what the leakage would be if the area
23 that's normally captured by the tube support plates is
24 exposed in the free span and then given the delta P change
25 from the steam line break.

1 This is not something you just throw into a risk
2 assessment in that manner. So you need to think of this
3 somewhat differently than the way you would do a
4 risk-informed application. These are not risk-informed
5 applications under Reg Guide 1.174 and the leakage that he's
6 using assumes that every flaw that's under a support plate
7 is instead in the free span.

8 So it's sort of a virtual leakage calculation.

9 MR. STROSNIDER: A conservative one.

10 MR. BALLINGER: But the vendors, their correlation
11 assumes no restraint by the support plate anyway.

12 MR. LONG: That's correct. But you would have to
13 have what fraction would be --

14 MR. HAYES: The question becomes, well, what is
15 the impact of this voltage-based criteria. Well, the goal
16 is to minimize the number of plugged tubes.

17 DR. POWERS: Whose goal is that?

18 MR. HAYES: That's the licensees' goal. That's
19 the licensees' goal. And because what happens, if you
20 continually plug tubes, it's obvious that you have to
21 de-rate your unit, and that's what they don't want.

22 Now, as we mentioned at the start, we had two
23 criteria. You had the one gallon per minute primary to
24 secondary leak rate and you had the one microcurie per gram
25 of dose equivalent iodine-131. Those are an equilibrium

1 now.

2 If, all of a sudden, you've raised that primary to
3 secondary leak rate, then you have to lower the allowable
4 primary coolant activity level if you're going to have this
5 larger leak rate and still maintain your doses.

6 So that's what they do and that's what they're
7 trying to achieve.

8 DR. POWERS: Is there a hazard, safety hazard
9 associated with plugging tubes?

10 MR. HAYES: If you plug tubes, you remove the
11 capability of the steam generator to remove heat from the
12 core and you reach a point where you have too many tubes
13 plugged, you have to de-rate your unit. Now, if the
14 question is deeper than that, I'm going to have to refer to
15 someone may be from the Division of Engineering to answer
16 that question.

17 MR. HOLAHAN: Let me try. It seems to me that
18 when tubes get plugged, the plant meets the same
19 deterministic safety criteria in terms of mechanical
20 requirements, in terms of thermal hydraulic analysis, in
21 cases, they have to redo the LOCA analysis. In effect, they
22 meet all the same requirements.

23 I'm not aware of any risk assessments that
24 indicate that taking tubes out of service by plugging them
25 introduce any risk changes.

1 DR. POWERS: No accident initiators associated with plugging
2 tubes?

3 DR. BONACA: The only sensitivity I think I could
4 think of would be if you had very uneven plugging in
5 different steam generators. That, you would have to --
6 those kinds of issues are considered, have to be considered.

7 DR. POWERS: So if I plug all the tubes on one
8 quadrant of the steam generator, I get some sort of problem.

9 MR. SIEBER: You'd get an offset in the core,
10 because --

11 DR. BONACA: You would get --

12 MR. BALLINGER: Between one steam generator in one
13 loop and another steam generator in another loop where you
14 have a very odd -- a very large difference in number of
15 tubes plugged, then you alter that.

16 MR. HOLAHAN: Those are the kinds of issues that
17 are dealt with in the analysis.

18 DR. CATTON: So, in essence, what you're doing is
19 you're just making sure the iodine that's sitting around
20 ready to get out is the same.

21 MR. HAYES: Right.

22 DR. CATTON: You reduce the level in the primary
23 system. You allow a little bit more to be dumped in. The
24 more that's dumped in relates to the leakers. The leakers
25 is tied to voltage.

1 DR. HOPENFELD: Right.

2 DR. CATTON: It sounds like a rather simplistic
3 calculation. Do you put any uncertainty on the steps in
4 this in order to --

5 DR. HOPENFELD: No. It's done in a deterministic
6 manner. There's no uncertainties put on it. Now, realize
7 that the criteria here is 30 rem thyroid, which is ten
8 percent of Part 100 limits.

9 DR. POWERS: That's the final.

10 MR. HAYES: That's the final, yes.

11 DR. POWERS: You're playing around with some game
12 in the middle somewhere.

13 MR. HAYES: The only uncertainty to that, I think,
14 is utilized with respect to leakage associated with the
15 tubes.

16 DR. POWERS: There is no consideration in the
17 analysis that the events that lead or are associated with
18 either a steam generator tube rupture or main steam line
19 break could, in fact, cause a rupture to the cladding on
20 some --

21 MR. HAYES: That's correct. There is no
22 consideration for that.

23 DR. CATTON: When you do that --

24 MR. HOLAHAN: Excuse me. I know why. It's
25 because there is a requirement that for those events, the

1 fuel continues to meet specified acceptable fuel design
2 limits, which are intended to not induce additional fuel
3 failures.

4 Of course, the fuel failures that preexisted are
5 covered in the analysis and the spiking. But you would
6 expect no additional fuel failures because fuel is analyzed
7 under those thermal hydraulic conditions to meet its design
8 requirements.

9 MR. BALLINGER: Is there any data on spiking for
10 actual delta P's which would exist during the main steam
11 line break?

12 MR. HAYES: No.

13 MR. BALLINGER: As opposed to operational delta
14 P's, which is all the stuff that I've been reading.

15 MR. HAYES: No, there is not.

16 MR. BALLINGER: So what is your judgment with
17 respect to the spiking factor when you make the jump between
18 what's been measured and what actually might occur?

19 MR. HAYES: We're going to discuss that and if we
20 don't answer your question when we get to that point,
21 please, bring it again.

22 DR. CATTON: So under this new approach, how do
23 you calculate the spiking factor? Is it this 500 times the
24 new lower primary system value?

25 MR. HAYES: That's correct. That's correct.

1 DR. POWERS: I guess I don't understand that.

2 DR. CATTON: So it goes way down.

3 MR. HAYES: That's correct.

4 DR. CATTON: And what happens to what leaked into
5 the primary system? I don't quite follow -- I'm having a
6 little bit of a problem with iodine conservation.

7 MR. HAYES: The iodine is not at the one anymore.
8 It is at some lower value.

9 DR. CATTON: Reduce the level.

10 MR. HAYES: Reduce the level.

11 DR. CATTON: Now I dump some in from the fuel
12 because I've got leakers.

13 MR. HAYES: That's correct.

14 DR. CATTON: I now multiply that new value by 500.

15 MR. HAYES: That's correct.

16 DR. CATTON: Or do I multiply the 500 times the
17 steady-state value before it leaked?

18 MR. HAYES: Before it leaked, because, for
19 example, I think the question that you're getting to is
20 saying, hey, can I have this massive amount of iodine into
21 the gap that's just ready in there to break loose and it
22 hasn't, because it hasn't been exposed to this differential
23 pressure or this transient, whatever it is.

24 And the question is, if you had that activity
25 available for release, it would already be showing up into

1 the primary coolant, if it's through the defects.

2 DR. CATTON: What it really gets down to is you're
3 reducing -- if it's 500 times a lower number, where does the
4 other go?

5 DR. BONACA: If I understand it, it reflects the
6 conditions of the core. If you have a very clean core where
7 you have no leakage, because assume, for example, you have a
8 brand new core coming in, where every defect has been
9 replaced with a new fuel rod, so there are no defects.

10 DR. CATTON: So you wouldn't have much iodine.

11 DR. BONACA: You would have not much iodine. Then
12 if you have the accident, unless you postulate it, the
13 accident causes the cracks in the cladding, which we don't
14 believe that is the case.

15 DR. KRESS: It commits you to better fuel,
16 basically.

17 DR. POWERS: I don't think so. It doesn't seem to
18 me it does that at all; that there are multiple ways that I
19 can get my primary coolant concentration down. One of them
20 is I can buy a better cleanup system.

21 DR. KRESS: Yes, but he said you account for that.

22 DR. POWERS: He accounts for that.

23 DR. KRESS: You go to the rate and you account for
24 that.

25 DR. POWERS: I'm accounting -- I want to get my

1 steady-state concentration, normal operation.

2 DR. KRESS: You increase the cleanup rate. That
3 doesn't help you any. It doesn't help you any in here at
4 all if you do it that way, because --

5 DR. POWERS: That's right, that's my point is it
6 doesn't help you at all.

7 DR. KRESS: No, but they account for that, he
8 said.

9 MR. HAYES: We have factored that removal rate
10 into the production rate.

11 DR. KRESS: Yes. They work on production.

12 DR. POWERS: I understand this all. My point is
13 that it does not commit you to better fuel. There's another
14 way around the barn here. So you don't end up multiplying
15 --

16 DR. KRESS: You're basically right, but you still
17 have to meet the dose limits.

18 MR. BALLINGER: But by having better fuel and by
19 having, for a given cleanup system, a lower iodine
20 concentration, you have a lower release rate, as well.

21 MR. HAYES: That's correct. And I think it's
22 important to realize that you cannot commit to these lower
23 levels, like ten-to-the-minus-two or so, because as I
24 mentioned, they're not comfortable at those levels, unless
25 you have good fuel.

1 Because what you see typical plants operating at
2 now is like ten-to-the-minus-three, ten-to-the-minus-four.
3 That's typically what they're operating at. And if they
4 start to approach ten-to-the-minus-two, they get antsy.

5 MR. BALLINGER: It's about ten-to-the-minus-four,
6 roughly, per failed fuel element. So it takes about one
7 failed fuel element for them to exceed their -- to make them
8 get antsy.

9 MR. SIEBER: One rod.

10 MR. BALLINGER: One rod, yes.

11 DR. BONACA: I think, historically, we have to
12 look at -- I mean, plants used to run with several defects
13 years ago. Today, I mean, since then, there has been the
14 goal of INPO of zero defects, and I think the utilities have
15 been very committed to it and it's very unlikely that you
16 find plants --

17 I mean, today, if you find a situation like a
18 Seabrook, where they had eight fuel failures, they had
19 measure inspection and evaluation of why you get those kind
20 of issues, and repair it. So I'm saying that reflects, in
21 part, the way that the fuel is being treated today.

22 MR. HAYES: I think if you look at the spiking
23 data, you can even see that. You can see that the levels at
24 which the spikes have occurred and the values of the spike
25 have really changed with time. You just don't see them

1 occurring.

2 DR. KRESS: Could you address the 30 rems as
3 opposed to the 300? Was that just chosen for margin or was
4 there another reason?

5 MR. HAYES: You know, this is my own
6 interpretation. There is no basis of fact. My
7 interpretation is there is a calculation which is done at
8 the 60 and that has the full Part 100 value. As I mentioned
9 earlier, no one has ever come close to the 60.

10 I believe that the reason that you have the value
11 of 30 is to account for uncertainty both with the spiking
12 factor and the fact that people have been at one and higher
13 than one.

14 So I think that was probably what was done,
15 because at that time, in terms of accident analysis, a lot
16 of thought was given to the more that you have the potential
17 for a release, the lower you put the limit. For example,
18 that's why a fuel handling accident has a lower one.

19 MR. HOLAHAN: I think there's also another factor,
20 because the approach of using some fraction of Part 100 is
21 used in some other cases, as well, and I think Part 100, the
22 guideline is set up for really a maximum hypothetical
23 accident, which is considered to be extremely unlikely.

24 And recognizing that some events, like tube
25 ruptures are much more likely --

1 DR. KRESS: They're much more likely to happen, so
2 you factor that in.

3 MR. HOLAHAN: You'd factor that in.

4 DR. KRESS: Makes sense.

5 MR. HAYES: It's important to understand that the
6 staff's reassessment of iodine spiking was just one part of
7 a total reassessment in terms of the way we did main steam
8 line break accidents and steam generator tube ruptures as
9 part of the rule, steam generator rule initiative, because
10 we had a situation where industry is saying we're too
11 conservative.

12 We have the DPO, which says we're not conservative
13 enough. So we had the great opportunity to make no one
14 happy. So what we wanted to do, you know, we were really
15 truly interested in the 1996-1998 timeframe, really
16 reassessing how we do the accident evaluation.

17 So one part of this was with respect to iodine
18 spiking. Now, the industry was proposing some iodine
19 spiking models. One was in a report by Postma, which was an
20 empirical model. Another was a first principle model by
21 Lewis and Iglesias, which the staff reviewed, but the staff
22 determined was insufficiently mature, didn't have adequate
23 V&V, and did not predict a priori what the spike would be.

24 So then we went to look at a couple articles by
25 Adams, articles he did with Sattison and Atwood, and the

1 data that Adams generated was really also included in both
2 the Postma and Lewis and Iglesias reports.

3 Now, the Adams and Sattison article looked at 58
4 events. The spiking factors ranged approximately two to
5 slightly over 900. Issue activity levels ranged from
6 roughly ten-to-the-minus-three to about one microcurie per
7 gram. The spiking factors in three cases were greater than
8 500. Two of those were in the range of about 900. The
9 activity levels associated with those spikes were roughly
10 two-times-ten-to-the-minus-two or less, and the maximum
11 activity in any case was 3.5 microcuries per gram.

12 DR. POWERS: I'm going to have to ask you what you
13 mean by maximum activity.

14 MR. HAYES: That the activity, at the end of the
15 spike, the maximum activity which was obtained in reactor
16 coolant, measured in reactor coolant, was 3.5.

17 These were Adams' and Sattison's conclusions.
18 They concluded that, first of all, large spiking factors
19 tend to be associated with small coolant activity levels and
20 small iodine release rates and that to assume that you have
21 a spiking factor of 500 in association with a dose
22 equivalent iodine value of one microcurie per gram is overly
23 conservative.

24 They recommended to expand the database to
25 determine and reduce uncertainties.

1 DR. POWERS: It seems to me the codicil that the
2 spiking factor of 500 in association with one microcurie per
3 gram is very important. That's a non-negligible statement
4 there. That doesn't seem to be in my viewgraph.

5 MR. HAYES: The viewgraph, I think it stopped --
6 this --

7 DR. POWERS: That's the one I wouldn't leave out.

8 MR. HAYES: Right. Well, in proofreading --
9 you're correct. In proofreading, that thought was missing
10 and that was a very important thought.

11 DR. KRESS: That doesn't address the question of
12 how conservative, if at all, the 500 is at some other --

13 MR. HAYES: That's correct. At this stage, it
14 does not address that.

15 DR. KRESS: Okay.

16 MR. HAYES: And Adams --

17 DR. KRESS: We always thought it was conservative
18 at one microcurie per gram. I don't think that was ever a
19 question.

20 MR. HAYES: And you're correct. The issue which
21 Dr. Hopenfeld has raised is a new issue and wasn't really
22 considered at the time that Adams was doing this work, per
23 se.

24 DR. KRESS: I see. Okay. That helps.

25 MR. HAYES: Because I believe, and Dr. Hopenfeld

1 can correct this, but I believe that this is work that Adams
2 was doing for you in the Office of Research at the time.

3 DR. HOPENFELD: He was doing this for me and I
4 just thought there was something missing there. Yes. He
5 was doing this thing for me and we went through all the data
6 that was the conclusion of, and I'm glad you caught that one
7 microcurie, because that was really the key thing.

8 But we didn't carry that beyond that point, for
9 one reason or another, and that's what -- but I thought, at
10 the time, they should have been carried, but we didn't. So
11 we stopped right here.

12 MR. HAYES: The next report by Adams was --

13 DR. HOPENFELD: Excuse me just one minute, if I
14 may. You left the impression that I'm trying to be more
15 conservative, that I'm saying that the utilities are not
16 conservative enough. That's not really my point. I don't
17 know, they may be still very conservative.

18 My point is that what you are doing is not
19 justified, just arbitrarily taking that 500 and leaving it
20 there while you're doing something else. That's my point,
21 my main point. There's no technical justification to it.

22 I don't know whether you're conservative or not.

23 MR. HAYES: The next report by Adams and Atwood
24 looked at spiking and the information associated with LERs.
25 What they decided to do is they decided that they would

1 bound each spiking event. They decided that the -- they
2 postulated that the maximum dose equivalent iodine-131,
3 which is typically measured between two and six hours after
4 the event, could be no greater than a factor of three higher
5 than the measured value.

6 So they decided that they would bound those
7 values. Let me show you --

8 DR. KRESS: Where did the factor of three come
9 from? Because that certainly is not decay.

10 MR. HAYES: I believe that the value, that they
11 came up with a value of three was probably associated with
12 the pressure differential associated with the vent.

13 So they said, hey, we're going to presume that
14 there is a linear relationship between the pressure
15 associated with that particular --

16 DR. POWERS: Didn't they raise questions about
17 exactly when the sampling was done in the solution and there
18 may have been some decay?

19 MR. HAYES: There were three graphs that they
20 presented, one of which did not include -- well, excuse me
21 -- included the factors of three, but also corrected
22 presumed -- I think that it was six hours and moved it back
23 to two hours.

24 MR. BALLINGER: I don't think it says anywhere in
25 what I've read that that factor of three is related to an

1 increase in delta P. That's why I asked the earlier
2 question.

3 DR. POWERS: I think it's a sample in their
4 analysis, a question that they had about the data that were
5 available to them. They came up and said, well, it can't be
6 any worse than a factor of three.

7 DR. KRESS: It's uncertainty in the way you
8 determine iodine-131 in a sample, I think.

9 DR. POWERS: That's my impression.

10 DR. KRESS: Plus, you might add a little decay if
11 it's seven hours.

12 MR. HAYES: This is a curve of the Adams and
13 Atwood data, which is without the factor of three. You can
14 see that the highest spike that they had was approximately a
15 value of 4,000 and it occurred at around
16 ten-to-the-minus-three microcuries per gram.

17 You can look and you can see this is a spiking
18 factor one and you see that there are data points which show
19 a spiking factor of less than one.

20 If you look at the data from about
21 ten-to-the-minus-two, you can see that most of the points
22 are a value below, roughly, I'd say, 700.

23 DR. KRESS: The points below the line imply that
24 when you undergo this event, that the rate of release of
25 iodine from the pins decrease over what it was normally.

1 MR. HAYES: And you're going to ask me why that's
2 the case, and I don't know have an explanation, whether
3 that's just the data.

4 DR. KRESS: It could be data uncertainty, you're
5 right.

6 DR. POWERS: When I look at this plot, it seems to
7 me my first reaction is, gee, I believe I could run a
8 straight line through these data on a log-log plot, and when
9 I think about doing that, coming up and then using that
10 straight line to make estimates on the spiking factor as a
11 function of the RCS initial activity, I put error bounds
12 around it for what the error in the estimate would be.

13 Because I run out of data at the one microcurie
14 per gram, I would think that those error bounds would turn
15 up pretty dramatically.

16 Have you made such a plot?

17 MR. HAYES: We did. What we did is when we got
18 done with the industry data, Adams and Atwood, we thought,
19 well, we think that probably the spiking factor is a
20 function of reactor coolant activity level and we can have
21 -- we'll have our contractor analyze this data and hopefully
22 we'll come up with a plot of spiking factor as a function of
23 primary coolant activity level.

24 And we couldn't get a good correlation and we
25 really thought that we were going to be able to do that.

1 When we went into it, we thought we would be able to do it.

2 DR. CATTON: But you could easily get a bounding
3 curve for this.

4 MR. HAYES: And we did and the bounding value that
5 we got, the 95th percentile value we got was 335.

6 DR. CATTON: That's a single number.

7 MR. HAYES: That's a single number.

8 DR. CATTON: 335 times --

9 MR. HAYES: Times whatever the release rate would
10 be at equilibrium.

11 DR. CATTON: How is that bounding? I can see one
12 here that's more than 1,000.

13 MR. HAYES: We didn't take the highest value. We
14 took a 95th percentile value.

15 DR. CATTON: So that means you weighted a lot of
16 these negative ones down here.

17 MR. HAYES: That's correct. That's correct.

18 DR. POWERS: When I look at these data and I stand
19 far enough back from the plot, I say, gee, it looks to me
20 like there are two populations of data here. There is a
21 population that comes along and includes these low ones and
22 there's a population above. .

23 Did you look at the data set to see if there was any
24 indication there were two populations?

25 MR. HAYES: We asked Adams about that to see if he

1 had an explanation and he didn't have an explanation.

2 MR. HIGGINS: That's a different question. What
3 Dr. Powers asked is if you did it.

4 MR. HAYES: No, we did not.

5 MR. HIGGINS: Is there at least some consistency
6 at a given plant? This is across many plants. Do you have
7 multiple data points at a given plant?

8 MR. HAYES: We have multiple data points, but I
9 don't think we would have a sufficient amount to really say
10 that this would be reflective of a plant.

11 See, I think one of the problems you would have
12 with such an evaluation is because of fuel changes. A lot
13 of the spiking data that we have is pre-1980 data, in the
14 '70s, because that's when you had a lot of these events.
15 And it's really not reflective of the conditions that you
16 have now.

17 It will give you data, but it's not really
18 reflective of what we have today.

19 MR. BALLINGER: Has it been plotted as a function
20 of the delta P?

21 MR. HAYES: No, it has not.

22 DR. CATTON: The points that are below that line
23 are really kind of perplexing. I don't know how you can use
24 them if you can't explain them. Maybe it's an error in your
25 data processing. Maybe it's an error in your readings.

1 So how can you use it when you attempt to
2 calculate some kind of a factor?

3 MR. HOLAHAN: I would suggest it's not really
4 reflective of what we have today. If you think about what
5 it means to go to the left on that chart, you're dealing
6 with very small numbers and you're dealing with the ratio of
7 small numbers, and I would expect the uncertainties to get
8 larger.

9 There are two things going on. I think Dr. Powers
10 suggested that there is less data as you go to the higher
11 numbers, clearly, but the numbers are harder to calculate as
12 you go to the left, so the uncertainties get larger.

13 DR. CATTON: I understand that, but normally when
14 you look at a plot like this and you're trying to figure out
15 what's going on and you want to come down on the safe side,
16 if the bottom data points which pull the number down can't
17 be explained, it seems to me they should be eliminated until
18 they can and not be a part of the process that leads to the
19 number.

20 MR. HIGGINS: Or call them, call them spiking
21 factor of one.

22 DR. CATTON: You can weight them. I mean, there's
23 all kinds of techniques for dealing with these things.

24 MR. HOLAHAN: But recognize that this is a log
25 plot and they don't change the answers by all that much.

1 DR. CATTON: I see that, I see that.

2 MR. HOLAHAN: I think you should have the same --

3 DR. CATTON: I have a straight line that
4 beautifully --

5 MR. HOLAHAN: You should have the same question
6 about the value of 4,000, which has a large uncertainty on
7 it.

8 DR. CATTON: It depends what you're trying to do.
9 You would ask the same question about the points that sit
10 way up by themselves, except that they're more important.

11 MR. BALLINGER: But there's very few instances
12 where you would just arbitrarily eliminate data points, but
13 one of them would be if it's simply non-physical, it can't
14 happen. Now, is that the case here with the ones that are
15 less than one? Is that a non-physical situation? That is
16 to say, it just can't happen.

17 MR. HAYES: I think Gary Holahan's point is a good
18 point. Remember that the spiking factor has a numerator and
19 a denominator and the values associated here are very low.

20 MR. HOLAHAN: It may be non-physical, but it's
21 giving you some insights as to the measurement of
22 uncertainties.

23 DR. POWERS: If we were to put error bars on these
24 data points, about how big would they be?

25 MR. HAYES: Since I didn't take the measurements,

1 I really couldn't answer that. I'm sorry.

2 DR. BONACA: It could be, in effect, related to
3 the type of transient that is taking place. For example, in
4 a steam line break, you have a depressurization in a system,
5 where probably, in the short term, you have almost
6 equalization, you could have, between system pressure and
7 internal pressure of the fuel rod.

8 MR. HAYES: It's important to understand that each
9 of the -- none of these events involve a main steam line
10 break.

11 DR. BONACA: But you have a scram. All right.

12 DR. KRESS: These are all team generator tube
13 ruptures?

14 MR. HAYES: Well, there are a couple of steam
15 generator tube ruptures, but most of them are transients.
16 They do not involve a steam generator tube rupture.
17 Fortunately, we have not had that many steam generators, or
18 we might be dealing with a different issue.

19 MR. BALLINGER: Which points on here deal with the
20 steam generator tube ruptures?

21 MR. HAYES: I would have to go back to the
22 original Adams and Atwood. I couldn't tell you at this
23 point.

24 DR. POWERS: It would be a substantial chore, even
25 if you went back to it, sorting through his table to figure

1 out which points are which.

2 MR. BALLINGER: But valuable.

3 MR. HAYES: I think you have the Adams and Atwood
4 and Adams and Sattison articles from Nucleonics Week, I
5 think, or some --

6 DR. POWERS: Nuclear Technology.

7 MR. HAYES: Nuclear Technology. And I think he
8 does list in those documents which ones are steam generator
9 tube rupture events.

10 DR. POWERS: Then when you find them and you go in
11 and try to find the point on the plot, it's a chore.

12 MR. HAYES: This is the same data multiplied by a
13 factor of three and that value, you can see, takes you
14 around 10,000.

15 Okay. The conclusions by Adams and Atwood, you
16 know, in many respects, similar to the conclusions of his
17 previous article. In other words, a spiking factor could be
18 reduced substantially, he believes, by a factor of 15 and
19 still be conservative.

20 Again, it's important to point out that we're
21 talking at the one microcurie per gram area. That's what he
22 was addressing. I don't want to give you a misleading
23 impression. That's what he was focusing on.

24 And the large spikes occur not because the
25 post-trip release is large -- in other words, the numerator

1 is large -- but, rather, because the steady-state release is
2 low -- in other words, the denominator is small.

3 And that the spiking data that he had was really
4 representative of a steam generator tube rupture rather than
5 a main steam line break.

6 When we did our reassessment of the spiking
7 factor, we reviewed the data without the factor of three
8 and, as I mentioned previously, we thought we could assess
9 it and come up with a relation as a function of reactor
10 activity level.

11 DR. POWERS: Let me understand a little better.
12 Adams had a reason for the reactor of three. He did it not
13 out of any capriciousness. He did it because he --

14 MR. HAYES: He wanted the bounds.

15 DR. POWERS: But he had a rationale for choosing
16 three. I mean, it wasn't a number that he plucked out of
17 the air, I don't think. I think he made arguments about
18 sampling and stuff like that, as Dr. Kress pointed out.

19 Have you rejected all those arguments?

20 MR. HAYES: No, we didn't reject -- in reality, it
21 probably doesn't make a difference, because we -- his
22 argument was at the value of one, the value of 500 was
23 conservative.

24 DR. CATTON: Well, it is, but from that chart you
25 put up there, it looked to me like it's only maybe a factor

1 of five. Put that chart back up, the first one you had up
2 there.

3 I think that's one that's on the right-hand side,
4 isn't it?

5 MR. HAYES: Right.

6 DR. CATTON: How can you get a factor of 15? Do
7 you take the mean through all those points? Is that what
8 you're doing? The 95 percent level, just looking at the
9 graph, looks to me like it's about 90. Maybe I'm not
10 eyeballing that quite right.

11 MR. HAYES: You're asking me to justify his
12 conclusion and I'm not going to --

13 DR. CATTON: That's fine. But you're asking me to
14 accept 335 based on him saying that it was 15. I'm just
15 turning that around. I think it's fair. Don't you?

16 MR. HAYES: That's fair.

17 MR. HOLAHAN: Well, wait a minute. I don't want
18 to be too fair. I think the 335 is an analysis of the data,
19 independent of whether someone else concluded that 15 could
20 be drawn out of that data, and we've shown you the data.

21 DR. CATTON: Well, I'm still bothered by the fact
22 that you can't explain the data points, yet you want to
23 treat them all as equal, and it seems to me that if you
24 can't explain the low ones, which weight the number, then
25 you ought not weight the final result by those points.

1 DR. POWERS: On the other hand, if I look at the
2 data and I said, gee, I was going to take a 95 percentile
3 and I threw away everything that I call on my second
4 category, 335 isn't going to be far away from what the one
5 microcurie per gram.

6 I mean, it's not going to be far away and I'm not
7 going to be -- if I'm in a bounding sense, for that one
8 point, I'm not going to feel bad. In fact, I'd probably
9 feel guilty about picking a number that high.

10 DR. KRESS: If you did multiply the number by
11 three, however, you would multiply that 300-and-something by
12 three, basically.

13 DR. CATTON: But, Dana, they're going to run out
14 at .001. Now, we haven't gotten to a number for .001 yet.
15 Well, it's 335 times .001 as the spiking factor. Where are
16 you going to fall on this graph when you do that?

17 MR. HOLAHAN: The .001 never shows up in a
18 regulatory analysis, because there are not and there will
19 never be any tech specs as low as .001.

20 We're only talking about the portion, that curve
21 between one and a few tenths.

22 DR. CATTON: I take .1 and multiply it by 335,
23 what do I get? 33.5. I'm down to the middle of all those
24 data points. That doesn't look very conservative to me.

25 DR. BONACA: To the right.

1 MR. HAYES: At .1, you're right here.

2 DR. CATTON: But if I multiply .1 by 335, I'm
3 going to be just a little bit above that ten over there.
4 That's a log scale.

5 DR. POWERS: Why would you want to do that
6 multiplication? Well, they're going to use the tech spec of
7 .1. They still won't be multiplying the spiking factor.

8 DR. KRESS: They won't be multiplying this number.
9 They're multiplying some other number.

10 DR. CATTON: What number do you multiply 335
11 times?

12 MR. HAYES: You multiply by the release rate
13 associated with this particular activity level in the
14 coolant. In other words, for example, we don't presume that
15 the activity level is now 33.5 because we multiply 335 by
16 this value. No.

17 What it is is release rate and you build up in the
18 activity in the primary coolant.

19 DR. POWERS: He's going to take a removal rate and
20 a release rate and find a steady -- choose that release rate
21 such that it matches the steady-state value of .1.

22 DR. KRESS: That's what they're going to do.

23 DR. POWERS: And he's going to multiply that
24 release rate by a number.

25 Now, if the steady-state value were one microcurie

1 per gram, we know it's 335 he's going to multiply it by.

2 MR. HAYES: For a steam generator tube rupture.

3 DR. POWERS: For a steam generator tube rupture.

4 MR. HAYES: Not for a main steam line break.

5 DR. POWERS: Exactly.

6 MR. HAYES: I think it's important, with respect
7 to the point that you raise, is that since we did not take
8 the data, it's inappropriate, I think, for us to throw any
9 of these points out, because we have -- what is the basis?

10 I mean, you can go argue from either stage.

11 DR. CATTON: It depends what you're doing. If
12 what I'm looking for is just a mean curve through the data
13 of some kind, fine, but this is the safety business. If you
14 don't understand it, how can you use it to bring the number
15 down.

16 MR. HAYES: But it's a safety business, but at the
17 same token, we have to be somewhat realistic.

18 DR. CATTON: There's nothing wrong with being
19 realistic if you understand it. If you don't understand it,
20 it seems to me it's inappropriate.

21 MR. HAYES: But it is also inappropriate to throw
22 it out because you don't understand these points, as you
23 don't understand these points.

24 DR. CATTON: Depends whose side you're on. If
25 you're putting a barrier between me and the plant, I don't

1 want you reducing anything that you don't understand.

2 DR. POWERS: That's one of the reasons we wanted
3 to explore the phenomenology a little bit is that the lower
4 points do seem to be physical, whereas the upper points,
5 high though they may be, at least are not inconsistent with
6 the argument on why there is a spiking factor all together.

7 MR. BALLINGER: But the physics, the description
8 of the phenomena that you gave right off the bat matches
9 what you would see, but the low points, the ones that are
10 less than one, don't match it at all.

11 MR. HAYES: I don't disagree.

12 MR. HOLAHAN: I think if you were to put error
13 bounds on the measurements, real error bounds on the
14 measurements, they would, by definition, on the lower end,
15 be large enough to be above one, and then you ought to put
16 those error bounds on all the data and you'll see, as you
17 move to the left, the error bounds get very, very large.

18 DR. POWERS: If that's true, the error bounds
19 would cross multiple decades. I think if you were doing a
20 regression of the data, that you would take that into
21 account.

22 Those data points, they are high and low, would
23 count very little, which is fine because as you said, the
24 only part of the curve that you're really interested in is
25 one, maybe .05, at most.

1 MR. HOLAHAN: Right. Personally, I see the data
2 in different ways. In my mind, the data between .1 and one
3 is reflective of what we might possibly use in the
4 regulatory process.

5 By the way, all of those data points are above
6 one. The rest of the data, in my mind, is sort of a
7 demonstration that, in fact, iodine spiking is a real
8 phenomenon, that it is seen, and you have a lot more data
9 points.

10 But I don't think it tells you a lot about the
11 range and the statistical analysis on the right-hand curve.

12 DR. POWERS: I think that's the point that's going
13 to be -- we're going to discuss a lot of things here, but I
14 think that's the most distressing thing; that let's confine
15 ourselves one to .1, because that's all we're going to use,
16 and say -- I'm looking at a log-log plot here and there is
17 scatter on a log-log plot.

18 That suggests to me that we do not have the really
19 operative physical variable being plotted. Much of these
20 data, similar to a steam generator tube rupture, are not
21 steam generator tube ruptures. There's some other accident.

22 There is something affecting those data over a
23 decade in value other than just the activity in the coolant.
24 In fact, we think the activity in the coolant can't possibly
25 have any relationship to the mechanism giving us a spiking

1 factor, second order, maybe.

2 How then can we be confident that a bounding that
3 he does even at 335 really represents a bound on what
4 happens in the steam generator tube rupture, if there is
5 some other variable that is really controlling that spiking
6 effect.

7 Otherwise, you've got a Poisson problem here.
8 These happen to be the 25 data points that you've actually
9 measured, which may accidentally not hit the particular
10 value of the controlling variable that gives you high value.

11 DR. CATTON: I think if you cut the data off where
12 you suggest and you were to redo it, you'd get a bigger
13 number than 335.

14 DR. POWERS: You may be right.

15 MR. HAYES: Everything high seems to be at about
16 .05 on down.

17 DR. CATTON: Any time you have two decades of
18 spread, you really ought to go back and replot it, and if
19 you can't go back and replot it, you put a curve over the
20 top of it. You can't explain it and to do anything else, I
21 think, is an in-road on the margin of the plant, because you
22 don't know what point is there for what reason.

23 MR. BALLINGER: I think the idea -- the contention
24 that you may not have the right variable is probably the one
25 that's closer to the mark, that you just don't have a handle

1 on the phenomena.

2 MR. HAYES: There is no question that the iodine
3 spiking has not been pinned down specifically.

4 MR. HIGGINS: Isn't it really a plant-specific
5 thing? A fuel, actually a fuel and a core load specific
6 thing. It seemed like the amount of iodine that leaks out
7 is very much related to the type of defect you have in the
8 fuel and the specific type of fuel.

9 So what you're seeing here is a demonstration over
10 many cores, over many years at many different plants.

11 MR. HAYES: Exactly. And I think I made reference
12 to the fact that most of this data comes in pre-1980.

13 DR. CATTON: It sort of presents an option,
14 doesn't it? You either accept it or you go back and do it
15 again and do it right.

16 DR. POWERS: I think there's another alternative
17 here that I'd like to understand a little better. You
18 mentioned the Iglesias-Lewis report and I think there's also
19 an EPRI empirical report and in both of those reports, they
20 look at some notable events and they plot predicted curves
21 versus the iodine concentration, I believe, and they're
22 remarkable, actually.

23 I mean, the closeness with which they get just
24 really amazes me. And there's a substantial time variation
25 in what they're comparing against. Can you tell me why

1 those empirical and mechanistic models were just cast out in
2 favor of this data?

3 MR. HAYES: They weren't cast out. What we did is
4 we had a contractor, INEL, evaluate those models and they
5 thought that the -- after looking at the empirical model,
6 they thought that probably the model to really look into and
7 expend their resources on was the Lewis and Iglesias.

8 And what happened was they evaluated the Lewis and
9 Iglesias model and what they did is, for example, if the
10 event was at Prairie Island, they tried to take that model
11 and utilize the predictiveness to determine what the spike
12 would be for Prairie Island.

13 And when they did that work, you couldn't take it and
14 predict it for Prairie Island, San Onofre, Watts-Barr or
15 whatever. They couldn't come up with it.

16 So I think the way I related to it is similar to
17 when you're in a lab and you're trying to come up with a
18 relationship. You do it after you have the data versus
19 before.

20 So a priori, they couldn't come up with a
21 predictive tool using the Lewis-Iglesias. Adams, when we
22 discussed this with him, he says he recommended, if we could
23 modify the Lewis and Iglesias model, that that would be an
24 approach to go and, therefore, maybe we could come up with a
25 predictive tool, and that was one of the things we raised

1 with industry, but industry did not choose to pursue it.

2 DR. CATTON: If you did fit -- if you fit a curve
3 over just the two top data points, I bet you'll get a factor
4 that is much less than the 300 when you're operating greater
5 than .1. You're going to get about 120.

6 MR. HOLAHAN: Log scale, I think you get about
7 200.

8 DR. CATTON: Just by bounding the data. It's a
9 nice logarithmic curve.

10 MR. HOLAHAN: But let me suggest that this is one
11 piece of a design basis dose calculation which has lots of
12 other conservatisms in it, like 95th percentile meteorology
13 and lots of stuff.

14 And if we're not careful, we'll end up making
15 every step in every calculation so conservative that the
16 answers are meaningless and we're in danger of convincing
17 ourselves to do things which risk-informed regulation, in my
18 mind, is trying to get us away from, which is to put lots of
19 attention on things that aren't necessarily important.

20 So when you say we could be more conservative by
21 drawing the lines differently, that can be true, but that's
22 not always the best regulatory approach.

23 DR. CATTON: You could include uncertainty in
24 whatever fit you put on this, too.

25 DR. POWERS: Fortunately, our concern right now is

1 really going contention by contention and not designing a
2 regulatory process.

3 MR. HOLAHAN: I've tried to preserve a concern
4 that we ought to have an overall safety perspective and the
5 regulatory approach in mind when we deal with each of these
6 issues.

7 MR. HAYES: Okay. What did we conclude with
8 respect to iodine spiking? Well, we concluded that it was
9 not a function of the reactor coolant activity level. We
10 did envelope the value, as we mentioned, and we came up with
11 a value of 335 and, again, that is what we considered to be
12 representative of a steam generator tube rupture and not
13 representative of a main steam line break. I think that's
14 important to understand.

15 What are our conclusions with respect to the
16 spiking associated with the main steam line break? Well, we
17 concluded that you cannot extrapolate the spiking data from
18 the data we have to a main steam line break, but we can do
19 some sort of an assessment. We believe that there is a
20 linear relationship between the differential pressure rate
21 and the resultant iodine activity or release rate.

22 Now, because of the pressure, differential
23 pressure associated with the main steam line break being
24 maybe a factor of two or three greater than for a steam
25 generator tube rupture, if you consider that to be two or

1 three times the factor for a steam generator tube rupture,
2 you also can say, well, maybe the expression is a
3 quadriture. So instead of a factor of two or three, the
4 value is four to nine.

5 I think we feel confident and we've had some
6 discussions with Adams that it's reasonable to assume that
7 the expression is no higher than a quadriture.

8 DR. POWERS: I guess I would understand that
9 better if I understood the first line. You said there was a
10 linear relationship between the delta P and the resultant
11 iodine activity level or release rate.

12 Why do you have that confidence?

13 MR. HAYES: I think because, you know, it is the
14 delta P that causes the spike, it forces the fuel out of the
15 gap into the reactor coolant.

16 DR. POWERS: That delta P arises because of the
17 vaporization of water on the hot fuel.

18 MR. HAYES: The delta P originates from the change
19 in the fuel temperature and pressure and the primary coolant
20 temperature and pressure. Then when you get to the main
21 steam line break, the presumption is that you have it with a
22 loss of off-site power. So you're going from the primary
23 side to the secondary side and you have a direct release
24 associated with the main steam line break.

25 You don't have the cover associated with it like

1 you do with a steam generator tube rupture.

2 DR. KRESS: The delta P rate you're talking about
3 here is the rate of change of pressure on the primary system
4 in the vicinity of the core. I don't know what delta P
5 you're talking about here.

6 DR. BONACA: I had the same question.

7 DR. KRESS: It's a del P, so it's a rate of change
8 with time.

9 MR. HAYES: It's a change with -- it's not a rate.
10 It's a delta P, period.

11 DR. KRESS: But what delta P is it?

12 DR. BONACA: But is it a delta P between the
13 primary system pressure and the pressure inside the fuel
14 rod, or is it the pressure --

15 MR. HAYES: It's the pressure between the primary
16 side to the secondary side.

17 DR. BONACA: Explain to me what effects that has
18 on the fuel cracks opening and accepting more water inside
19 and vaporizing and then exiting from the fuel rod. I don't
20 understand how the delta P between primary and secondary
21 side is affecting that. I'm trying to understand it.

22 MR. HAYES: For the main steam line break, the
23 faulted steam generator, that which experiences the break,
24 is considered to be at atmosphere.

25 The leak which we have is then from the primary

1 side to the secondary side. We get a rather rapid
2 depressurization on the secondary side. So you set up
3 between the primary and secondary a higher differential
4 pressure.

5 Then the primary pressure goes down faster than it
6 would for a steam generator tube rupture. So the pressure
7 between the fuel and the primary side is a larger -- is a
8 quicker and a larger delta P.

9 DR. BONACA: Between the fuel and the primary
10 side.

11 MR. HAYES: Between the fuel and the primary side.

12 DR. BONACA: Okay. I understand.

13 DR. HOPENFELD: Part of the study came out of the
14 Adams study that we were going to look -- take one step
15 further, and that is, if you have to look at that data in
16 relation to the depressurization, what happened during this
17 transient and if you look at some of the data or some of the
18 reports on that subject, it shows that you can very, very
19 low release rate; in other words, you have very, very few
20 defects.

21 Then you find in those cases, all the activity
22 comes out at the end of the transient, where you really have
23 to depressurize is very, very high, and that suggests that
24 when you have a steam line break, you have much more release
25 because of the high depressurization.

1 In other words, there is a relation between the
2 number of defects you have and how fast you depressurize the
3 system. But nobody really has taken the time to look into
4 that beyond that point.

5 I can provide you the conclusion of a very lengthy
6 report that was generated at Westinghouse.

7 DR. KRESS: I'm still confused by that first line.
8 Tell me again what the delta P is. Is it between the
9 primary and the secondary?

10 MR. HAYES: Okay. It starts out between the
11 primary and the secondary and the secondary -- okay. With
12 the main steam line break.

13 DR. KRESS: Yes, and it has a fixed value at
14 normal operation.

15 MR. HAYES: Normal operating. Then with the steam
16 line break, you go to atmosphere.

17 DR. KRESS: That's right. So that --

18 MR. HAYES: That reduces it down --

19 DR. KRESS: That reduces it. It increases the
20 delta P.

21 MR. HAYES: It increases the delta P, and then you
22 have --

23 DR. KRESS: Are you talking about the rate of that
24 increase?

25 MR. HAYES: It increases both the rate and the

1 net.

2 DR. KRESS: The net and the rate.

3 MR. HAYES: Right. Because you're going -- like,
4 you're comparing it to a steam generator tube rupture.

5 DR. KRESS: What in the world should that have to
6 do with the rate at which you extract iodine from the fuel?

7 DR. BONACA: The only way I would see it would be
8 that the primary system pressure is also dropping fast.

9 DR. KRESS: That doesn't say that, though.

10 DR. BONACA: That's right. So that's why I was
11 confused. I mean, I believe that -- I believe that the
12 difference in pressure between internal pressure of the rod
13 and the primary system, it's varying rapidly.

14 DR. KRESS: Then I could see it would have a
15 marked effect on it, but this difference between primary and
16 secondary.

17 MR. HAYES: But why is the primary varying? The
18 reason the primary is varying is because you have a change
19 on the secondary side, also.

20 DR. BONACA: Sure, but --

21 MR. HAYES: So you can't separate one from the
22 other.

23 DR. BONACA: I understand that, but that's a
24 driving force by which you are having a changing
25 relationship between primary system pressure and internal

1 pressure in the fuel rod, and that's the mechanism by which
2 you would expect to have release of iodine activity to the
3 higher level.

4 DR. KRESS: Let's say, for example, that you had
5 no leaking steam generator tubes at all and you had this
6 break in the secondary side, you get a marked change in this
7 delta P and the rate may even vary with time, does nothing
8 at all to the primary system because it's just sitting
9 there.

10 There's no leak coming out. It's all driven by
11 the secondary change and should have no effect on the iodine
12 spiking at all or the iodine levels. That's why I don't
13 understand the statement.

14 DR. BONACA: The only thing you have is scram and
15 that will have some changes in system pressure.

16 DR. KRESS: If you scram, yes, but that's --

17 DR. BONACA: That doesn't have the same effect.
18 So the driving force, seems to me, it would be on the effect
19 that we're looking for would be the difference between
20 primary system pressure, driven by --

21 DR. KRESS: Driven by that, yes.

22 DR. BONACA: -- the steam generator break. I
23 understand that. And the internal pressure of the fuel rod.

24 MR. HAYES: But it will change your cool-down
25 rate, though. You say it will not an effect, but it will

1 have, because it will change your cool-down rate, because
2 you're using the intact steam generators to cool down the
3 primary side.

4 DR. KRESS: It might have some effect, you're
5 right. That's pretty --

6 DR. BONACA: What is the average internal pressure
7 of the fuel rod?

8 DR. POWERS: During operation?

9 MR. BALLINGER: What's the internal pressure?

10 DR. BONACA: Yes.

11 DR. POWERS: An intact one?

12 DR. BONACA: The fuel rod in a -- well, I'm
13 talking about an intact one.

14 DR. POWERS: It would run about 100 atmosphere.

15 DR. BONACA: That's right.

16 DR. KRESS: So you look at that delta P that you
17 normally get with the steam generator tube rupture and then
18 you look at it, once you get to the main steam line break,
19 and that's where you get this factor of two to three.

20 MR. HAYES: Right.

21 DR. KRESS: If you square that, you get four to
22 nine.

23 MR. HAYES: That's correct. So what we concluded
24 with respect to the main steam line break, and, again, this
25 was in conjunction with the steam generator rule and

1 addressing the issue of conservatisms in our evaluation, was
2 that for a main steam line break, we thought that there was
3 probably an uncertainty factor of ten.

4 Adams indicated, for a steam generator tube
5 rupture, there is a conservatism, he believed, was a factor
6 of 15.

7 DR. CATTON: This is the 15 I don't like to use.

8 MR. HAYES: This is the 15 you don't like to use,
9 right.

10 DR. POWERS: But what I don't understand is that
11 you went through and you looked at the data and you said,
12 okay, I'm not buying this factor of three bounding and you
13 looked at it and you came up and you said 335 versus 500,
14 which is not a factor of 15.

15 How come now, all of a sudden, you grab a hold of
16 Adams' factor, which nobody understands?

17 MR. HAYES: Because we incorporated more than just
18 that particular factor.

19 DR. POWERS: I kind of wish you would tell us what
20 those things were, because otherwise, this third statement
21 down here is just going to cause me to --

22 DR. KRESS: To go ballistic.

23 DR. POWERS: Yes, ballistic, because that is
24 definitely not the way you handle combined uncertainty.

25 MR. HAYES: The imaginary axis.

1 DR. POWERS: I mean, this is not even -- would not
2 be acceptable in anything that I can think of, where you
3 take two things that you don't understand at all and say
4 they offset each other.

5 MR. HAYES: We concluded that the doses associated
6 with a main steam line break are typically on the order of
7 one to three rem, the ABLPZ, control room.

8 There is also a parametric analysis which we have
9 done to demonstrate what the spiking factors would have to
10 be in order to get a dose which would exceed Part 100. The
11 criteria -- remember, the criteria associated with this is
12 for a dose of 30 rem, not 300, but for 30.

13 Even if you took the factor of 335, which is a
14 value, what, of 1.5, roughly, 1.6, 7, and take this factor
15 of ten, in our opinion, you are still within the uncertainty
16 that we had and still within the margin.

17 DR. POWERS: I can buy arguments that go that
18 direction. I just can't buy this slide. I find no
19 technical justification for the third sentence. That's the
20 problem. A bounding operation that came in and said, look,
21 the sensitivity to my dose calculation or the spiking factor
22 is smallish. I have to get a very big value that seems to
23 strain quadrulity to approach the limit, so I'm going to
24 leave it at 500. I'd say, okay, fair enough, that's a
25 decent argument, and go on.

1 Something that's just orthogonal to the treatment
2 of uncertainties, this gets me excited. You're more relaxed
3 than I am.

4 DR. KRESS: I just don't show it.

5 DR. CATTON: This last statement about should
6 remain 500, that sounds like you completely -- you have
7 either written off or ignore or don't believe that the main
8 steam line break can have some impact on the internals of
9 the steam generator, because it's certainly -- at least from
10 what we heard yesterday, it's most likely going to cause
11 more leakers.

12 Shouldn't that be factored in somehow?

13 MR. HAYES: It's already included when we
14 postulate that those tubes which have voltage-based
15 criteria.

16 DR. CATTON: But that's before. If that's what
17 you're doing, what you're saying is that the main steam line
18 break does not cause any disturbance inside the steam
19 generator. The tubes are going to stay exactly the same.

20 MR. HAYES: No. What we have presumed is that we
21 have presumed that those tubes which have voltage-based
22 criteria, those cracks are going to open up and they're
23 going to leak at a defined rate.

24 In other words, every tube to which that criteria
25 has been applied is assumed to leak.

1 DR. CATTON: But that leakage correlation was
2 derived from tested tubes that have not been subjected to
3 the main steam line break. Am I missing something?

4 MR. STROSNIDER: This is Jack Strosnider. I'm not
5 sure that Jack Hayes heard the discussion yesterday on
6 dynamic effects and some of the Surry and other experience.
7 We're going to talk about that later today.

8 DR. CATTON: But it impacts this.

9 MR. STROSNIDER: Well, it may or may not. I think
10 apparently you've reached a conclusion that those events
11 are, in fact, going to cause additional damage to the tubes
12 and we heard the discussion yesterday.

13 We've put this into the GSI process and we're
14 going to hear about how that's being looked at. If, in
15 fact, we conclude that those dynamic effects are going to
16 have that sort of effect on the tubes, then we'll have to
17 deal with it, but I don't think we've seen that concrete
18 evidence to this point.

19 There's certainly, in my mind, some things that
20 ought to be followed up on with regard to was there a
21 post-event inspection of the steam generators, what did they
22 actually find, the tubes that were indicated as having
23 degradation in yesterday's presentation, it wasn't totally
24 clear that that was a result of the event.

25 So I think it's an issue that needs to be looked

1 at and when we determine whether it really has an impact on
2 the tubes or not, then we need to come back and deal with
3 it. But at this point, you're right, the model does deal
4 with pressure-induced leakage, and we'll talk about that
5 later today, too.

6 DR. CATTON: Just if you had another line down
7 there that said that this is an assumption. See, you're
8 basing this on the assumption that the main steam line break
9 does nothing to the internals of the steam generator and at
10 this point, that's your assumption. I can read it, I
11 understand it, we can go on.

12 MR. STROSNIDER: Right. And we've got some new
13 information here that needs to be assessed and we're going
14 to do that.

15 DR. CATTON: That's right. But that isn't what he
16 was telling me.

17 MR. STROSNIDER: And like I said, coming back to
18 my some of my introduction this morning, we need to go
19 through and hear all the issues and look at how they all fit
20 together, and that's a fair comment.

21 DR. CATTON: That's fair enough. That's fair
22 enough, but I would liked to have seen another line on that
23 viewgraph.

24 MR. HOLAHAN: Remember, it's more than assumption.
25 It's a requirement. Plants are licensed and that licensing

1 basis includes looking at main steam line breaks and tube
2 ruptures, but it doesn't include main steam line breaks
3 damaging tubes.

4 And if we find some basis for thinking that that's
5 true, we'll have to deal with it, but the licensees will
6 have to deal with it because that will be inconsistent with
7 the current requirements.

8 MR. HAYES: Now, getting to the assessment of the
9 DPO concern, we did a parametric analysis and we presumed --
10 we used, as the base case, a three-loop Westinghouse plant
11 and we did the analysis consistent with a standard review
12 plan 15.1.5, which is the main steam line break.

13 And we presumed tech spec value one microcurie per
14 gram. The primary to secondary leak rate was 150 gallons.
15 This should be corrected on your slide to per steam
16 generator. And this value is, instead of 1290, should be 11
17 -- I think it's 1140.

18 I didn't conclude the two steam generators, just
19 the one. It really doesn't have an effect -- it was
20 included in the analysis, but not in the slide.

21 Spiking factor was 500 and what we did is we
22 calculated the releases for zero to two hour and zero to
23 eight hour time period.

24 Some other critical assumptions that we had, we
25 assumed that it was eight hours for the faulted steam

1 generator to be isolated. All primary and secondary leakage
2 was assumed to be released directly to the environment. We
3 did not presume, for example, for the intact steam
4 generators, any partition factor.

5 It really doesn't have a whole big effect on it,
6 an assumption, it's probably in the third decimal place or
7 third significant number.

8 Spiking was assumed to occur for the duration of
9 the accident and --

10 DR. KRESS: What does that mean? Does that mean
11 that you kept the rate that you calculated constant over the
12 whole eight hours?

13 MR. HAYES: Yes, for the whole eight hours. You
14 think that's conservative?

15 DR. KRESS: I think that is.

16 MR. HAYES: And here is another big assumption.
17 We assume that the releases associated with zero to two
18 hours and zero to eight hours equated to a 30 rem thyroid
19 dose. Now, as I've mentioned before, the typical values we
20 see are somewhere between probably one to five or six rem.

21 Then we did a parametric analysis. We assumed
22 three different primary to secondary leak rates, ten, 35 and
23 100 GPM. We assumed five different primary coolant activity
24 levels. I think your slide has an error, a typo. This
25 should be ten-to-the-minus-two. I think in your slide it

1 has ten-to-the-minus-three. But these are the numbers we've
2 presumed.

3 DR. POWERS: Gary tells us that .005 is not and
4 will never -- ever going to occur.

5 MR. HOLAHAN: That's right, and the reason is not
6 because I'm against low primary coolant activity. It's
7 because I'm against allowing leakage rates higher than 100-
8 GPM, which is what the implication is. And the point is the
9 design basis calculations may come out with a reasonable
10 dose, but the severe accident implications I think we would
11 find unacceptable.

12 I think we will cover those sort of issues later.

13 MR. HAYES: I may need to go put in some
14 clarifying information with respect to that. I think we
15 need to probably check what the value was associated with
16 Byron and Braidwood, because I think Byron and Braidwood had
17 a number which was either at 100 or slightly greater and the
18 value may have been down below .05.

19 But that's something we need to check on, because
20 they have subsequently -- I think that was for one cycle and
21 they subsequently replaced their steam generators. That
22 would have been Byron Units 1 and 2 -- excuse me -- Byron
23 and Braidwood Units 1. Unit 2 did not change steam
24 generators.

25 MR. BALLINGER: These leak rates are prior to the

1 event or during the event?

2 MR. HAYES: This is during the event.

3 MR. BALLINGER: During the event.

4 MR. HAYES: During the event. What you can
5 consider this to be is your accident-induced leakage.

6 DR. KRESS: You're calculating the spiking factor
7 you would have to get to get a 30 rem dose here.

8 MR. HAYES: Well, it was presumed that the release
9 that we calculated for zero and two hours gave you a 30 rem
10 dose. It did not. It did not, but we presumed that.

11 DR. KRESS: Okay. And you back-calculate those to
12 find out what the spiking factor would --

13 MR. HAYES: Right, exactly.

14 DR. KRESS: -- would give you that.

15 MR. HAYES: Right. Here is what we did, for
16 example. Let me walk you through a couple cases. We
17 presumed RCS activity was .5. We took a ten GPM leak rate.
18 In order to come up with the same release rate, we would
19 have to have gotten a spiking factor of 86.3.

20 So for example, if you wanted to operate with the
21 ten GPM leak rate, based upon our criteria, you would have
22 to go down to a spiking factor of 500 before it would be
23 acceptable to the staff.

24 So you would go down to the -- the reactor coolant
25 activity level would have to be reduced from .5 to .1.

1 DR. KRESS: I understand what you're doing now.

2 MR. HAYES: That's what we were doing. Okay.

3 Now, the premise is at low rates of reactor coolant activity
4 level, that the values would exceed Part 100 doses, that the
5 spiking factor would be greater than at 5,000, and you would
6 have to exceed Part 100 doses at those levels.

7 If you go down to ten-to-the-minus-two, you can
8 see that even at a release rate of 100 gallons per minute,
9 the spiking factor is at least 500 or greater. If you went
10 down to ten GPM, you're at 5,000. That's for a dose of --
11 that's presuming that your dose was 30 rem.

12 So to exceed Part 100, it would be ten times this
13 value. You'd have to have a spiking factor ten times this
14 value. It would be 5,000, 6,000, 51,000, that would have to
15 be the number.

16 DR. POWERS: In order to do these calculations,
17 you had to calculate what the steady-state release rates
18 were.

19 MR. HAYES: That's correct.

20 DR. POWERS: Do you know what those numbers were?

21 MR. HAYES: I would have -- I could provide them
22 to you. I'd have to look at what they were.

23 DR. POWERS: I think I'd be interested in seeing
24 an example calculation.

25 DR. KRESS: In order to do that, you would have

1 had to assume something about that the size of the primary
2 system and the capacity of the cleanup system, did you use
3 some sort of generic numbers for those?

4 MR. HAYES: I did a specific plant example. I
5 took --

6 DR. KRESS: This was a specific plant.

7 MR. HAYES: Yes. What I did, if you go back to
8 the base case, I took a particular plant, a three-loop
9 Westinghouse, took the numbers I had for that and then I
10 adjusted it to these situations. So it was an actual
11 example.

12 MR. BALLINGER: What happens if you try 1,000
13 gallons a minute?

14 MR. HAYES: I think the point -- first of all --

15 MR. HOLAHAN: Your division director goes
16 off-scale.

17 MR. HAYES: You have a LOCA, you don't have
18 sufficient makeup. You start to get above now. I think
19 some of the people from the staff can answer that, but I
20 think if you get much above 100 GPM, you have a problem with
21 makeup.

22 MR. BALLINGER: Well, previous tube rupture events
23 have resulted in three, 400, 500 gallons a minute.

24 MR. HOLAHAN: Yes, but that's not what we're
25 talking about here. We're not talking about tube ruptures.

1 We're talking about acceptable post-accident leakage.

2 MR. HAYES: Because this is going directly to the
3 environment. You have no water level above your release
4 point.

5 I think this goes to your argument in considering
6 safety and Gary said that, hey, if we start to go to 100
7 GPM, he starts to get going off-scale.

8 I think realistically, what do we have to be
9 concerned about from an accident standpoint? Isn't our weak
10 link the steam generator? So that when you start getting
11 into these areas, you have a concern.

12 Most of the people we're dealing with are in the
13 ten to 35 GPM range. That's where the numbers are at. Now,
14 we did have one case, yes, where Byron and I think
15 Braidwood, or maybe just one of them, was in that ballpark
16 for either a portion of a cycle or one cycle before they
17 replaced their steam generators.

18 MR. HIGGINS: And those numbers in the second
19 column are the ones you're going to talk to us later, about
20 how those post-accident numbers are derived for the main
21 steam line break.

22 MR. STROSNIDER: You're referring to the leakage
23 values.

24 MR. HIGGINS: The second column there.

25 MR. STROSNIDER: Yes, and we'll explain how that's

1 derived as part of the generic letter process.

2 DR. BONACA: The DPO makes the contention that the
3 ultimate repair criteria results in a change to the design
4 basis event that will cause to have a steam line break with
5 leakage rate exceeding this number, right?

6 MR. BALLINGER: That was the point I was going to
7 get at.

8 DR. BONACA: Right.

9 DR. KRESS: You said later on you were going to
10 discuss that point.

11 MR. STROSNIDER: Right. As part of our
12 description of Generic Letter 95-05, we'll explain how those
13 leakage rates are calculated, if you will, design basis
14 leakage rate.

15 MR. HAYES: Again, reiterating, at .01, we're
16 talking about a spiking factor of 5,000 to 51,000 in order
17 to exceed Part 100 doses and for lower reactor coolant
18 activity levels, you can see the number gets even larger.

19 Again, this is the Adams data that we spent a lot
20 of time looking at and discussing and the maximum value is a
21 value of 10,0000.

22 And, again, we presume that the releases
23 associated with those two time periods were at the 30 rem
24 limit, which they're not. They're another factor at least
25 three to ten lower.

1 The conclusions from the table; obviously, for
2 some combinations of leak rate and primary coolant activity
3 levels, it would require a spiking factor of less than 500.
4 However, for ARC amendments, this would necessitate reducing
5 the primary coolant activity levels and that's what they do.

6 The spiking factor, because we use 500 in our
7 calculations, the actual spiking factor would have to be at
8 least 5,000 for Part 100 limits to be exceeded, and that's
9 based upon the 500 times the 300 rem Part 100 limit divided
10 by the 30, which is our use.

11 And then for primary coolant activity levels of
12 .01 or ten-to-the-minus-two microcurie per gram, the spiking
13 factor would be 5,000 to 51,000.

14 DR. POWERS: Let me ask a question on this.
15 Suppose in my criterion, I did not take the Part 100 limits,
16 but I took GDC-19.

17 MR. HAYES: Which is the third.

18 DR. POWERS: Control room habitability effect.

19 MR. HAYES: You want the -- the answer to your
20 question is this. It's what it already is right here,
21 because that's what it's been based upon, 30 rem thyroid,
22 same as GDC-19. So at the ten-to-the-minus-two, we'd be at
23 the 500.

24 DR. POWERS: But if I look at the Adams data or
25 ten-to-the-minus-two, I can find numbers that exceed 500.

1 MR. HAYES: Yes, you can. Yes, you can. But you
2 don't -- you see them exceeding -- this is at three times.
3 You don't see them -- let's see. Well, these are the ones
4 over 1,000 right here. That's with the multiplier of three.
5 There's not a whole lot of points.

6 And, again, look at where we're at for 1,000.
7 Even at .05, we're at ten GPM. We're at 35 point for
8 ten-to-the-minus-two.

9 MR. HIGGINS: So was the intent of this to justify
10 the 500 spiking factor for main steam line break? Is that
11 the intent of this example?

12 MR. HAYES: No. The intent of the example was to
13 address the DPO and to say that, hey, at these particular
14 low reactor coolant activity levels, the source of iodine
15 that you have in coolant, both in terms of the initial
16 coolant and then the release rate, is not significant enough
17 to put you over Part 100 limits, and that even if you did,
18 for example -- let's say our factor of 500 is wrong.

19 I think you can see from the numbers here, at
20 these various leak rates, you would have to have a
21 significant spiking factor in order to exceed just the 30
22 rem.

23 DR. POWERS: I think we have a significant spiking
24 factor. Suppose that I go to the Adams data. Suppose that
25 I, say, factor of three that he multiplies things at, but

1 suppose that I do buy the linear hypothesis presented
2 earlier on the delta P.

3 I don't even ask for the quadriture process. I
4 just use the linear. Then I'm back onto this slide here.

5 MR. HAYES: Yes.

6 DR. POWERS: But I'm interested in complying with
7 GDC-19, which has just as much effect on me as Part 100. I
8 have to take that into account just as much.

9 DR. KRESS: And I see no reason not to accept the
10 factor of three. So if you use that and the other factor of
11 three --

12 DR. POWERS: Then you're in serious trouble.

13 MR. HAYES: I don't think you are in serious
14 problem. Look at this again. This is at the GDC-19 value.
15 This is at 30. You have presumed that these releases are at
16 the 30 rem, and they're not. These releases are not at the
17 30 rem. If you take a base case and some of you that come
18 from plants, you take the base case for these plants for
19 main steam line break, the value is probably no more than
20 one to two, three rem.

21 For example, we just did an ARC amendment, we're doing an
22 ARC amendment for Watts-Barr and it's a ten GPM leak. This
23 is instead of one. And the doses, the maximum dose is two
24 and that's at the LPZ. Control room is one.

25 Now, for a regular accident, the main steam line

1 break isn't your limiting primary to secondary accident.
2 You're steam generator tube rupture is.

3 So this number probably, if you actually went to
4 one, it would probably be even lower. But we have presumed
5 that. If you want to take -- okay. We're going to say we
6 have an uncertainty of ten. So what, you say the spiking
7 factor has to be 5,000 then. Spiking factor of 5,000.
8 Okay.

9 At ten-to-the-minus-two, you're still at ten GPM,
10 and look what happens when you go here.

11 DR. POWERS: Look, I'm not interested in looking
12 at it, because Gary has assured me I'll never go there.

13 DR. KRESS: I'm only interested up here at the .1,
14 the point level. And even at ten GPM --

15 DR. POWERS: I think you're in a world of hurt at
16 ten GPM. Now, if we factor in this additional thing that,
17 in reality, the doses for this particular event at this
18 particular plant at the control room is, as you say, three
19 to five rem thyroid.

20 MR. HAYES: Probably the maximum, yes.

21 DR. POWERS: It's not obvious to me we're out of
22 the woods either. That doesn't get you quite there either.

23 DR. KRESS: That I presume is taking account for
24 transport.

25 DR. POWERS: I think the reality is that when they

1 do this exact calculation for a particular plant as part of
2 the FSAR --

3 DR. KRESS: The atmospheric transport.

4 DR. POWERS: Nobody comes back and says I'm at 30
5 rem, they always come back and say I'm five or six and less,
6 .5.

7 MR. HAYES: Sometimes, in reality, with respect to
8 the ARC amendments, the limiting is the control room and
9 sometimes those values are high.

10 One of the reasons why we stuck to releases versus
11 calculating doses is because we threw out the atmospheric
12 dispersion and threw out, if you will, the control room
13 removal mechanisms. We thought that was a less biased type
14 of approach.

15 DR. KRESS: That's a good thing to do if it gets
16 you out of the woods, because you're all right, but we're
17 not so sure that gets you out of the woods yet, because
18 we're not sure the spiking factor might not be 5,000, for
19 example.

20 MR. HAYES: At this particular point in time, the
21 staff has accepted the spiking factor of 500. So, for
22 example, if we were at this level, at
23 five-times-ten-to-the-minus-two, and found at 35 we were not
24 at the spiking factor, we would have to go somewhere between
25 .05 and .01 and at 35 GPM, you'd be going from 283 to 1490.

1 So you're probably talking about .4, in that vicinity. That
2 would have to be our acceptance criteria and that would be
3 for 30 rem.

4 DR. POWERS: I think it may be safe to say we
5 understand what was done.

6 MR. HAYES: Okay. Our conclusions with respect to
7 the DPO concern, yes, we agree that spiking factors greater
8 than 500 can occur, but they are low dose equivalent
9 iodine-131 activity levels.

10 We don't believe in any case that the spiking
11 factor would be less -- would be greater than 5,000 and
12 based upon the parametric analysis we did, we believe that
13 if you were at an activity level of less than
14 ten-to-the-minus-two microcurie per gram, that a spiking
15 factor would have to be at least between 500 to 5,000 for
16 the base case releases.

17 If you look at the amount to exceed Part 100, it
18 would have to be ten times that or 5,000 to 50,000. At
19 primary coolant activity rates of ten-to-the-minus-two, the
20 primary coolant content is small and the equilibrium release
21 rate is small.

22 And as we mentioned, we don't believe the spiking
23 factors are greater than 5,000.

24 Are there any other questions? That concludes our
25 presentation.

1 DR. POWERS: Seeing no questions, I think I will
2 declare a recess until five after the hour.

3 DR. KRESS: I have just one question.

4 DR. POWERS: I think I'm going to recess. When he
5 gets like this, I get very nervous.

6 DR. KRESS: If I want to know what the spiking
7 factor is under a main steam line break accident, where I've
8 got leaky steam generator tubes, I have no idea what it is,
9 from what I heard. I have no idea, because we do not have
10 any data at all related to that subject.

11 I don't know whether it's 500 or 5,000 or five.
12 That's not a question. It's just a comment.

13 DR. POWERS: We'll take it at that and we can
14 puzzle it over the recess.

15 [Recess.]

16 DR. POWERS: Since you're not Joe Muscara, I
17 assume you must be Ken Karwoski. He doesn't look like Joe
18 Muscara. The floor is yours, sir.

19 MR. KARWOSKI: Thank you. Good morning. My name
20 is Ken Karwoski. Today, with the assistance of Joe Muscara,
21 I'd like to discuss our three issues with respect to steam
22 generator tube integrity.

23 The order in the package is a little different, as
24 Jack Strosnider indicated. The first issue I would like to
25 discuss is the regulatory framework and operating experience

1 to date. The second issue I would like to discuss is the
2 technical basis for Generic Letter 95-05, the voltage-based
3 repair criteria, including a discussion of the leak and
4 burst correlations.

5 And then the third issue I would like to discuss
6 are the capabilities and limitations of NDE with respect to
7 detection and sizing of flaws.

8 The guidance with respect to steam generator tube
9 integrity is located in various places. The general design
10 criteria, 10 CFR 50, Appendix A has general requirements
11 with respect to the integrity of the reactor coolant
12 pressure boundary. Appendix B deals with quality assurance
13 requirements. Part 100, which you've heard about this
14 morning from Jack Hayes, and dose limits.

15 Regulatory Guide 1.121 contains guidance with
16 respect to the loadings that the tubes should be able to
17 withstand. Regulatory Guide 1.83 discusses in-service
18 inspection guidance.

19 The standard review plan addresses various things,
20 such as in-service inspection; also, the design of the steam
21 generators and water chemistry, to some extent. The ASME
22 code has various repair criteria and the technical
23 specifications.

24 The plant technical specifications, as you heard
25 this morning, were developed about 25 years ago, when the

1 prevalent forms of degradation were general wall thinning.
2 The degradation that we're observing today was not
3 anticipated or tech specs typically specify a depth-based
4 tube repair criteria based on that general wall thinning
5 type of phenomenon.

6 The requirements for the inspection, repair, and
7 for normal operating primary to secondary leakage are
8 contained within the technical specifications.

9 The typical technical specifications in plants
10 today, plants that have not implemented an alternate repair
11 criteria, are listed on this slide. The first thing in the
12 technical specifications is the sampling program.

13 The basic sampling program involves a three
14 percent initial sampling of the steam generator tubes. That
15 sample is expanded based on the categorization of C-1, C-2
16 and C-3.

17 Basically, what those categories are, it says if I
18 have so many tubes or a certain percentage of tubes that are
19 either degraded or defective, I need to inspect more tubes.
20 A C-3 classification can result in 100 percent inspection.
21 Most of the plants with extensive degradation would end up a
22 C-3 classification.

23 The sampling program in the technical
24 specifications also require a reexamination of all
25 previously degraded tubes. With respect to the frequency of

1 inspection, the technical specifications simply say that
2 once every 12 to 24 calendar months, you should do an
3 inspection. That can be lengthened to 40 months based on
4 the categorization of C-1, C-2 or C-3, and it can be
5 shortened to 20 months.

6 It also requires inspections after certain events,
7 such as tube leaks in excess of the normal operating limit,
8 seismic occurrence, LOCA, and the steam line break.

9 With respect to the extent of the inspection, it
10 basically says that you are required to inspect the hot leg
11 of the tube around the U-bend to the top support plate on
12 the cold leg side.

13 The technique for inspection is not specified, and
14 I already mentioned that the repair criteria is typically 40
15 percent of the through-wall and it's applicable to all forms
16 of degradation.

17 So that's what you will find in most technical
18 specifications today for plants that haven't implemented an
19 alternate repair criteria.

20 The 40 percent depth-based limit was based on
21 guidance in Regulatory Guide 1.121. There are several
22 structural criteria that the tube is required to meet.
23 Typically, the most limiting is that the tube should be able
24 to withstand a pressure differential of three times the
25 normal operating pressure or 1.4 times an accident

1 differential pressure, and, typically, the most limiting is
2 the steam line break.

3 In addition, Regulatory Guide 1.121 indicates that
4 the normal operating primary to secondary leakage limit
5 should be based on a limiting crack length, that length that
6 would be limiting in terms of the structural criteria of
7 three delta P or 1.4 times steam line break.

8 Down here, basically what I have is a simple
9 derivation of the 40 percent plugging criteria. Basically,
10 assuming a general wall thinning, you need 40 percent of the
11 tube wall in order to withstand the three delta P or 1.4
12 times steam line break, and if you include an allowance of
13 ten percent for growth and ten percent for NDE uncertainty,
14 you would arrive at 40 percent repair criteria.

15
16 DR. POWERS: Let me understand this. The 40
17 percent is the result of considering NDE error and
18 uncertainty.

19 MR. KARWOSKI: Regulatory Guide 1.121 indicates
20 that both NDE uncertainty and crack growth need to be
21 accounted for in the plugging limit.

22 DR. POWERS: Right.

23 MR. KARWOSKI: Given that there is a -- the repair
24 limit is 40 percent, there is roughly a 20 percent margin
25 for both. Whether or not it was explicitly called out, the

1 ten percent, each one.

2 DR. POWERS: But the bottom line is you're saying
3 with 20 percent of the wall, you can meet the three times
4 normal operating or 1.4 times maximum allowable.

5 MR. KARWOSKI: With 40 percent of the wall. With
6 40 percent of the wall, you would be able to withstand
7 roughly three times --

8 DR. POWERS: I guess what I'm asking is if I had a
9 tube --

10 MR. KARWOSKI: It's 60 percent.

11 DR. POWERS: If I had a tube that I absolutely
12 knew had 20 percent of the wall there, an NBS standard tube,
13 if you will, had 20 percent of the wall left, would I be
14 able to meet -- now, I think we've had tests that said you
15 do with 20 percent.

16 MR. KARWOSKI: I don't believe so. It's roughly
17 40.

18 MR. STROSNIDER: I'd suggest it depends on the
19 type of degradation. For the analysis Ken's talking about,
20 where the tube was assumed to be uniformly thinned, you
21 would still meet ASME code, if you were uniformly thinned
22 and the amount of material missing was 60 percent.

23 So if you had 40 percent remaining, you'd still
24 meet the code allowables.

25 When you start looking at cracks and other types

1 of defects, you may be able to withstand something deeper
2 and still meet the code factors of safety.

3 DR. POWERS: Okay. I think I understand. Thank
4 you.

5 MR. STROSNIDER: It depends on the length of the
6 flaw.

7 MR. KARWOSKI: So what are some of the issues?
8 Over the last few days, you've probably identified a lot of
9 issues with the current regulatory framework. The major
10 goal of the steam generator tube inspections is to ensure
11 the structural and leakage integrity for the operating
12 interval between inspections.

13 Structural integrity per Reg Guide 1.121 and the
14 ASME code, and leakage integrity per Part 100 and GDC-19, as
15 was pointed out this morning.

16 As you know, the technical specifications do not
17 reflect either the current degradation modes or the
18 inspection technology that we have today. The repair
19 criteria of 40 percent tends to be conservative for cracks.

20 The inspection sample size, the expansion criteria
21 and frequency do not explicitly take into consideration the
22 severity of the degradation.

23 It is based on that classification of C-1, C-2 and
24 C-3, which more is a function of the number of tubes that
25 either exceed the repair limit or are degraded.

1 And as we know, the leakage limits don't prevent
2 tube burst.

3 As a result of these shortcomings, the NRC and the
4 industry have been taking action over the last several
5 years, for quite a long time. I've listed here various
6 efforts that have been underway. Some of the industry
7 efforts are that they have improved their examination
8 guidelines. I think the original version came out sometime
9 in the early to mid 1980s.

10 They have subsequently revised those several times
11 based on lessons learned and based on the changing forms of
12 degradation and the technology.

13 The industry has a steam generator management
14 program which actively participates with the NRC on various
15 steam generator issues.

16 In addition, the industry, as Jack Strosnider
17 pointed out this morning, in NEI-97-06, they've adopted a
18 condition monitoring and operational assessment philosophy.
19 I'll discuss those a little later, but basically what that
20 involves is condition monitoring. It is a backwards look to
21 make sure that you operated safely during a cycle.
22 Operational assessment is a forward look to make sure that
23 you can safely operate during the period of time before your
24 next inspection.

25 With respect to some of the NRC efforts, the NRC

1 has issued, over the last ten years, several generic
2 letters, Generic Letter 9503 on circumferential cracking of
3 steam generator tubes, Generic Letter 9705 on steam
4 generator tube inspection techniques, and Generic Letter
5 9706 on the degradation of steam generator internals.

6 We've also issued numerous information notices on
7 various topics, including sleeves, plugs, U-bend degradation
8 and other inspection related issues.

9 In addition, the NRC has an extensive research
10 program with respect to steam generator inspection and
11 repair criteria.

12 As I previously mentioned, NEI has their
13 guidelines, NEI-97-06. The staff has also developed draft
14 regulatory guide DG-1074, both of which address tube
15 integrity. Those are now being rolled up into an industry
16 initiative to address some of the issues with respect to
17 steam generators.

18 With respect to what we've observed to date, this
19 picture just shows some of the -- shows a lot of the
20 degradation mechanisms affecting steam generator tubes.

21 Just to go over some of the more prevalent ones,
22 in the tube sheet region, which is depicted in these
23 pictures, you have a variety of degradation mechanisms,
24 including the buildup of sludge on top of the tube sheet.,
25 You have axial outside diameter stress corrosion cracking,

1 pitting and wastage can occur in the sludge pile.

2 At the expansion transition, the region of the
3 tube where it goes from expanded to unexpanded, you have
4 both circumferential and axial primary water stress
5 corrosion cracking and outside diameter stress corrosion
6 cracking.

7 At the tube support plate elevations, you can have
8 fretting, wear and corrosion thinning, the dominant
9 degradation mechanism back in the '70s. You can have axial
10 oriented outside diameter stress corrosion cracking and
11 intergranular attack.

12 At dented intersections, we've observed axial
13 primary water stress corrosion cracking. We have also
14 observed circumferential outside diameter stress corrosion
15 cracking and primary water stress corrosion cracking.

16 We've also observed fatigue at the upper most tube
17 support plates and also in the wedge reason of B&W plants,
18 although that picture won't show that. They have
19 once-through steam generators rather than U-tube steam
20 generators.

21 We've also observed free span cracking, free span
22 outside diameter stress corrosion cracking, and we've also
23 observed cracks in the U-bend.

24 DR. POWERS: In the U-bends, do you have -- I
25 don't know how to describe it well -- a bend is made and

1 it's too much and so they bend it back, so you get kind of
2 reverse bends on things.

3 MR. KARWOSKI: Sometimes that occurs, but --

4 DR. POWERS: And is that a site of --

5 MR. KARWOSKI: That has been a site of corrosion.
6 So what are some of the factors affecting tube degradation?
7 I think Dr. Hopenfeld yesterday touched on many of these.
8 Tube material, including the heat treatment. The
9 degradation mechanisms that I just had up there are
10 primarily observed in alloy-600 mill annealed steam
11 generator tubing. That's basically most of your older
12 plants, with their original steam generators.

13 There has been relatively little degradation in
14 alloy-600 thermally treated steam generators, which are the
15 later vintage of steam generators and some of the initial
16 replacement steam generators.

17 The tube material of choice these days for the
18 replacement steam generators are alloy-690 thermally
19 treated.

20 DR. POWERS: Now, I understand that in Europe,
21 they use something else, 800 alloy maybe.

22 MR. KARWOSKI: In Germany, they have used
23 alloy-800.

24 DR. POWERS: And is there anything substantially
25 superior or inferior to 800 relative to 690 and 600?

1 MR. KARWOSKI: I don't think I can --

2 MR. BALLINGER: The 800 works a little bit better
3 if you're in phosphate chemistry and the like. It doesn't
4 waste, doesn't get wastage like 600 did, does. So
5 replacement steam generators in Europe are all going to be
6 pretty much 690. I don't think there's any 800 that's going
7 to be used for replacement generators.

8 MR. KARWOSKI: Other factors affecting tube
9 degradation, grain size, carbide distribution, the
10 fabrication of the tubes and stresses. For example, the
11 expansion joints at the -- where the tube goes from the
12 expanded to unexpanded region, there's been various means
13 for expanding those.

14 Initially, utilities would role expand those.
15 They tried to lessen the stresses at the transition. They
16 then went to an explosive transition and currently most
17 people now do a full depth hydraulic expansion.

18
19 DR. POWERS: Let me ask a question about carbide
20 distribution. I see in the many documents we've been
21 provided three types of carbide distribution, called,
22 imaginatively, one, two and three.

23 I think I understand one. I don't understand the
24 distinctions between two and three.

25 MR. KARWOSKI: I'm not sure of the reports you're

1 referring to. Other people may be more qualified to address
2 that later, too.

3 DR. POWERS: Okay.

4 MR. KARWOSKI: Tube support plate design and
5 material effects, tube degradation, operating temperature
6 and stresses, the water chemistry, operating time and the
7 presence or absence of crevices.

8 There have been a number of tube ruptures. I've
9 listed ten tube ruptures here. Some people call an event or
10 a leak at Fort Calhoun a rupture, I did not include that.

11 The definition of rupture I used here is leakage
12 in excess of the normal makeup capacity of the plant.

13 Just going over each one of these ruptures, as you
14 can see, there's ten listed. Of these ten, eight have
15 occurred in the U.S., two in foreign PWRs.

16 The first rupture occurred in 1975 at Point Beach.
17 The rupture was primarily attributed to wastage. The tube
18 wasn't pulled for destructive examination, but they think
19 stress corrosion cracking may have also played a role.

20 The next steam generator occurred at Surry-2 in
21 1976. That was axial primary water stress corrosion
22 cracking up in the U-bend of the steam generator.

23 The Surry rupture was attributed primarily to
24 denting at the uppermost -- at the tube support plates
25 forcing the tight radius U-bend tubes closer together and

1 parting a stress up in the apex of the U-bend.

2 The Doel rupture occurred in 1979. It was also
3 axial primary water stress corrosion cracking in the U-bend.
4 However, in that case, they attributed the rupture to the
5 bending process and the fact that there was ovalization of
6 the tube that wasn't in accordance with specifications.

7 In 1979, there was a rupture at Prairie Island due
8 to a foreign object. In Ginna, in '82, another foreign
9 object. There was some discussion on the magnitude of the
10 leak rates from a rupture. This rupture was on the order of
11 760 gallons per minute.

12 In 1987, there was a rupture at North Anna which
13 was attributed to fatigue at the upper most tube support
14 plate. Some of the factors affecting that was denting and
15 improper or inadequate ABB support up in the U-bend region.

16 In McGuire, in '89, there was a free span rupture
17 was a result of axial outside diameter stress corrosion
18 cracking. That was on the cold leg side. The crack was
19 associated with a manufacturing scratch.

20 In 1991, there was a rupture at Mihama, which was
21 very similar to the event at North Anna-1.

22 In 1993, at Palo Verde-2, there was a rupture as a
23 result of free-span cracking. This was on the hot leg side.
24 The utility attributed that, in part, to a dryout region,
25 which they refer to as an arc, which is present in the outer

1 periphery of the bundle up in the top. Then Indian Point-2
2 in February of this year, which was a result of primary
3 water stress corrosion cracking in the U-bend.

4 In addition to ruptures, there have been a number
5 of leaks that have resulted in forced outages. Basically,
6 what I show here is the number of forced outages as a
7 function of year.

8 As you can see, back in the '70s and early '80s,
9 there is a number of forced outages for a variety of
10 reasons. Here in the '90s, there have been -- if you look
11 at this literally, you could say that there has been a
12 decreasing trend in the number of forced outages as a result
13 of leakage.

14 Some of the shutdowns that are on that graph were
15 initiated because the plant exceeded the primary to
16 secondary leakage limit in the technical specification. In
17 the standard technical specification, that limit is
18 typically around 500 gallons per day through any one steam
19 generator.

20 Some of these plants shut down voluntarily before
21 the leakage exceeded those limits. In addition, I wanted to
22 point out that some plants have operated with leakage over
23 the course of a cycle and then shut down at the standard
24 refueling outage.

25 Some of the causes of shutdowns as a result of

1 leakage in the 1990s include sleeves, primarily the B&W
2 kinetically expanded sleeves. That was the result -- that
3 was the cause of the Trojan leak back in the '92 timeframe.

4 MR. HIGGINS: The typical tech spec limit that you
5 mentioned of 500 gallons per day, the new NEI document that
6 Jack had mentioned that the plants had all committed to has
7 got a number of 150 GPD. Does that mean that the plants are
8 now all observing that versus the 500?

9 MR. STROSNIDER: The plants have implemented
10 administrative limits reflecting the 97-06 guidelines.

11 MR. HIGGINS: Thank you.

12 MR. KARWOSKI: So that the B&W kinetically
13 expanded sleeves resulted in a number of leakers back in the
14 early '90s. The last steam generator that has these sleeves
15 installed is being replaced now at ANO-2.

16 There's been leaker outages in the '90s as a
17 result of plug leakage, loose parts, fatigue primarily in
18 the B&W once-through steam generators, in the lane wedge
19 region or in the area bordering the lane wedge region, and
20 leakage has been observed as a result or forced shutdowns
21 have resulted as a result of leakage due to stress corrosion
22 cracking at expansion transition, tube supports and free
23 spans.

24 A number of plants have replaced their steam
25 generators. I believe there's 25 plants that either have

1 replaced or are replacing. Replacements started in the
2 1980s. Cook finished in July of 2000. ANO-2 and Indian
3 Point-2 are currently replacing right now.

4 With respect to the tube materials, I'll just
5 point out that these early replacements were all alloy-600
6 thermally treated. When you got to Cook-2, most of the ones
7 after this are alloy-690 thermally treated, with some
8 exceptions.

9 Palisades used steam generators available at
10 another plant, so I believe these are 600 mill annealed.
11 Salem also used previously available steam generators at a
12 cancelled plant, so these are 600 thermally treated. And
13 the Indian Point-2 steam generators, I believe, are 600
14 thermally treated. The rest are 690.

15 A number of plants also have indicated that they
16 plan on replacing steam generators. Some of these
17 replacements are a result of tube degradation or as a -- or
18 in combination with license renewal, they believe that they
19 will need new steam generators in order to operate 60 years.

20 To date, only steam generators from Westinghouse
21 and CE have been replaced. Some of the replacements in the
22 next ten years will probably be in B&W units, as well.

23 As a result of all the tube degradation, a number
24 of utilities have proposed various alternate repair
25 criteria. One of the first alternate repair criterias was

1 for degradation within the tube sheet region.

2 When you have a tube fully expanded against the
3 tube sheet, you only need a certain length of engagement in
4 order to ensure that the tube does not pull out during
5 accidents. The remainder of the tube can be degraded
6 without any significant effect on the structural or leakage
7 integrity, and that's what these repair criteria are
8 basically for, degradation in the tube sheet area.

9 Of more interest are the alternate tube repair
10 criteria that has been implemented at the tube support plate
11 elevation with respect to predominantly axially oriented
12 outside diameter stress corrosion cracking.

13 I've listed the plants that currently have this
14 implemented. There have been other plants, but they have
15 either subsequently replaced their steam generators or
16 ceased operation.

17 Beaver Valley, Comanche Peak, Diablo, Farley, Kuwanee,
18 Prairie Island, Sequoyah and South Texas currently have
19 repair criteria and, I believe, as Jack Hayes indicated,
20 there's others that are being reviewed now.

21 There's also been an alternate tube repair
22 criteria for axially oriented primary water stress corrosion
23 cracking at or near dented tube support plates. That's been
24 approved on an interim basis at Sequoyah.

25 That concludes the first part of the presentation

1 with respect to the regulatory framework and operating
2 experience. I'd be happy to answer any questions on that.

3 The next part of the presentation deals with
4 Generic Letter 95-05. This will tend to be lengthy. I'm
5 not sure if you -- do you want to start this at this point?

6 DR. POWERS: Why don't we go ahead and start it.

7 MR. KARWOSKI: Okay.

8 DR. POWERS: And I presume that there will be some
9 point in there that it's logical to take a break. Or is it
10 continuous?

11 MR. KARWOSKI: I think this one might be
12 continuous.

13 DR. POWERS: Okay. I run into problems starting
14 early and starting late is okay, starting early is a
15 problem. So I think what we will do is just interrupt you
16 at 12:00.

17 MR. KARWOSKI: Okay. Generic Letter 95-05
18 addresses one form of degradation, axially -- predominantly
19 axially oriented outside diameter stress corrosion cracking
20 at the tube support plate elevations.

21 There's two fundamental goals of the repair
22 criteria in this generic letter, to ensure adequate
23 structural and leakage integrity.

24 The evaluation of structural and leakage integrity
25 require periodic inspections. It requires correlating those

1 inspection parameters with the tube structural and leakage
2 integrity and evaluation of the tubes accepted for continued
3 service.

4 And I apologize, this is where I've jumped ahead
5 in the presentation. It's page 10-27. And I also
6 apologize, as a result of some of the presentations
7 yesterday, there are some additional slides that I have
8 prepared to address some specific comments.

9 DR. POWERS: Thank you.

10 MR. STROSNIDER: Ken, I think we might also
11 mention, I think we provided -- there was discussion
12 yesterday of some of the proprietary data and I think we
13 provided copies of that information for the panel, or we
14 will.

15 MR. KARWOSKI: Yes. This is the proprietary
16 information containing the data in the database.

17 MR. STROSNIDER: And I would just point that
18 because of it's proprietary nature, we won't be presenting
19 it on the screen, but the members of the panel will have it
20 so they can look at it, and, of course, need to treat it as
21 proprietary.

22 MR. KARWOSKI: Okay. So just so that everybody
23 understands what degradation mechanism we're talking about,
24 Generic Letter 95-05 primarily addresses axially oriented
25 outside diameter stress corrosion cracking at the tube

1 support plate elevations.

2 It does not permit -- or it does not apply to
3 circumferential cracks, primary water stress corrosion
4 cracks or cracks that go outside the tube support plate, and
5 it does not apply to general wastage or thinning.

6 As I mentioned, in order to ensure the structural
7 and leakage integrity of the tubes, you need to do
8 inspections. The generic letter specifies specific
9 inspections that must be performed. Take this into context
10 of the current regulatory framework, which says three
11 percent initial inspection and expand based on the results.

12 GL-95-05 requires the licensees to perform 100
13 percent bobbin coil inspection; basically, all the way
14 around to the cold leg, to the point where they've observed
15 degradation, and a 20 percent sample at the next tube
16 support plate elevation.

17 I say that because that's what is in the generic
18 letter, practically speaking, everyone does 100 percent tube
19 end to tube end.

20 The bobbin coil allows for a rapid screening of
21 the tubes for defects. The extent of the degradation is
22 measured in terms of the voltage response for the defects at
23 the tube support plates.

24 There are detailed procedures to ensure that the
25 voltage response of the degradations being measured in the

1 field is comparable to those in the structural and leakage
2 integrity databases.

3 So basically it tells the analyst what size probe
4 to use, what frequency mix to use to size the degradation.
5 It instructs them to record the maximum voltage response at
6 that location, as the voltage.

7 So there are detailed procedures with respect to
8 the data analysis.

9 MR. HIGGINS: Can you say what that database is?

10 MR. KARWOSKI: I'll get into the database in a few
11 slides. In addition to the bobbin coil examinations,
12 rotating pancake coil examinations are performed. This
13 permits a better characterization of the defects to ensure
14 that degradation is confined within the tube support plate
15 and is predominantly axial.

16 Make sure that you're not applying this to
17 circumferential degradation or other forms of degradation;
18 that you can get some idea of the morphology as a result of
19 the rotating pancake coil.

20 DR. POWERS: You tend to speak of cracks as axial
21 or circumferential. Is there a case where things are at an
22 angle?

23 MR. KARWOSKI: Absolutely.

24 DR. POWERS: And how do you make a distinction
25 between axial and circumferential when you're at an angle?

1 MR. KARWOSKI: There is some analyst judgment
2 involved. With respect to that specific issue, if you look
3 at the database, clearly, from the metalography, you can
4 tell -- you will see that the degradation at the support
5 plates occurs in networks or is a cellular type of
6 corrosion.

7 So there are oblique angles. There may be short
8 segments that are circumferential in extent. With respect
9 to the eddy current data evaluation, though, those
10 typically, what you will see is you will see a pattern.

11 Usually those short circumferential extents will
12 not be discerned in the NDE examination.

13 MR. SIEBER: So the NDE doesn't tell us about
14 circumferential cracks.

15 MR. KARWOSKI: It cannot readily detect the short
16 segments. It will find, and that will be this afternoon, it
17 will find distinct circumferential cracks or large
18 circumferential components. It can do that, and I will
19 present some data to show that.

20 MR. STROSNIDER: Ken, and you may get to this
21 later, it might also be a time to interject that there is a
22 tube pull requirement associated with it. Are you going to
23 talk about that?

24 MR. KARWOSKI: Yes.

25 MR. STROSNIDER: Okay. But I would just interject

1 that plants are required to periodically pull tubes to
2 verify that the degradation mechanism is consistent with
3 what's in the database and what they've seen in the past,
4 but Ken will talk about that.

5 MR. KARWOSKI: These rotating pancake coil
6 examinations are performed at intersections with degradation
7 exceeding specific voltage limits and I will discuss the
8 limits, but basically it's one volt for three-quarter inch
9 tubing and two volts for seven-eighths inch tubing. There
10 are two correlations, depending on the size of the tubing.

11 The plants -- the Westinghouse plants that this
12 affects are either three-quarter or seven-eighths inch
13 tubing.

14 DR. CATTON: And you find these with the bobbin
15 coil.

16 MR. KARWOSKI: You find these indications with the
17 bobbin coil.

18 DR. CATTON: Then you do a detailed evaluation
19 with the rotating pancake coil.

20 MR. KARWOSKI: That's correct, and I will discuss
21 a little more on what you do with the rotating pancake coil
22 examination results.

23 You also perform these rotating pancake coil
24 examinations at tube support plate elevations, where the
25 dents exceed five volts. Part of the reason for doing that

1 is because in highly dented intersections, the bobbin coil
2 is relatively ineffective. The rotating pancake coil gives
3 you a better inspection.

4 You also perform these examinations at tube
5 support plate elevations with copper deposits. The reason
6 for that is because the pancake coil will give you a better
7 inspection. And also at locations with large mixed
8 residuals, for the same reason.

9 DR. POWERS: Maybe you should explain what you
10 mean by mixed residuals.

11 MR. KARWOSKI: What mixed residuals are are when
12 you do these inspections at the tube support plate,
13 depending on the frequency, you will get a response not only
14 from the tube, but also from the support plate.

15 So what you do, you're using a multiple frequency
16 probe, you will -- you take one frequency that is more
17 sensitive to the tube and another frequency that is more
18 sensitive to further out or the tube support plate and you
19 essentially mix out the signals. That's not a 100 percent
20 perfect. There are some what's called residuals and so if
21 you have large mixed residuals, you will inspect those with
22 the rotating pancake coil to give you a better examination.

23 MR. STROSNIDER: Ken, I guess that large mixed
24 residual, it basically looks like distortion of the eddy
25 current signal.

1 MR. KARWOSKI: Yes.

2 MR. STROSNIDER: When the analyst looks at it,
3 it's an amount of distortion that's in the signal, because
4 the mixing isn't perfect.

5 MR. KARWOSKI: So I've discussed the inspections
6 and I've tried to give you an idea that there are detailed
7 procedures in order to interpret the voltage and to
8 characterize the defects, but that's only one part of the
9 picture.

10 You also have to have correlations correlating
11 that inspection parameter to the structural and leakage
12 integrity of the tubing.

13 The correlations come from two primary sources,
14 tubes removed from operating steam generators and specimens
15 produced in model boiler facilities. The specimens produced
16 in model boiler facilities span a larger range than the data
17 from tubes removed from operating steam generators, because,
18 in general, the voltages observed in the field typically
19 aren't as great as you can produce in a model boiler.

20 And as Jack Strosnider pointed out, there is a
21 periodic tube pull program for confirming the degradation
22 mode at the plant. There's an initial tube pull that
23 involves a couple tubes and, I believe, four intersections.

24 After that initial tube pull, there is a periodic
25 tube pull requirement, which involves pulling additional

1 intersections at a frequency of about every two or three
2 outages.

3 The examinations performed on these tubes, I'll
4 start down here. You perform a metallurgical examination to
5 make sure that the degradation mechanism is consistent with
6 that observed at other plants and for -- and is consistent
7 with the other data in the database.

8 You also do leak testing, what's involved here is
9 the tube is pressurized internally and on the outside. It
10 is taken up to steam line break pressure at temperature of
11 around 600, 650 degrees Fahrenheit.

12 The first thing that they do is determine whether
13 or not it leaks or not. If the tube leaks, then they go on
14 to measure the leakage. If the tube doesn't leak, then they
15 just use the data in the probability of leakage correlation,
16 which I will be discussing later.

17 DR. POWERS: In all cases, the testing is done at
18 temperature?

19 MR. KARWOSKI: I don't know if I can say all
20 cases, because I don't recall from that --

21 DR. POWERS: We'll accept 90 percent.

22 MR. KARWOSKI: The vast majority, and I would also
23 like to point out, but I need to point out, it may not be
24 the exact temperature and there may need to be some
25 adjustments to the data. It may be taken at 2,603 PSI

1 instead of 2,650 and maybe taken at 580 degrees F instead of
2 620. So there are adjustments that need to be made to the
3 data.

4 The burst testing is performed at room
5 temperature. Typically, after the leak testing, they will
6 take that specimen, they will insert a bladder. The reason
7 for the bladder is to prevent excessive leakage from
8 preventing them to achieving burst.

9 They will burst test the tube at room temperature and they
10 use that burst pressure in the correlations. When I get to
11 the slides on the burst pressure correlation, all the data
12 is normalized to a specific burst pressure and they use
13 lower tolerance. Then they scale it up to operating
14 temperature and take a lower bound, and I'll point that out
15 on the correlations.

16 So that's the testing that is performed. Earlier,
17 I discussed the regulatory criteria. Typically, the most
18 limiting is that the tubes must withstand a pressure
19 differential of three times the normal operating or 1.4
20 times the maximum postulated accident or steam line break.

21 This roughly turns out to be around 3,660 PSI.
22 For degradation at the support plate, during normal
23 operation, the plate is present. I should point to this one
24 because this is the degradation mode. That plate is
25 present.

1 As a result, the criteria for three times the
2 normal operating pressure is met during normal operation.
3 The degradation is confined to within the tube support plate
4 region.

5 Given the clearances between the tube and the tube
6 support plate, that tube will not burst. So the three delta
7 --

8 DR. POWERS: I guess the question comes up, when
9 you say it's combined within the support plate, what exactly
10 does confined mean?

11 MR. KARWOSKI: The degradation, in general, does
12 not exceed -- does not extend above or below the tube
13 support plate.

14 DR. POWERS: At all.

15 MR. KARWOSKI: There have been pulled tube data
16 where there has been some minor extension of the outside
17 diameter stress corrosion cracking beyond the plate. To my
18 knowledge, that has only been discovered as a result of
19 destructive examination in the cases I'm familiar with and
20 it's only on the order of .02, .03 inches beyond the plate,
21 and it's typically attributed to some slight deposits which
22 basically come up along the side of the tube.

23 DR. KRESS: If that is found by the NDE techniques
24 to extend beyond, then that's excluded from this being
25 confined.

1 MR. KARWOSKI: There is a reporting requirement in
2 the tech specs that if they find that degradation, they have
3 to let us know because it will draw on the question, the
4 validity of all the arguments.

5 If you look at our understanding of this
6 phenomenon, it's basically crevice corrosion in this
7 location, all the pulled tube data has suggested that
8 degradation is confined within that support plate region.
9 If they find it by NDE, there is a reporting requirement to
10 address that.

11 DR. KRESS: Then it's treated like a crack that's
12 outside the confined area.

13 MR. KARWOSKI: Yes. We would have to question
14 whether or not they should even implement the repair
15 criteria not only at that location, but at other locations
16 in the plant. That's the purpose of the reporting
17 requirement.

18 DR. BONACA: But can you detect it if you have
19 just a fraction of an inch?

20 MR. KARWOSKI: That pulled tube data that I was
21 referring to where there was a minor extension, that was not
22 detected in the field. A .02, .03 inches will not be
23 detected in the field.

24 On the other hand, it probably will not have a
25 significant effect on the burst pressure of that tube.

1 MR. BALLINGER: A question. Circ cracks are
2 plugged on detection, right?

3 MR. KARWOSKI: Yes.

4 MR. BALLINGER: Getting back to this degree of
5 circumferentiality issue, when you have a network of cracks
6 in the TSP, in the support plate region, is there some kind
7 of judgment that has to be applied to -- since you can't see
8 that with a bobbin coil and the rotating pancake doesn't
9 work too well either for that kind of situation, what
10 happens if there is a likelihood that you've gotten an
11 equivalent circumferential crack there?

12 How do you deal with that?

13 MR. KARWOSKI: That will show up in the burst
14 pressure database. The correlations are all empirical. So
15 you've pulled a variety of tubes with given voltages. You
16 also have a number of tubes produced in model boiler
17 specimens.

18 Those tubes are somewhat representative of what's
19 out in the field or they are representative of what's out in
20 the field. During those tests, if you were to have a,
21 quote-unquote, limiting circumferential crack, you would
22 have observed a circumferential failure.

23 That's not what we've been observing today.
24 That's part of the reasons for the periodic tube pull
25 examinations to confirm that that is not occurring.

1 MR. BALLINGER: So that would be picked up in the
2 tube pull.

3 MR. KARWOSKI: Tube pull and if you do a -- when
4 you do your rotating pancake coil examinations, which are
5 basically of most indications above one or two volts, if you
6 had a large circumferential extent, you would notice.

7 DR. CATTON: When you do a tube pull, do you
8 literally snake that entire tube out of there?

9 MR. KARWOSKI: Basically, what's done is they will
10 cut the tube at a specific location.

11 DR. CATTON: And pull.

12 MR. KARWOSKI: And pull it through the tube sheet.

13 DR. CATTON: What do they do with the rest of the
14 tube, it just stays there?

15 MR. KARWOSKI: It just stays there. They
16 frequently stabilize it, depending on what they believe the
17 tube will whip around, if they believe there's going to be
18 some damage, but they'll stabilize that tube.

19 MR. STROSNIDER: Ken, we might mention, too, I
20 think there was a little discussion yesterday. During the
21 tube pulling process, and it's not always easy to pull these
22 tubes out. There can be some --

23 DR. POWERS: Is it ever easy to pull these tubes
24 out?

25 MR. STROSNIDER: There's a possibility of some

1 change in terms of the defect that you're trying to get at
2 and, again, I don't want to get ahead of you, Ken, but I
3 think when you look at what's plotted in the database, it's
4 the in situ voltage versus what was tested after you pulled
5 it. And during the pulling it, it's possible that ligaments
6 might tear or whatever, but in general, the pulling is not
7 going to make the burst pressures or leakage characteristics
8 better. It's going to make it worse.

9 So there is some conservatism in that.

10 MR. KARWOSKI: Right. And if you did have a large
11 circumferential network which was limiting, when you're
12 pulling that tube, there's some extreme forces, it would
13 break.

14 And that has occurred for some circumferential
15 cracking at the top of the tube sheet where the licensees
16 have attempted to get those specimens out. They go to the
17 tube pull, they pull it and basically it rips. But that has
18 not been observed at the support plate elevations for which
19 this generic letter is applied.

20 As I discussed, there are two correlations. This
21 doesn't have any data, it's old, so it won't match the data
22 that I've presented or that I've provided to you, the
23 proprietary information, but it will help me illustrate the
24 points.

25 This correlation is for seven-eighths inch

1 diameter tubing. We have the burst pressure over here and
2 we have the bobbin voltage on a log scale over here.

3 If you look in your package, you will see the data
4 point scattered throughout. You will see a mean regression
5 curve, a lower 95 -- a mean regression curve where the data
6 has been normalized to specific material properties, a lower
7 95 percent prediction interval.

8 DR. POWERS: It's the 95 percent confidence level
9 for a prediction drawn from the correlation?

10 MR. KARWOSKI: This is the 95 percent prediction
11 interval associated with this mean regression curve.

12 DR. POWERS: What I find remarkable about that
13 curve is that as you move away from the mean of the data,
14 those curves typically expand out a lot. In principal, they
15 go to infinity at -- well, they go to zero and on the other
16 side they go to infinity, if you get far enough away from
17 the mean of the data, and this curve does not seem to do
18 that.

19 MR. KARWOSKI: You asked me that question a number
20 of years ago and I did research after. If you were to blow
21 this up and expand the scales, you would see the exact
22 effect that you're talking about.

23 You just don't notice it on the scales here, but
24 you are absolutely correct. When you blow that up, you see
25 that -- see the curves with that trend, the blow-up way down

1 here.

2 DR. POWERS: I'm confident that -- I mean, I'm
3 encouraged that my intuition is good. I'm surprised I don't
4 see it, because it did look awfully scattered.

5 MR. KARWOSKI: Yes. But you do observe it when
6 you blow this up.

7 As I mentioned, this is the mean curve adjusted to
8 a specific set of material properties. The lower 95 percent
9 prediction interval. Because material properties in the
10 steam generator tubes vary, they adjust that for the lower
11 95 percent material properties and they get this dotted
12 curve down here.

13 In order to determine the repair limit, basically,
14 you take the intersection of this curve with your limiting
15 regulatory guide pressure, which is around the 3660 PSI, you
16 come down, you get a limit of 8.8 volts.

17 That is then consistent with Regulatory Guide
18 1.121. You take off allowances for growth and NDE
19 uncertainty, and I'll discuss this in a little bit, and you
20 get a repair limit at which tubes would need to be plugged,
21 and I will discuss that because this is not what we've
22 accepted as a result of some of the assumptions made in the
23 growth and NDE uncertainty.

24 This next viewgraph here, I'll just discuss it
25 from this. The industry's original proposal said basically

1 we would like to implement a five and a half volts.
2 Anything above five and a half volts we'll leave in service.
3 I'm sorry. Anything less than five and a half volts we'll
4 leave in service, anything greater than, we would plug.

5 The values have changed and it's evolved over
6 time, but basically the staff was concerned with this
7 approach given that back in the '95 timeframe, most of the
8 data out here was from model boiler specimens. The pulled
9 tube data was relatively scarce and it was all centered in
10 the lower voltage regions.

11 Because of that, because you can have higher than
12 average growth rates which are used in the calculations and
13 your NDE uncertainties aren't limited and a variety of other
14 reasons, the staff chose to use lower voltage limits.

15 In the case of seven-eighths inch diameter tubing,
16 we chose two volts, and, for three-quarter inch tubing, one
17 volt because of differences in the correlation.

18 MR. SIEBER: Just a quick question. The 1.4 times
19 the steam line break differential, the other requirement is
20 three times the normal operating differential, which I
21 presume, for Westinghouse steam generators, is either 1550
22 or 1600, depending on the model.

23 So that would come out to be 4800 on that chart.

24 MR. KARWOSKI: That's right. But if you remember
25 from this plot here, during normal operation, this plate

1 will be in place.

2 MR. SIEBER: Okay.

3 MR. KARWOSKI: That plate is in place. That three
4 delta P, that tube is not going to --

5 MR. SIEBER: So you don't consider it.

6 MR. KARWOSKI: Right.

7 MR. SIEBER: You don't consider that, okay.

8 MR. KARWOSKI: We don't consider it. So how are
9 these repair limits implemented? This is not in your
10 handout, I don't believe. This is a subsequent -- I didn't
11 plan on getting into all of this.

12 Below the lower bobbin voltage repair limit, and
13 what I mean by that is if you go in and inspect and find
14 something less than one or two volts, you can allow those
15 tubes to remain in service.

16 Those are tubes that can be left in service.

17 DR. POWERS: Yesterday we had several mentions of
18 three volts.

19 MR. KARWOSKI: I will get into that at the very
20 end, but I want to point out that that three volt criteria,
21 although it is a modification of this approach, it is not
22 the same. It is not the same as what's in Generic Letter
23 95-05.

24 There are similarities and some of the data is the
25 same, but there are differences.

1 MR. HIGGINS: On the last slide, you said that you
2 had implemented a lower repair limit as opposed to the five
3 and a half.

4 MR. KARWOSKI: Right.

5 MR. HIGGINS: And you're saying now that it's one
6 or two.

7 MR. KARWOSKI: It's one volt for three-quarter
8 inch diameter tubing and two volts for seven-eighths inch
9 diameter tubing.

10 Between the lower voltage repair limit, this one
11 and two volts, and the upper bobbin voltage repair limit,
12 which would be the equivalent of the 8.8 volts that I showed
13 you -- I'm sorry -- the 5.5 volts, you need to do RPC
14 inspections for all those indications. That confirms your
15 degradation morphology and will give you added confidence
16 that the degradation is within the support plate.

17 Any indications that are not confirmed by RPC can
18 remain in-service. What I mean by not confirmed is the
19 bottom coil has a certain detection threshold. The RPC has
20 a certain detection threshold. The bobbin tends to be more
21 influenced by noise and other masking features. You might
22 call something that is not a flaw a flaw, or the RPC's
23 threshold of detection is different.

24 If you don't confirm it by RPC, then you can leave
25 that tube in service, and the reason is that the RPC is

1 typically less sensitive to interfering signals. So things
2 that you might have caught with the bobbin may not actually
3 be flaws.

4 However, they may be flaws, but RPC is less
5 sensitive to shallow crack networks, but it's at least
6 equally sensitive to deep cracks.

7 So what that means is even though that the RPC
8 isn't seeing it, it's probably not significant.

9 DR. POWERS: Now, that presumes that shallow crack
10 networks are not going to coalesce and make a deep crack.

11 MR. KARWOSKI: That will be handled in the growth
12 rate analysis that I'll get into in a minute, but yes and
13 no. I will point out that even though these tubes are
14 allowed to remain in service, the industry, I believe,
15 originally argued that they should not include them in the
16 probabilistic calculations that I'll be discussing.

17 The staff said yes, you need to include those,
18 even though you don't believe there is degradation there.

19 DR. POWERS: Okay.

20 MR. KARWOSKI: You need to address them.

21 DR. POWERS: You're setting the stage for that
22 part of your talk that will take place after the lunch
23 break.

24 MR. KARWOSKI: Actually, this might be a very good
25 ending point. Above the upper bobbin voltage repair limit,

1 the indication must be repaired regardless of RPC results.
2 Licensees are required to RPC even those tubes that they are
3 going to need a plug, for the obvious reason. Those are the
4 ones that will start probably showing circumferential
5 extent, extending outside the support plate.

6 We wanted to make sure that there is nothing going
7 on there that we need to be aware of before the repair
8 criteria is implemented.

9 DR. CATTON: And repair means plug.

10 MR. KARWOSKI: Plug or sleeve. If the plant is
11 licensed to sleeve.

12 DR. POWERS: And the extent of Ken's talk here is
13 a prologue for all this in-depth analysis he's going to do
14 for us. Are there any questions you want to pose to him
15 now?

16 MR. STROSNIDER: If I could interrupt for just a
17 second, Ken. I don't know if this is the best time or not,
18 I'm going to put him on the spot here. With regard to the
19 correlation in the database for burst pressure, I just
20 wanted to point out that, I think you've got it in front of
21 you, there's a substantial number of data points and part of
22 the discussion about whether there -- first of all, it is an
23 empirical model. So some of the things you need to look at
24 are what sort of correlation coefficients, how much data,
25 can you do reasonable statistics with this.

1 And I would suggest, if you look at the amount of
2 data and the care that's been taken to make sure that it's
3 the right population to compare to the steam generators,
4 there is a good basis for doing this sort of empirical
5 evaluation.

6 And you'll see more when we get into the leakage
7 and other correlations.

8 MR. KARWOSKI: In the proprietary handout I gave
9 you, you have all the data or you have all the correlations
10 and some of the correlation coefficients that Jack was
11 talking about, but basically here is a summary for the burst
12 correlation, since we were discussing it, for three-quarter
13 inch tubes and seven-eighths inch tubes.

14 Basically, there's 96 and 91 data points,
15 correlation coefficient --

16 DR. POWERS: If I were to ask you a question, what
17 is the probability that a random data set would produce such
18 a high R-square given that there are 96 points, what would
19 you answer?

20 MR. KARWOSKI: I would probably refer to the
21 statistician.

22 DR. POWERS: R-squared values are virtually
23 useless. The important point to understand is what's the
24 probability the random data set would produce such a high
25 value of R-squared.

1 MR. KARWOSKI: Just since we're on that point, we
2 have had a statistician look at any of these correlations.
3 The statistician has had a tremendous impact on the leakage
4 analysis. We've had these correlations looked at.

5 DR. POWERS: I'm fascinated in what you have to
6 say about something at the 12 percent R-squared.

7 MR. KARWOSKI: That's the interesting one,
8 actually.

9 DR. POWERS: At this point, I want to recess, and
10 apologize to Ken for interrupting his presentation, it's
11 going awfully well, a very nice presentation, but let's
12 recess and come back at 1:00. At that time, Dr. Kress will
13 be chairing the session.

14 [Whereupon, at 12:05 p.m., the meeting was
15 recessed, to reconvene this same day at 1:00 p.m.]
16
17
18
19
20
21
22
23
24
25

AFTERNOON SESSION

[1:05 p.m.]

DR. KRESS [Presiding]: Can we come back to order, please? I will be the substitute Chairman till Dana gets back, which may be not too long from now.

So we'll continue now where we left off before lunch.

MR. KARWOSKI: Thank you. Okay, just to go over quickly what I did this morning, this morning I showed the first pressure correlation.

I showed you how we determine the tube repair limits with respect to the one-volt, two-volts, and the upper repair limit. I also discussed the inspections that were performed.

That's the deterministic approach with respect to addressing structural integrity, but as I pointed out, there are several assumptions with respect to lower tolerance limits, material properties using a lower, 95-percent prediction interval.

As a result, from a structural integrity standpoint for the entire steam generator, you need to take a bigger look at what the cumulative effect of all the uncertainties and of some of your assumptions with respect to using an average growth rate or a 95-percent confidence interval.

1 So, to ensure structural leakage integrity, the
2 Generic Letter requires two calculations: The first
3 calculation is a conditional probability of burst under
4 steam line break conditions.

5 And that calculation is necessary to ensure that
6 the repairs are adequate from a structural integrity
7 standpoint. And as I've just mentioned, it's because the
8 values of the growth in NDE uncertainty may exceed those in
9 the deterministic determination of the repair limits, it's
10 because we used the lower 95-percent prediction interval for
11 the burst pressure correlation.

12 It's also because we only used lower 95-percent
13 material properties. You can have values less than those.

14 It's also because you're only looking at a single
15 indication and not the entire steam generator. There is a
16 cumulative effect.

17 The other calculation that we do -- and I'll be
18 talking more about how we do that, in a minute -- is, we
19 determine what leakage will exist under postulated accident
20 conditions.

21 And that's necessary because with this
22 voltage-based approach, there is no correlation between
23 voltage and depth. As a result there are through-wall
24 cracks or near-through-wall cracks, can either remain in
25 service after the inspection, or they may develop --

1 service.

2 And as a result, we have to do a calculation to
3 determine the leakage under those conditions.

4 Both of those calculations will require some
5 knowledge of what's going to be present at the time of the
6 next inspection, because from a conservative standpoint, you
7 want to know, if I had that steam leak break at the end of
8 the next operating interval, what would my probability of
9 burst be and what would be my leakage?

10 That's going to be the most limiting, because the
11 tubes will have the chance to progress the most.

12 Looking at this big picture, basically what you do
13 is, you do your eddy current inspection, you find all the
14 defects at the tube support plates, because under a
15 100-percent inspection, you do your RPC examinations.

16 With all the indications you detect, you then make
17 a POD adjustment. We use the constant value of .6 as the
18 POD.

19 And I'll discuss the basis for the .6 later today
20 in then presentation on NDE capabilities.

21 DR. CATTON: What is POD?

22 MR. KARWOSKI: Probability of detection.

23 DR. BALLINGER: Is that the 40-percent level,
24 40-percent through-wall?

25 MR. KARWOSKI: We applied that .6 value to

1 everything that you find. Remember, what you're going to
2 have is at the beginning of the cycle -- this graph doesn't
3 really show it.

4 What you're going to have, after you do your
5 inspection, you're going to have a distribution of
6 indications. Some of those will be RPC-confirmed; some of
7 them won't.

8 They will be a function of voltage, okay? So it
9 has nothing -- any given voltage can have a range of depths
10 associated with it; there's no correlation.

11 We say that our probability of detecting a large
12 voltage indication is the same as our probability of
13 detecting a low voltage indication.

14 And we assume a constant value of .6 throughout
15 that range. So, if you were to say the worst degradation is
16 the largest voltage, and that the lower voltage indications
17 are minor, we're saying that you have an equal probability
18 of detecting both of those.

19 It's a very conservative assumption, which we'll
20 get into this afternoon when I talk about the POD.

21 In general, you would expect to find some of the
22 more significant flaws easier than some of the more minor
23 flaws.

24 So we applied this .6 value. So everything that
25 you find during an inspection, you divide it by .6, which is

1 roughly equivalent to multiplying it by 1.6-something.

2 And then you subtract out the indications that you
3 repaired. That will be your beginning-of-cycle
4 distribution.

5 It's very conservative in the sense that if you
6 found a ten-volt indication, you would assume that roughly
7 -- that you have roughly .67 of those indications left in
8 service.

9 DR. BONACA: Could you had a defect for which you
10 have no indication whatsoever?

11 MR. KARWOSKI: Yes, where you missed it during the
12 inspection.

13 DR. BONACA: So for this, really, the conservatism
14 doesn't apply, the statement of conservatisms doesn't apply,
15 because simply you don't detect it.

16 MR. KARWOSKI: But that's one of the purposes of
17 the .6 adjustment, is to account for that. It's to account
18 for the fact that you can miss flaws during your inspection;
19 that's one of the purposes. There is also another purpose,
20 and I'll get into that.

21 So you divide what you find during your inspection
22 by .6, and then you subtract off the indications that you
23 repaired.

24 DR. KRESS: Now, suppose you found no indications?

25 MR. KARWOSKI: If you found no indications, you

1 won't be implementing the repair criteria, you would just --

2 DR. KRESS: You don't assume that you might not
3 have detected --

4 MR. KARWOSKI: Utilities would normally not apply
5 for this repair criterion, unless they had a high likelihood
6 of finding it.

7 So, then you take this beginning-of-cycle
8 distribution, and you need to add in growth and NDE
9 uncertainty to get to the end-of-cycle distribution.

10 Then with that end-of-cycle distribution, that's
11 what you use to calculate your probability of burst.

12 DR. KRESS: Voltage growth is based on
13 extrapolating fast growth rate?

14 MR. KARWOSKI: The way voltage growth is
15 determined as part of this generic letter, is, when you go
16 in and inspect -- if today was your inspection, you would
17 inspect you'd find a distribution of indications. You would
18 have the voltages associated with those indications.

19 You then go back at that location, at your prior
20 inspection, and see what it was then, and you take the
21 difference, okay?

22 DR. KRESS: Fine.

23 MR. KARWOSKI: And the time, and you make the
24 appropriate adjustments for whatever your operating cycle
25 is, but you take the difference between those two, you

1 adjust it for the appropriate time, and that will be your
2 growth rate.

3 There are provisions in the Generic Letter that
4 address how many datapoints you need in order to use the
5 growth rate, the concern being is that if you didn't have
6 enough data, how could you project?

7 If this is one of your first cycles, you only have
8 40 datapoints, how well did you know that the growth rate of
9 the tubes?

10 And in those cases where there is limited data, it
11 requires the utility to use a bounding growth rate based on
12 other steam generators that are operated under a similar
13 condition.

14 DR. KRESS: And the assumption is that if the
15 growth rate is changing, that that change may not be enough
16 to worry about over one cycle?

17 MR. KARWOSKI: Yes, the assumption is that the
18 growth rates -- you're looking at this from a population
19 standpoint. The assumption is that the growth rates that
20 you observe during the course of that cycle will be -- when
21 you operate it the next cycle, adjusted for the appropriate
22 operating length, the growth rates will be comparable for
23 the entire -- for the population. That is an assumption.

24 The other thing that we do with respect to the
25 growth rate distribution, when you go in and do these

1 inspections and you find, say, a 1.5 volt indication, or --
2 that's probably not a good example.

3 Say you'd found a half a volt indication; you
4 could go back to the prior outage and notice that the
5 voltage was actually .6 volts, and you could have a negative
6 growth rate.

7 How we address that in the methodology, to be
8 conservative, is, we make the utilities assume that the
9 growth rate was zero. So all negative growth rates in the
10 probabilistic analysis for determining the end-of-cycle
11 distribution are assumed to be zero.

12 DR. CATTON: Because it's physically impossible?

13 MR. KARWOSKI: It's physically impossible.

14 DR. CATTON: But you don't do that with the
15 iodine?

16 [Laughter.]

17 DR. CATTON: Just thought I'd mention that.

18 Between two cycles, I can see how you're going to
19 predict the third. Do you ever go back and make a
20 comparison of what was anticipated and what's measured?

21 MR. KARWOSKI: You're getting to the punch line.
22 I will present that. That's a very important aspect of this
23 methodology, very important.

24 So, with the beginning of cycle voltage
25 distribution, and the growth rate distribution, I also need

1 NDE uncertainty. The NDE uncertainty stems primarily from
2 two distributions.

3 I only have a picture here, but there are two
4 distributions that get sampled. The first is analyst
5 variability, and that's a result of two different analysts
6 using the same procedures, could look at the indication and
7 get different voltages.

8 There was a study performed by the industry when
9 this methodology was being developed, which indicated that
10 basically the mean of the distribution was zero, it was the
11 normal distribution. I believe the standard deviation was
12 about ten percent.

13 The important point is that they recognized that
14 different analysts can call an indication different. There
15 is an analyst-variability portion to the NDE uncertainty.

16 The other portion of the uncertainty is
17 uncertainty associated with the wearing of a probe. If a
18 probe wears, it will be a different distance away from the
19 tube, and it could result in a different voltage.

20 As a result, the industry did some tests to assess
21 the effect of probe wear, and there's another distribution
22 which takes into account, the wearing of a probe.

23 So those are the two components of the uncertainty
24 distribution.

25 To arrive at the end-of-cycle --

1 DR. KRESS: Are those distributions clad randomly
2 to the original distribution?

3 MR. KARWOSKI: Yes. You basically --

4 DR. KRESS: Sort of like a Monte Carlo.

5 MR. KARWOSKI: It's a Monte Carlo simulation. You
6 sample the beginning-of-cycle voltage distribution, you
7 sample growth, you sample the two NDE uncertainty
8 distributions.

9 DR. KRESS: Do that over and over till you get a
10 new distribution?

11 MR. KARWOSKI: Right. And the number of
12 indications that you leave in service is a result of
13 whatever the -- you take your detected, divided it by .6,
14 you will grow everything that exists, and you will also have
15 the indications that you missed.

16 The one other factor, the .6 does not only account
17 for indications that were missed during inspection, it also
18 accounts for indications that could develop over the cycle.

19 Because we do not explicitly say there could be 50
20 more indications in the steam generator, the .6 POD accounts
21 for both those factors, the missed indications and
22 indications that can initiate during the course of the
23 cycle.

24 DR. KRESS: What do you do with this bottom
25 distribution, once you get it?

1 MR. KARWOSKI: With the end-of-cycle, that's my
2 next slide.

3 DR. KRESS: Okay.

4 DR. BONACA: I would like to know, how does it
5 account for those that are not detected? I mean, the .6, if
6 I understand it, you take the reading, which is the voltage,
7 and you multiply it by 1.6 or whatever, or you divide it by
8 .6 to get the new voltage value.

9 MR. KARWOSKI: To get the number of indications.
10 If you found one indication, and it was below the repair
11 limit, and you could leave it in service, you would take the
12 one indication, divide it by .6, and you'd end up with
13 roughly 1.7 indications.

14 You would take that 1.7 indications that would be
15 at that specific voltage, because you're not repairing
16 anything. You'd sample 1.7 indications and propagate it
17 through.

18 DR. BONACA: So the number of indications that you
19 are separating then?

20 MR. KARWOSKI: Right. It's the number of
21 indications at that specific voltage. So, recognize that
22 one of the industry complaints of our model is they say that
23 as the voltage gets -- as the voltage rises, they believe
24 their probability of detection increases, because it's a
25 much bigger flaw, the noise or the signal will come much

1 clearer out of the noise and the analyst isn't going to miss
2 it.

3 So, one of their criticisms is this constant POD
4 model. If I had a 13.7 volt indication, and I detected it
5 and I'm going to repair it, this model will require for them
6 to leave in at the beginning of cycle, 7/10ths of an
7 indication that is at 13.7 volts.

8 Their criticism is, if we had a 13.7 volt
9 indication, we would find it. Their position is 100 percent
10 of the time. We say you need to leave .7 of an indication
11 there.

12 DR. KRESS: When you divide by the .6 and get a
13 number, the number of indications is an integer, a whole
14 number. Do you round it up to the next whole number, or
15 just leave it as a fraction?

16 MR. KARWOSKI: The fractions are propagated.

17 DR. KRESS: The fractions are propagated, okay,
18 which is all right when you're doing a Monte Carlo.

19 MR. KARWOSKI: But, yes, you're right. But if
20 you're counting multiple bursts or something, it poses some
21 challenges, but we leave all the fractional indications in
22 service.

23 So what do we do with that end-of-cycle
24 distribution? I said there's two things we do:

25 We do the probability of rupture calculation, and

1 we do the conditional leak rate calculation.

2 With respect to the probability of rupture, we
3 start with this end-of-cycle distribution. We have our
4 burst pressure correlation that we discussed this morning.

5 It has scatter around it. We sample around it.
6 If we picked ten volts, we'd come over and say that for a
7 ten-volt indication, what is the range of burst pressures
8 that we can have?

9 We take that sample. Then we say this has been
10 normalized to a specific material property. We then come in
11 here and take a sample of our material properties
12 distribution, scale the burst pressure, determine what that
13 burst pressure for that one indication is, and determine
14 whether or not it's going to rupture under steam line break.

15 We repeat the process for all of the indications
16 in the steam generator and determine if there was a rupture
17 in that steam generator during that one Monte Carlo cycle.

18 Then we repeat it, tens, hundreds, thousands of
19 times to determine the probability of rupture under steam
20 line break conditions.

21 Leak rate calculation --

22 DR. CATTON: And this is done with 100-percent
23 evaluation of the steam generator, all the tubes are
24 checked?

25 MR. KARWOSKI: All the tubes are checked, 100

1 percent at each intersection.

2 Another conservatism in the model is there can be
3 multiple indications in a tube. The model treats them all
4 as if they were independent tubes, so if you had two
5 indications in the same tube, theoretically you could get
6 two bursts from that and it's just counted -- they're
7 counted as two multiples.

8 DR. CATTON: The multiples can be greater than the
9 number of tubes?

10 MR. KARWOSKI: Yes, yes. That's usually not the
11 case, but in the extreme, you're correct.

12 DR. SIEBER: Just so I understand, it seems to me
13 that if you repaired everything that you postulated would
14 leak, the fact that you end up with -- break, excuse me --
15 the fact that you end up with a probability of burst, really
16 comes from all these uncertainties that you have factored
17 into this.

18 Otherwise, you would know it perfectly that
19 everything would be accurate, and you could fix everything.

20 MR. KARWOSKI: Right, and that's one of the
21 industry's criticisms of our model, because even if they
22 repair everything, because of that probability of detection
23 adjustment and the uncertainties, they can predict extreme
24 --

25 DR. SIEBER: There's going to be something in

1 there?

2 MR. KARWOSKI: Right.

3 DR. SIEBER: Okay, thank you.

4 MR. HIGGINS: So you could you explain the
5 probability -- after you do the probability of rupture
6 calculation, is there an acceptance criteria there that
7 would then cause them to go back and make additional repairs
8 beyond what the voltage requires them to make?

9 MR. KARWOSKI: Yes. The acceptance criteria --
10 there's a reporting requirement. If the conditional
11 probability of burst exceeds one times ten to the minus
12 second, then they are required to notify us.

13 One of the corrective actions would be to plug
14 more tubes. Recognize, though, the other problem with --
15 not problem -- one of the issues with the methodology is
16 that you could start off with a very high probability of
17 rupture because of that POD adjustment.

18 MR. HIGGINS: And has that happened? What are the
19 typical results?

20 MR. KARWOSKI: Typically, usually, the few high
21 voltage indications dominate the burst probability, and so
22 once you start leaving 7/10ths of an indication in service,
23 that drives the probability.

24 MR. HIGGINS: I mean, have you had cases where you
25 had to repair additional -- plug additional tubes beyond

1 those that would have been called for by the one volt or two
2 volt criteria?

3 MR. KARWOSKI: I don't believe that has happened,
4 although I think that in one instance -- there is one
5 instance that I'm definitely aware of where the probability
6 exceeded one times ten to the minus two.

7 I believe it was 1.2 times ten to the minus
8 second, so I know there was one instance where it went over.

9 DR. SIEBER: The limit that you're looking for is
10 one times ten to the minus two?

11 MR. KARWOSKI: Yes.

12 DR. SIEBER: Okay, thank you.

13 DR. KRESS: Where did that number come from?

14 MR. KARWOSKI: That is on a slide towards the
15 back, but it's 1/5th the value that was assumed in the
16 staff's assessment of risk assessment of steam generator
17 tubes in NUREG 0844.

18 The value was just 1/5th because this is only one
19 degradation mechanism. We assumed a probability of rupture
20 in that report of five times ten to the minus second and we
21 said we didn't want one mechanism controlling, you know,
22 right up to the limit. There are other mechanisms going
23 on.

24 The other reason is that it gives us some insights
25 on whether or not any tubes may not meet the Regulatory

1 Guide 1.121 structural criteria. Even though we're
2 calculating the probability of burst, we wanted some
3 insights on whether or not there are any tubes that are
4 starting encroaching on the deterministic structural
5 margins, the worst case tube.

6 DR. KRESS: Where did the number -- what's the
7 technical basis for the number as multiplied by five?

8 You say you took one-fifth of the number. What's
9 the technical basis for the --

10 MR. KARWOSKI: For the five times ten to the minus
11 second?

12 DR. KRESS: Yes.

13 MR. KARWOSKI: Somebody else -- basically I think
14 they did a risk assessment that assumed a frequency of
15 rupture of five times ten to the minus second, propagated
16 that through a risk assessment, and determined that that was
17 acceptable.

18 That's my understanding.

19 MR. STROSNIDER: That's correct. The assumption
20 in NUREG 0884 --

21 MR. KARWOSKI: 0844.

22 MR. STROSNIDER: 0844, I always get that mixed up.
23 But the assumption was made of a conditional failure
24 probability, given a main steam line break, of five times
25 ten to the minus second.

1 And when that was worked through the whole risk
2 assessment then, it was found that it gave an acceptable
3 level of risk.

4 All right, and then we reduced it to account for
5 the potential for other modes of degradation. I think Steve
6 --

7 DR. KRESS: It gave an --

8 MR. STROSNIDER: -- might be able to explain that
9 in more depth.

10 DR. KRESS: Okay.

11 MR. LONG: I wasn't involved in 0844, but Emmett
12 can correct me if I get this wrong. Initially, they were
13 trying to determine what they thought the conditional
14 probability of burst would be for a main steam line break,
15 based on experience, and largely that was experience of
16 ruptures that had occurred and some estimate of the period
17 of time that it would take to grow from where they could be
18 susceptible to rupture when the depressurization occurred,
19 to the period when they just ruptured during normal
20 operations.

21 So there was sort of an exposure estimate in
22 there. And I think it was essentially that exposure
23 estimate, with some adjustments for things they didn't think
24 they really observed, it was put into the risk assessment in
25 0844 to see if there was an acceptable or an unacceptable

1 situation.

2 It wasn't intended to be a limit when they did
3 that calculation. And it wasn't a risk assessment that
4 recognized severe accident sensitivities or that sort of
5 thing.

6 So it was done about 1985, I guess.

7 MR. MURPHY: The report was issued in 1988.

8 MR. LONG: So that's sort of the first of three
9 risk assessments that you will hear about, the one for 1477
10 being the next, and 1570 being the most recent one.

11 DR. KRESS: We'll hear about this later, will we?

12 MR. LONG: To some degree. We didn't intend to go
13 into it that way, so that's why I'm explaining it now.

14 The point I was trying to make, though, is, we
15 didn't try to use the .05 as some sort of an acceptance
16 criteria. It came from experience, and it was essentially
17 evaluated to see if it was something that we should try to
18 backfit.

19 MR. STROSNIDER: But I might add that when we were
20 developing Generic Letter 95-05, that's the risk assessment
21 that we had to look at.

22 And when we looked at it, we said, well, five
23 times ten to the minus second, when that was propagated
24 through the risk assessment for those sequences associated
25 with main steam line break, it resulted in an acceptable

1 level of risk.

2 So, we said, okay, we'll use that as an acceptance
3 criteria.

4 DR. KRESS: Yes. What was your criteria for an
5 acceptable level of risk?

6 MR. STROSNIDER: I don't know what it would have
7 been in '88 in terms of -- we'll have to get back to you,
8 okay?

9 MR. KARWOSKI: The one other item that I should
10 point out with respect to the probability of burst
11 calculation is that it's evaluated at a 95-percent
12 confidence value.

13 It's not just whatever the probability is; it's at
14 a 95-percent confidence value.

15 The other portion, the leakage integrity portion,
16 is depicted on this viewgraph. It's a similar methodology;
17 you do a Monte Carlo analysis. You sample the end-of-cycle
18 distribution for a specific voltage.

19 You come to the probability of leakage
20 correlation, and determine whether or not the tube will
21 either leak or it won't leak. If it leaks, you come into
22 the leak rate correlation and determine --

23 DR. KRESS: If you have a probability of leakage?
24 That's like Schrettinger's cat; it's both dead and alive.
25 What do you mean, it won't leak or it will leak? If it has

1 a probability of leakage, it has a probability.

2 I didn't understand your statement; that's what
3 I'm saying.

4 MR. LONG: Oh, for a given voltage, there is a
5 probability that a tube will either leak or it won't leak.

6 DR. KRESS: It's still Schrettinger's cat. I
7 don't quite understand. If it's a probability of a leak,
8 then one minus that is probability that it won't leak. I'm
9 still having trouble figuring out what you're saying.

10 MR. STROSNIDER: The point is that the probability
11 depends on voltage.

12 DR. KRESS: Of course it does. But it's a
13 probability --

14 MR. STROSNIDER: But I think the point is that it
15 either will leak or won't leak. If it leaks, the
16 probability is one, and those are the datapoints that are on
17 the top.

18 If it doesn't leak, the probability is zero.
19 Those are the datapoints that are on the bottom.

20 DR. KRESS: Yes, but that's a delta function.

21 MR. STROSNIDER: I'm sorry, I didn't hear you.

22 DR. KRESS: That's a delta function; that's not a
23 distribution.

24 MR. STROSNIDER: Well, and this came up yesterday.
25 Art Buslick raised a question about how you fit the

1 distribution to those data.

2 DR. KRESS: Once you have a distribution, though,
3 it's just a probability.

4 MR. KARWOSKI: Let me try it this way: You pulled
5 these tubes, okay, and you test to determine whether or not
6 they're going to leak under steam line break conditions.

7 You've got various voltages, okay?

8 DR. KRESS: So you plot that.

9 MR. KARWOSKI: When you test this tube, it either
10 leaks or it doesn't leak; there is no -- it either leaks or
11 it doesn't leak.

12 So you have the voltage associated with that
13 indication, and you either know if it doesn't leak, or if it
14 leaks.

15 DR. KRESS: Sure.

16 MR. KARWOSKI: Okay? There may be five tubes with
17 the same voltage. Three of them may leak; two of them don't
18 leak, okay, for a given voltage, okay?

19 So when you come in there, say, you just had
20 indications of that voltage, roughly 60 percent of the time,
21 3/5ths, 60 percent of the time you will assume that that
22 indication leaks; 40 percent of the time, you will assume
23 that it doesn't leak. Does that --

24 DR. KRESS: Yes, that answers my question. It's
25 just a probability.

1 MR. HIGGINS: Are you talking now about applying
2 the methodology or the development of these curves?

3 MR. KARWOSKI: Also applying it. It's the
4 development of the curves and applying it, because once you
5 have this function -- and I'll talk about this in a minute
6 -- once you have this function, you have a relationship and
7 you can say that there is a certain probability that an
8 indication with that voltage will leak, and one minus that
9 is the probability that that indication will not leak.

10 So you go through this method; you sample your
11 voltage, you sample your probability of leakage to determine
12 whether or not the tube either leaks or it does not leak,
13 you determine the associated leak rates with that voltage.
14 You add it up for the entire steam generator, and you get a
15 value for leakage.

16 You repeat this for all the indications in the
17 steam generator, and you've got the one value of the leakage
18 for that steam generator, you repeat it, tens, hundreds of
19 thousands of times, and you will have a distribution of leak
20 rates.

21 You order those, you take the 95th percentile, at
22 the 95-percent confidence, and that's what you say your
23 leakage is under steam line break conditions. So it's a
24 95/95 leak rate, okay?

25 There was some discussion yesterday on the

1 probability of leakage correlation, and this one is not in
2 your handout. What I have plotted here -- and it's probably
3 not worth your effort to figure out which curve is which --
4 but it's basically looking at six different functions of the
5 probability of leakage.

6 Okay, there is no theoretical basis for the log
7 logistic curve that we are using. We've documented that in
8 NUREG 1477. There's no basis, theoretical basis.

9 DR. KRESS: And there's not enough data to
10 best-fit any of it.

11 MR. KARWOSKI: They all have equal -- so, why did
12 we choose the log logistic over any of the others? Well,
13 before I get into that, I mean, if you look at this some of
14 these functions -- and, truthfully, I don't even know which
15 ones the log logistic predicts a probability of leakage for
16 very small indications, most of them don't.

17 These curves criss-cross. To determine which one
18 is conservative, you're not going to be able to do it,
19 because it's going to depend on the distribution of
20 indications you leave in service.

21 You can do it only if you analyze that steam
22 generator, because these curves are criss-crossing, and so
23 it depends if you have a lot of low voltages, medium
24 voltages, or high voltages.

25 In NUREG 1477, we did some analysis where we

1 shifted the distribution and determined the leak rates. And
2 in some cases, I believe it was the log co, she was
3 conservative, and in other cases, the log logistic was
4 conservative.

5 So, the staff did look at, you know, should we be
6 using a different function or how should we implement it?

7 What the staff subsequently decided was that the
8 log logistic was acceptable for several reasons, one being
9 the POD adjustment was conservative; we're evaluating leak
10 rate at the 95th percentile and a 95-percent confidence.

11 Those are two primary reasons, so the staff did
12 look into which curve to use, and we chose the log logistic.
13 The next few slides just basically describe what I said,
14 conditional probability of burst. It discusses the process
15 and the acceptance criteria. And this slide discusses the
16 leakage distribution.

17 I wanted to spend a little more time on here
18 because I think, as Dr. Powers pointed out, you know, it had
19 very low correlation coefficients for some of those leak
20 rate correlations, and there has been considerable study of
21 this data.

22 The way the methodology works for the leak rate
23 correlation -- and I don't believe this one is in your
24 package. This is something that I prepared subsequently.

25 DR. KRESS: No wonder I couldn't find that.

1 MR. KARWOSKI: If the linear correlation can be
2 developed between the leak rate and the voltage -- this
3 isn't the actual data, so you have the data in those
4 proprietary summaries that I passed out -- but -- well, let
5 me start over.

6 When you look at this data, the original data, you
7 could look at it and say, well, should the curve be like
8 this? Should it be like this? Should it be like that?

9 The industry did a linear regression and came up
10 with a curve. The staff was concerned, is there really a
11 correlation there?

12 We had a statistician look at it. And basically,
13 what he concluded, at least for the 7/8ths inch diameter
14 database -- and it may have been the same with the 3/4 inch
15 at the time, but for the 7/8 inch database, he concluded
16 that there wasn't sufficient confidence that the slope was
17 not zero.

18 So, basically he said there is no correlation.
19 The implications of that to the utilities is that a tenth of
20 a volt indication, the way we interpreted that is,
21 regardless of the voltage, the indication will leak by the
22 same amount.

23 And that's what the Generic Letter describes, an
24 acceptance criteria for showing whether or not you have a
25 correlation or you don't.

1 And it's a standard statistical test, a P-value
2 test, and you have to have a 95-percent confidence that the
3 slope of the line is not zero.

4 DR. KRESS: This is sort of a generic correlation
5 that you build up a database for.

6 MR. KARWOSKI: Right.

7 DR. KRESS: And you're saying that before -- I'm
8 not quite I understood. You're saying that before you can
9 use this in your alternative criteria, you have to have
10 enough data to have a correlation?

11 MR. KARWOSKI: No.

12 DR. KRESS: I'm not quite sure what you're saying.

13 MR. KARWOSKI: What I'm saying is, if you can just
14 demonstrate by statistical tests that the slope of this line
15 is non-zero --

16 DR. KRESS: I thought you already said that you
17 tried that, and it wasn't.

18 MR. KARWOSKI: The Generic Letter is more
19 performance-based. Instead of saying here is the
20 correlation at this time, and there is the slope, we
21 recognize that they're going to pull additional data.
22 They're going to get more data which --

23 DR. KRESS: At some point in time, you may have a
24 correlation?

25 MR. KARWOSKI: That's correct, or you may go from

1 correlation to not. The bottom line is, when you get more
2 data, you have to put it in these correlations and you have
3 to use the most recent database.

4 We didn't want to lock in a certain database,
5 knowing that utilities will gain more experience.

6 DR. KRESS: Up to the point where they
7 statistically can't say they have a correlation, what do
8 they do up to that point?

9 MR. KARWOSKI: When they don't have a correlation,
10 they have to assume that essentially the tube will leak at a
11 specified value.

12 DR. KRESS: And that value is what?

13 MR. KARWOSKI: They basically do a Monte Carlo
14 analysis and model the error and say -- around the
15 regression line, what the slope at zero. So basically they
16 average the log of the leak rate, obtain a value, and then
17 sample the uncertainty around that line, and basically
18 assume that the leak rate is independent of voltage.

19 A tenth of a volt indication will leak the same as
20 a 25 volt indication.

21 DR. KRESS: Put that line through the average of
22 the data?

23 DR. CATTON: That's what it amounts to.

24 MR. KARWOSKI: Through the average of the log, it
25 will leak -- they basically do a -- right.

1 DR. KRESS: That doesn't sound like a very
2 interesting thing to do.

3 MR. KARWOSKI: Well --

4 DR. CATTON: It's zero physics. It's simple, too.

5 DR. BALLINGER: But what is the criteria, exactly,
6 by -- what is the fence that they get over before they say
7 it's a correlation? What is the statistical test that has
8 to be passed?

9 MR. KARWOSKI: The P-value has to be less than
10 .05. There has to be a 95 -- I hope I get this right; I'm
11 not a statistician.

12 It has to be a 95-percent confidence that the
13 slope of that regression line is not zero.

14 DR. KRESS: That's the sort of standard rule of
15 thumb for statisticians, I guess.

16 DR. CATTON: If you don't know a damn thing, you
17 just average everything.

18 MR. KARWOSKI: Well, not only do you average it,
19 but you also model the uncertainties.

20 DR. CATTON: The only thing you're bringing in
21 over here is the distribution of voltages. A tenth of a
22 volt is probably not going to show -- you just toss out all
23 the physics when you do that.

24 MR. KARWOSKI: This is an empirical --

25 DR. CATTON: It's not even empirical. I mean,

1 you've just thrown everything away.

2 DR. KRESS: There's no physics in there anyway.

3 DR. BALLINGER: But it just says there's no
4 information in the data.

5 DR. CATTON: That's right. So how do you pick the
6 number that you use that's meaningful?

7 DR. KRESS: I think that's your point, right?

8 DR. CATTON: That's right, how do you know?

9 MR. STROSNIDER: This is Jack Strosnider. I'd
10 suggest that one of the things that might need to be pointed
11 out is that there is a very large uncertainty -- not
12 uncertainty but actually variability in scatter and leakage
13 rates through cracks.

14 And we're talking orders of magnitude, as I
15 recall, three leakage values. And that's part of what
16 drives this, is there is a large variability.

17 And there was discussion yesterday about what sort
18 of particulate might be in the cracks, and what the
19 morphology is and that sort of thing.

20 DR. CATTON: That's right.

21 MR. STROSNIDER: And even when you grow single
22 stress corrosion cracks in a tube, you get very large
23 variability. So trying to get a lot of information out when
24 you've got that much scatter, that may contribute to some of
25 the problem here.

1 But anyway, that's -- the industry was not happy
2 with what was sometimes referred to as the flat earth model,
3 where we said, okay, just take this horizontal line.

4 But as Ken indicated, we tried to build into it,
5 as the database grew, if the correlations became more
6 obvious, then it could be used.

7 DR. KRESS: We have an imminent --

8 MR. SHACK: This is Bill Shack. Let me just take
9 a crack at it. This is a bad joke here.

10 DR. KRESS: Fine.

11 MR. SHACK: One of the reasons that -- you know,
12 physically, I think this thing sort of works out the way you
13 expect it to work out.

14 There is a rough correlation for cracks up to a
15 half an inch between the crack length and the voltage, that
16 is, the voltage increases rather rapidly with crack length
17 up to about half an inch, and then it kind of flattens off.

18 Well, most of the cracks of interest here are on
19 the order of something less than a half an inch, so that an
20 increase in voltage is a measure of crack length.

21 Burst pressure depends only on crack length. So,
22 I would expect to get a reasonable correlation between burst
23 pressure and voltage.

24 Leak rate doesn't depend just on crack length; it
25 depends on crack depth. And so I expect to get a hell of a

1 lot more scatter in my voltage versus leak rate correlation,
2 than I do in my voltage versus burst correlation, and so I
3 get a better statistical fit for the pressure, burst
4 pressures, than I do for the leak rate, because I'm trying
5 to look at both.

6 And as Jack said, even if I knew the depth of the
7 crack and the length of the crack, I still have more
8 uncertainties in the leak rate, because it depends on lots
9 of things.

10 DR. KRESS: Don't you have to have a through-wall
11 crack to get a leak rate?

12 MR. STROSNIDER: Right, and that's probably the
13 biggest thing here, but that's sort of accounted for in the
14 zero to one.

15 Either I've got a through-wall crack or I don't.

16 DR. KRESS: That's sort of wrapped up in that
17 distribution?

18 MR. STROSNIDER: That's wrapped up in that
19 distribution. But then once I do that, even though I have
20 decided I've got a through-wall crack, I really don't know
21 how much the through-wall length is, where the burst
22 pressure is.

23 I just keep upping the pressure until I rip the
24 thing open, and I know really how long it was.

25 All I'm arguing is that the fact that you have

1 lots of scatter here and you get a better correlation, the
2 burst pressure, isn't a surprise. But the answer is, you
3 shouldn't expect a terribly good correlation here, so what
4 are you supposed to do?

5 DR. CATTON: And it's a nice physical explanation
6 of the observations. But the question still remains, what
7 are you supposed to do?

8 I guess the only thing is that you have a low-end
9 cutoff on the voltage; don't you, with that probability of a
10 leakage. If the voltage is less than some number, it
11 doesn't leak.

12 So when you say even a tenth of a volt has a leak,
13 it doesn't, because there is a cutoff.

14 MR. KARWOSKI: Right, wherever there is some --

15 DR. CATTON: There's a cutoff. And I bet that
16 you're at zero at a tenth of a volt.

17 MR. KARWOSKI: You could be. I don't recall.

18 DR. CATTON: That's what that is, it's a gate that
19 sits right in the middle.

20 MR. STROSNIDER: This is Jack Strosnider. Art
21 Buslick could address this better than me, but I think all
22 those fits go through zero. But the probabilities do become
23 very, very small.

24 DR. KRESS: For the log, the logistic, you don't
25 have a cutoff; it goes to zero asymptotically. There is

1 still a small probability.

2 MR. STROSNIDER: It could be a small number, but
3 the utility, the thing they didn't like about it is that if
4 they had a large number of small voltages, that they could
5 still generate some sort of leakage.

6 DR. CATTON: I would be concerned if I were them,
7 too.

8 But from the other side, you'd probably get a
9 too-low rate at the high voltage.

10 DR. KRESS: Basically what they're saying is that
11 those two sets of data on the top and bottom, and when you
12 get down that low, there are no overlapping, although this
13 curve would have said there was some overlapping.

14 MR. STROSNIDER: I think the answer to your
15 question with what you do with it -- and this may just spur
16 more discussion -- but my response is that you take a
17 conservative approach, which is what we think we did, in
18 terms taking the constant leakage --

19 DR. CATTON: Where you put the line is on the high
20 side, rather than the low side?

21 MR. STROSNIDER: Well, Ken can explain it.

22 DR. KRESS: I think we may have to.

23 MR. STROSNIDER: When you go through this
24 evaluation, then you look at some 95th percentile.

25 MR. KARWOSKI: If you look at the type of voltages

1 that the plants are running at, giving it the zero slope or
2 the flat earth, however you want to look at it, that's going
3 to be more conservative, because usually there aren't a lot
4 of large voltage indications.

5 What will drive the probability is the leakage
6 from those low voltages. You still have a finite
7 probability that those will leak.

8 MR. MUSCARO: Joe Muscaro with the NRC staff, I
9 just have a point of clarification. I think Bill mentioned
10 the phenomenon in reverse. I think he said that the leakage
11 depends on the length and depth and burst on length.

12 Well, it's the reverse, of course. Leak rate
13 depends on the length of the flaw, but burst depends both on
14 the length and depth.

15 The other point was the physical basis for whether
16 there should be a correlation or not with respect to voltage
17 versus crack length, which is important for leakage.

18 And there some studies we have done in the past
19 and have show that the voltage starts at a crack length of
20 about 3/10 of a inch, which makes this fairly important for
21 the application when we're talking about cracks that are
22 less than 3/4 of an inch long.

23 So there is a saturation effect on the voltage.
24 The physics limits it. I mean, it only sees a certain
25 portion of the crack, so there is no additional voltage

1 beyond about a 3/10 of a inch crack with the coil that we
2 use today. Of course, that's a function of the design of
3 the coil.

4 MR. HIGGINS: Ken, you said that this is being
5 updated, and how is that done? Is somebody the keeper of
6 the curve for all of industry, and then people use that?

7 MR. KARWOSKI: Essentially, that's correct, either
8 EPRI or NEI -- and I don't recall which one. I believe that
9 NEI sends in the formal report, but it's an EPRI report.

10 But basically, annually they update. There is a
11 specific protocol, and I believe it's annually. They
12 incorporate all the pulled tube data from that year, they
13 put it in the correlations, they develop revised
14 correlations, and they give those to the industry.

15 The case where I said that one plant exceeded the
16 one times ten to the minus two burst probability, what
17 happened there is, they did their inspection, they
18 calculated the probability of burst to be less than ten to
19 the minus two.

20 They incorporated more data into the burst
21 pressure correlation, and when they did that and reran their
22 burst results, they ended up slightly greater than one times
23 ten to the minus second. That's what happened in that case.

24 So, utilities, when they do these calculations are
25 supposed to use the most recent database.

1 DR. CATTON: Is this number increasing or
2 decreasing with time?

3 MR. KARWOSKI: The?

4 DR. CATTON: The leak rate, the uncorrelated leak
5 rate number?

6 MR. KARWOSKI: I believe there is a correlation
7 now for both the 3/4 inch and 7/8 inch database.

8 DR. CATTON: So it's beginning to get a little bit
9 of a --

10 MR. KARWOSKI: A slope, right.

11 DR. KRESS: So at some magic point in time, people
12 will quit using this flat earth average with the
13 distribution around it, and go to this actual curve?

14 MR. KARWOSKI: With also distribution around it,
15 because as was pointed out, there is a lot of scatter.

16 DR. KRESS: And you won't be penalizing the small
17 cracks as bad?

18 MR. KARWOSKI: That's right, and it makes a --
19 once again, it's going to depend on your distribution of
20 indications, but for the one plant that I'm aware of, it
21 reduced their leakage by a factor of three.

22 They were predicting something on the order of 13
23 gpm, and when they went to this it was more like four or
24 five. So, it reduces the leakage considerably.

25 Okay, one of the important aspects of this Generic

1 Letter is that it requires the licensees to submit certain
2 data.

3 With that data, you can go back and compare the
4 projected and actual end-of-cycle distributions. That
5 allows you to check various things. Is the .6 POD, is that
6 accounting for new indications and the probability of
7 detection accordingly? Was your growth rate assumption
8 realistic?

9 Was my NDE uncertainty realistic? Because you can
10 compare what you actually found to what you projected.
11 That's a very important aspect of this.

12 These comparisons have generally shown the
13 methodology to be conservative. That's not to say that
14 they're perfect; that's not to say that they're haven't been
15 indications with larger voltages than we predicted, as was
16 pointed out yesterday. I will discuss that specific
17 example.

18 But the staff did do a comprehensive review of
19 what I have termed the 90-day reports, where the utilities
20 supply their inspection results, both their projections and
21 their actual results.

22 DR. KRESS: This is one of those cases where you
23 hope you're not gently flowing down the stream and suddenly
24 about to go over a waterfall, a cliff-edge type thing? I
25 don't know how you deal with that in terms of projecting

1 forward in time, based on past history.

2 MR. STROSNIDER: This is Jack Strosnider. I'd
3 just make a short comment on that, which is that I think
4 what you're talking about is how can I foresee what's going
5 to happen in the next cycle of operations?

6 DR. KRESS: Yes.

7 MR. STROSNIDER: That's an issue that exists,
8 regardless of what --

9 DR. KRESS: No matter what.

10 MR. STROSNIDER: -- what repair criteria or
11 inspection method you use. And you can go to laboratory
12 data to get some insights, all right, but we have found,
13 historically, we think, that the best predictor is what
14 happened in the last cycle.

15 That doesn't mean that you won't some day be
16 surprised with a new form of degradation or some higher
17 growth rate, and you have to deal with that when it occurs.

18 But nobody has a crystal ball to say exactly
19 what's going to happen in the next cycle.

20 CHAIRMAN POWERS: You're going to show us some
21 examples of where the methodology has been compared?

22 MR. KARWOSKI: Yes, I will show you -- I have two
23 examples. I just pulled out two.

24 But back in 1997, we did do a comprehensive review
25 of, I believe it was eight 90-day reports, and there were

1 some issues that were identified as a result of that.

2 One of the issues was, when you have a low number
3 of indications, your projections typically are off, but with
4 respect to the distribution that you find in the next cycle
5 -- but that necessarily is not a bad thing.

6 When you look it from the probability of rupture
7 or leakage, what you're finding out is, you know, you
8 predicted a ten to minus four probability of rupture, and
9 instead, it's five times to minus four.

10 In general, in all of these assessments, in not
11 one instance did we exceed the acceptance criteria of one
12 times ten to minus second for burst, or the applicable
13 leakage limit at that plant.

14 The other thing I'd point out is that as a result
15 of implementing this repair criteria, there has been no
16 significant operational leakage.

17 DR. CATTON: Your second paragraph says
18 comparisons have generally shown methodology to be
19 conservative.

20 MR. KARWOSKI: Yes.

21 DR. CATTON: What's your measure?

22 MR. KARWOSKI: The measure is several things: We
23 look at what the distribution of voltage is. Did we predict
24 the peak voltage?

25 Did we -- how did we do with respect to burst and

1 leakage? What was our predicted probability of burst and
2 what was our actual probability of burst, based on the
3 inspection findings.

4 DR. CATTON: I can buy into that, but now what
5 about leakage?

6 MR. KARWOSKI: The same thing for leakage: What
7 did we predict for leakage, and what will we predict, based
8 on our actual end-of-cycle findings?

9 DR. CATTON: End-of-cycle findings is a measured
10 leak rate for the steam generator? What is the end-of-cycle
11 finding that you compare with leakage?

12 MR. KARWOSKI: Okay, when you go in and do an
13 inspection today, okay, you're going to have a distribution
14 of indications. Before I do any repairs, I say, how much
15 leakage would I have gotten from that distribution of
16 indications?

17 DR. CATTON: Okay.

18 MR. KARWOSKI: Okay? Now, I go back to the prior
19 cycle. What did I predict I was going to get?

20 If I predicted --

21 DR. CATTON: But you haven't measured leakage and
22 compared it with prediction?

23 MR. KARWOSKI: No.

24 DR. CATTON: So this is all just paper? It's an
25 earlier estimate with the present estimate, but there is no

1 actual comparison.

2 So you don't know whether you're conservative or
3 not. You may have been non-conservative in both cases, one
4 must more than the other or less than the other.

5 MR. KARWOSKI: The burst and leakage are a
6 comparison based on the methodology. The actual findings is
7 a comparison of what you have.

8 MR. STROSNIDER: This is Jack Strosnider. What
9 you have --

10 MR. CATTON: I thought I asked and you said no.

11 MR. STROSNIDER: What you have compared is you
12 have compared the predicted versus the measured end of cycle
13 voltage distribution.

14 MR. CATTON: Yes.

15 MR. STROSNIDER: That is what you have compared.

16 In terms of what leakage would be associated with
17 those two distributions, it uses the same methodology. As
18 you say, if there is some bias in that methodology it would
19 be there in both --

20 MR. CATTON: So you really don't know where you're
21 at.

22 DR. KRESS: There's no additional information --

23 MR. CATTON: That's right.

24 DR. KRESS: -- in going to that second comparison,
25 yes.

1 MR. CATTON: So this second statement, comparisons
2 have generally shown methodology to be conservative we don't
3 know.

4 MR. KARWOSKI: In predicting the end of cycle
5 voltage.

6 DR. KRESS: With respect to that you can say that.

7 MR. CATTON: It only has to do with voltage. It
8 has nothing to do with the leakage.

9 MR. KARWOSKI: Yes.

10 MR. CATTON: We have a model that we might
11 believe --

12 DR. KRESS: You're comparing the bursts --
13 comparing the voltage and then comparing the leakage tells
14 you nothing, no additional information.

15 MR. CATTON: Bursts I buy because they actually
16 have correlations and so forth but the leakage is so all
17 over the map I don't think you can come to a conclusion.

18 DR. KRESS: But even comparing -- you know, it
19 makes no sense to compare predicted bursts to actual bursts
20 or predicted leakage to actual leakage. The comparison you
21 are getting is voltage to voltage, predicted versus actual,
22 and that is the only information you have really.

23 MR. CATTON: That's right.

24 MR. HIGGINS: But the leakage database should be
25 getting better as you go over the years because you are

1 adding more and more pulled tubes that you are testing.

2 DR. KRESS: Yes. Yes, the database ought to get
3 better. Your ability to convert the number in the leakage
4 is getting better.

5 MR. STROSNIDER: I think I'd just comment I think
6 it's kind of indicated there is a correlation in the leakage
7 database now -- you know, because additional data have been
8 added and it meets the criteria that were established but
9 again I would come back and make the point again that when
10 we start talking about leakage under main steam line break
11 conditions that we are always relying on a model.

12 DR. KRESS: Oh, yes.

13 MR. STROSNIDER: Okay? We have a model here that
14 is tied to voltages. If you had crack measurements that
15 were accurate that you believed you would be going to
16 something like CRACKFLOOR or one of the other models that
17 was discussed yesterday, so yes, we are constrained by
18 having a model. That is just a reality of it.

19 DR. KRESS: These leakage correlations were
20 developed using the normal operating delta p, right?

21 MR. KARWOSKI: No, these are steam line break --

22 DR. KRESS: Those are steam line break leakages
23 that used the actual steam line break delta p.

24 MR. KARWOSKI: Right, and as I mentioned this
25 morning there are some adjustments to that data.

1 The test procedure calls for them to be run at
2 operating temperature. There are some data -- I looked at
3 lunch -- there are some data that are at room temperature
4 and they are adjusted over here.

5 The delta p could differ. The delta p for the
6 test --

7 DR. KRESS: You might not have tested at the delta
8 p --

9 MR. KARWOSKI: At 2650 -- it could be 2500, 2400.
10 I would have to look at each individual datapoint but there
11 is a range of differential pressure.

12 DR. KRESS: They would have corrected for that
13 some way?

14 MR. KARWOSKI: They would have corrected --

15 DR. KRESS: If they knew how leakage varied with
16 delta p they would have corrected maybe.

17 CHAIRMAN POWERS: They would know leakage varies
18 with delta p?

19 DR. KRESS: I don't, do you?

20 CHAIRMAN POWERS: I thought you knew everything.

21 DR. KRESS: If they were flowing through a pipe
22 I'd know.

23 [Laughter.]

24 CHAIRMAN POWERS: So how can they do the
25 correction?

1 MR. KARWOSKI: I am not aware of all the details
2 with respect to that correction procedure. I know that they
3 have corrected. I don't know the specific details of that.
4 We would have to get back to you on that.

5 The procedure is documented in the EPRI test
6 procedures.

7 MR. HOPENFELD: I'd bring to your attention that
8 this was a major point that I was making yesterday and I
9 wouldn't let you out of this room until you answered it.

10 MR. STROSNIDER: I think that the Staff committed
11 to get back on that subject and we will. Thank you very
12 much.

13 MR. HOPENFELD: Okay.

14 CHAIRMAN POWERS: I regret that I was called away.
15 Have we had a chance to discuss the famous log logistics
16 question.

17 DR. KRESS: We passed right through it just like
18 that. You want to go back to it?

19 [Laughter.]

20 MR. BALLINGER: Not without getting a definition
21 of what they defined as being proof.

22 CHAIRMAN POWERS: Okay, but sometime I would like
23 to hear about the log logistic curve just because I happen
24 not to know what a log logistic curve is.

25 Please continue.

1 DR. KRESS: We decided it was conservative for
2 very small cracks because it doesn't have a bottom cutoff
3 for it.

4 MR. KARWOSKI: Here is one example of a comparison
5 of actual and predicted. I just -- I don't want to spend a
6 lot of time on this one. I would rather go to the following
7 one that was discussed yesterday.

8 Basically if you look here the actual is the open
9 and the predicted with the POD of .6 is in black. This
10 other one is an approach proposed by EPRI that the Staff
11 hasn't approved, but if you look at this, here is the actual
12 number of indications predicted in this voltage range versus
13 the predicted and in general although you can't see out
14 here, in general we have been conservative.

15 CHAIRMAN POWERS: Maybe I need a little more
16 explanation.

17 You have plotted a number of indications versus
18 bobbin voltage and the black bars are what you predict and
19 the open bars are what was actually measured --

20 MR. KARWOSKI: Right.

21 CHAIRMAN POWERS: -- and when I look at the lower
22 areas you get more low voltage indications than you predict
23 but as you move up the voltage then you predict more than
24 you actually observe. Is that correct?

25 MR. KARWOSKI: But there are exceptions but in

1 general you tend to be conservative in this. This was just
2 one example. You are right. There are exceptions and the
3 Farley example

4 MR. STROSNIDER: Ken, I just might point out that
5 I think it gets back to using the leakage model, okay?

6 When you ask yourself is that distribution
7 conservative or not, what you do is use the predicted versus
8 the actual, calculate the leakage and say does this end of
9 cycle distribution result in more or less leakage than would
10 have been predicted.

11 Again, I think Ken said earlier that when we do
12 that in every case the leakage has been bounded, is that --

13 MR. KARWOSKI: What I said is that in every case
14 when you do that the leakage is always less than the
15 acceptance limit based on the dose equivalent of Iodine 131
16 in the tech specs.

17 In some cases it may have been higher than the
18 predicted but it has always been less than the dose allowed,
19 the leakage that will be permitted --

20 CHAIRMAN POWERS: Do you have the numerics on
21 that?

22 MR. KARWOSKI: Numerics? Like the number of times
23 it's happened or --

24 CHAIRMAN POWERS: Well, like a leakage predicted
25 versus a leakage actual -- I'm sorry. A leakage predicted

1 versus leakage predicted from the actual distribution?

2 MR. KARWOSKI: We have that data. I think I may
3 have it for the Farley.

4 CHAIRMAN POWERS: Oh, good.

5 MR. KARWOSKI: But I don't know if I wrote it
6 down.

7 This is the Farley example. Getting at the
8 comparisons, the statement that the comparisons have
9 generally been conservative, this is an excerpt from a
10 Farley submittal. This would be their end of Cycle 14
11 projections, what they planned on, what they expected to
12 find.

13 Here's the number of indications that they
14 expected. Here's the maximum voltage that they projected.
15 Here's the burst probability, single tube burst probability
16 and here is the steam line break leak rate, okay?

17 If you look, let's look at the number of
18 indications. In all cases the projections bounded the
19 actuals. The max voltage, in this case they are equal.

20 The projection, in Steam Generator B the
21 projection was greater. In Steam Generator C this is the
22 indication we were talking about yesterday. It was 13.7
23 volts but this value is adjusted for NDE uncertainty and
24 that is why it is listed as 14.9 but it is the same
25 indication.

1 In this case we underpredicted the max in the
2 cycle voltage.

3 With respect to burst probability, if you look at
4 these values --

5 CHAIRMAN POWERS: These means or are these the 95
6 percentiles?

7 MR. KARWOSKI: These are the 95 percentiles.

8 Steam Generators A and B we conservatively
9 predicted and the burst probability Steam Generator C we
10 underpredicted.

11 What I was saying was this value was still less
12 than 10 to the minus 2.

13 I would also point out that what is driving this
14 burst probability is that single, is that large voltage
15 indication.

16 With respect to leakage with Steam Generators A
17 and B our projections were conservative compared to here.
18 Likewise for Steam Generator C.

19 CHAIRMAN POWERS: Why was that?

20 MR. KARWOSKI: It was probably because they were
21 using the leakage correlation which had a zero slope. That
22 is probably what was causing that. I don't know that, but
23 that would be my guess.

24 MR. BALLINGER: Do you have information on what
25 the end of Cycle 13 actuals were?

1 MR. KARWOSKI: We would have to dig it up. I
2 don't have it here.

3 DR. KRESS: Is there a consistent underprediction?

4 MR. KARWOSKI: I tried --

5 DR. KRESS: For two cycles or --

6 MR. KARWOSKI: During lunch I tried to get that
7 information because the end of Cycle 15 has already
8 occurred.

9 From what I was told and I have not reviewed this,
10 from what I was told this did not occur in the next cycle.
11 I would need to review that and provide that. I tried to do
12 it during lunchtime. I just ran out of time.

13 MR. STROSNIDER: Again I think it might be worth
14 pointing out too that in this methodology that 14, almost 15
15 volt indication would get folded back into the prediction of
16 the next cycle's end of cycle distribution, all right? So
17 the fact that that occurred does influence the assessment of
18 the next operating cycle.

19 MR. KARWOSKI: Absolutely and if you look at the
20 end of Cycle 15 projections for Steam Generator C, your
21 burst probability of 9 times 6 times 10 to the minus 3 is
22 dictated by that seven-tenths of an indication that you left
23 in there at roughly 13.7 volts.

24 DR. KRESS: Will they repair that one or --

25 MR. KARWOSKI: Absolutely. That indication was

1 actually --

2 DR. KRESS: So if they repair that one, how do you
3 fold it back into your projection for the next --

4 MR. KARWOSKI: Oh, because that's -- you just do
5 that on paper. You plug a lot of tubes but you still
6 include them in your analysis -- through .6 POD so --

7 DR. KRESS: Okay. They can never escape that .6.

8 MR. STROSNIDER: You are assuming that you missed
9 another one of those at some probability.

10 DR. KRESS: You never escape that -- that's right.

11 CHAIRMAN POWERS: You have an acceptance value for
12 the burst probability. What about the leak rate?

13 MR. KARWOSKI: The leak rate is based on the dose
14 equivalent Iodine 131 and whatever value that have in the
15 tech specs there's associated leakage which they --

16 CHAIRMAN POWERS: Yes, I was asking do you know
17 what the number is --

18 MR. KARWOSKI: For Farley?

19 CHAIRMAN POWERS: We are asking you a lot.

20 MR. KARWOSKI: I looked at all this and I have it
21 written down in my office. I don't have it here but I think
22 it was -- I think the value was on the order of 11 GPM,
23 something like that. I would have to look it up. There's a
24 history associated with that.

25 DR. KRESS: Let me ask you about this --

1 MR. KARWOSKI: I can tell you this value is less
2 than whatever was in the tech spec at that time.

3 CHAIRMAN POWERS: That is really what I wanted to
4 know.

5 DR. KRESS: Let me ask you about these phantom
6 particles -- I mean phantom cracks -- regarding the .6.

7 Let's say I have this 14.9 voltage indication and
8 I say all right, I am going to repair that one but I have
9 got another one in there at .6 that I am going to carry to
10 the next cycle and predict the voltage and the leakage.

11 If I go to the next cycle, if I go in and make a
12 bunch of measurements, now I don't see this 14.9 again
13 because I prepared it and I really didn't have that phantom
14 crack that I thought I did. Do you now throw it away, the
15 phantom crack? Do you throw that away although --

16 MR. KARWOSKI: The growth rate in this may include
17 remnants because when you do the growth distributions you
18 have to take the most conservative of the two consecutive
19 cycles, so there may be a part of that 14 volt indication
20 hidden in the growth, because in this case you had like a 12
21 volt --

22 DR. KRESS: So you don't carry these phantom
23 cracks forever?

24 MR. KARWOSKI: No, they eventually will disappear.

25 MR. HOPENFELD: May I ask Dr. Powers a question?

1 I think in a case of Farley I think originally
2 they didn't have iodine spike in their tech specs and they
3 didn't take it into account, and I think it was something
4 like 60 and then it was pointed out to them that they had to
5 take iodine spike into account they backed up to whatever it
6 was, something like 20 or something -- I think 20 to 30,
7 roughly.

8 MR. KARWOSKI: That specific tube -- this
9 viewgraph which isn't in your handout also basically just
10 summarizes the Farley and the Cycle 14 results. Tube was
11 pulled. Predictions bounded the actuals except for Steam
12 Generator C. We discussed the two exceptions.

13 This basically says that they were still within
14 their limits for burst and leakage.

15 The tube was pulled for destructive examination.
16 It grew from 1.4 volts to 13.7 volts so 12.3 volts changed
17 during the cycle. All the voltages used in the correlation
18 are prepulled voltages. When you pull these tubes if there
19 is any cellular component it can open it up and change the
20 voltage. It can cause some damage to the crack.

21 The post pull voltage was 28 and a half volts. I
22 just point that out just to show that there may have been
23 some damage.

24 This tube burst, slightly higher than 1.4 steam
25 line break, which I believe would be expected based on the

1 correlations. This tube also leaked at three-quarters of a
2 gallon per minute, and the other observation I would make --
3 they put an in situ pressure test and tried to leak test
4 this while the tube was still in the steam generator so the
5 support plate is still there. It's still packed with
6 corrosion products.

7 During that test there was no leakage but it did
8 leak in the laboratory test at three-quarters --

9 CHAIRMAN POWERS: If we had done that leak test
10 with a guy whanging on the support plate with a 16 pound
11 sledgehammer, would it have still not leaked?

12 MR. KARWOSKI: I can't say. All I can tell you is
13 the way we assume it in the methodology is that it leaks at
14 three-quarters a gallon per minute.

15 CHAIRMAN POWERS: But depending on crud and
16 what-not to prevent it from leaking may not be applicable
17 under a main steam line break.

18 MR. KARWOSKI: That's right, and our methodology
19 assumes, and I might not have pointed this out, all these
20 leak tests and burst tests take no credit for the support
21 plate. It assumes the degradation is entirely free-span.

22 CHAIRMAN POWERS: Okay, so this last line is just
23 a point of interest?

24 DR. KRESS: As a point of interest. It's a point
25 of a lot of interest.

1 When you take those tubes out, do you do anything
2 to them like clean them before you leak test them or just
3 take them over and leak test them?

4 MR. KARWOSKI: There is no cleaning --

5 DR. KRESS: No acid wash or anything like that?

6 MR. KARWOSKI: They take them from the field.
7 Whatever damage is done, you know, from the scraping through
8 the other plates and through the tube sheet they take it and
9 leak test it.

10 DR. SIEBER: Do they decon it at all?

11 DR. KRESS: That was really my question, decon.

12 MR. KARWOSKI: I don't know, to be honest.

13 DR. KRESS: Because that could be --

14 Do you have any idea why this thing went from 1.4
15 volts to 13.9 volts? That's that cliff edge I was worried
16 about.

17 MR. KARWOSKI: The tube was pulled, and they did
18 destructive examination. The tubes at the tube support
19 plate intersections at most plants have intergranular stress
20 corrosion cracking.

21 DR. KRESS: They did.

22 MR. KARWOSKI: When they did destructive
23 examinations of this tube, they noticed two things: They
24 noticed some transgranular stress corrosion cracking, and
25 they also looked at -- what they have said is that they have

1 noticed some fatigue type degradation at some fatigue
2 striations.

3 What they postulated is two things: The
4 transgranular stress corrosion cracking may have been
5 contributed to by the presence of lead in the steam
6 generator, which is a known mechanism.

7 Two, they think that they had done some pressure
8 pulse cleaning during the prior steam generator inspection,
9 and that this tube was at the location of where that nozzle
10 was, and so they believe that they may have propagated that.
11 That is what they have put in their reports.

12 DR. BALLINGER: This whole thing is predicated on
13 the fact that you don't introduce an additional degradation
14 mechanism into the system.

15 And what you're saying is that this datapoint is
16 exactly that. It's a datapoint for which you don't have
17 intergranular stress corrosion cracking and for which you --
18 that's not the mechanisms we're dealing with here.

19 This datapoint is basically useless.

20 MR. KARWOSKI: There was some transgranular
21 components. I didn't mean to imply that it was
22 predominantly intergranular stress corrosion cracking with
23 some -- I believe they said minor transgranular.

24 I did not look at it in any more detail than that.

25 The Generic Letter 95-05 approach has some

1 advantages: Basically, the licensees have to go in, do
2 their inspections, make projections to the end of the next
3 cycle, and then with those projections, you can go back and
4 say, well, how well was my methodology performing by doing
5 the -- when you do the next inspection.

6 And that's basically what condition monitoring is.
7 It's basically monitoring and evaluating the as-found
8 conditions in the steam generator, and comparing them to
9 what you predicted that you would have during the -- from
10 what you would have predicted from the prior cycle.

11 In addition, you take your as-found and you
12 determine whether or not you would have satisfied your burst
13 and leakage criteria during that cycle. And that's a
14 backwards look to ensure that you had adequate tube
15 integrity during the previous cycle.

16 CHAIRMAN POWERS: My understanding is that this
17 condition monitoring and operational assessment is a program
18 the licensees have committed to. It's not required by the
19 regulations, but they have just committed to it.

20 MR. KARWOSKI: They have committed to it, yes, and
21 to the NEI 9706.

22 MR. STROSNIDER: But in terms of -- and maybe
23 we're moving into the next assessment here, but -- or
24 subject.

25 In terms of Generic Letter 95-05, it becomes part

1 of their tech specs.

2 MR. KARWOSKI: Right. The utilities, as part of
3 95-05, have to submit certain information. That information
4 -- with that information, the staff can take a look at how
5 well the methodology predicts. It can determine what your
6 -- the staff can do that condition monitoring analysis.

7 The operational assessment is similar to all the
8 projections. Basically, you're taking a forward look and
9 saying will I be able to maintain tube integrity during the
10 course of the next inspection?

11 And it required knowledge of NDE uncertainties,
12 growth rate uncertainties, and the burst and leakage
13 correlations.

14 Before I talk about crack growth, I promised
15 earlier that I'd talk a little bit about the three-volt
16 alternate repair criteria.

17 Once again, this slide is not in your package, but
18 based on yesterday's discussion, I thought I'd clarify.

19 The three-volt alternate repair criteria was
20 implemented at one plant -- or at Byron I, one utility. And
21 it's a modification to the standard Generic Letter 95-05
22 approach. It's still a voltage-based approach, but it's
23 different.

24 What they did in this submittal is, they said we
25 want to take credit for our support plates being there. We

1 want to say that that degradation doesn't get exposed.

2 As a result, our probability of burst at that
3 location for axial indications will be minimal.

4 So what they did is, they went in and expanded
5 selected tubes above and below the tube support plate, and
6 essentially anchored the plate in place.

7 There were some small deflections. I think they
8 were intending to limit the deflection to a tenth of an
9 inch.

10 As a result, the probability of burst from an
11 axial indication is minimal, however, these larger voltages,
12 where you start to get concern then is axial tensile tearing
13 of these indications.

14 They developed another voltage correlation which
15 indicated that you needed voltages on the order of, you
16 know, ten to 20 volts. I don't recall the numbers, but it
17 would allow them to leave larger voltage indications in
18 service.

19 And the voltage limit basically is based on this
20 axial tensile tearing correlation, and that's where the
21 three-volt limit came from.

22 This approach isn't identical to 95-05 in terms of
23 the leakage assessment, because it introduces another
24 concern. If the tube can't burst, it may try to burst, but
25 once it hits the edges of the support plate, it will stop,

1 what they called indications restricted from burst or ERBS.

2 And they had to develop another leakage
3 correlation or another leakage database to say how much
4 leakage can I get from these tubes that attempt to burst but
5 don't fully open up?

6 And so they had to modify their leakage analysis.
7 I didn't want to go into all the details of this
8 methodology, but basically that's the three-volt criteria.
9 It's a different concern than the one and two volt
10 amendments of Generic Letter 95-05.

11 Byron and Braywood have subsequently replaced
12 their steam generators. No operating plants currently have
13 it, although I believe there is an application inhouse for
14 us to review this again.

15 CHAIRMAN POWERS: How long did Byron and Braywood,
16 how many cycles did they operate with that criterion?

17 MR. KARWOSKI: This amendment was approved, I
18 believe, in the '96 timeframe, so I'm going to say two
19 cycles. I'd have to look at it, but it's something like two
20 cycles.

21 CHAIRMAN POWERS: Is the application that you have
22 by another licensee to do that, is he also indicating that
23 he will replace his steam generator in short order?

24 MR. KARWOSKI: I don't know in that case. I know
25 that there is a different methodology. They're making

1 different assumptions, and the staff will perform a detailed
2 review.

3 DR. KRESS: There couldn't be a lot of database
4 behind those correlations.

5 MR. KARWOSKI: With respect to the leakage
6 database, they did an extensive test program as a result of
7 proposing this criterion.

8 DR. KRESS: They did?

9 MR. KARWOSKI: So they did many tests with respect
10 to how much leakage could I get, and they basically -- I'm
11 not sure they took the bounding leak rate, but they took
12 something near the bounding leak rate, and any tube that
13 they predicted will burst, you know, but contact the plate,
14 they would assign that limiting leakage to it.

15 MR. STROSNIDER: This is Jack Strosnider. Ken, I
16 think you're going to be going on to more general
17 discussions now with regard to crack growth rate?

18 MR. KARWOSKI: Yes, I was going to touch on that.

19 MR. STROSNIDER: I just wanted to make that clear,
20 again, that I think we completed the presentation on Generic
21 Letter 95-05 and the voltage-based criteria. And I just
22 wanted to make a clear demarcation here before we move on to
23 other issues, so they don't get confused.

24 MR. KARWOSKI: Okay.

25 MR. HIGGINS: Could I ask one final question on

1 that to maybe wrap it up in my mind?

2 Do you consider that these -- by applying this
3 Generic Letter 95-05, and applying these alternate repair
4 criteria, and then doing these special main steam line break
5 analyses where you assume that the tubes will be rupturing,
6 perhaps, or leaking, did you consider that for these plants
7 to be an accident of a new type and a change to the design
8 basis of the licensing basis for those plants?

9 And, further, do you consider that you've
10 addressed all of that by doing all these additional analyses
11 and tech spec modifications, et cetera?

12 MR. KARWOSKI: I'm not an expert in that area, but
13 I believe that our intent was to be consistent with the
14 current licensing basis of the plant.

15 MR. STROSNIDER: These are processed as license
16 amendments, changes to the technical specifications, and
17 that becomes part of the licensing basis of the plant.

18 It is a provision, but it is done on the licensing
19 basis. Does that answer your question?

20 MR. HIGGINS: Generally.

21 MR. STROSNIDER: I was just going to comment that
22 I wrote down two things that we need to get back to the
23 committee on: One was some additional description with
24 regard to the adjustment methodology used for taking the
25 leakage data and adjusting it for pressure and temperature.

1 And the other was, I think, a little more
2 background on the ten to the minus fifth criteria that came
3 from NUREG 0844. So we'll get back to you with those two
4 things.

5 DR. CATTON: Do we have somewhere, a figure that
6 shows the measurements of leak rate as a function of
7 voltage?

8 MR. KARWOSKI: That would be in the proprietary
9 handout. All the correlations of leak rate as a function of
10 voltage are in there.

11 This came out of a more detailed report which has
12 much more details with respect to, you know, crack
13 dimensions and whatnot, but this is an excerpt of the
14 database, so it shows the actual data plotted.

15 DR. KRESS: Jack, it was five times ten to the
16 minus two.

17 MR. STROSNIDER: Yes, you're right, 0844 was five
18 times ten to the minus two, and we adjusted it to ten to the
19 minus second, so we'll --

20 DR. KRESS: You said ten to the minus fifth.

21 MR. STROSNIDER: I'm sorry.

22 DR. KRESS: You confused me.

23 MR. STROSNIDER: Thank you for telling me.

24 CHAIRMAN POWERS: A modest difference. Let me
25 make sure I'm going to be able to derive everything I need

1 to know about this log logistic curve for the rest of the
2 members.

3
4 DR. CATTON: This looks a lot better than some.

5 DR. KRESS: If you have questions about that, you
6 should ask them now.

7 DR. CATTON: I guess I just basically understand
8 what the correlation is used for, and by the particular one
9 that was selected. I mean, it's an obscure one. To say,
10 that I don't know what a logistic is, is to overstate the
11 case a little bit, but it's not the first one that comes to
12 mind.

13 CHAIRMAN POWERS: Just to help you before you go
14 on, is this the data that you're talking about that has no
15 correlation?

16 MR. KARWOSKI: That's the 3/4 inch. There's a
17 much stronger correlation. There should have been another
18 handout that you had.

19 What I mentioned earlier, a tube either doesn't
20 leak or it leaks and so what we have here is probability of
21 leakage as a function of bobbin voltage. If you were to
22 look at the actual data, you would see tubes with certain
23 voltages that didn't leak and tubes with certain voltages
24 that did leak, and you have the actual data in the handout.

25 The proposal made by the industry was to fit a log

1 logistic curve through this data.

2 There is no theoretical basis for the log
3 logistic. There could be other curves that fit through the
4 data.

5 As part of NUREG 1477 the Staff looked at some of
6 these other correlations and what this plot has are some of
7 these other correlations.

8 The only thing I want to point out is you can see
9 that for this function you will have a higher probability of
10 leakage than these functions.

11 These curves criss-cross each other also, so which
12 curve will be conservative, which is a function of what the
13 voltage distribution is to some extent because depending on
14 what your distribution is you -- depending on which
15 probability of leakage curve you use, you'll get a different
16 answer, so as part of NUREG 1477 the Staff looked at various
17 correlations and various distributions.

18 I forget the exact numbers but if you have a
19 distribution centered around one volt you may conclude that
20 the COSHI is conservative with respect to the other models.

21 If you go to a higher voltage at 1.5 volts based
22 on some of these correlations criss-crossing you may
23 conclude that another model is conservative like the log
24 logistic or the log normal.

25 What the Staff then did was say, well, which

1 correlation should we use or which function should we use,
2 and what the Staff concluded was given the other
3 conservatisms in the model and the fact that each one of
4 these functions had roughly the same degree of fit to the
5 data that the log logistic was acceptable and that is why we
6 used the log logistic.

7 CHAIRMAN POWERS: I think you may be too strong
8 when you say there is no rationale for it, because log
9 logistic is an extreme value distribution, so what you have
10 got here is an on/off switch sort of phenomenon fitting in,
11 and so I think there's more justification for it than maybe
12 the normal distribution.

13 Now the question that comes to mind is that my
14 recollection of the data -- I have to look again to remind
15 me -- is if we take a value of, say, 4 volts, maybe 5, we
16 will find tubes that had 5 volt indications that leaked with
17 100 percent probability because they were tested.

18 MR. KARWOSKI: Right.

19 CHAIRMAN POWERS: Okay, and at 4 volts you would
20 find tubes that didn't leak with 100 percent probability
21 because they were tested, so now I am wondering why would I
22 want to use a continuous high entropy distribution like this
23 at all for this.

24 Why wouldn't I just come through and say, okay, my
25 minimum voltage at which I ever observed a leakage was 4.5

1 volts, say --

2 MR. KARWOSKI: The industry would probably like to
3 do that.

4 Actually, I think they proposed that, below a
5 certain voltage they didn't need to consider leakage, but
6 that isn't necessarily conservative, so we fit a continuous
7 distribution to it because you get into how much overlap of
8 the data do you have -- do you have enough datapoints to
9 sample the actual data?

10 Although there are a lot of datapoints in this
11 overlap region I don't think there's enough data.

12 CHAIRMAN POWERS: So what you really were trying
13 to do is put a non-zero probability for leakage on those
14 that did not observe leakage in that voltage range where
15 your -- all your datapoints said there was no leakage. You
16 wanted to put a non-zero probability there.

17 MR. KARWOSKI: Correct.

18 CHAIRMAN POWERS: And you did that --

19 MR. KARWOSKI: This is an imperfect correlation.

20 CHAIRMAN POWERS: And you did that at the expense
21 of putting a nonunity probability for -- in that voltage
22 range where you had datapoints that said that it would leak?

23 MR. KARWOSKI: Right, but on the other hand this
24 data overlaps. I think if you look at the data, I would
25 have to look, but there's points which don't leak at like

1 maybe 8 volts and I am making these numbers up, and things
2 that leak at 6 volts and vice versa so you are right.

3 But given the other conservatisms in the
4 methodology the Staff believed that that was an
5 acceptable --

6 CHAIRMAN POWERS: Well, I may be preaching to the
7 choir, but coming in and defending an action because there
8 are other nonconservatisms all on top of nine conservatisms
9 just emphasizes the fact that we end up not knowing what the
10 conservatism of the whole is.

11 DR. KRESS: The log logistic has a cutoff at the
12 upper end? It goes to one at some value?

13 CHAIRMAN POWERS: Well, I think it goes near one.

14 MR. KARWOSKI: It goes near one.

15 DR. KRESS: That's why they call that the
16 infinity?

17 CHAIRMAN POWERS: I think my recollection is --

18 DR. KRESS: I thought it went to a value that you
19 had to stick in there.

20 MR. KARWOSKI: There are functions like that.
21 This one doesn't -- where you specify at what voltage you
22 get a zero. There are functions like that and the industry
23 has used them in POD but they did not use that here.

24 CHAIRMAN POWERS: I mean I think my recollection
25 of it, it's very hard to invert because that is given a

1 probability of what is the value on the horizontal axis it
2 is hard to invert because it goes up so tightly --

3 DR. KRESS: Essentially one.

4 CHAIRMAN POWERS: That is my recollection on the
5 thing but I can't swear that it doesn't actually --

6 DR. KRESS: Does it really have that little
7 discontinues?

8 MR. KARWOSKI: It definitely does not have that.

9 MR. STROSNIDER: This is Jack Strosnider. I
10 wanted to make two comments.

11 One is just with regard to Dr. Powers' discussion
12 about putting a non-zero for these low voltages. Part of
13 the discussion that the task group had when we were
14 developing 1477 was the likelihood that you could have a low
15 voltage indication but that voltage might be coming from one
16 crack as opposed to a network, and the possibility that
17 there is an outlier, more or less, and I am not sure that
18 this completely addresses that issue, but there was some
19 discussion about should it ever really be zero, likelihood
20 of that sort of thing.

21 CHAIRMAN POWERS: I mean the statement was there
22 was no technical basis for it and in this discussion I found
23 at least two.

24 One is it's an extreme value, it's tradition, so
25 it's appropriate for these things, and the rationale was

1 putting on sort of probabilities for whatever reason down
2 there.

3 MR. STROSNIDER: The second comment I wanted to
4 make was come back, changing subjects on you here to the
5 correlation issue again, and Ted Sullivan of the Staff just
6 pointed out to me that there was actually more going on than
7 just adding data to the database, that in fact the industry
8 realized that they were not applying the P test correctly.
9 They were doing a two sided test and it should have been a
10 one sided test and they did the one sided. The correlation
11 popped out.

12 If you look at the original data you might
13 conclude it was there all the time then. I don't know, but
14 there was a little more to the story than what I gave you
15 before.

16 MR. CATTON: In looking at these figures, for the
17 three-quarter inch tubes it looks like there is a pretty
18 strong dependence on the voltage and it's rather weak for
19 the seven-eighth inch. Is there any explanation for that?
20 That's only an eighth of an inch difference.

21 MR. KARWOSKI: Right and they're scaled tubings
22 with respect to the tube.

23 I believe the industry would argue and I would
24 have to go back and look because it's been awhile since I
25 have looked at that database, the industry has proposed

1 excluding certain datapoints based on various reasons, and
2 they would argue that some of those leak rates are
3 inappropriate.

4 The Staff did not agree with all the exclusion
5 criteria that the industry wanted to apply to the data.

6 MR. CATTON: Which, the seven-eighths?

7 MR. KARWOSKI: To both. It actually applies to
8 both but I think the outliers were more in the seven-eighths
9 inch database, but I would have to look it up.

10 MR. CATTON: So when this process is exercised,
11 the one that you explained, probability, voltage
12 distribution and so forth, you then come to the break flows.
13 If it is a three-quarter inch tube they use this figure, the
14 figure 6 that is in this document? This one?

15 MR. KARWOSKI: They would use that.

16 MR. CATTON: And if it is seven-eighths they would
17 use this other one?

18 MR. KARWOSKI: Correct.

19 MR. CATTON: Thank you.

20 MR. STROSNIDER: I think it's empirical.

21 MR. CATTON: I can't understand the difference
22 really, but --

23 MR. KARWOSKI: There's also observed differences
24 in the burst pressure with respect to the one and two volts.

25 MR. CATTON: One has a thicker wall.

1 MR. KARWOSKI: One has a thicker wall but the
2 diameters are different so the ratios are essentially the
3 same.

4 MR. STROSNIDER: Actually there were some
5 theoretical analytic studies done back when this was being
6 developed to try to understand that difference, R over T
7 ratios, et cetera, and I don't think anybody could ever put
8 their finger on it.

9 I don't think we have a good answer.

10 MR. CATTON: Are there more generators for
11 three-quarter than seven-eighths?

12 MR. KARWOSKI: Actually more -- with respect to
13 the people who apply it, more are seven-eighths inch than
14 three-quarter inch, the Sequoyahs, the Beaver Valleys, the
15 Farleys, Diablo Canyon, Prairie Island -- they are all
16 seven-eighths.

17 I think Watts Bar and South Texas are the only two
18 that are right now three quarters.

19 MR. CATTON: Because you got some really low
20 values, very high voltage, and those are built into all the
21 averaging. That's not comforting.

22 MR. KARWOSKI: As Jack pointed out, I would like
23 to now talk about steam generators in general rather than
24 Generic Letter 9505, although I will pull in portions of
25 9505 in this discussion.

1 With respect to tube repair criteria that have
2 been approved, the two dominant ones are the 40 percent
3 depth base limit, which was developed 25 years ago and you
4 have the Generic Letter 9505, which is the voltage-based for
5 ODSCC at the support plate.

6 The crack growth assumption in the 40 percent tube
7 repair criteria we kind of discussed this morning, but the
8 growth rate assumption in there was that the NDE uncertainty
9 in the growth rate was somewhere on the order of 20 percent
10 and they assumed infinitely long degradation.

11 The crack growth rate for the alternate tube
12 repair criteria is either based on plant specific data if
13 you have enough datapoints or bounding generic data if you
14 do not have enough datapoints.

15 One of the questions that came up is why don't we
16 use laboratory crack growth rate data. While there's many
17 factors that influence crack growth, there's operating
18 parameters like temperature. There's water chemistry, bulk
19 versus crevice, how well do you know the type of crevice
20 chemistry that you are having, the tube material affects
21 crack growth.

22 Many of these factors, and it is not intended to
23 be all inclusive, but many of these factors are not only
24 plant specific or steam generator. They can be in some
25 cases tube specific with respect to what is happening in the

1 crevice.

2 It is difficult to apply laboratory growth data to
3 the field because the assumptions made in the laboratory are
4 usually conservative to try to bound a variety of conditions
5 and they may or may not be representative of what is
6 happening in the steam generator.

7 For that reason, you know, in Generic Letter
8 95-05, it's a voltage-based approach. There really is no,
9 quote/unquote, crack growth; it's how much voltage
10 progression do I have over the course of the cycle.

11 This basically describes the methodology for
12 determining the growth that I previously described this
13 morning. And there are two growth rate calculations that
14 are performed:

15 One for the deterministic determination of the
16 structural repair limit of 5.5 volts, and that's basically
17 an average growth rate.

18 And then there's a growth rate distribution which
19 is used in the Monte Carlo analysis for determining the
20 conditional probability of burst.

21 It's in this where if you do not have enough
22 datapoints, that basically you'll use the bounding generic
23 database, rather than a plant-specific.

24 And based on the predictions of the end-of-cycle
25 voltage distribution, in general, the growth rate -- I'm

1 sorry. In the predictions of the end-of-cycle voltage
2 distribution, negative growth rates, as we discussed before,
3 are treated as negative in the Generic Letter 95-05
4 approach.

5 DR. BALLINGER: Is treated as zero, right?

6 MR. KARWOSKI: Is treated as zero.

7 DR. BALLINGER: You said they were treated as
8 negative?

9 MR. KARWOSKI: Negative growth rates are treated
10 as zero.

11 So, the real question is, with these growth rate
12 distributions -- and really the only growth rate
13 distributions that the staff uses is for Generic Letter
14 95-05.

15 As I pointed out earlier, those predictions are
16 usually pretty accurate. I'm sorry, the predictions of the
17 end-of-cycle voltage distributions tend to be conservative,
18 as I pointed earlier, and licensees are required to evaluate
19 their inspection results as a result of NEI 9706.

20 DR. SIEBER: If you were using the tech spec, the
21 old time tech spec values for maximum flaw depth of 40
22 percent through-wall, that has built into it, a ten-percent
23 growth, roughly.

24 MR. KARWOSKI: Roughly.

25 DR. SIEBER: How do the actual flaw growth data

1 compare to the ten percent, if it's built into the 40
2 percent through-wall?

3 MR. KARWOSKI: There will be tubes that exceed it
4 and tubes that are less than that. In general, for the
5 wastage and wall thinning, it would be plant-specific on
6 what growth rates they observed.

7 It's only until NEI 9706 that licensees now start
8 doing those condition monitoring and operational assessments
9 where they start doing more detailed assessments of what the
10 conditions will be at the end of the cycle.

11 DR. SIEBER: Now, it would be interesting to know
12 at some time, whether the original 40 percent through-wall
13 was conservative or not.

14 MR. KARWOSKI: With respect to when you include
15 NDE uncertainty and growth?

16 DR. SIEBER: That's right.

17 DR. BALLINGER: Well, when you look at it -- I've
18 been thinking about that, and if you take a look at all of
19 the steam generator tube ruptures that we've had, it's
20 pretty much been independent of whether anybody has been
21 applying the 40-percent criteria or not.

22 DR. SIEBER: That's right.

23 MR. MURPHY: Ken, if I might add one thing, this
24 is Emmett Murphy.

25 Condition monitoring programs have been conducted

1 by licensees routinely now for several years. In general,
2 these condition monitoring programs are successful in
3 demonstrating that all tubes have adequate margin at the end
4 of the cycle.

5 So, this early experience indicates that a
6 situation where implementation of the 40-percent plugging
7 limit, in general, that approach does ensure that adequate
8 margins are maintained at end of cycle; not always, but in
9 the vast majority of the cases.

10 CHAIRMAN POWERS: I think what you said is
11 absolutely true, but it looks to me like it's close in some
12 cases. I mean, we're getting close to the ten to the minus
13 two acceptance probability for burst in the Farley example.

14 And it looks like in the projection of the 15th
15 cycle, you know, they were close. There's some of Tom's
16 virtual character to that 15th cycle, I'll admit.

17 I mean, I guess the issue is, is there -- are the
18 acceptance limits set sufficiently high that getting close
19 is not a source of concern? And correct me if I'm wrong,
20 Jack, but in the original discussion, that acceptance limit
21 was really five times ten to the minus two?

22 MR. STROSNIDER: If you go back, again, talking
23 about Generic Letter 95-05, and the original assumption in
24 NUREG 0844 was five times ten to the minus second.

25 And we reduced that by a factor of five to account

1 for the fact that there could be more than one degradation
2 mechanism.

3 The thing I'd ask you to think about, though, is
4 putting the voltage-based criteria aside, criteria that are
5 in the licensing basis that the plants need to meet are
6 three-delta-P on normal operating pressure, and 1.4 on main
7 steam line break.

8 And what's being done now in terms of the
9 condition monitoring is not only eddy current testing, but
10 in situ pressure testing, all right? And I think what
11 Emmett was indicating is that in the majority of case where
12 they look at what they think is the worst defect in the
13 steam generator and they do this in situ testing, it
14 satisfies those factors of safety.

15 So, moving away from the voltage-based, there are
16 other criteria that come into play.

17 CHAIRMAN POWERS: I guess the nagging concern
18 here is that there are a lot of point examples, and I don't
19 have enough collection data together to get out of the --
20 effect, you know, enough cases to persuade me that this
21 isn't just a quick of nature, and that tomorrow we have one
22 that's an egregious example.

23 MR. STROSNIDER: Well, I guess I can offer two --
24 the only response that I think I can give is, one, we'll
25 continue to collect data, all right, and hopefully collect

1 more confidence in that regard until the generators are
2 replaced and nobody's dealing with this one any more.

3 CHAIRMAN POWERS: The real answer.

4 MR. STROSNIDER: Yes, but I'd also come back to
5 the point that I made earlier, that there is always the
6 potential for some new form of degradation or for some
7 change in degradation mechanism in terms of growth rates.

8 I would point out that the industry has moved to
9 more stringent controls, for example, in water chemistry.
10 There is more consistency there. They are looking now in
11 terms of corrective actions.

12 People, on occasion, will lower operating
13 temperatures, so in that sense, things are being done that
14 can be done to try to make things a little more predictable.

15 However, you can always get to a point where you
16 reach the incubation time for a new type of degradation and
17 it shows up.

18 CHAIRMAN POWERS: We have the famous 13.7 or 14.6
19 that seems to come about because of something unanticipated.

20 MR. STROSNIDER: Right, and if you look at the
21 tube rupture list, you will see that there are a number on
22 there that were caused by loose parts.

23 Just a few other observations there: One is that
24 with regard to performance criteria -- and we weren't
25 planning on getting into 9706 and the operational

1 assessments and that sort of thing a whole lot, but we
2 really did take a look at trying to establish performance
3 criteria that left sufficient margins such that even if they
4 were violated, it didn't represent the end of the world.

5 Similarly, I think -- and as I indicated, we'll
6 have to get back to you with some more detail on the 0844
7 evaluation, but my recollection is that from a -- and let me
8 characterize it as a risk-based point of view -- that you
9 actually could have driven that conditional failure
10 probability higher, and still come up with an overall
11 acceptable risk, given the frequency argument.

12 And, in fact, we had that discussion with the
13 industry where they wanted to use a much higher acceptance
14 criteria, and we felt that in terms of maintaining margins
15 and defense-in-depth, that we needed a lower number.

16 CHAIRMAN POWERS: Have you given thought to the
17 issues that accompany --

18 MR. STROSNIDER: I'm sorry, I can't hear you.

19 CHAIRMAN POWERS: Have you given thought to what
20 happens as we go to higher levels of burnup or higher
21 boration of the water or higher power, operating power
22 levels?

23 MR. STROSNIDER: With regard to power up-rates, a
24 look at the steam generators is, in fact, part of our
25 review.

1 I'm not aware that any significant issues have
2 come up with regard to those reviews. I can't really go
3 into a whole lot more detail than that.

4 CHAIRMAN POWERS: Does boration level cause any
5 headaches?

6 MR. STROSNIDER: Not that I'm aware of.

7 MR. HOLOHAN: I think licensees, at least to date,
8 have not been going to additional boration as a part of
9 longer cycles of power uprates. They're using burnable
10 poisons, and that goes to the poison concentrations are
11 controlled by things like moderator temperature
12 coefficients.

13 Now, if we were to relax our limits on things like
14 moderator temperature coefficients, then I think the
15 chemistry might -- I think the industry would like to use
16 more soluble boron and less burnable, but we haven't done
17 that to date.

18 MR. KARWOSKI: When I first started off, I said
19 there were three issues that I was going to talk about. The
20 first one was steam generator regulatory framework and
21 operating experience, and I did that this morning.

22 The second one was Generic Letter 95-05, its
23 technical basis, and also included a discussion of growth
24 rates, and I just completed that.

25 The third topic was NDE capabilities with respect

1 to detecting and sizing flaws, and that's what I'd like to
2 discuss now.

3 The primary means for inspecting the steam
4 generators tubes is eddy current testing. There are a
5 variety of different probes that are used during the
6 inspection of a steam generator tube, and I'm talking now in
7 generic terms, not Generic Letter 95-05, specifically.

8 The bobbin probe is the tool that's frequently
9 used just for screening the tubes for defects. It's
10 relatively fast, can do 24 to 48 inches a second, but it's
11 relatively insensitive to circumferential degradation.

12 Okay, it's also poor at characterizing
13 degradation. As a result, there's an alternate probe that
14 is used by licensees, and those are frequently referred to
15 as rotating probes, rotating pancake coil probes.

16 There are various types of coils that go on the
17 probe. It can be a pancake coil that is sensitive to axial
18 and circumferential flaws; a plus-point coil which is
19 sensitive to both also; and axially-wound coil that is only
20 sensitive to circumferential flaws; and a
21 circumferentially-wound coil that is sensitive to axial
22 flaws.

23 DR. CATTON: Just a quick question: Why is it
24 that they chose the bobbin to do these leak rate
25 correlations, when it's the worst measurement speed.

1 MR. KARWOSKI: It's 100-percent inspection. It's
2 sensitive to the axial type of degradation that occurs
3 there.

4 DR. CATTON: But I thought that before they pulled
5 the tube, they went in with the rotating probe to be sure
6 that whatever they saw was right. So don't they have the
7 rotating?

8 MR. KARWOSKI: They would have the rotating probe
9 data for the pulled tubes, because they --

10 DR. CATTON: Which is the database.

11 MR. KARWOSKI: Yes, but they don't do rotating
12 probe inspections at every intersection in the steam
13 generator. And you need something -- as a result, you need
14 something to correlate those intersections that have those
15 bobbin indications to something, and you're not doing
16 rotating inspections at every elevation.

17 DR. CATTON: But if you're trying to develop a
18 correlation, and you've got such huge data scatter, why do
19 you use the worst measurement for your correlation?

20 MR. KARWOSKI: I don't know if it's the worst. I
21 don't know how the correlation of both RPC voltages would be
22 compared to like burst pressure or to leakage.

23 DR. SIEBER: Maybe I can answer that. The bobbin
24 coil probe moves at about two feet a second.

25 DR. CATTON: Oh, I see this up here.

1 DR. SIEBER: So it flies through the steam
2 generator and you can examine two or three thousand tubes in
3 seven days, eight days.

4 A rotating pancake coil goes a half an inch to six
5 inches a second, and it just takes forever, and so it's a
6 matter of what can I use to keep my outage down to the
7 minimum, still do the inspection, and get reliable data.

8 DR. CATTON: I understand this, but maybe I'm
9 missing something in the process. You do the bobbin coil,
10 and then where it looks like you might have a problem, you
11 check it with the rotating probe before you pull the tube,
12 or do you pull the tube?

13 MR. KARWOSKI: Okay, I have to answer this in two
14 parts: When licensees pull tubes, they will stick a variety
15 of probes through there. So, for the tube-pull database,
16 yes, you would probably -- you probably have some data with
17 respect to the rotating pancake coil voltage at specific
18 locations on that -- along that crack.

19 The bobbin coil integrates around the
20 circumference, okay?

21 DR. CATTON: I understand.

22 MR. KARWOSKI: So for the pulled-tube database, I
23 am sure that there is RPC data for the vast majority of the
24 pulled-tube database.

25 When you do the inspection, though, you don't

1 RPC-evaluate every intersection. As a result, you would
2 have nothing to compare to your correlation.

3 DR. CATTON: You don't RPC?

4 MR. KARWOSKI: RPC, rotating pancake coil probe.
5 You don't do RPC probe inspections at every intersection.

6 DR. CATTON: You do it at the intersections that
7 the bobbin coil told you might be a problem.

8 MR. KARWOSKI: Only if the voltage is above one
9 volt for 3/4 inch tubes, and two volts for 7/8ths inch
10 tubes, so you don't have that inspection data.

11 DR. CATTON: So above one volt and above two
12 volts, you could check bobbin, RPC leak rate, and then you
13 could generate a nice correlation.

14 MR. STROSNIDER: This is Jack Strosnider, and I
15 want to point out one other thing here. It's not clear in
16 my mind that the RPC is going to be easier to correlate to.

17 As Ken pointed out, the RPC is a much smaller
18 probe, and it examines -- I mean, you get an actual profile
19 around the tube, so you're going to have to say, you know,
20 which part of that profile do I want to make the correlation
21 with? The peak? The average, or something else.

22 The bobbin probe is sort of an integral look at
23 that intersection. And so at first you'd have to decide
24 that it may be possible that you could go through there and
25 pick something off of there to correlate, but I wouldn't

1 assume that I could necessarily get a better correlation.

2 DR. CATTON: But if you did -- but I might be able
3 to explain why I got three decades variation in the data,
4 because I would know more about what it is I'm looking at.

5 CHAIRMAN POWERS: You don't get a single number
6 out of an RPC; you get a flattened out geography, 3D
7 profile.

8 DR. CATTON: That might help the mechanics guy
9 figure out why the hell the thing is leaking.

10 MR. STROSNIDER: And as I mentioned earlier,
11 though, if you go run leak tests, not on intergranular
12 stress corrosion, not on this network, ODSEC type cracks,
13 but on single stress corrosion cracks, you will get the same
14 sort of distributions in variability in leakage.

15 CHAIRMAN POWERS: If you've got an absolutely
16 perfect correlation with the RPC, you would still have to
17 have your bobbin coil distribution.

18 MR. KARWOSKI: Or we would have to change the
19 Generic Letter and require licensees to inspect with a
20 rotating pancake coil at every support plate.

21 CHAIRMAN POWERS: Yes, you could do that, but
22 given that you didn't do that, you'd still need a bobbin,
23 and it would still look just like it does.

24 MR. KARWOSKI: Right, you would need something to
25 correlate.

1 CHAIRMAN POWERS: They've got to account for all
2 of the indications that they find in carrying out the
3 process, not just those that are over some voltage limit, be
4 it one volt or two volts.

5 MR. KARWOSKI: That's right.

6 CHAIRMAN POWERS: You have to invert those
7 distributions in some way to end up with a predicted leakage
8 rate.

9 MR. KARWOSKI: That's right. Another probe is
10 used. It is a Cecco probe. It's a transmit, receive and a
11 ray-type probe. It is medium speed, around 12 inches per
12 second. It's sensitive to axial circumferential flaws.

13 Some utilities choose to use the Cecco probe
14 instead of the bobbin and rotating. Other utilities feel
15 more comfortable using the bobbin and rotating. It is up to
16 the utility. The tech specs do not dictate what probes to
17 use.

18 The other thing that I put on this slide is that
19 ultrasonic testing is also sometimes used to inspect steam
20 generator tubes.

21 Usually it's as a supplemental technique to help
22 characterize degradation.

23 CHAIRMAN POWERS: Before you launch into that, I'd
24 just raise a question that the former Commissioner Rogers
25 raised on several occasions.

1 Is there a growing technology in this area? Are
2 people trying other kinds of technologies to do better on
3 these things?

4 MR. KARWOSKI: The technology is evolving. A
5 couple of the slides I have, there's different algorithms
6 used.

7 There's new probes that are coming out. A lot of
8 them are still based on eddy current technology but there
9 are advances being made and you will hear about some of the
10 work being done at one of our contractors.

11 The probes used to inspect steam generator tubes
12 have changed over time. Originally in the 1970s they used
13 the single frequency bobbin coil and I think somebody
14 described it before where they had a oscilloscopes where
15 they were analyzing the data.

16 That was good for general wall loss type of
17 degradation mechanisms, not so good for stress corrosion
18 cracking.

19 In the last late '70s and the '80s, multiple
20 frequency bobbin coil techniques started to be developed
21 along with rotating pancake coils probes. In the early
22 '70s there were no rotating probes.

23 The multiple frequencies allowed mixing out some
24 of the unwanted signals and it allowed you to focus at
25 different parts of the tube while just pulling the probe

1 through once rather than several times.

2 The rotating pancake coil probe, as I said
3 earlier, was better at detecting and characterizing stress
4 corrosion cracking. It is better in geometry changes. It
5 is sensitive to circumferential flaws. It was initially
6 used primarily at the expansion transitions.

7 Widespread use of the rotating pancake coil probe
8 began in the late '80s, early '90s. People, licensees,
9 really started to inspect their expansion transitions.

10 The plus point coil, which you probably heard
11 about, merged in the mid-1990s. Its first major application
12 was at Maine Yankee, where they had problems with
13 circumferential cracking at the expansion transition and new
14 probes and data analysis software and techniques continue to
15 be developed.

16 So what drove these improvements in technology?
17 Well, both economics and regulatory concerns. If you
18 remember from this morning I showed a plot of the forced
19 outages as a result of leakage. Back in the '70s and early
20 '80s there was a number of outages. Outages are costly.

21 What caused those leakage outages? Well, it can
22 be a variety of factors.

23 It could be the technique capability -- how good
24 was that single frequency bobbin coil at really inspecting
25 the tubes for the degradation mechanism of interest?

1 Could have been analysts' reliability. How well
2 were those analysts trained on those techniques? A lot of
3 those techniques were evolving at the time.

4 Could have been high growth rates.

5 It could have been any combination of those three.

6 In the mid-'80s the Office of Research had Pacific
7 Northwest Laboratory analyze the removed steam generator
8 from Surry. They shipped the steam generator from Surry up
9 to PNL -- Hanford? -- and they did a bunch of analysis.
10 They did leak testing, burst testing. They developed
11 various correlations.

12 Under that contract they also determined some
13 probability detections. The dominant degradation mechanism
14 or one of the prevalent was wastage. However, as part of
15 that program they did a mini-round robin of laboratory
16 samples, not from the Surry steam generator -- laboratory
17 grown samples, and determined the probability of detection.

18 The probability of detection varied from team to
19 team and I don't recall the exact ratios but some of them
20 were pretty poor -- .3 probability of detection -- to
21 larger, maybe .8 POD independent of depth.

22 The average turned out to be about .6, and that is
23 where we got the value for the generic letter 9505
24 correlation, so we used a POD of .6 based on techniques
25 available in the mid to late '80s and we applied it to the

1 Generic letter 9505 approach.

2 Much has happened since then. In the '80s and
3 early '90s the industry started developing ISI guidelines.
4 They needed to be able to detect this degradation sooner.
5 They didn't want to have forced outages. They wanted more
6 reliable inspections.

7 These guidelines started to specify criteria for
8 the probability of detection. Some of the versions in the
9 early '90s said we could have an 80 percent probability of
10 detection at 90 percent confidence and there's various
11 criteria with respect to what are the depth distributions of
12 the degradation.

13 The only thing I just wanted to point out is that
14 the industry guidelines really started evolving in the late
15 '80s and early '90s.

16 They also developed a qualified data analysts
17 program, a rigorous training program, with the analysis
18 qualified to detect specific types of degradation.

19 The other issue that was starting to emerge in the
20 early '90s was generic versus plant specific qualification
21 of techniques. The role of plant specific factors in the
22 detection of flaws became a concern. Yes?

23 DR. SIEBER: About two hours ago you were talking
24 about the NDE uncertainty distributions.

25 MR. KARWOSKI: Yes.

1 DR. SIEBER: And you said it was made up of two
2 elements, analysts' variability -- that was about 10
3 percent? -- and physical variability, which I presume
4 includes systematic and random calibration errors, probe
5 wear --

6 MR. KARWOSKI: It was predominantly probe wear.

7 DR. SIEBER: Okay, because other factors were in
8 there?

9 MR. KARWOSKI: It was specifically probe wear.
10 They shaved a probe and analyzed what the change in voltage
11 response was as a result of physically wearing down a probe.

12 DR. SIEBER: How did they accommodate things like
13 calibration errors and random errors that occur just in the
14 process of any kind of sampling technique?

15 MR. KARWOSKI: All of those types of errors will
16 be captured and all of the correlations, because all those
17 pulled tube datas will have all those different errors
18 promulgated through it.

19 DR. SIEBER: How did they come up with the number
20 for analysts' variability?

21 MR. KARWOSKI: Analyst variability was by having a
22 group of analysts evaluate several different -- well,
23 hundreds of different indications and determine what was the
24 difference between the voltage calls between the
25 different --

1 DR. SIEBER: Who is smart and who is not, right,
2 essentially, so there is actually a basis for these
3 distributions that go into that for every element of it?

4 Do you have a list of all the elements, what the
5 distribution looks like?

6 MR. KARWOSKI: For the two distributions, there
7 are only two distributions --

8 DR. SIEBER: Only two.

9 MR. KARWOSKI: -- that the probe wear --

10 DR. SIEBER: And the analysts.

11 MR. KARWOSKI: -- and the analysts' variability,
12 and we do have that data. We can provide it to the
13 committee.

14 DR. SIEBER: If it is not too lengthy --

15 MR. KARWOSKI: No, it is actually --

16 DR. SIEBER: Two pages. Thank you.

17 DR. BONACA: You said before that the POD, the
18 licensees contend that the POD depended on the entity of the
19 defect, that for a bigger signal you would have -- do you
20 have any inputs on distributions from the licensees?

21 MR. KARWOSKI: Yes. I will show you several of
22 those.

23 DR. BONACA: Okay.

24 MR. KARWOSKI: In the mid to late '90s the
25 industry and the NRC developed additional guidelines which

1 addressed various factors like plant specific considerations
2 and the concern of what is the probability of detection. Is
3 the technique capability or is it the entire system?

4 There is currently an evaluation of steam
5 generator mockup samples being performed by Argonne National
6 Laboratory as a result of a contract with the NRC. At the
7 very end of this presentation I am going to ask Dr. Muscara
8 to present some of that work and their results with respect
9 to detecting and sizing flaws.

10 There are a number of factors that affect
11 detection of flaws. There's equipment and technique
12 variables. There are -- the analyst plays a role in
13 detection. There's also plant specific considerations.

14 With respect to the essential variables, there are
15 equipment variables -- what equipment do I use to get the
16 data, what type of acquisition system, what type of probe am
17 I using, what type of cable, is there enough shielding in
18 that cable to prevent noise signals from being picked up.

19 There's technique variables. What are the
20 frequencies, the dry voltage calibration method, how much
21 data am I obtaining, the digitizing rate, how do I scan the
22 tube -- what is the direction, do I gather the data on the
23 push or pull?

24 There's analysis variables that also affect
25 detection, including what the data review requirements are,

1 the algorithms used in the software, and the calibration.

2 Of course, analysts' reliability plays a role in
3 detection and there is also plant specific considerations.

4 There's the role of deposits. Are those deposits
5 conducting, nonconducting, ferromagnetic. How do those
6 deposits affect the signals? Dents and geometry changes
7 affect your ability to detect degradation. Support
8 structures. Do I have other interfering signals that are
9 coming in. The crack orientation, is it axial,
10 circumferential? Is it on the ID or the OD of the tube?
11 Also there is noise.

12 CHAIRMAN POWERS: You have noise, electro:
13 tube -- is it tube noise?

14 MR. KARWOSKI: Tube noise is basically the surface
15 of the tube is irregular. Also tube noise can come from
16 deposits. They kind of overlap. Noise comes from a variety
17 of sources.

18 Okay. The industry qualifies specific probes,
19 specific sized probes for specific degradation mechanisms
20 under specific circumstances at specific locations, so when
21 we say what techniques are qualified for detecting, it
22 depends on what you are looking for and how you are looking
23 for it.

24 Each one of these techniques has a list of
25 essential variables, so what does this mean?

1 Basically a given size plus point coil is
2 qualified to detect circumferential primary water stress
3 corrosion cracking at a specific frequency in dented
4 locations. The industry has a dataset which they believe
5 demonstrates that they have an 80 percent probability of
6 detection at 90 percent confidence.

7 The industry has lists of essential variables that
8 go with each one of these techniques. I need to keep this
9 probe or I need to acquire the data in this fashion and the
10 dataset that supports qualification has this much noise.
11 The industry has an extensive program with respect to the
12 ability to detect degradation.

13 There are a number of issues that have been raised
14 with respect to what is the probability of detecting flaws
15 under certain circumstances, and I have listed some of them
16 here.

17 One of them was axial versus circumferential
18 cracks. How does your ability to detect degradation depend
19 on the orientation?

20 Well, the best way I can answer it is it depends
21 on the probe. A bobbin probe will not reliably detect
22 circumferential degradation. Unless that circumferential
23 crack has opened up a lot axially it won't seal.

24 The bobbin probe also has weaknesses at detecting
25 axial degradation under certain circumstances, namely in

1 dents, severely dented tubes, U-bends, and expansion
2 transitions.

3 The pancake and plus point coil, on the other
4 hand, are qualified for detecting those cracks which the
5 bobbin coil would not be qualified for. For example, axial
6 degradation at those locations or circumferential --

7 CHAIRMAN POWERS: Initial screening done with a
8 bobbin doesn't detect circumferential cracks reliably, that
9 is what you are saying?

10 MR. KARWOSKI: Right.

11 CHAIRMAN POWERS: And are those, is the rationale
12 then for using the bobbin coil for the initial examination
13 then that circumferential cracks are sufficiently rare that
14 missing them if of little consequence?

15 MR. KARWOSKI: Licensees in general do not
16 normally just use the bobbin coil. The industry is aware
17 through numerous generic communications that the potential
18 for circumferential cracking exists at various locations,
19 namely at the expansion transition, at dents and U-bends,
20 and in sleeves, and as a result consistent with Appendix B
21 they use techniques that are qualified for detection.

22 If you look at what licensees do, they would, in
23 those locations they would do some type of sampling program
24 to ensure that they are detecting the forms of degradations
25 that those tubes are susceptible to.

1 The Staff has issued generic communications
2 highlighting the weaknesses.

3 CHAIRMAN POWERS: So I understand this better,
4 talk about circumferential cracks in the free span area.
5 Are those sufficiently rare that you think there is no need
6 to go around looking for that?

7 MR. KARWOSKI: There have been no circumferential
8 cracks in the free span area.

9 CHAIRMAN POWERS: That's why I picked the example.

10 MR. KARWOSKI: The answer is yes.

11 You would have to look at are there any stresses
12 sufficient to induce that type of cracking in the free span,
13 and in general the likelihood of that is very small and
14 so -- and that supports operating experience where none have
15 been identified either through leakage or through
16 inspection.

17 The bobbin coil I did say is relatively
18 insensitive, unless those cracks open up. If it were
19 happening in the free span in a nondented area, you would
20 have either, you know -- the cracks would eventually start
21 growing and you would either detect it by bobbin or through
22 leakage. We haven't observed that today.

23 The other issue is, how well can I detect with
24 respect to isolated cracks versus cracks in clusters? The
25 comment that I make there is that, in general, the more

1 material you use, the less ligament paths that you have, the
2 easier it is to detect that type of degradation, but
3 characterization of the flaw is much more difficult.

4 DR. POWERS: Is there a well recognized
5 description of the width of cracks?

6 MR. KARWOSKI: Of the what?

7 DR. POWERS: Width of cracks. I mean a very, very
8 fine crack, different from one that is opened up a ways.

9 MR. KARWOSKI: I am not sure I understand what you
10 are asking.

11 DR. POWERS: Well, it is this volume, missing
12 volume. The more missing volume, the easier it is to detect
13 clusters. What I am thinking is, suppose I have an isolated
14 crack and have a crack that is really hairline wide and has
15 lots of cross ligaments throughout its length, or I can have
16 another isolated crack that actually has some canyon, open,
17 it is a canyon, I can put something down into it.

18 MR. KARWOSKI: Right.

19 DR. POWERS: The two are very different, and I am
20 wondering how you -- I am having a hard time describing
21 these cracks. Is there some measure or something like that
22 that does a better job than I am on describing these two
23 different types of cracks?

24 MR. KARWOSKI: In terms of NDE, no. But you could
25 describe what the crack opening area is, but in terms of

1 NDE, you know, the only thing you would notice is that you
2 get a much larger signal from an EDM notch than from a
3 crack. I mean the wide open one is what I am thinking of.

4 DR. POWERS: What I am thinking of is there are
5 going to be some cracks, I mean I can imagine a crack,
6 whether one actually ever existed, and which, across the
7 length of it, there are ligaments and metal that are still
8 there.

9 MR. KARWOSKI: Right.

10 DR. POWERS: That might be very different than one
11 in which there were no ligaments.

12 MR. KARWOSKI: Absolutely.

13 DR. CATTON: And then if you fill those spaces
14 with some kind of crystals of something or other, it would
15 be completely different again.

16 DR. POWERS: Or if it was amorphous sludge, it
17 would even be worse.

18 MR. STROSNIDER: This is Jack Strosnider. That is
19 certainly true, and that is just describing physics and the
20 reality, what is out there.

21 I guess what I think is really relevant here,
22 though, and we have had a lot of discussions with the
23 industry, and if you look at our Draft Reg. Guide 1.174 that
24 was put out for public comment, when you talk about the
25 qualification process, it is very important to use what you

1 might characterize as prototypical cracks. And you give a
2 perfect example where the use of EDM notches may not give a
3 good qualification demonstration.

4 And the industry has made some progress in that
5 area. We continue to push on it because it is very
6 important. And some of what we are discussing in the 97-06
7 framework is, you know, the need to use cracks that have
8 signals that are representative of what is in the field,
9 whether they be autoclave or pulled tubes. There are some
10 EDM notches used in the qualification database, but, you
11 know, we push to minimize that. And I don't know if that is
12 part of what you were thinking about, but it is an important
13 aspect of recognizing the difference.

14 MR. KARWOSKI: Some other issues they came up
15 with, how is my ability to detect cracks that are plugged?
16 Once again, this issue depends on the nature of the
17 deposits. In general, deposits on the tubes are on the
18 outside surface of the tube. They are not -- these stress
19 corrosion cracks tend to be very tight.

20 But it would depend on the nature of the deposits.
21 If they are conducting, it is going to lower the eddy
22 current response, making it more difficult to detect.
23 Ferromagnetic deposits, you know, will increase the
24 response, but it will mask the flaw. If the deposits are
25 not conducting and no effect on tube noise, you probably

1 have similar detection probability.

2 The other thing is, what is my ability to detect
3 cracks relative to location with respect to tube support
4 plates or bends? In general, the more geometry changes that
5 you have, the harder it is to detect a flaw. However, there
6 are techniques that are qualified for giving locations in
7 order to provide detectability.

8 Operation speed was also -- how does that affect
9 your ability to detect degradation? Utilities have done
10 various assessments of this. The speed of the bobbin coil
11 has gradually gone up as the ability of the hardware to
12 process this data has gone up. Typically, the run the line
13 tests where they change the speed and determine whether or
14 not they would have detected the same tubes, you know,
15 regardless of the speed.

16 What is interesting to note, at first you would
17 think the higher the speed, the more difficult it is. At
18 one of the plants, they increased the speed, I believe the
19 ratio was 12 to 24 inches per second, but what they found
20 out, that increasing the speed actually reduced the noise
21 that they were observing and the detection was comparable.

22 That is not to say, though, well, let's go up to
23 the next speed and it is going to be better. There is a
24 problem with too fast a speed and that is because if you
25 have any geometry changes, which you do, in several

1 locations in the steam generator, that probe can jump,
2 resulting in noisy data, missed data and cause problems. In
3 addition, too fast a speed, because of the software that
4 processes this data, you can have some frequency effects if
5 you don't have proper compensating software.

6 The next part of the presentation shows you
7 probably detection curves for various degradation types.
8 These are all industry data. The staff has issues with
9 them. I will point some of these issues out as we go along,
10 but the committee indicated it wanted to know how we can do
11 with respect to detection. I am going to present some
12 industry data.

13 Let's start with wear, general wall loss type of
14 thing. In general, detection is pretty good. What this has
15 on this plot is the fraction detected as a result of the
16 throughwall extent of wear indications, under, you know,
17 given frequency indications. At face value, and this is the
18 industry data, from December '93, at face value, you might
19 say, well, I can detect 100 percent of flaws affected by
20 wear. The staff isn't saying that, but that is what this
21 data may tell you.

22 And at the end of presenting all these probability
23 of detection curves, I will go over some of the issues that
24 we have with respect to this data. But, in general, the
25 staff expects that, you know, sizing or detection of general

1 wall loss indications is pretty good.

2 DR. POWERS: What would it be at 99 C/L?

3 MR. KARWOSKI: What that is is what is the
4 probability of detection at 90 percent confidence. So even
5 though you detected 100 percent, you know, you only had 13
6 samples and there it is. Remember, the acceptance criteria
7 that I believe the industry is still using is 80 percent
8 probability of detection and 90 percent confidence.

9 Okay. This next plot is for plus point coil
10 detection in a sludge pile region. Once again, in this case
11 they fitted a curve to the data, you have probably a
12 detection as a function of maximum depth. You get into the
13 same issues, why a logistic fit versus other fits.
14 Basically, what this says is we have got somewhat of a high
15 probability of detecting larger flaws, a lower probability
16 of detecting smaller flaws. That is the sludge pile.

17 This is also for sludge pile. That first graph
18 was maximum depth. This one has several different curves as
19 a result of maximum depth and average depth. And as you
20 might expect, the probability of detection for the maximum
21 depth is less than the average depth, and that is because
22 you have a larger flaw when your average depth is greater
23 than just the peak. But, in general, for the average depth,
24 the probability of detection is larger.

25 The dots indicate the bobbin coil probability of

1 detection. This data, once again, industry data, indicates
2 that the probability of detection with the bobbin coil is
3 better than the plus point for these low voltage
4 indications. To what extent that is an artifact of the
5 distributions they chose, I don't know. I am just
6 presenting what they submitted.

7 This next graph is for --

8 DR. SIEBER: A question.

9 MR. KARWOSKI: Yes.

10 DR. SIEBER: The plus point has a whole bunch of
11 different coils, some of which look like bobbin coils and
12 some of which are rotating.

13 MR. KARWOSKI: The plus point coil is a specific
14 coil that will fit on a rotating probe.

15 DR. SIEBER: Okay.

16 MR. KARWOSKI: The plus point coil has an axial
17 coil and a circumferential coil.

18 DR. SIEBER: Okay. But you can --

19 MR. KARWOSKI: Okay. Wound together.

20 DR. SIEBER: -- mathematically play with it.

21 MR. KARWOSKI: Right. And one of the advantages,
22 or the advantage of the plus point coil, theoretically, is
23 that you have some general disturbance area, those two
24 coils, the signal from those two coils will cancel out.
25 That can also be a disadvantage of the crack if a crack is

1 perfectly, you know, symmetric and hits both coils at the
2 same time. But that is not -- that is theoretical general,
3 those types of flaws don't exist.

4 Here is a plot from December '93 of probability of
5 detection for outside diameter stress corrosion cracking at
6 the support plates. Staff used a value of .6 for the
7 Generic Letter 95-05 methodology. What the industry
8 presented in December '93 is basically for everything over
9 40 percent throughwall, we were detecting. The issues had
10 issues with respect to that, and that is why we used the .6.
11 But here is what the industry presented back in December
12 '93.

13 PWSCC occurs at dented tube support plate
14 elevations. Here is a plot of the fraction detected versus
15 maximum depth. What I will point out on here is this has
16 the fraction detected for the plus point coil, the bobbin
17 and the Cecco.

18 Just to point out some of the issues that you have
19 with limited data sets, you would conclude here that your
20 probability of detection may be higher in the 0 to 10
21 percent range than in the 10 to 20. That is an artifact of
22 the amount of data and shows some of the difficulties that
23 the staff has with respect to when somebody says, what is
24 the probability of detection? It all depends on the data
25 that supports the correlations.

1 The other thing to note is, you know, why would
2 you have a lower probability of detection at the higher
3 depths? And, generally, you would think the deeper the
4 degradation, you are better your probability of detection.
5 But, nonetheless, this basically shows, you know, reaching
6 towards 100 percent when the maximum depth hits around 50
7 percent for PWSCC at dents inspected with the plus point.
8 Once again, this is all industry data.

9 Here is another example for PWSCC at dented tube
10 support plate intersections. Some of the data comes from
11 that previous graph. I put this up because it compares the
12 bobbin and plus point, and this is a result of fitting a
13 specific function recommended by the industry through the
14 data. And what I wanted to point out here is here a
15 function, the bobbin POD is a function of depth, here is the
16 plus point, the two cross. In general, that is probably a
17 result of either the curve fit or the limited amount of
18 data, or the fact that, you know, you missed one indication
19 with the plus point and it results in a worse probability of
20 detection.

21 In general, the industry and the staff believe
22 that the plus point is probably better than the bobbin in
23 that area.

24 So how does the staff use the probability of
25 detection? Usually, probability of detection is only used

1 in Generic Letter 95-05 tube repair criteria. And in that
2 analysis, as I pointed out this morning, that we used .6,
3 and that is based on the roundrobin analysis of the
4 laboratory stress corrosion cracking samples that was done
5 in the late '80s.

6 As I pointed out this morning, that is used not
7 only to account for missed indications, but also indications
8 that may initiate during the course of a cycle.

9 And here I have a rhetorical question, is .6 the
10 correct value? I have showed you various data the industry
11 would argue for deeper flaws were better than .6, and there
12 may be some more data forthcoming from some of the Argonne
13 roundrobin tests that may support that, I don't know, but I
14 will say that the .6 is conservative and accounts for other
15 things than just missed indications, and that is based on
16 the operational assessments.

17 MR. HIGGINS: Do you know the breakup, breakdown
18 between missed and the ones that would initiate during the
19 cycle? And have you looked at end of cycle, beginning of
20 cycle test results for the last few years on 95-05 to see if
21 that number of those that initiate during the cycle is
22 reasonable with the actual data?

23 MR. KARWOSKI: The staff has looked at the 90 day
24 reports, and the industry has, with respect to, you know,
25 did I detect something in the prior cycle? The industry has

1 actually proposed an alternative way for POD where they look
2 -- and I don't recall this methodology in detail, the staff
3 hasn't approved it, but, basically, they do look back and
4 say, was there a signal there? And in some cases they
5 missed it, in which case that would be a missed indication.
6 In some cases, they would say, well, analysis wouldn't have
7 called that, so that would be a new indication.

8 I don't know if anybody has ever done a
9 comprehensive assessment of, you know, how many indications
10 are new versus how many indications were missed. I know the
11 industry has proposed an alternate probability of detection
12 model based somewhat on that type of approach, but, to date,
13 the staff hasn't accepted that.

14 MR. STROSNIDER: I would just add to that, it
15 might be difficult to separate the two, although, perhaps
16 with a hindsight review, when you detect something in this
17 outage, if you go back to the prior outage with some
18 knowledge, maybe you could say that it was there. But I
19 think the important think is you asked, is it being
20 benchmarked, and the sort of histograms, if you will, of
21 voltage versus number, you know, that is one of the reasons
22 we look at that, and one of the reasons we concluded that
23 the .6 does a reasonably good job of accounting for those
24 that are missed in inspection and new indications.

25 If we saw that those distributions were radically

1 different, one thing you could modify is that .6 factor and
2 try to bring them back into alignment.

3 MR. LONG: This is Steve Long. Let me add one
4 thing. By the time these things get to me it is usually
5 because they are doing some sort of risk-informed license
6 amendment request, so I guess I probably see the problem
7 ones more than anything else.

8 We had a problem with Arkansas Unit 2 this past
9 spring and their proposal to not perform another mid-cycle
10 inspection where they would have to take two inspections in
11 the middle of a fuel cycle. And we had a problem with
12 reconciling what they were projecting as the flaw
13 distribution of the tubes during the remainder of the fuel
14 cycle with what they had found in the last inspection and
15 what they had projected to find in the last inspection.

16 And it comes down to a question of a combination
17 of the growth rate and the POD in the previous inspection,
18 is your growth rate right or your POD right?

19 Arkansas was insisting that the things that they
20 missed in their inspection before last, they could find when
21 they did a lookback they were missed, and that their growth
22 rates were consistent once they found those things in the
23 lookback, that the growth from what they probably should
24 have seen in the inspection before was what they would
25 expect up from the last inspection.

1 So we asked them, then what does that say about
2 your POD? And I believe the POD was about .4, which was one
3 of the reasons we couldn't probably work with that, because
4 some of the larger flaws that we thought they would need to
5 be able to detect, there would need to be performance --
6 screening criteria. They really didn't have a very good
7 probability of detecting those in the inspection before
8 last, and we couldn't credit any change in the inspection
9 process for improving that over the last inspection.

10 So there are problems occasionally.

11 DR. HOPENFELD: This subject was discussed
12 yesterday and I pointed out that there is a possibility of
13 differences between running a test in a laboratory POD,
14 determination in a laboratory or at PNNL, versus in real
15 life, and I think this is a very good example, except that
16 this is only one.

17 And one of the questions that we didn't get to
18 discuss yesterday, this pertained to this very item, that we
19 need more information from plants to determine what that POD
20 is. Keeping this in perspective, I don't think it is proper
21 to say that what we are using is a conservative number. We
22 don't really know it is conservative.

23 DR. POWERS: Let me ask how much longer you have
24 to go on this presentation?

25 MR. KARWOSKI: A half hour.

1 DR. POWERS: Why don't we take a 15 minute break
2 now. We will recess until five of the hour.

3 [Recess.]

4 DR. POWERS: Let's go back in session. Pardon me
5 for interrupting you yet again, but I firmly ascribe to the
6 belief that the mind will ultimately absorb what the body
7 can endure.

8 MR. KARWOSKI: I am aware of that.

9 DR. CATTON: You know where the limits are, so you
10 are going to push them.

11 SPEAKER: You say we are staying until what,
12 10:00?

13 DR. POWERS: There is nothing sacred about 10:00.

14 MR. KARWOSKI: In the interest of time, I will try
15 to finish these last few slides. The last thing I wanted to
16 say about POD is there is a lot of issues. Some of those
17 curves showed it. We don't have 100 percent probability of
18 detection. It does, you know, 5 percent degradation for
19 some of those mechanisms.

20 Some of these concerns have already been raised.
21 Lab data versus field data. Is the field data -- or is the
22 lab data representative of the signals in the field? If
23 not, is it appropriate to use it.

24 DR. CATTON: When you say lab data, is that a lab
25 created defect as well, or is it just a lab measurement of a

1 pulled tube?

2 MR. KARWOSKI: It is like a model boiler specimen,
3 a laboratory created defect, like a stress corrosion crack
4 developed in a model boiler. Is the signal that I get from
5 that representative of the signal that I would have observed
6 in the field at that location?

7 DR. POWERS: Ken, you didn't discuss -- one of the
8 documents that we got, and I cannot remember which one,
9 spoke of a rather elaborate set of measurements on a steam
10 generator that had been removed from service at Surry, and
11 in which there was quite a lot of effort to address the
12 issues of probability of detection and whatnot. You didn't
13 bring that data up. Is there any particular reason why?

14 MR. KARWOSKI: The only thing, the Surry steam
15 generator, and Dr. Muscara can correct me if I am wrong, the
16 dominant degradation mechanism there is wastage and pitting,
17 and as a result, a lot of that was probability of detection
18 curves. Although they may be appropriate, it is not the
19 degradation mechanism of interest.

20 As part of the program, they did do that stress --
21 laboratory grown stress corrosion cracking mini-roundrobin,
22 and that is where the .6 came from. With that said, towards
23 the end of this presentation, I am going to have Dr. Muscara
24 present the results of another roundrobin that is going on
25 now. Results should be available at the end of this year,

1 sometime next year, and he will describe that program, which
2 is probably more relevant to inspection capabilities today.

3 The other thing is -- another POD issue is the
4 overall system versus technique capability. When you
5 analyze some of these tubes, it is part of the qualification
6 program. Assume they are all field data that you are
7 getting. These tubes are analyzed by a lot of people under
8 controlled conditions and get a much more detailed
9 evaluation than necessarily a production inspection where
10 the analyst is asked to look at thousands of tubes, you
11 know, in an outage.

12 So the question is, what are these curves really
13 measuring? Are they measuring what the technique is capable
14 of doing, or is it measuring the overall system, how the
15 analyst is going to perform under actual field conditions?

16 The other POD issue is, how pertinent is this
17 probability of detection curve to the plant that I am
18 applying it to? There are plant-specific circumstances that
19 may affect detection. Do I have copper deposits? Are my
20 deposits uniform such that I may be able to mix them out?
21 Are they spotty, causing problems in detection? Do I have a
22 lot of denting, a lot of noise from a variety of sources?
23 That is another issue with respect to POD.

24 The other is, how do I evaluate this data, and
25 what curves do I fit through it? Is it a function of

1 average depth, maximum depth? Do I use the log logistic or
2 what type of curve do I use to fit the data?

3 The other issue that I have put up is false calls.
4 When you do these inspections, when you pull a tube and you
5 look at it, you may tend to over call with respect to some
6 of these indications and say there is something there, but
7 then it is not there. Does that count against you in the
8 probability of detection calculation? Well, maybe it should
9 if you are not using the exact same criteria in both
10 applications. Those are just some of the issues that we
11 have with respect to the POD curves.

12 The first part of the presentation, detection.
13 Can techniques detect degradation? The next part is sizing,
14 and I am going to go through this relatively quick and just
15 provide some examples. There is a lot of examples in your
16 handout.

17 The first thing I would like to point out is a
18 technique may be qualified for detecting a form of
19 degradation but may not be qualified for sizing it. And
20 that is why I have the bullet -- Utilities routinely use the
21 bobbin coil for detection and other probes such as like a
22 rotating plus point probe for characterizing it. And sizing
23 can be in terms of length, depth, voltage. It depends on
24 what type of correlation you have for your structural
25 leakage integrity.

1 What is considered qualified with respect to
2 sizing? In the past the industry has used the root mean
3 square error approach. There is limitations to that.
4 Probably a more appealing approach might be just
5 understanding the uncertainties in your technique and then
6 applying those uncertainties in your condition monitoring
7 and operational assessment.

8 With respect to what is considered qualified,
9 generally, the bobbin coil is considered qualified for
10 sizing wall loss type of indications. The bobbin coil is,
11 quote-unquote, qualified for sizing via voltage for the
12 Generic Letter 95-05 methodology. And the NRC has approved
13 the use of the plus point coil for depth sizing degradation
14 at dented tube support plates, primarily axial PWSCC.

15 There is several pages in your handout with
16 respect to sizing curves, how well techniques do with
17 sizing. Once again, this is industry submitted information.
18 There are some issues with respect to this. I will just put
19 a couple of them up. If you have any questions, I will be
20 glad to answer them.

21 Here is a plot of the estimated throughwall depth
22 versus the true -- or throughwall depth as a result of
23 metallography. This is for wear indications and, in
24 general, you have a pretty good -- you can estimate the
25 depth of these indications pretty well, and that is

1 generally accepted throughout the industry.

2 And there is various other correlations. I don't
3 want to spend too much time on them given that we are
4 already behind schedule. But this is for sizing sludge pile
5 ODSCC, destructive exam maximum depth versus NDE depth, and
6 you can see that there is a lot of scatter in the data. And
7 there is various -- in your handout, there is various
8 correlations with respect to how well different techniques
9 can size specific degradation mechanisms in terms of length
10 and depth.

11 The burst characteristics of a tube depend,
12 basically, not just on, you know, a single parameter of
13 length or depth, but more a function of a composite of the
14 crack and there may be a limiting form -- a limiting portion
15 of that crack.

16 This plot here is a plot of a circumferential
17 crack located at an expansion transition which was pulled.
18 The metallography, this tube was pulled in the '95-'96 time.
19 The metallography is shown here. This was a deep
20 circumferential crack with some ligaments in between, two
21 deep portions of the crack, I guess it is wrapping around,
22 but there is a ligament there. That is the destructive exam
23 results. If you look at what the NDE analysts called this,
24 they significantly undersized portions of this crack.

25 DR. POWERS: Maybe clarify what the vertical axis

1 is.

2 MR. KARWOSKI: The percent through the wall.

3 DR. POWERS: Throughwall, yeah.

4 MR. KARWOSKI: So this is the crack profile.

5 Basically, it is 100 percent through the wall, in this
6 region there was a ligament, it went back to nearly 100
7 percent and then there was -- and this using an 080 pancake
8 coil, and that is just sizing of indications,
9 circumferential ODSCC at the expansion transition in '95-'96
10 timeframe.

11 I just point that out to show --

12 DR. CATTON: This doesn't say anything about the
13 cross-sectional area.

14 MR. KARWOSKI: Cross-sectional area.

15 DR. CATTON: Well, I mean what is the flow area
16 through a crack like this?

17 MR. KARWOSKI: No, it doesn't say anything.

18 Typically, the eddy current data --

19 DR. CATTON: You just take a slice?

20 MR. KARWOSKI: Well, they look at the various
21 ligaments and they develop, you know, somewhat of a
22 composite type of crack. But, you are right, it is a slice.

23 There is a couple of more plots of that same tube
24 with different types of probes. But just to show you a
25 little difference, one of the qualified techniques, or a

1 technique where we approved an alternate repair criteria,
2 here is a tube that was sized with a plus point coil for
3 primary water stress corrosion cracking at dents. That is
4 not listed on here, but that is the type of degradation.

5 And, in general, you see the destructive
6 examinations and the solid symbols, and you have the
7 analysts. Much better agreement with respect to both the
8 length and the depth of the degradation. And there are
9 several examples of this type of degradation in the handout.

10 DR. POWERS: And you said this was primary water
11 stress corrosion cracking?

12 MR. KARWOSKI: Primary water stress corrosion
13 cracking at dented tube support plate elevations.

14 There are many factors that affect the ability to
15 size, and a lot of them are similar to those with respect to
16 detection. What technique, what type of coil, the location
17 of the degradation, frequency. What are the interfering
18 signals? Noise.

19 Plant-specific considerations play a role.
20 Typically, the qualification, though, is done generically.
21 Licensees, however, need to assess whether or not that
22 technique is applicable, whether or not they can use that
23 generic qualification at their plants.

24 One of the things that some of the tube pulls
25 programs that have been done revealed is that, although you

1 can't necessarily determine the quantitative size of the
2 degradation, the general severity can be inferred from the
3 eddy current results. And what this allows licensees to do
4 is, although they -- was that me?

5 DR. POWERS: Your battery is probably going out.

6 MR. KARWOSKI: What this allows licensees to do is
7 to select some of the more limiting tubes for in situ
8 pressure testing to determine whether or not the tubes meet
9 the required structural and leakage integrity requirements.

10 There are a number of questions with respect to
11 the factors affecting the ability to size as a function of
12 different parameters. Crack orientation. Basically,
13 circumferential cracks are located in locations where there
14 is geometry changes that typically will make it more
15 difficult to size. Isolated cracks versus crack in
16 clusters. The problem there is the eddy current coil has
17 such a width that it may not be able to discern some of the
18 individual cracks in a cluster of cracks.

19 With respect to plugged cracks or cracks occluded
20 with crud, once again, it depends on the nature of the
21 deposits and crack location relative to support plates. The
22 more interfering signals that you have, the more difficult
23 it is to size.

24 DR. POWERS: Well, you have indicated a couple of
25 times that the plugging material affects it depending on its

1 particular nature, whether it is ferromagnetic conductive
2 or, I guess, if it is insulating sludge, it is just like air
3 getting in there. What do you typically have? Or is there
4 a typical?

5 MR. KARWOSKI: With respect to inside the crack,
6 it tends to be very tight and there is not really a lot of
7 deposits inside the crack. Most of the deposits are around
8 the outside of the tube. Okay. Those deposits, if they are
9 uniform, you know, if they are non-conducting, they may
10 contribute noise which will make it more difficult to
11 detect.

12 If they are conducting and they are uniform, you
13 probably have a better capability to detect the flaw that if
14 the deposits are conducting and they are not uniform,
15 because then you are going to get a lot of individual
16 signals where you won't be able to discern what is noise
17 from what is a defect.

18 Does that answer the question?

19 DR. POWERS: Well, I guess the one I am interested
20 in is the cracks are tight, there is very little material
21 within the crack, but surely there must be some material in
22 there. I am sure there is oxide coating on things.

23 MR. KARWOSKI: Right.

24 DR. POWERS: If indeed these are oxides or
25 spinels, they can't be -- at least any ferromagnetic.

1 MR. KARWOSKI: Right. And so these deposits will
2 interfere, but, in general, I have shown you some of the
3 data that the industry have presented. In general, that
4 will come out in whatever sizing curves that they develop.
5 So it will affect it, the magnitude.

6 DR. POWERS: Well, I guess what you are telling me
7 is, whereas, in principle, the cracks can be affected by the
8 crud that is in them, or around them, in fact, it is either
9 accounted for in the empirical determinations or it is just
10 not a very big affect.

11 MR. KARWOSKI: That's correct, that would be my
12 interpretation.

13 I have presented basically industry data with
14 respect to detection and sizing. The Office of Research has
15 a program at Argonne National Lab which is also looking at
16 the ability to detect and size flaws. So at this point I
17 would like to turn it over to Dr. Muscara, who is going to
18 discuss some of the work being done at Argonne.

19 DR. POWERS: I have some experience with the work
20 Argonne and we won't hold that against you.

21 DR. BONACA: Just I have a question I would like
22 to ask you before. Regarding the information distributed
23 this morning.

24 MR. KARWOSKI: Yes.

25 DR. BONACA: For those correlations. Is it all

1 field data or is it also laboratory data?

2 MR. KARWOSKI: It consists of both field and
3 laboratory data.

4 DR. BONACA: I looked for information on
5 separation of the two, I couldn't -- maybe I have to look
6 deeper.

7 MR. KARWOSKI: Some of the plots may discern
8 laboratory from field. I don't know if those do. But if
9 not, we can provide you the raw data that shows you which
10 ones are model boiler specimens and which are field.

11 DR. BONACA: A little understanding of --

12 MR. KARWOSKI: The relative counter.

13 DR. BONACA: -- how preponderant one group or the
14 other is over the other.

15 MR. KARWOSKI: Right. There is a lot more field
16 data now than there was in '95, but we can provide that to
17 you.

18 DR. BONACA: Okay.

19 DR. CATTON: Joe, what is a model boiler?

20 MR. KARWOSKI: When I said a model boiler, it is
21 just -- how should I? It is a means of creating laboratory
22 cracks, where you basically subject a tube to accelerated
23 corrosion tests, or accelerated corrosion, so that you can
24 develop a flaw in a subsequent test.

25 DR. CATTON: Boiler, okay. And what are added

1 tubes?

2 MR. KARWOSKI: Added tubes. Oh, with respect to
3 those correlations.

4 DR. CATTON: Yes.

5 MR. KARWOSKI: The industry updates the database
6 from year to year, so the added on that means we have added
7 new data from the previous one. So what they are doing is
8 assessing the changes with respect to adding the new data,
9 that is what those curves are referring to.

10 DR. CATTON: Okay.

11 DR. MUSCARA: Thank you, Ken.

12 I am not sure whether I should stick with my
13 viewgraphs. I mean I have heard a lot of things that I
14 would like to respond to, but I know we probably won't get
15 into that. But before I do get to the viewgraphs, there are
16 a couple of points.

17 I was really shocked yesterday to hear that in
18 NUREG/CR-2336, we had data on the probability of detection
19 that the tube support plate location, I think it was set at
20 the tube intersection, but tube support plate location. I
21 was surprised mainly because I had planned that work and
22 managed it for many years, and we did no such thing. There
23 was no work done that evaluated POD at the support plate.

24 And Dr. Powers was correct, we did a lot of work
25 on the Surry program to quantify the capability of inservice

1 inspection for the Surry generator. In general, we had, as
2 was mentioned earlier, mostly wastage and pitting, and we
3 did a thorough job of evaluating that type of degradation.

4 We had a number of industry teams inspecting the
5 generators, the same way that they inspected field
6 generators, and we got some valid data.

7 Well, this work was done essentially -- well, the
8 entire Surry work was done in the time period between 1982
9 and 1986. We did have lots of cracking in the Surry
10 generator at the support plate location due to the gross
11 denting that was going in this generator. But at that time
12 inspectors refused to give us information about support
13 plate, they knew they could not inspect in that condition.

14 The denting we are talking about in those days was
15 much, much more gross than what we are seeing today. So we
16 had no attempt at evaluating probability of detection of
17 cracks to support plate.

18 MR. BALLINGER: I have got four PNNL reports, one
19 of which does contain some stuff on POD, on a little test, a
20 roundrobin looking test where they did it.

21 DR. MUSCARA: Yes. Yes.

22 MR. BALLINGER: And that was -- it was in a report
23 related to the Surry generator.

24 DR. MUSCARA: Yes. Yes. It was done during that
25 time period. This is what I was getting to. But as far as

1 evaluating POD at the support plate, that wasn't done.
2 Because what did we do? In that time area, we were, of
3 course, beginning to experience cracks, stress corrosion
4 cracks, let's say the modern day stress corrosion cracks,
5 where we have families of small cracks with ligaments, not
6 the planar stress corrosion cracks that we experienced early
7 on in the life of these generators.

8 So we decided that we needed to do something to
9 provide some data on stress corrosion cracking besides
10 having the very thorough work done on the wastage and
11 pitting. And so we did run a small roundrobin. Now, this
12 roundrobin contained 17 samples. There was one sample at 85
13 percent throughwall stress corrosion crack, one sample was
14 throughwall. Twelve of the 17 samples had cracks above 40
15 percent, but many were between 40 and 50, the rest were
16 below 40 percent. So it was not a great deal of work.

17 We did include in the sample set, samples that had
18 copper-coating, because we know that this complicates the
19 inspection. And in four of the 17 we had support plate
20 simulation with the specimen. Again, the intent wasn't to
21 really evaluate POD at the support plate location, the idea
22 was to get an idea of how teams at that time might be
23 performing on stress corrosion cracks.

24 So the numbers that were given for POD at the
25 support plate location, yes, they were somewhere between .27

1 and .5. A little bit about what kinds of teams looked at
2 this, at this information. We clearly had sent a small
3 mockup to a number of inspection agencies and they used
4 their field teams. We also asked them to look with their
5 most advanced techniques and their researchers, not
6 necessarily just the fuel technicians.

7 We had looked at the bobbin coil on these samples.
8 Pancake probes were beginning to get developed in those days
9 and beginning to be getting used, so we also had pancake
10 coil inspections. And there was one probe that was under
11 development which never really got into the commercial
12 arena, and this was called, in our report, we called it an
13 alternate bobbin call. This was what was called a segmented
14 coil. The idea here was to segment the coil so that you
15 might get some information about the location of the flaw.

16 As you know, the bobbin coil, the encircling coil
17 essential integrates around the circumference of the tube,
18 so it gives you some information about the flaw, but not
19 necessarily the location of the flaw.

20 As a matter of fact, we do have some probes here
21 that we could send around. Thank you, Bill.

22 This is a typical bobbin coil, you see the
23 encircling coil there. And this probe head has three coils
24 on it, there is a plus point and two pancake coils. The two
25 pancake coils are different sizes. The larger size gives

1 you more sensitivities, a larger signal, but less
2 resolution, so they have the combination of these two,
3 depending on whether you are interested in resolution or
4 sensitivity.

5 I guess I might mention, we talked about the
6 bobbin coil, and, you know, everything is bad about the
7 bobbin coil, it doesn't detect circumferential cracks.
8 Well, there are some things that are good about the bobbin
9 coil. Of course, one was already mentioned, it is the
10 speed. But if you are looking at a small level signal,
11 let's say, from an actual stress corrosion crack, the bobbin
12 coil actually gives you a larger signal than these pancake
13 probes, which these are small coils.

14 They don't have the resolution. Of course, if you
15 are trying to evaluate the size of the flaw, if you are
16 trying to map the shape and size of the flaw, you are better
17 off with these pancake probes. But from a point of view of
18 detection, especially for small signals, the bobbin probe is
19 a better probe. So in a voltage based criterion, where we
20 are looking at accepting flaws that are less than two volts,
21 it makes sense to use a bobbin coil. You know, we do get
22 more sensitivity to those kinds of flaws.

23 Again, before I get to the viewgraphs, there are
24 several things we could say about POD and how people do
25 these POD tests. Just a couple of points in general, we

1 have had the experience of doing roundrobin inspections for
2 many different components, not just steam generator tubes,
3 but also piping invessel. So we have done a lot of work on
4 evaluating the POD of different techniques, say,
5 ultrasonics, eddy current for the different inspections.
6 And we also have been involved in the work not only in the
7 States, but international work.

8 And when you talk about the reliability of
9 inspection of POD, it is made up of at least two components.
10 We like to talk about reliability of inspection in terms of
11 the NDE system capability, and the system is really made up
12 of the equipment, the procedure and the personnel, and each
13 taken together give us some idea of the reliability of the
14 inspection process.

15 So a lot of the work that we do in evaluating POD,
16 of course, is laboratory work, so, in a sense, you know,
17 people know they are under test conditions, so you get more
18 or less an upper bound of what you might expect for a field
19 inspection. Very often we do not have enough samples in
20 sets of samples. If you are trying to evaluate POD, a high
21 POD at a high confidence level, you need hundreds of flaws,
22 not what we do in qualification where we are looking at a
23 handful of flaws.

24 We often use notches, which, again, are not
25 realistic when one is trying to do POD data.

1 In our work that we have done, where the work has
2 been robust, we are really trying to determine reliability
3 of inspection, we find that you never get to 100 percent POD
4 when you use the system, the person, the procedure, the
5 equipment.

6 Now, we can break this down into capability.
7 Depending on the physics, the equipment can have the
8 capability to detect 100 of the flaws it is supposed to
9 detect. But then we put this into the hands of an inspector
10 and the human reliability comes into play, and we do not get
11 100 percent POD. Regardless of what some of the data shows
12 us when you look at three, four, five, ten flaws, detect all
13 of them, therefore POD is 100 percent. That just is not the
14 case when you use hundreds of flaws and inspection teams
15 outside of the laboratory, more on a situation like a Surry
16 roundrobin.

17 I have seen information on POD, for example, where
18 information is shown as POD going up to 100 percent at about
19 the 50 percent level of degradation. But when you question
20 how this information was obtained, the number of specimens
21 is somewhere around 30 or 40. The mean size in the sample
22 set was 27 percent throughout wall depth, the maximum depth
23 was around 36. Yet they show us a curve of POD, you know,
24 at 50 percent throughout flaw, POD is 100 percent and it
25 stays 100 percent from thereon out.

1 Well, in questioning about how this was developed,
2 we used the logistic curve fit. So, you know, the data set
3 is down -- 27 percent is the mean depth of the flaw, one
4 flaw at 36 percent, and with logistic fit, we wind up having
5 100 percent POD.

6 DR. POWERS: How do you use a POD when you are
7 talking about a production process? Suppose I have got a
8 run through a particular tube and that tube has -- in some
9 way we know absolutely that the tube has five indications in
10 it that are, let's say, 50 percent throughwall, okay. Now,
11 and I have a probability of detection at 50 percent
12 throughwall of, say, 80 percent with a 90 percent confidence
13 level. And I ask what is the probability that my analyst
14 will find all five of them?

15 Is it 80 percent times 80 percent -- 80 percent to
16 the fifth power or something like that, or is it another
17 number?

18 DR. MUSCARA: I guess, like Ken said before, I
19 have to defer this to our statistician. But we have done
20 the statistics and determined the number of flaws that you
21 need to evaluate POD at different levels. And the way we
22 have set up some our roundrobins are based on this. When we
23 report our POD data, they have a confidence level that is
24 statistically based.

25 I Ken was showing some of his viewgraphs, 13 out

1 of 13 giving 100 percent POD, but then we apply the number
2 of samples that were use. The 90 percent confidence on that
3 was really 80 percent.

4 DR. POWERS: What I am driving at is -- I think it
5 is just what you have been saying. If you give me a small
6 set of samples to do, and a relaxed period of time to do it
7 in, then essentially I am doing each indication alone, it is
8 a separate experiment and I get a particularly probability.

9 But now when I am running this detector through
10 the tube in one big operation, now the question is not
11 individual cracks but what is the probability I will detect
12 all five of the indications that are known to be there? And
13 is each one of them an independent event, or do I get a set?

14 DR. MUSCARA: Yeah. In fact, in order for the
15 statistics to work, it has to be an independent event. And
16 when we evaluate our roundrobin data, we essentially divide
17 up the test section into what we call grading sample,
18 grading units. And there are certain requirements for the
19 flaws. For example, in order for the numbers to be
20 independent, the signal from one flaw cannot be interfering
21 with the signal from the other flaw. So there are a number
22 of rules that are set up to separate these so that when we
23 do run the statistics, we get the correct answer, that each
24 measurement is essentially independent.

25 DR. POWERS: But are they independent when I am in

1 a production run? I guess that is the question.

2 MR. STROSNIDER: This is Jack Strosnider. Just if
3 I could interject just for a second, Joe, I guess. The way
4 this actually happens in the field is typically there is two
5 reviewers, and they are working independently. And then
6 depending upon whether they agree on their calls, it goes to
7 a third reviewer for disposition.

8 And we have had a number of discussions with the
9 industry, and I am not sure how consistently this is being
10 done now, but one of our concerns, first of all, you have
11 the question, you have got two analysts looking at the same
12 signal. Can you that their probability of detecting the
13 flaw is truly independent? Now, you can make that
14 assumption, but, in fact, there may be noise or something in
15 the signal that makes it difficult for both of them. There
16 is probably some dependency there, but hard to quantify.

17 The other issue that has come up in some of the
18 reviews we have done is after they go through their
19 comparison, they give it to this third fellow who is usually
20 a more senior level analyst, and he makes the decision. So
21 it comes down to, you know, what he is deciding.

22 So, I don't know, and staff can fill me in, that
23 there has been any real methodical study where we can tell
24 you what the probability of missing an indication is even
25 with a qualified method. There is some finite probability.

1 It is, you know, it is not a foolproof process, that is for
2 sure.

3 And without going into a lot of detail, I would
4 just say, when you recognize that, you have to recognize
5 that inspection is just one layer in defense-in-depth that
6 is applied to managing steam generator tube integrity. You
7 have leakage rate limits. You have the fact that it is a
8 design basis accident. You have your operating procedures,
9 and so on.

10 So, we recognize that inspection is not, you know,
11 not 100 percent reliable.

12 DR. POWERS: Well, I guess I am just worried about
13 the theoretical issue of whether, in a production run,
14 looking at just one tube, it is a set of independent
15 indications or it is a collection. And how you do the --
16 how I divide the probability of detection, I think the way
17 you are applying it is all independent isolated events.

18 MR. STROSNIDER: Yeah. Well, let me give you one
19 other thing there just to add some perspective on this. It
20 might require some more discussion later. But we talked
21 about the voltage based criteria, and you heard some of the
22 discussion about how the probability of detection, et
23 cetera, is applied there. Ken mentioned one other plant
24 that has an alternate repair criteria for primary water
25 stress corrosion cracking at the tube support plates. And

1 they -- and I guess maybe I am jumping a little bit ahead,
2 because it is not just POD, but it is sizing. And those are
3 the two alternate repair criteria, we pretty much rely on
4 that.

5 Most of the operational assessments that are done,
6 all right, there is not a whole lot of calculating and the
7 kind of stuff that we have been talking about, it is
8 basically, do the condition monitoring at the end of the
9 cycle, which relies to a large extent on the in situ
10 testing. And if you show that you meet the margins when you
11 do that, the assumption pretty much is that your probability
12 of detection and growth rate is such that things remaining
13 the same, without any, you know, significant changes, you
14 ought to be able to operate the same length of time again.

15 Like I said, there is always the possibility that
16 new things show up in between. But I think people have the
17 perception that, you know, that every review and every
18 operational assessment that is done, that people are going
19 in and using all these numbers and stuff, and that is not
20 really the case.

21 But it does come up, it came up in the Indian
22 Point review. It came up in the Arkansas review, it came up
23 in Farley. We will talk a little bit about those tomorrow.

24 So I don't know if that is helpful, but that maybe
25 provides a little perspective on how it is actually applied.

1 DR. POWERS: Well, certainly, it provided a
2 perspective on the overall problem, the challenge that Joe
3 has.

4 MR. STROSNIDER: And just to follow up on that, as
5 we move more toward these risk-informed and start doing more
6 risk-informed amendments, there will be more reliable on
7 this. You know, part of what we are trying to get across,
8 working with the industry to get, is reliable data that can
9 be used in those type of analyses. And there is certainly
10 room for improvement at this point.

11 DR. BONACA: I would like to ask one more question
12 on this issue. When they ran the bobbin coil and they get
13 these five signals in a tube, first, that will have to the
14 one of deciding what kind of indications these may be. For
15 example, they are not all going to be one type of defect.
16 There is going to be different types of defects. So I
17 imagine that they have some techniques by which they control
18 these defects in different bins.

19 And I imagine that, for example, correlating one
20 defect with the position of the plates, and so on and so
21 forth, will help the selection, but, you know, it is not
22 clear to me how this complicates the process. I think we
23 had an overhead that showed that there was some
24 consideration of the process as one complicating factor.
25 But I imagine it is a complicating factor.

1 MR. STROSNIDER: I guess you are saying you are
2 trying to understand exactly what the type of degradation is
3 that you are dealing with.

4 DR. BONACA: Yeah. Because I mean all we have
5 talked about in these past two days is one type of defect,
6 and characterizing it, and we have seen a distribution of
7 that versus voltage. But, really, this is the process by
8 which they are identifying all the defects.

9 MR. STROSNIDER: You can get some information from
10 the eddy current, but, as we said, you know, it is not -- it
11 has limitations in its ability to characterize a defect.
12 You also, you know, based on operating experience, and as
13 you suggest, the location of the defect, draw some
14 inferences from that.

15 When people find some new things, or some things
16 that are unusual, two pulls are the way to get some solid
17 information, but there is a challenge here.

18 One other thing I would add, too, which may not
19 have come across in all the discussions we have had so far,
20 is that, aside from these alternate repair criteria that we
21 talked about, which are relatively few, the industry
22 practice it to plug on detection. So when they find a
23 defect, a stress corrosion crack in particular, they are
24 going to plug that.

25 Now, thinning and that sort of thing where they

1 have some qualified and reliable sizing method, that is not
2 true, but for IGSCC, basically, plug on detection.

3 DR. MUSCARA: There are codes that the industry
4 uses for characterizing flaws, but, generally, they are
5 based on past experience. A lot of it is based on location.
6 But, generally, you can discriminate between large volume
7 defects and small volume defects. We can discriminate
8 between cracks and wastage or pitting. And then within the
9 crack regime, we can discriminate the circs from the axials.

10 So there is some capability even with the
11 detection probes. And then, of course, if you are doing
12 more careful work with some of these rotating probes, you
13 have additional capability for characterizing the flaws.

14 DR. BONACA: Yeah. I just was wondering, for
15 example, if the fact that you are going through and picking
16 up a lot of signals could confuse this detection ability.

17 DR. MUSCARA: Right. With the detection, the
18 problem is if the signals are close together, then it could
19 confuse it and you could mess up the statistics. In the
20 tests, of course, we do make sure that we have independent
21 measurements.

22 In the field, if you are finding different kinds
23 of flaws very close by, that confuses the issue. But,
24 generally, I don't think that is the case. We find a
25 cluster of flaws at the support plate, we know the type of

1 flaw they are, they are in a certain zone. The next flaw
2 you would find maybe at the next support plate. So they are
3 not really -- one is not really affecting the other.

4 I guess just to finish up what I had started on
5 the NUREG-2336, the loan numbers were developed when we were
6 using this, you know, I mentioned there was an experimental
7 probe, a segmented bobbin coil, so that is where the 27
8 percent came from. That has never been used in the field.

9 I guess also I should mention that in that test,
10 we were using single frequency eddy current at the time. So
11 when you look at the data from the normal bobbin coil and
12 the pancake coils, the average POD was, as was stated
13 earlier, was .63, I think we are using .6. I think the
14 maximum we found in that small roundrobin was about .75.

15 But one of our main objectives, let me just
16 mention it, the Surry work was I think very useful, we had
17 very valid data. That was part of an international program.
18 The Surry part of the work cost \$17 million, and the flaw
19 types of a different nature these days, we need to do
20 similar kind of work, but we can't afford to spend another
21 \$17 million to get these POD curves.

22 So what we are trying to do is set up a mockup and
23 an inspection process that mimics what goes on in the field.
24 And so we are trying to set up this mockup so that it has
25 the kinds of conditions one runs into in the field, so that

1 the flaws are typical of what is in the field, and so that
2 the inspection process is also conducted according to the
3 qualified procedures and so on. And I will get into some of
4 this work.

5 Unfortunately, I will not be presenting a lot of
6 new results right now. We will have information by the end
7 of this calendar year. We are in the midst of conducting
8 the roundrobin. We are trying to keep this a blind test.
9 There are some other teams that we need to bring on board,
10 so we cannot release a lot of the information, but I can
11 give you some trends.

12 We also mentioned earlier some advanced
13 techniques. I wasn't planning on talking about the work we
14 are doing on advanced techniques, but we are doing research
15 both in characterizing the reliability of current inspection
16 methods, most of this is with the mockup and the roundrobin
17 testing, but we are also doing work on advanced eddy current
18 techniques, in particular, data analysis procedures bring
19 some of this in, and that we are also using this for
20 characterizing the mockup.

21 And I have probably mentioned already what is in
22 the first viewgraph. The purpose, again, is to evaluate the
23 reliability of current day inspection, both with respect to
24 probability of detection and sizing accuracy, and we will be
25 using a mockup.

1 I guess while I am going through the viewgraphs, I
2 also mentioned a couple of items. When we talk about
3 qualified techniques, you know, that is very soothing. When
4 we talk about something being qualified, we think it must be
5 good. I think we need to pay particular attention to what
6 we mean about qualified techniques with respect to what is
7 being qualified for inservice inspections.

8 When we talk about qualified detection techniques,
9 the technique can be qualified if it passes a particular
10 test. There are a certain number of samples that are
11 involved. Normally, there are not a great deal, a number of
12 samples. But the passing criteria is that you need to get
13 80 percent of the flaws at 90 percent confidence level for
14 flaws that are 60 percent deep and deeper. So if we are
15 talking about a 40 percent plugging criterion, do I always
16 know what the probability of detecting a 40 percent flaw is
17 when the qualification is at 60?

18 In the sizing arena, when we started doing
19 qualification on sizing, the criteria had been 25 percent
20 root mean square error. We are no longer using that. So
21 what is implied in a qualified sizing technique is that the
22 process has gone through the system, a test has been
23 conducted, but there is no passing criteria. But they do
24 record how the person and the system performed. So a
25 qualified technique would be something that gives you a

1 sizing accuracy of plus or minus 50 percent. If it has gone
2 through the system, it is qualified.

3 So we need to understand that the qualified
4 doesn't necessarily mean it is very good, but at least we
5 know how it performs. And then that information, of course,
6 is used in the operational assessments, and that is the
7 important point. But we shouldn't be left with the idea
8 that a qualified sizing technique may be a very accurate
9 technique.

10 Just a very brief description of the mockup, we
11 have essentially 400 tube openings. Each tube is made up of
12 nine test sections, so there are nine individual one foot
13 sections. They may have a flaw, they may not have a flaw.
14 But there is the option of having 3,600 test sections in
15 this mockup. At the top of the mockup there is a three foot
16 run out section, and that is there so that -- well, the
17 probe doesn't fall out of the tubes when we do inspection,
18 but more importantly than that, we want to make sure that
19 when the probe hits the first sample, that the probe is up
20 to speed, so it has a constant speed throughout the
21 inspection.

22 I mentioned they were trying to make this mockup
23 realistic. We have literally hundreds of flaws. Again,
24 since it is a blind test, I don't want to mention how many
25 hundreds, but it is several hundreds of flaws. The types of

1 flaws we have are mostly stress corrosion cracks from the
2 ID, axial, circumferential. We have some IGA. There are a
3 few EDM notches and a few fatigue cracks.

4 We also try to reproduce conditions in this
5 generator, so that besides the straight sections of tubes,
6 we have tubes that are rolled into tube sheets. We have the
7 same roll transition in these tubes as we have in operating
8 plants. There are dents in the tubes. We have sludge
9 piles, we have magnetite. So that we have tried to
10 reproduce the conditions that are important that affect an
11 inservice inspection signal.

12 MR. BALLINGER: No U-bends?

13 DR. MUSCARA: No U-bends, correct.

14 DR. CATTON: 22.2 millimeter diameter is 7/8ths of
15 an inch?

16 DR. MUSCARA: That is three-quarters, right next
17 to it. So, yes, the other items that we do have an actual
18 carbon steel support plate, we have three simulations of
19 these in this mockup. So that is the same size as a support
20 plate out in the field.

21 As I mentioned, we are trying to mimic the
22 inspection process that goes on out in the field, and we
23 know a lot about that inspection process. Our researchers
24 at Argonne know something about that. But we really wanted
25 to make sure we were doing this right, so we put together an

1 NDE task group. And the idea here was that we wanted to
2 have some input that actually do these inspections, people
3 that develop the inspection plans.

4 So we put together this task group and the members
5 were from Argonne, from NRC, from EPRI, from FDI, which was
6 the old Babcock & Wilcox, ABBCE, from Zetech, which is a
7 major inspection company, provides inspection services and
8 also equipment, Westinghouse, Northern States Power,
9 Commonwealth Edison and Duke Power. We met a number of
10 times to discuss this test. But the main input we had from
11 the members was that we wanted to know if the signals that
12 we had from the cracks in this mockup are typical of what
13 they see out in the field, because we wanted to make sure
14 that the cracks are prototypic both from the point of view
15 of the morphology, from a metallurgical point of view, and
16 also from the eddy current signal point of view.

17 And so we have compared these cracks to signals
18 that you get out in the field, and they are typical. We
19 also compared them to the metallography of stress corrosion
20 cracks that we get from pulled tubes and they are quite
21 typical. Of course, stress corrosion cracks, if you have
22 seen one, you have seen they are all, but there are minor
23 variations, and we cover the range of the stress corrosion
24 cracks that you do notice in the field.

25 Now, we do have in the mockup cracks that come in

1 clusters. We have single cracks, but many of them are
2 today's type of crack where we have small cracks with
3 ligaments in between, and these are distributed around the
4 circumference in one more than crack and also axially along
5 the tube.

6 DR. POWERS: How did you make these cracks?

7 DR. MUSCARA: Well, these cracks were made in the
8 laboratory. When we started out, we were using autoclaves,
9 high temperature caustic solution. That got to be too
10 time-consuming and too expensive, so we have been working
11 for a number of years, one or two years, to just develop
12 methods for coming up with these cracks. We essentially
13 heat treat the tube so it is sensitive to cracking and we
14 conduct the cracking at room temperature in one more
15 solution of sodium tetrathionate.

16 DR. POWERS: Tetrathionate.

17 DR. MUSCARA: And we can get cracking with this in
18 time periods of the order of a day to three or four days.

19 Now, all these cracks are very well characterized.
20 I mean we know where the flaws are because we are
21 introducing them. But they undergo a battery of tests where
22 we used advanced NDE techniques, whether it is ultrasonics,
23 mostly eddy current, die penetrant. We do a lot of work to
24 characterize these cracks before we accept them for the
25 mockup.

1 Again, we want to make sure that they are
2 realistic and sometimes we aim at certain kinds of cracks.
3 We can produce fairly closely what we need, but it is a
4 random process. So, you know, sometimes we reject some of
5 the cracks, they may be too wide open for us.

6 Well, in addition to assuring that the cracks are
7 typical and the conditions are typical, we also wanted to
8 make sure that the roundrobin is conducted in a manner
9 similar to inspection conducted in the field. So we
10 effectively treated the generator -- in the field, of
11 course, there is an owner of the generator, and the owner is
12 responsible for what goes on with this generator. The owner
13 is responsible for coming up with the inspection program.
14 So we assigned Argonne National Laboratory the ownership of
15 the generator, so they act as the owner, and they are
16 responsible for developing the inspection program.

17 Now, when developing the inspection program, a
18 number of things are taken into account. For example, the
19 owner is responsible for doing a defect analysis, and so
20 they are required to sit down, determine for their plant the
21 kinds of degradation they have experienced in the past, and
22 determine for sister plants what kind of degradation they
23 are experiencing. And then they are required to make sure
24 that the techniques used for inspection match the kinds of
25 degradation that they are experiencing.

1 So, they are supposed to be using qualified
2 people, but, in addition, the personnel needs to be
3 qualified at the plant site. So they need to take a
4 plant-specific examination, both a written examination and
5 an examination, an actual examination of inspecting data
6 from their plant from the past where they know what the
7 situation of the flaws are.

8 So a lot of information was gathered, a lot of
9 documentation was written, very similar to what is conducted
10 in the field. And our task group was very helpful in
11 providing us with a lot of this information. So we had a
12 lot of information, for example, on inspection plans that
13 are used at actual plants, and so we mimicked our process
14 along that information for the mockup.

15 For an actual inspection, there is usually at the
16 utility is a Level 3 inspector who is responsible for
17 approving the inspection program. And, similarly, for this
18 mockup, for our roundrobin, we had the task group had the
19 responsibility to review all the information and approve it,
20 that the techniques we are using match the requirements and
21 that they are appropriate for the kinds of degradation that
22 we have in the mockup.

23 So, what I really wanted to stress is that when
24 you do see our information, come December or January, that
25 you do have the feeling about how the work was done. This

1 is not just a laboratory test. You know, clearly, I can
2 mention laboratory tests and roundrobin that we have done in
3 the past, some international work where they use all
4 notches, 100 specimens, 95 which were notches, five were
5 cracks, and they tried to develop UOD curves from that.

6 This work is laboratory, but it is a mockup and it
7 is trying to reproduce the conditions of the field, and
8 inspections are conducted in a manner similar to what is
9 being conducted in the field.

10 After assembling the mockup and doing a lot of
11 work on our own to characterize the nature of these flaws,
12 we started the actual roundrobin in February of this year.
13 We are dealing here really with an analysis roundrobin. In
14 the past, if you know the work from Surry, we have done both
15 what we call data acquisition and analysis roundrobin, and
16 we also conducted analyses roundrobin.

17 What we found is that the data acquisition,
18 regardless of who performs the data acquisition, you get the
19 same result. It is the same procedures used, the same
20 equipment, and the flaw is the same flaw, so that we found
21 very little variability in having many teams gathering the
22 data, the data was the same. So that we decided here that
23 we needed a run, an actually roundrobin, this is where the
24 variability in POD comes from, not from gathering of the
25 data.

1 So we had a qualified team from Zetech gather the
2 data. There was some oversight of the team, there was a
3 proctor present making sure that the data was gathered
4 according to the procedure. But then this data was given to
5 a number of independent commercial teams to do the analysis,
6 provide us the information about what they have detected,
7 and we also required information on sizing.

8 At this point I believe we have five teams that
9 have done the analysis roundrobin. We have incorporated
10 most of the major inspection agencies that conduct
11 inspections in this country. One clear exception at this
12 point is Westinghouse has not been able to participate yet.

13 I should mention that the program I am talking
14 about is an international program. The participants in this
15 program are Westinghouse, EPRI, Canada -- there is one more,
16 Korea.

17 So Westinghouse is very willing and has several
18 times scheduled to do the analysis roundrobin.
19 Unfortunately, they have been pulled away on other
20 activities. The last one they were scheduled to do the
21 analysis roundrobin for us in May and, unfortunately for us,
22 they got pulled away with Indian Point 2. They are now
23 scheduled I believe for November, and, hopefully, in
24 November they will do the roundrobin, and we can include
25 them with the set of information we already have.

1 Let me describe a little bit the teams. In
2 effect, as I mentioned before, we conduct it the same way as
3 the inspections are conducted in the field. So the
4 inspectors have been tested, they are qualified inspectors.
5 They have been qualified through the EPRI NDE Center. We
6 use a five person analysis team, and this is what is going
7 on today.

8 I also must mention that this technology is
9 evolving and it is improving fairly rapidly. Jack mentioned
10 we have two inspectors. In fact, when we planned the
11 roundrobin, there were three inspectors involved in the
12 team, now there are five. The description of the five
13 member team is that there are two analysts, we call them
14 primary and secondary, but, again, you know, they do the
15 same function. A secondary team doesn't mean it is less
16 qualified or the result is less important.

17 There are two independent teams that do the
18 analysis. In the past, if these two teams did not agree,
19 then a resolution analyst, who is a Level 3 rather than a
20 Level 2, will do the first -- the primary and secondary can
21 be Level 3. They are normally Level 2 and Level 3, but the
22 resolution analyst is usually a Level 3, and he decides what
23 the true call is if the primary and secondary can't agree.
24 That was the past.

25 Now, we are using five teams. So we have two

1 initial inspectors doing the analysis, primary and
2 secondary. There are two resolution analysts, and they have
3 to come to a consensus on the call. And there is a fifth
4 member of the team which is called the independent QDA or
5 the independent qualified data analyst. And this fifth
6 member is usually a member of the utility rather than the
7 inspection agency, not always, but usually.

8 So the makeup of our analysis team is made up of
9 these five inspectors. The true independent who looked at
10 the data, if there is something to be resolved, the
11 resolution analysts look at the data. And then finally, the
12 independent QDA has an opportunity to look at the data and
13 provide a final answer.

14 We have mentioned there are not too many sizing
15 techniques that are qualified, there may be one or two. But
16 we are requiring these teams to provide us with sizing
17 information, at least to give us the maximum size of the
18 degradation, and that is a sizing technique that is based on
19 the face angle of the indication. If you have to do sizing,
20 this is a typical method for sizing flaws. And it is very
21 similar, what we are requiring for the max size is very
22 similar to one of the qualified techniques for sizing.

23 I must mention also that, in addition, we plan on
24 getting a subset of this data to a number of commercial
25 teams to provide us with sizing information, not just the

1 maximum size, but we will ask them to do the entire mapping
2 of the flaw. This is not something that is required or is
3 qualified, but we are trying to get some idea about the
4 sizing accuracy also in this work.

5 In order to be able to grade or to evaluate a
6 roundrobin, we must know what the true state of the mockup
7 is, so we must know what the actual size, and type, and
8 location of the flaw is. Well, as far as location, we know
9 that. The most difficult part is to try and determine what
10 size these flaws are.

11 We want to be able to use this mockup in the
12 future for evaluating emerging technology. It is very
13 time-consuming and expensive to produce these tubes that
14 have realistic flaws. I guess, just to mention the mockup
15 itself, putting it together, making some of the flaws cost
16 over a million dollars. So these tubes are very valuable
17 and we do not want to destroy them all. So we are trying to
18 find some techniques for getting a true state of these flaws
19 so that we can then use in evaluating the performance of the
20 analysts.

21 And I will not spend a lot of time on this, but we
22 tried many techniques, including ultrasonics and high
23 frequency ultrasonics, land waves, all kinds of eddy current
24 techniques. Just to summarize, none of those worked that
25 well for all kinds of flaws.

1 We are concentrating now on one technique, which
2 is part of the research work we are doing not to evaluate
3 the reliability, but research that we are doing on advancing
4 data analysis techniques. And so right now we are
5 benchmarking a technique that was developed at Argonne
6 National Laboratory. It uses multi-frequency eddy current,
7 but in addition to the multi-frequency eddy current, we do
8 filtering, we do deconvolution. And we have developed a
9 rule based smart system, that is, we are incorporated into
10 this algorithm the kinds of things that the good inspectors
11 do when they do an analysis and try to decide whether it is
12 a flaw or not a flaw. So all of these rules have been
13 incorporated into this system. So one major aspect is the
14 multi-frequency correlations to flaw sizing, and that is
15 incorporated in this.

16 And what I wanted to show you next, just very
17 briefly, is some of the capabilities for sizing. We are
18 validating the technique by destroying -- by inspecting this
19 set of tubes, having the inspector provide us with the
20 mapping of the flaw, and then we are destructively
21 evaluating these samples to determine how well this
22 technique is working.

23 It is just an example of the result we get from
24 the technique. You have seen the kind of graph that you see
25 on the left before. A key aspect of this is that it has no

1 resolution. One of the key aspects of our rule based
2 automation calibration and deconvolution that we are doing
3 is to improve the signal to noise ratio. And the key
4 parameter in being able to detect and also size flaws is to
5 have a clean signal. So if we can reduce -- if we can
6 increase the signal to noise, that helps both the detection
7 and sizing. And one major aspect of this work is that we
8 are really reducing the signal to noise -- increasing the
9 signal to noise, reducing the noise a great deal.

10 So that shows the kind of information we get, and
11 on the right, we just show that you can section this
12 information, looking at the flaw either from a
13 circumferential, from an axial, or from a longitudinal view,
14 and you can get the profile of the flaw. And we are
15 evaluating how accurately we are doing this by destroying
16 samples.

17 Out of the 29 samples, we have finished that work.
18 All of those have been destroyed and compared to the eddy
19 current result. This is just a set of three samples that we
20 have looked at and compare the eddy current profile versus
21 the actual metallographic profile. I could spend some time
22 on how that is done, but if you have specific questions, we
23 can try and answer them, but in the interest of time, I will
24 move on. I just want to say we are doing a careful job of
25 metallographically evaluating the flaw.

1 DR. KRESS: How do you cut the tube?

2 DR. MUSCARA: Well, we don't cut the tube. The
3 best way we have found, that gives us very good information
4 that is more effective from a cost and time point of view,
5 is to pressurize the tube a small amount to open up the
6 flaw. We then look inside the flaw face, the tube is heat
7 tinted, so we know what the prior flaw is from the heat
8 tinting, and, also, it is an intergranular crack which is
9 different from any quote we might have had from the
10 pressure.

11 We take a digital picture, the picture is
12 digitized and we do digital analysis. And looking at the
13 light areas and the dark areas, we map out the flaw. It is
14 a very difficult and time-consuming process because the
15 flaws we have in some of these tubes are literally dozens to
16 hundreds of flaws, small flaws with ligaments. And we are
17 trying to evaluate those very carefully both with the
18 metallography and with the eddy current. And to my surprise
19 at least, we are doing a lot better than I thought we could
20 do with the eddy current technique. We are really getting
21 much resolution from this technique. And, as I say, we are
22 checking it out against samples, so know that it is real.

23 Well, this shows a comparison of three samples,
24 the eddy current by using this technique versus the actual
25 destructive examination. And you can see it is quite close.

1 In some cases, for example, the eddy current here does not
2 pick up the full length of the flaw, and that is fairly
3 typical. The probability of detecting shallow flaws is
4 small. So in these matters, if we turn to a length sizing,
5 we often undersize because we do not pick up the part of the
6 flaw that is shallow. That is a fact.

7 The interesting thing is that when you try to
8 evaluate these flaws and calculate a burst pressure, you
9 don't really need to know the shallow part of the flaw
10 because that does not contribute to the failure pressure of
11 these complex flaws. In general, what we found by running a
12 number of tests, and Bill will talk about some of this
13 tomorrow, but the portion of the flaw that is less than 70
14 percent throughwall usually does not participate in
15 determining the failure pressure.

16 So when we look at these flaws and we go through a
17 process of characterizing the flaw where we look at the
18 equivalent area or an equivalent flaw, length and depth,
19 because these are not rectangular flaws, and then use that
20 in our integrity correlations, we can estimate the burst
21 pressure very well by using these profiles, even though we
22 might miss the shallow part of the flaw from the NDE.

23 DR. KRESS: When you do the destructive test, is
24 there any chance that you change the flaw characteristics by
25 doing that? It looks like you --

1 DR. MUSCARA: Well, of course, there is always the
2 chance, but, again, we are careful. We do not open these up
3 a great deal, we just want to open them enough so that we
4 can look into the face of the flaw.

5 DR. KRESS: Yeah, and you can tell where you might
6 have changed it.

7 DR. MUSCARA: Right. And if we do change it, then
8 we know that that is different from the heat tinted area,
9 number one, from the intergranular nature of the crack.

10 DR. KRESS: And you can see what has changed.

11 DR. MUSCARA: So we can see. We do look at these
12 things on the scanning microscope, so that --

13 DR. KRESS: Oh, you look at them on a scanning
14 microscope.

15 DR. MUSCARA: Oh, yeah. Yeah, when we need to. I
16 mean some cases we don't need to. But in many cases we do
17 look at the surfaces on the scanning microscope before we
18 decide what the profile is.

19 Well, again, as I said, I wasn't going to -- I
20 really wanted to come in and show you some example PODs, and
21 we are not doing that, partially because we haven't fully
22 characterized the generator. We are still in the process of
23 evaluating the data. We are shaking down a statistical
24 package we have for conducting these analyses, a number of
25 reasons. And, also, you know, it is a blind test and I

1 really didn't want to have in the public some of these POD
2 curves.

3 But I can tell you, qualitatively, we remember the
4 Surry kind of information. We are not too far from that.
5 If you remember at Surry, we had some fairly high PODs for
6 large flaws, but never went to 100 percent. Real teams miss
7 flaws even though they are big. All they have to do is
8 blink while they are looking through the record. So that in
9 reality, some teams miss flaws. And we know in this case
10 also, some teams missed once in a while a large flaw. So
11 the POD does not go up to 100 percent, nor is it 60 percent
12 for the large flaws. So we are doing better than 60
13 percent.

14 I say in general I think we are doing quite well,
15 but you will see all this information in several months in a
16 much more quantitative way.

17 DR. KRESS: Is your objective to get a POD versus
18 flaw size?

19 DR. MUSCARA: POD versus flaw size as a function
20 of the technique that was used, which is qualified, so it is
21 POD as a function of the flaw type, the technique, the
22 location in the generator. We are going beyond that. I
23 mean in the past we looked at POD as a function of the
24 maximum depth. Well, maximum depth is not a really good
25 parameter for determining burst strength of these tubes when

1 we have a complex flaw. It is if it is a simple rectangular
2 flaw, but for these complex flaws it is not a good
3 parameter. So we will be looking at POD as a function of
4 other things.

5 One of the items that works very well, that we
6 find worked well for predicting burst pressure is this $M_{sub P}$
7 $M_{sub P}$ is a correlation factor, it is almost a stress
8 magnification factor that describes the stress at the
9 ligament of the flaw that is used for predicting burst
10 pressure of different types and sizes of flaws. So it takes
11 into account the geometry of the flaw. And Bill will cover
12 a lot of this development tomorrow.

13 But one of the important parameters here for
14 describing the severity of the flaw is $M_{sub P}$. So one of
15 the things that makes a lot of sense to us is to try plot
16 POD as a function of $M_{sub P}$. And it is not just the
17 research work, I mean even in the field, we are moving
18 towards, we are using this evaluation, we are using $M_{sub P}$
19 for predicting burst pressures.

20 Besides the voltage criteria, and you have heard
21 there are a few other criteria out there, one of the most
22 recent ones is a criterion where you are actually using
23 length and depth of the flaw to predict its burst pressure.
24 And it is not just length and depth, in fact, it is what I
25 showed you before, it is the profile and how to calculate

1 the burst pressure of those tubes. Well, you need to have a
2 severity factor which is this M sub P .

3 So, you know, the laboratory work, yes, is leading
4 some of this, but it is winding up the field, and we are
5 doing those kinds of analysis. And, in fact, we have an
6 ultimate plugging criterion at the support plate and dented
7 region where we use this kind of an evaluation for
8 calculating a burst pressure and making sure that it meets
9 the $3 \Delta P$.

10 And so with that, you come up with something other
11 than 40 percent, depending on the reliability of sizing, the
12 crack growth rate and the strength of these tubes.

13 So one of the things that makes a lot of sense for
14 us is to evaluate POD as a function of M sub P . And since
15 we are using voltage and we get that free, the voltage
16 always comes with the signal, we will be plotting, I am
17 sure, POD as a function of voltage for these different kinds
18 of cracks.

19 And then again, for the first time, we will have a
20 comprehensive data set where we know what POD as a function
21 of voltage is. When we looked at this POD of .6, it was as
22 a function of a handful of flaws of varying sizes. And
23 normally POD is a function of size, it is not POD is a
24 function of voltage. But we will have that information once
25 we are done with these analyses.

1 I am not sure if I should go through this. I mean
2 you can read it as well as I can. But we find is that the
3 POD for the larger flaws, or for the large segments of the
4 flaw can be fairly high, above 80 percent. Again, it is not
5 100 percent. We have missed sometimes large flaws, but it
6 is more than .6. And so there is -- we realize that .6 is
7 conservative, and in a voltage based criterion, .6 covers,
8 as we mentioned earlier, a number of things, not just the
9 POD but the crack's initiator in cycle, for example.

10 So the POD will have detailed data, can get fairly
11 high. On the other hand, it is very low for flaws that are
12 smaller than 40-50 percent, and that is not a surprise, I
13 think we expect this.

14 I think you can read the rest at your leisure.

15 DR. POWERS: Everything else is pretty much as
16 expected.

17 DR. MUSCARA: Right. Just very briefly, we have
18 been talking about sizing and the difficulty sizing. Sizing
19 is usually based on a calibration, so you have a set of
20 standards with different depths of holes or notches, and you
21 look at the face angle for each one of these notches, and
22 you have a calibration curve for sizing.

23 We also have indicated -- maybe we haven't, but
24 sizing ID flaws is more troublesome than sizing OD flaws,
25 and this graph shows you the reason why that is. If you are

1 looking at the ID flaws, that is the portion of the curve in
2 red. You can get from 100 percent -- from zero ID flaw size
3 to 100 percent through the wall size, and you are just using
4 up 30 degrees of face shift. So within 30 degrees, we have
5 the full span from nothing to throughwall. And when the
6 signals are complex and complicated by noise, and it is
7 difficult to pick out where one should measure the face
8 angle, then you get into a problem with getting good,
9 accurate sizing.

10 For OD cracks, they normally can be sized a little
11 bit more accurately. There is a larger span than covers
12 from 0 percent depth to 100 percent. But, at any rate, so
13 sizing normally is conducted with a calibration curve. We
14 know whether it is ID or OD based on which, what quadrant
15 the signal fall from, from 0 to 30 percent, it is ID. From
16 30 percent on up, it is an OD.

17 Well, this is similar to the second to last
18 viewgraph. Stress corrosion cracking depths less than 50
19 throughwall, we find that is not reliable, and it is not
20 unexpected. Smaller flaws give small signals and they are
21 complicated by other conditions, and it is difficult to
22 select the proper face angles. But what you find in general
23 is that these flaws are overestimated, but we see they are
24 unreliable because that is not always the case, sometimes
25 they are underestimated.

1 Well, and the orientation we have found is quite
2 difficult. Circumferential cracks at the top of the tube
3 sheet, when they are small cracks, they are really difficult
4 for the teams to get a good sizing on.

5 This is all that I had. I had prepared to, again,
6 give you a view of the work that is in progress and the kind
7 of data we were looking forward to getting. It will be
8 quite useful in evaluating submittals that come in and
9 getting a feeling for what the real probability of detection
10 of these flaws is.

11 MR. STROSNIDER: This is Jack Strosnider. I don't
12 know if you had any additional questions, but thanks, Joe.

13 This is some really useful work which I think is
14 going to help NRR in terms of our review of licensing
15 amendments and activities that come in. And I think the
16 industry, and I mentioned earlier this sort of simplified
17 approach to operational assessments, but I don't want to
18 give the wrong impression, I think licensees may actually be
19 out there doing these calculations and this is going to help
20 them do their work. I was talking about the sort of sanity
21 check that we give those evaluations.

22 In terms of schedule, we are almost finished with
23 Item 10. Actually, under Item 10-G, Number 1, it talks
24 about laboratory studies and why these are applicable in
25 light of vibrations induced by blowdown, et cetera. We

1 interpreted that as wanting to hear some more about the
2 issue that Mr. Spence discussed yesterday with regard to
3 blowdown effects.

4 And Jack Rosenthal from the Office of Research is
5 here. You know, this issue has been -- Research has been
6 asked to take a look at it in terms of the GSI process, and
7 so to address that issue, we are going to ask Jack to give
8 you a little status on where that is at. And I don't know
9 how much he has got, but when we finish that, that will
10 conclude Item 10, and then we can decide how to go forward I
11 guess with the rest of the agenda.

12 DR. POWERS: Well, I will tell you what the
13 decision there is. We will take a little break after Jack
14 and then we will trudge right ahead.

15 MR. STROSNIDER: Okay.

16 MR. ROSENTHAL: Really, my comments are
17 programmatic and short, so I will go fast. Okay. My name
18 is Jack Rosenthal, I am the Branch Chief of the Regulatory
19 Effectiveness Assessment and Human Factor Branch in the
20 Office of Research, and one of the teams in my branch is
21 responsible for working generic issues.

22 Yesterday that was some discussion that we have
23 been slow about working some generic issues, and that is
24 true. But since 1981, we have approached 632 issues,
25 prioritized them, et cetera, 283 of them actually were

1 worked as generic issues with some sort of technical
2 approach to them.

3 At least of recent, I think we are doing much
4 better at working the issues. So from 600 issues, of
5 course, the tough ones that take years, we resolved five in
6 '99, six in Fiscal 2000. There is seven on the books right
7 now. Our real viable process has new issues coming in and
8 old ones getting resolved, but the big backlog of prior
9 years is no longer.

10 The ACRS has been kind to us, and you will see we
11 have, with some regularity, been coming forward to you with
12 the issues as we resolve each technically. And you are
13 familiar with these because we have discussed these with you
14 recently.

15 Before us now is -- that is the list of current
16 issues, and monthly we tell Pete Domenici where we stand on
17 resolving issues. There is some thrust to get them
18 resolved. When this slide was made up, we didn't have
19 GI-188, which is the most recent one.

20 I was going to talk about 163, but looking through
21 the material, Jack Strosnider did a good timeline review at
22 the beginning of the day, so I won't do it again. You will
23 find all the information on the NRC web, and there is a
24 commitment there that following this panel's deliberations,
25 we will figure out what to do in terms of a program plan for

1 resolution of the multiple tube rupture issue. And in that
2 document sitting on the web page, it says, within a month of
3 you finishing your work, we will come up with a plan to
4 finish ours.

5 The last slide is 188, it is resonance vibrations
6 of steam generators tubes in a main steamline break event.
7 That is just a title that has been given to it. It has been
8 entered into our system, and we are starting to work the
9 issue. And I just -- as I understand, and this is what
10 needs to be worked out, the postulate is that, and it is not
11 surprising, if you have a fluid system and you suddenly open
12 that system, or you suddenly close that system, yes, one
13 would have pressure pulses in the system which would induce
14 mechanical motion in the system, et cetera. That is really
15 not a surprise.

16 At least a preliminary look, would the vibrations
17 be -- or the number of fatigue cycles that you put on it be
18 bounded by the current design of the steam generators?
19 Well, it is not so obvious because just the amplitude might
20 be different. It is something where we can't dismiss it out
21 of hand. It does appear to warrant some technical work.

22 We are following the pilot application management
23 directive 6.4, which we brought before the ACRS, and the
24 ACRS was very kind to us in retrospect when you said, look,
25 why don't you try it out for a year before you adopt it.

1 And as is proven, we have had some lessons learned from
2 that, so thank you.

3 In that process, --

4 DR. POWERS: We will help you, Jack. Come back to
5 us again and we will still harass you.

6 MR. ROSENTHAL: In that process, the big change is
7 the management directive, is to say that for issues that we
8 current worked, resolve really means resolved as somebody in
9 the street would understand the term "resolved."

10 DR. POWERS: Best move you can possibly make.

11 MR. ROSENTHAL: Okay. And that is that you bring
12 it through, figure out what you want to do and actually do
13 it and figure out, okay. And some of the activities upfront
14 are handled by RES, and then some of the issues, I mean NRR
15 has responsibility for writing rules, doing inspections, et
16 cetera, so it is a joint effort. But what we have said is
17 in terms of the public, that resolved ought to be mean
18 resolved all the way through verification.

19 We are in the identification stage of this issue.
20 Initial screening. We have a panel of experts, Milos
21 Chochki is the panel chairman on that, and the next meeting
22 is scheduled for 10/18.

23 What we do is, based on what we have heard here,
24 and the information that is brought forward, we are going to
25 try to write down what we think is the issue, get agreement

1 on the issue. And then -- not so simple. Because we want
2 to know upfront whether we are going to include things like
3 motion of the lowest support plate or not. Are we only
4 talking about the tubes? Are we talking about other
5 mechanical aspects of the steam generator? And just what is
6 the issue?

7 And what we have learned from other go-rounds is
8 that defining the issue is quintessential. Then within the
9 sense of the Generic Issue process, you decide if it is a
10 compliance issue, it was already covered by the regulations.
11 Is it an adequate safety issue? Typically associated with
12 what you think of as this 3 to the minus 3 delta CDF type
13 issues, which I don't perceive this to be. Or is it a
14 safety enhancement issue?

15 Following that, we would then develop a program
16 plan for how we would attack the issue, and then everything
17 the NRC does goes through a PBM process and we would get
18 resources to work the issues. That is where we stand.

19 DR. POWERS: I mean that is great, and I am glad
20 to see that the process is being exercised, and we will be
21 anxious to hear how it comes out. But we are left with a
22 problem now. We have a contention that says, gee, when you
23 set up this Generic Letter 95-05, you guys didn't take into
24 account the fact that you are going to get these violent
25 pressure pulses and vibrations in here that could lead to a

1 couple of things, growth of cracks that otherwise wouldn't
2 have grown, and enhanced leakage, and unplugging of cracks
3 that have been plugged by corrosion products, okay, and that
4 would give you enhanced leakage. So your leakage estimates
5 that you had in mind when you set up Generic Letter 95-05
6 just don't take into account this physical phenomena.

7 And the question is, what is the response to that?
8 Now, what we heard from Ken is he says the cracks are very
9 tight, and there isn't much in those things, so the
10 unplugging cracks may be not such a major issue as it is
11 other contexts. But the growth of cracks due to the violent
12 vibrations is still, I think, an open issue here.

13 MR. STROSNIDER: You are looking for a response.

14 DR. POWERS: Yes.

15 MR. STROSNIDER: This is Jack Strosnider. I guess
16 the answer to that is, number one, I think, yeah, we do need
17 to do some work to understand what this phenomena is. I
18 don't think there is anybody here right now that say how
19 significant it is or isn't, you know, what it is going to
20 do, and it is just going to require some technical work to
21 go figure it out.

22 You know, we have emerging issues in regulatory
23 space all the time, all right, and that is why these
24 processes are set up to deal with them.

25 The other point I would make is that, based on

1 what I heard yesterday, and some of the concerns that have
2 been expressed, it is not clear to me that this is just a
3 Generic Letter 95-05 issue. You know, some of the
4 suggestions with regard to the significance of this
5 transient, you know, if some of what we heard is, in fact,
6 what we find out when we go look at the technical aspect of
7 this, it is broader than voltage based repair criteria, it
8 has some much more fundamental issues.

9 DR. POWERS: That's fine. But right now I want to
10 work on what it has to do with alternate repair criteria.

11 MR. STROSNIDER: Yeah, and I think, you know, my
12 response is, like I say, we have emerging issues that come
13 all the time in regulatory space. We have a process for
14 dealing with them. When we talk about going out and
15 changing the licensing basis for plants, et cetera, we need
16 to do that, you know, in a methodological way, and that is
17 what the process is there for.

18 MR. ROSENTHAL: Can I make a comment? Let me just
19 make one more comment and then I will give you the mike.
20 And that is that, depending on what goes on with this panel,
21 okay, we have options to incorporate the resonance issue in
22 with 163 into a major -- into one big issue. We could parse
23 it out amongst its pieces. And we just haven't made a
24 decision pending hearing out the results of this work, plus
25 the panel meeting to discuss in greater depth that technical

1 work. And then we just have to put together.

2 But we are dismissing the issue. And as we look
3 at it, we see that there is interesting technical aspects.

4 DR. HOPENFELD: Let me relate to you my 40 years
5 of experience in Research. You don't look, you don't find.
6 Ten years ago, nine years ago, the broad spectrum of
7 problems were really identified. We didn't go into the
8 detail in that GSI-163 in the DPO, but NRR chose not to look
9 at it, chose to set it aside.

10 And now you tell me -- I am positive that
11 somebody, that if that work had started then, all these
12 problems would have been identified. So I am kind of a
13 little bit frustrated in you telling me that this is a new
14 thing that you are discovering today. That is water over
15 the bridge. The point is that with this kind of attitude, I
16 think we should start this new vibration program.

17 But if you are going to proceed in the same way
18 that we have done before, there will be other things here,
19 because it is a very complex problem. You ask yourself --

20 DR. POWERS: That deals with issues of management
21 and whatnot that are out of our spectrum. I think we are
22 interested in the technical issues here, and how it impacts.

23 MR. STROSNIDER: I would provide two additional
24 comments, too. I mean this is -- obviously, you as the
25 special subcommittee have been tasked with dealing with the

1 issue, and so this is just my perspective, okay, and take it
2 for what it is worth. I think, you know, there is a
3 question, and Dr. Hopenfeld just pointed to it, you know, is
4 this issue, was it part of the original DPO or not? And you
5 can take a look at that, you know, it is open to the
6 discussion probably or debate.

7 But the more important thing is, and I tried to
8 talk about this this morning in terms of what it takes to
9 resolve a DPO, or any other, you know, emerging issue and
10 how we deal with them, okay, saying that, you know, that in
11 an ideal situation you come up with "the" technical answer.
12 You know, we would all like to have a lot more information
13 on what transpired after the event down there as described
14 yesterday and, you know, all sorts of analyses, and we could
15 look at them today and say this is the answer. You know, we
16 don't have that.

17 The resolution to many DPOs, if you go back and
18 look at it is to say, we are going to go. You know, we
19 acknowledge that it is an appropriate issue for further
20 study and that is what we are going to do.

21 So that is just my perspective on it. You know,
22 you as a committee have to decide how you want to deal with
23 that.

24 MR. HOLAHAN: Let me just add something. This is
25 Gary Holahan. When an issue is referred to the Generic

1 Issue Program, in effect, you have made a judgment already
2 that you don't need to take immediate regulatory action. I
3 know, you know, Jack referred to the judgment about this as
4 concern associated with not a very high probability event,
5 and I think that is part of the judgment.

6 And I think, Jack didn't mention it, but part of
7 his panel's responsibility as they get into the issue is, in
8 fact, to identify for themselves whether this is an
9 immediate safety problem which could be kicked back into the
10 regulatory process for a Bulletin or a Generic Letter, or
11 calling in an Owners Group or dealing with on a more
12 immediate basis.

13 By its very nature, these things are judgmental,
14 because you haven't done the research work and you haven't
15 put all the information together, okay. But there is,
16 within the process, a judgment being made about this is an
17 issue that should be worked, and it is reasonable to take
18 some time to do it. And we have these sort of issues, you
19 know, every once in a while.

20 I think back to when we had problems with, you
21 know, fire barriers, and we talked to people, and we tried
22 to figure out whether that was a concern or not, and we
23 dealt with it a while. And then we observed the test, and
24 in the test, there was an immediate and obvious failure, and
25 two days later we wrote a Bulletin that told the industry

1 they had to do something in the meantime.

2 So when an issue moves from a concern, you know,
3 to a clearly known problem, we can deal with that. I think
4 this issue is at the concern stage. We realize that, you
5 know, I mean we have 2,000 years of operating experience and
6 we, you know, haven't had any main steamline breaks, you
7 know. So this issue is something that needs attention but
8 doesn't need attention today or this week, and can go
9 through a deliberate process. But as part of that process,
10 people have a responsibility to say this looks like more and
11 more like it will be resolved and it is not a problem, or it
12 looks like the evidence is building up that it is a real
13 problem. And the process has to deal with that.

14 DR. POWERS: I think I would have liked to seen
15 what the thinking about it was. Even if the outcome was
16 exactly what was described, are you going to put it into the
17 Generic Issue process?

18 Why don't we go ahead and take a 15 minute break.
19 And then we will come back, and I guess we are doing damage
20 propagation at that point, is that correct?

21 SPEAKER: Yeah, that is Item 11 on the agenda,
22 that's right.

23 [Recess.]

24 DR. POWERS: Let's come back into session. I
25 think at this time we are going to turn to the issue of

1 damage propagation, in particular, the subject of jet
2 cutting. Okay. And I have Joe and Steve listed down here.
3 I usually ask Steve why he is not working on the human
4 performance program plan, but I won't ask him this time.

5 So, whomsoever is leading off, please lead off.

6 DR. MUSCARA: In the interest of time, I could
7 mention, as you said yesterday, you can all read. We just
8 need the viewgraphs. We would rather answer questions.

9 DR. POWERS: Well, to tell you the truth, this one
10 involves CFD calculations and whatnot, and I don't read CFD
11 to be honest with you.

12 DR. MUSCARA: I don't either, that is why we have
13 Steve here.

14 Okay. So I guess we are going to be talking about
15 the agenda items 11 and 14, damage propagation actually.
16 Item 14 will be done tomorrow morning. To do this section
17 of the agenda, we have Steve Arndt, Steve Long and Bill
18 Shack will be contributing parts of the presentation.

19 Quickly, I will talk a little bit about our jet
20 impingement work that we have planned or are in the midst
21 of. Jet velocities --

22 SPEAKER: Is your mike turned on?

23 DR. MUSCARA: Thank you. Jet velocity and
24 particle motion, Steve will cover, Steve Arndt. The
25 quarter-inch -- the basis for the quarter-inch crack, Steve

1 Long will talk about that. He is here. Good. And as I
2 mentioned, Bill Shack will present work on different models
3 for predicting behavior of cracked tubes under different
4 conditions.

5 Well, the issue of the jet cutting was brought up
6 in NUREG-1570. I think at this point the staff really had
7 some concern, a lot of it based on some samples we had seen.
8 One of our staff members had done some work at a fossil
9 plant, and he was doing a failure analysis of some tubes
10 that had seen some jet cutting in a fossil plant, and very
11 impressive tubes. In fact, they did cut through -- these
12 tubes, I believe they are stainless steel, they are about
13 .44 inches thick, and a jet from this fossil plant did cut
14 through a number of tubes. So there was some concern there.

15 Well, based on this experience, the staff looked
16 for some data that they could try to relate to the behavior
17 of steam generator tubes under severe accident conditions,
18 found some data on coal gasification and used this data to
19 come up with some estimates. In fact, if you look at the
20 NUREG, some fairly high ablation rates were estimated with
21 that work, where the ablation or erosion is due to
22 mechanical processes or corrosion processes, or a
23 combination of these two.

24 In particle droplet impingement, generally, we are
25 looking at a mechanism that is driven by mechanical

1 processes, either by jet cutting or by fatigue of the
2 surface layers.

3 For particulates in a corrosive atmosphere, the
4 removal mechanism can be either by the mechanical methods or
5 by corrosion. At low velocities, normally it is driven by
6 the corrosion. Intermediate velocity is a combination of
7 the two. And at high velocities, even in a corrosive
8 atmosphere, the ablation is driven by the mechanical
9 processes.

10 So we were interested in looking at this issue
11 again to try and relate it more closely to the conditions
12 that we have during severe accidents. I guess I should
13 mention, we will address both erosion under severe accident
14 conditions and under steam line break conditions, but we
15 need to separate those two. Certainly, under severe
16 accident conditions, we are dealing with high temperature
17 superheated steam. A compressible fluid in the steamline
18 break, we are dealing with water droplets and possibly
19 steam.

20 So we are going to separate those two. We are
21 planning some work on the severe accident conditions. That
22 work is underway. We are planning work also under the steam
23 line break conditions, that is just in the planning stages.

24 So to address this a bit further, we decided to do
25 a number of things. One was to do a literature search and

1 the second step was to bring together a group of experts to
2 talk about the issues that might be involved, in particular
3 with respect to the severe accident conditions and the
4 ablation expected under those conditions, and also to talk
5 about, say, the leak rates or, in particular, the creep
6 crack opening of the steam generator tubes under the creep
7 conditions we might experience in the severe accidents.

8 So we held a specialists meeting at Argonne
9 National Lab on November 19th, '99. We do put minutes
10 together and those are available to the public. They were
11 sent to the Public Document Room on December 10th. At the
12 meeting, it was open to the public, but we particularly
13 invited a selected number of experts. Among those in the
14 erosion area, we had Ian Wright from Oak Ridge National Lab
15 and John Stringer from EPRI. I guess I should also mention
16 that the data that was used in the NUREG from the coal
17 gasification work was data developed by Ian Wright, among
18 some others, but that was a major part of the data that was
19 used.

20 In the severe accident area we had Jason Schaperow
21 from NRC and Mati Merilo from EPRI. In the high temperature
22 fracture mechanics we had Professor Saxenna from Georgia
23 Tech, and then the various other from NRC and ANL, including
24 staff from Combustion and B&W, or ABB and FDI.

25 When we discussed these issues, certainly a number

1 of things came up as being important in this area, and a
2 number of clarifications were provided by the experts. Both
3 Stringer and Wright felt very strongly that the fossil
4 experience with the superheated tube could not be used or
5 extrapolated to the steam generator case.

6 In particular, the fireside atmosphere in a fossil
7 plant contains a heavy load of ash particles, sand and the
8 large particle sizes. And what happened in the cutting
9 there is that the jet entrains these very abrasive
10 particles, their large size, and they cause the cutting.
11 So, you know, we don't think this kind of particle is really
12 present in the generator.

13 DR. POWERS: Numerous speakers have spoken of
14 sludge piles and whatnot.

15 DR. MUSCARA: Yes.

16 DR. POWERS: The oxide itself is spinel. It seems
17 to me that there are some fairly hard particles in there.

18 DR. MUSCARA: Yeah, we actually discussed this
19 with the experts, you know, the possibility of the jet
20 picking up particles as it exits the tube. Well, there are
21 several locations in the generator where this could be
22 possible. One place in particular where you have sludge
23 probably would be the top of the tube sheet. Another place
24 might be at the support plate. I don't think we get a great
25 deal of sludge there, you know, not as much as we get at top

1 of tube sheet.

2 The consensus was that, if you know the nature of
3 the sludge, there is sludge lancing that goes on
4 periodically to get rid of the sludge at the top of the tube
5 sheet, and the loose particles are usually taken away by the
6 sludge lancing. But, in fact, the majority of the sludge is
7 not even able to be lanced off. The stuff is cementitious
8 and it is very hard and sticks to the tubes. So we thought
9 even if the jet worked its way through a piece of sludge, it
10 may pick up a few particles, it would tunnel through there
11 and would not really pick up much more beyond that.

12 DR. KRESS: Under severe accident conditions that
13 generated a lot of aerosols.

14 DR. MUSCARA: Yes, I will get to that, sure.

15 DR. KRESS: You are going to get to that later.

16 DR. MUSCARA: Sure. Yeah.

17 DR. POWERS: Under design basis accidents, won't
18 you be carrying in lots of the crud particles from the
19 primary piping system in the jet?

20 DR. MUSCARA: Yes, generally you do get corrosion
21 of the carbon steel area. I mean much of the primary system
22 is clad, but there is some carbon steel, you do get some
23 product. We have done some work in the past trying to
24 characterize leak rates through cracked pipes, and, you
25 know, we try to do a search and get information on the kinds

1 of crud that you get from the primary side. It is really
2 not crud. You may have some very small particles, and even
3 if you have those, the loading isn't that great.

4 So, you know, we are not -- we haven't quantified
5 that. Our feeling is that you do not have a large amount of
6 crud due to the corrosion products that gets carried by the
7 primary side fluid.

8 Also, Stringer felt that the droplet erosion
9 during design basis accident was unlikely, and the reasoning
10 is that the erosion rate is dependent on the droplet size,
11 and it is related to the diameter to the third power. We
12 have noted water droplet erosion in steam turbine, but this
13 occurs because of fine droplets condensed in the turbine,
14 and when they enter the turbine, they become larger drops
15 and then the spinning blades hit these drops and you get
16 erosion, which the insiders call baseball bat erosion. But,
17 again, you know, these are large droplets that the finer
18 droplets are condensed and then are picked up by the blades.

19 DR. CATTON: So do the smaller droplets cause more
20 problems?

21 DR. MUSCARA: No, less. The big droplets to the
22 third power.

23 The NUREG-1570, extrapolation of the data from the
24 coal gasification plants, they assume that the ablation rate
25 will be proportional to the density of the fluid and to the

1 cube of the velocity. The temperature affected the
2 extrapolation only as it changed the density of the fluid.
3 But, in effect, the work that was done for coal
4 gasification, the gas mixture is very oxidizing. In
5 particular, it is 1 percent H₂S in this mixture, and nickel
6 alloys under corrosion in these kinds of atmospheres.

7 So what we are looking in the coal gasification
8 data is one at done at high temperatures, much higher than
9 we expect, and at higher temperatures the corrosion, you get
10 a greater amount of corrosion. In addition, the work was
11 done at low velocities, 10 to -- I believe they had a set of
12 data at 10 feet per second and a set of data at 100 feet per
13 second. And then, of course, this was extrapolated up to
14 about 1,000 feet per second, using the correlation to the
15 third power.

16 DR. CATTON: Can I go back to that first paragraph
17 for a moment? What is the scenario that you are looking at?
18 Isn't it the high pressure inside the tubes and its water?

19 DR. MUSCARA: Under steamline conditions, yes.

20 DR. CATTON: And isn't that what we are talking
21 about?

22 DR. MUSCARA: Yes.

23 DR. CATTON: So the jet would expand from, I don't
24 know what, 2,500 psi down to 1,000? Isn't this what leads
25 to the erosion, so it is the droplet sizes associated with

1 the fragmenting jet, liquid jet?

2 DR. MUSCARA: Right.

3 DR. CATTON: So where does this fine droplet
4 business come from?

5 DR. MUSCARA: In the turbine case, the water
6 droplets coalesce, become large droplets.

7 DR. CATTON: But here you are starting with a
8 liquid jet.

9 DR. MUSCARA: Right.

10 DR. CATTON: And it is going to fragment into
11 small droplets.

12 DR. MUSCARA: Right. So they are small --

13 DR. CATTON: How fine are the droplets?

14 DR. MUSCARA: Right.

15 DR. CATTON: They can be coarse.

16 DR. MUSCARA: We will be addressing the area of
17 the jet behavior later. But let me just mention right now,
18 we --

19 DR. SHACK: This is just somebody's opinion, an
20 opinion.

21 DR. KRESS: It is experts telling what they think.

22 DR. CATTON: Okay.

23 DR. MUSCARA: In the literature. But let me
24 just --

25 DR. CATTON: At the agency, we know quite a bit

1 about this kind of process because this is what is
2 associated with combustion. So you don't have to think it,
3 you could base it on something that is real.

4 DR. MUSCARA: Right. Right now the first step was
5 to concentrate on the severe accident condition.

6 DR. CATTON: Okay. It just seemed you were
7 throwing that one away.

8 DR. MUSCARA: Right. I am bringing this up also
9 because we will be doing some work in this area. So my
10 feeling is we need to understand the dependencies of the jet
11 and how it expands, the particle size, particle density, et
12 cetera, for the severe accident case because we can't really
13 conduct tests under those conditions.

14 We are also trying to understand how the droplet
15 erosion would work under steamline break conditions, and we
16 will try to understand that from the literature as much as
17 we can. However, we have developed a very nice facility at
18 Argonne National Laboratory for conducting tests under
19 prototypical conditions. So regardless of what the theory
20 tells us, my first step is to conduct -- well, they are
21 concurrent steps, but we are conducting actual test under
22 prototypic conditions with cracks, and whatever jets that
23 are produced impinging on a sample. So there we get some
24 data on the prototypic conditions.

25 Meanwhile, we will also try to understand it from

1 a theoretical basis.

2 For the severe accident case, there is no way that
3 we can develop a rig to produce the kinds of conditions that
4 you get under severe accidents. So here we are depending
5 more on whatever knowledge is there, what other research has
6 been done. So this is the one I would like to address
7 first.

8 DR. HOPENFELD: If you want, I will make my
9 comment later, but it is pertinent to this point, if it is
10 okay with you. I will make it very fast.

11 Three years before the DPO, I asked Los Alamos to
12 do a study as to what happens when a jet 2200 flushes into
13 water and flushes into steam, into air. To come up with
14 some kind of estimate, what kind of particles, particle size
15 you have. They have done a very considerable amount of work
16 on that. The conclusion was, with all due respect to the
17 expert, that you cannot really predict what size you have.
18 You can come up with sizes from one micron all the way to a
19 fraction of a millimeter.

20 So what I am kind of seeing here, that you are
21 starting a new program without really looking at what
22 happens based on a meeting. Now that is not how you do
23 research.

24 DR. MUSCARA: So when one extrapolates the coal
25 gasification data, this is data really that is based on

1 corrosion, not ablation, and the dependency to the third
2 power doesn't hold. In fact, when you look at the data
3 itself, work was done at different velocities, different
4 temperatures, it is inconsistent with their extrapolation.
5 And, also, the effect of temperature on corrosion was
6 ignored.

7 Based on the literature review, and the experts
8 meeting, we identified some of the key parameters. Two of
9 these were the jet velocities and the associated particle
10 motion that were some of the most important parameters,
11 including the particle size.

12 Having this background, we asked for some
13 assistance from our Division of System Analysis and
14 Regulatory Effectiveness to carry out calculations to better
15 define the jet velocities and the particle motion that we
16 would expect under severe accident conditions. This work
17 has been completed, and I think I would like to break at
18 this point and ask Steve Arndt to address some of the
19 findings from this work. Steve.

20 MR. ARNDT: Thank you. As Joe mentioned, my name
21 is Steve Arndt. This week, literally, I am the Assistant
22 Branch Chief for the Safety Margins and Systems Analysis
23 Branch in the Office of Research. I am going to go through
24 some of the work fairly quickly that we were asked by the
25 Division of Engineering to look at to support some of their

1 work in characterizing the kinds of damage propagation you
2 can get.

3 There have been several attempts to come up with
4 an appropriate velocity impinging on the adjacent tube to
5 this kind of damage mechanism. We were asked to look at
6 this for basically three primary reasons. One, to get a
7 better fundamental understanding of what is going on. The
8 previous analysis were fairly simple analysis. Two, to
9 understand what the particles within the fluid were doing,
10 which had not been looked at previously, because the
11 computational tools weren't available. And, also, to
12 support the work that the Division of Engineering is going
13 to be doing at the University of Cincinnati, or is actually
14 in the process of doing at the University of Cincinnati, and
15 to benchmark the velocities that they need to test at.

16 And when we originally discussed it, one of the
17 things was, is 1,000 feet per second an acceptable number?
18 Will it give you the numbers?

19 So, as you can see, this work was done by
20 Professor Piomelli, who is a professor of mechanical
21 engineering at the University of Maryland who does CFD
22 calculations. The code that we used was the NPARK code. I
23 believe Professor Catton is familiar with that. It is an
24 Air Force developed code that is specifically for high
25 velocity flows.

1 Because we were trying to understand the
2 phenomenon and also provide input to the Division of
3 Engineering, we wanted to look at, based on our
4 computational study, what not only the important parameters
5 were and the actual numbers, but what the sensitivities
6 were. So we looked at variations in the temperature, the
7 pressure, the various steam geometries and the crack
8 thickness. I will show you that in a moment.

9 For this particular study, we did a
10 two-dimensional study, so we have a crack, we looked at two
11 different thicknesses and assumed an infinitely long crack.
12 The particle size and densities were developed from a
13 Victoria calculation, and this is a slightly misleading
14 phraseology, Charlie pointed this out to me, we assume an
15 equal distribution in the tube at the time of the crack. It
16 is not in the entire primary system, it is the particular
17 density at the primary side of the crack. And we also
18 assumed that the particle velocities were calculated along
19 with -- I'm sorry. One of the goals was to calculate the
20 particle velocities.

21 DR. POWERS: So you are looking really at the
22 severe accident scenario?

23 MR. ARNDT: Yes, this is a support of the severe
24 accident scenario.

25 DR. KRESS: Are these Victoria calculations, were

1 they using the natural convection recirculating
2 countercurrent flow conditions?

3 MR. ARNDT: That's correct.

4 DR. KRESS: They actually used those.

5 MR. ARNDT: We used the SKDEP calculation to
6 develop the accident scenario and then used the Victoria to
7 actually propagate the aerosols.

8 DR. KRESS: So these aerosols went back and forth
9 with some residence time that may be relatively long while
10 you are heating up and agglomerating perhaps and changing
11 size, and you got all that out of Victoria?

12 MR. ARNDT: Charlie.

13 MR. TINKLER: Yes. Charlie Tinkler from the NRC
14 staff. As it turns out, most of the larger aerosols are out
15 of the stream by the time they get to the steam generator.

16 DR. KRESS: They fall out --

17 MR. TINKLER: They fall out. So we are left with
18 a distribution, I think it was 1 to 5, on the order of 1 to
19 5 microns, something like that.

20 MR. ARNDT: Yeah, I will show the distribution
21 here. Actually, I will show it now just because we are
22 talking about it.

23 MR. TINKLER: You know, we had a large, a
24 relatively large inventory of non-radioactive aerosols that
25 were floating through the system.

1 DR. KRESS: That was going to be my next question.
2 What was your source term for non-radioactive aerosols?

3 MR. TINKLER: I think we have three or four
4 hundred kilograms worth.

5 DR. KRESS: Coming from the cladding?

6 MR. TINKLER: Coming from the cladding and
7 structural materials in the core. I think I actually show
8 the number in one of my viewgraphs in tomorrow's
9 presentation. I think it is about three or four hundred.

10 DR. HOPENFELD: Can I just make one comment?
11 Because what I said yesterday, you cannot do those because
12 of the agglomeration that you get, because the
13 thermophoresis forces in the plenum. So unless you have, in
14 the mixing plenum, unless you have the temperature
15 distribution, you can't figure out the residence time.
16 Right now they don't have it, it is a perfect mixing.

17 DR. KRESS: Do you include thermal phoresis at all
18 in the calculation?

19 MR. TINKLER: Yes. Yeah, we have thermophoresis
20 in the model, and, typically, in the tubes themselves,
21 thermophoresis is relatively small effect because the
22 temperature difference between the vapor and the thin steam
23 generator tubes is pretty small. But in other parts of the
24 system, you know, we use the SKDEP RELAP boundary
25 conditions, you know, through a rather tedious process of

1 imposing as boundary conditions on the Victoria. We use
2 their thermal hydraulic conditions, and, yes, we do have
3 thermophoresis.

4 MR. ARNDT: This is the relative particle size,
5 out of particle mass, particle size and density of the
6 distribution that we had at the time of the opening. And,
7 as you can see, the mean is in this couple of micron area.

8 You might want to remember this because, for
9 various reasons associated with the computation, we refer
10 the mass as opposed to the particle size, which is not quite
11 as intuitive in later calculations. But I will keep that
12 handy in case anyone needs it.

13 Like I said, we looked at a variation of several
14 different things, temperature, size of the crack -- I'm
15 sorry, size of the crack which is this -- these are actually
16 half-heights, because we use a symmetric system. Two
17 different sizes of a rectangular grid and a triangular grid.
18 These were designed to be similar in configuration to a
19 Model 51 D type steam generator and a triangular grid from a
20 combustion engineering.

21 And what you have here, and, by the way, all the
22 details are in this handout that you got. I believe you now
23 have the color version of this, with all the gory details.
24 What you see, and these are the physical properties. Let me
25 actually skip to the next couple of slides later, because it

1 is a little easier to explain what is going on. This is two
2 slides later. From the velocity curves as opposed to the
3 thermal properties curves.

4 What you have is a thin hole, a small hole, very
5 high pressure, low pressure. This is 16 megapascals, this
6 is atmospheric, so you have an expansion pressure ratio of
7 160, which produces a very under-expanded jet.

8 You go through rapid pressure drop and velocity
9 increase and you, because you have a blunt body here, form a
10 shockwave. The expansion would have continued out into, if
11 you didn't have this actual blunt body here, to a typical,
12 very high, under-expanded jet kind of phenomena. We did
13 some sensitivity studies basically by removing that and
14 looking at what would have happened had it not been there
15 and got pretty much what you would expect from a theoretical
16 standpoint.

17 If these had been parallel plates, you would
18 expect it to expand, then drop, the pressure would drop
19 rapidly and then as you go over here, would increase almost
20 to the original pressure. The same for the velocity, you
21 would start it at a lower velocity, expand rapidly to a very
22 high velocity, the Mach numbers are very high, as you can
23 see, and then drop to almost zero here.

24 DR. KRESS: I presume these are steady-state
25 calculations where you kept the primary side pressure

1 conditions constant?

2 MR. ARNDT: Yes, that's correct.

3 DR. KRESS: Okay.

4 MR. ARNDT: Given the flow rates and the
5 availability of steam on this side, basically, you can't
6 deplete this in the kind of timeframes we are talking about.
7 And this sets up very quickly. You are on the order of a
8 couple of microseconds to set up that kind of steadystate.

9 Because both of these barriers are curving away,
10 the flow does not stagnate here, but actually shoots off in
11 this direction. In the rectangular grid, of course, there
12 is another tube up here, and you would have another
13 shockwave up here. In the triangular grid, there is another
14 tube over here, and, basically, what you have is a second
15 nozzle type effect where you are shooting off fluid off this
16 direction and off this direction.

17 If you go back to the original graph and look at
18 the thermal properties, you can see, after the shockwave,
19 well, the jet shoots out very high density, expands rapidly.
20 After the shockwave, the pressure goes back up, and the
21 density goes back up, but not nearly as high as the original
22 pressure. You go through a very rapid drop in temperature
23 as well on the other side of the shock. Because you are
24 compressing the fluid, you increase temperature again. And
25 you can see that from this particular graph. The density

1 drops down dramatically, the temperature drops and then goes
2 back up again. This is the velocity in the X direction and
3 the pressure.

4 DR. CATTON: You approach velocities of about 3600
5 feet per second in that. You have 1200 meters per second,
6 about 3600 feet per second.

7 MR. ARNDT: Yes. And if you look at the
8 variations associated with the different geometries, you can
9 see the basic phenomenology is very similar. You expand
10 rapidly, the pressure drops, the velocity goes up. You go
11 through the shock front, the velocities drop, the pressure
12 goes up.

13 DR. KRESS: Where is the 1,000 feet per second on
14 that?

15 MR. ARNDT: This is -- 1,000 feet per second, it
16 would be right in here.

17 DR. KRESS: So that is where the number comes
18 from?

19 MR. ARNDT: Well, I will show you where that comes
20 from.

21 DR. KRESS: Okay.

22 DR. CATTON: Normally, you don't get such nice
23 shocks when you use this code. Did he do something to
24 smooth them?

25 MR. ARNDT: We looked at --

1 DR. CATTON: You get more spikes, unless you do
2 special effects.

3 MR. ARNDT: Yeah. These are all center line
4 calculations, along the --

5 DR. KRESS: Along the line of symmetry.

6 MR. ARNDT: Along the line of symmetry. We will
7 look at in a minute what it looks like off line of symmetry,
8 and you will see it is a little more --

9 DR. CATTON: Anybody who gets such beautiful
10 shocks, I don't trust it. And I have used NPARK.

11 DR. KRESS: A shocking statement.

12 DR. CATTON: Usually you get wiggles, you get the
13 wiggles just because the codes can't really treat the shock
14 that well. You have to do special effects in order to treat
15 the shock.

16 DR. KRESS: Well, he had an extremely fine grid.

17 MR. ARNDT: Yeah.

18 DR. KRESS: And he had very, very small time
19 plates.

20 DR. CATTON: You get spikes.

21 MR. ARNDT: We also, like I mentioned, --

22 DR. CATTON: Magnitudes don't change a whole lot.

23 MR. ARNDT: -- did several sensitivities based on
24 things like temperature. We varied the temperature by 100
25 degrees, and we saw fairly small changes. We varied the

1 size of the hole quite a bit. We see significant amplitude
2 changes, particularly in the pressure, because you are
3 putting out a whole lot more fluid, so the pressure behind
4 the shockwave will be considerably higher, but the basic
5 phenomenology is fairly similar.

6 Now, of particular interest is what is happening
7 along the streamlines, and that is because one of the things
8 we are really interested in is what is happening to the
9 particles along this flowpath. If you look at jet cutting
10 tools, they are very high colonated, usually gets of water.
11 Reasonably high velocities, very high pressures, very high
12 particle loading. And they, of course, will turn when they
13 hit the piece of metal you are cutting to, but the braces,
14 as well as the actual water, will actually go forward.

15 So, one of the things we wanted to look at was
16 along the line -- not along the line of symmetry, but
17 actually various jet streams. The first is actually outside
18 of this jet, and you can see it goes through a much
19 different velocity and mock number profile. If you look
20 along these two, particularly, the third one here, which is
21 fairly close to the center line, but off of it and does the
22 turn, what you see is it, of course, accelerate, decelerates
23 through the shock, comes to a steadystate during its turning
24 here, and then as it goes up through here and starts
25 accelerating again into the nozzle between the two, you get

1 the accelerating again.

2 This is basically where we got our 1,000 feet per
3 second. Somewhere in this range will be right off or right
4 near the center line.

5 Now, if you want to look at the particle
6 velocities, you have to look at what the particles are doing
7 in the fluid. They are going to be accelerated with the
8 fluid based on, in essence, a relative flow rate between the
9 particles and the fluid, that gives you the driving force to
10 accelerate them. And in these particular cases, you can get
11 all sorts of different forces associated with them, but the
12 dominant one is the drag force on the particle.

13 And if you use the basic Reynolds number for
14 particles, the stand Stokes Law type calculation, what you
15 get is kind of what you expect, although when we did it, we
16 didn't think it was going to be this dramatic. The smaller
17 the particle, and if you will remember, our mean particle
18 density was right in this area, a couple of microns -- I'm
19 sorry, micrometers, what would happen is it would accelerate
20 as it goes through the expansion, then it would decelerate,
21 but the amount of acceleration and deceleration basically
22 depending upon the size because you had -- you are driving
23 the drag based on size. We, as it turned out, for
24 computational convenience, used the drag on a sphere. We
25 later looked at what would actually happen if it was not a

1 sphere, which, obviously, a lot of aerosol particles aren't,
2 and I will talk about that in a minute.

3 Of particular interest, of course, is it takes a
4 little longer for the heavier particles to accelerate, as
5 you would think. It also takes longer for them to
6 decelerate. Again, the particles that we were looking at,
7 by and large were in this range. And you see they drop off
8 rather dramatically. We have a few particles up in this
9 higher range, but this wasn't real satisfying, so we want to
10 look at this a little bit closer.

11 If you look at the data for very high Reynolds
12 numbers for particles -- let's see if I can find my graph
13 here, you find that the standard and Stokes Law doesn't
14 really apply very well. And use the Stokes solution for the
15 drag coefficient on a sphere with a relative Reynolds
16 number, it will predict something like this. If you go back
17 and look at some of the experimental data in this, it
18 doesn't really do that. So if you go -- what we did was,
19 for very low velocities, we used the Stokes solution. For
20 this intermediate range, we used an older solution, and then
21 we also used the experimental data to try and redo this.

22 What happens when you do that is the larger
23 particles, even though they do slow down -- rather, speed up
24 and slow down at a slower rate, they are considerably more
25 dependent upon the fluid velocity than if you used the

1 straight Stokes Law.

2 So the real issue here, as we wanted to really
3 find out, was what was the fluid velocity doing? What was
4 the particle velocity doing? And then we can give that to
5 our friends in --

6 DR. CATTON: Are these particles solid or what?

7 MR. ARNDT: They are assumed to be solid.

8 DR. KRESS: So your major conclusion is that the
9 particles are going the same velocity as the fluid.

10 MR. ARNDT: They are going the same velocity as
11 the fluid and, more importantly, they are moving with the
12 fluid. If you go back to the streamline analysis, they are
13 moving with the fluid, and they are decelerating here, and
14 they are also turning. If they weren't moving with the
15 fluid, they would have the tendency to go forward. They
16 would basically maintain their momentum and go forward in
17 this direction. So they are moving with the fluid and they
18 are also moving at the fluid velocity. So they do have the
19 tendency to turn with the fluid due to the blunt body.

20 DR. KRESS: The first calculation using Stokes
21 Law.

22 MR. ARNDT: Yes.

23 DR. KRESS: They didn't follow the fluid.

24 MR. ARNDT: They didn't follow the fluid as much.

25 They tended to not be decelerated with the fluid because the

1 drag coefficients were lower, so they would decelerate
2 slower and also turn less.

3 DR. KRESS: Does that imply there might be an
4 optimum drag coefficient?

5 MR. ARNDT: There probably would be. Because
6 aerosols are not nice perfect spheres, we also did a
7 sensitivity study that increased the drag coefficient and
8 decreased the drag coefficient by a factor of 10. And I
9 didn't plot it up for you because it is not in the report as
10 a plot, but what basically happens is, by doing that, you
11 move this up a little bit. It comes in kind of like that.

12 DR. CATTON: So what this is saying is basically
13 you can't erode the adjacent tube with a compressible flow.

14 MR. ARNDT: With this kind of compressible flow,
15 with these kind of particles.

16 DR. CATTON: Is it because of the size of the
17 particles?

18 MR. ARNDT: That is primarily --

19 DR. CATTON: There are examples, in the old Nike
20 Zeus program, they were going to steer it with the Cunard,
21 and they just chewed a hole right through it. In that case
22 the particles were actually liquid, less penetrated.

23 MR. ARNDT: Yeah.

24 DR. CATTON: And the velocities weren't near these
25 because it was still, it was in the nozzle, it was still

1 turning. And that kind of -- maybe the particles were
2 bigger or smaller, I don't know.

3 DR. POWERS: I guess the question I have for Dr.
4 Kress is, what impactors work? That sonic jet is coming in
5 on plates?

6 DR. KRESS: They work because the particles --

7 DR. POWERS: Can't make the turn.

8 DR. KRESS: Yeah, can't make the turn, that's
9 right.

10 DR. POWERS: And don't stay with the flow
11 velocities.

12 DR. KRESS: That's right.

13 DR. POWERS: And here they are tracking, this
14 impactor won't work. But one micron particles, one micron
15 particles are the easiest particles in the world to get an
16 impactor to work on, because they don't stay with the stream
17 velocities at sonic levels.

18 DR. KRESS: Flow velocities through an impactor
19 are smaller.

20 DR. POWERS: No, they can be sonic, but just
21 sonic.

22 MR. ARNDT: Now, if this didn't --

23 DR. CATTON: The shock standoff distance seems to
24 be quite large also.

25 MR. ARNDT: Yeah, it is. If, for example, this

1 was at sonic, or subsonic, you wouldn't have this kind of
2 shock standoff. Sonic velocities are down in this range for
3 this particular fluid at this particular temperature. Also,
4 you have comparatively low particle loading in this
5 particular case, which is something that we are -- I think
6 Bill is going to talk about a little later.

7 The sonic velocity is down in this range. So if
8 you assume that you have very near sonic velocity, say, for
9 example, up in the next tube over, say, for example, this
10 will expand and contract. Then you are down here, but you
11 are also at a much lower density not of the fluid, but of
12 the particles themselves.

13 DR. KRESS: What do you mean lower density of the
14 particles?

15 MR. ARNDT: Well, as you spray this out, you are
16 expanding the jet.

17 DR. KRESS: Oh, you are talking about number
18 density.

19 MR. ARNDT: Number density, yes. I'm sorry.

20 DR. POWERS: I also know its impact better when
21 the number density is lower.

22 MR. ARNDT: Yeah. This is the study we did and
23 these are the conclusions we came up with.

24 DR. HOPENFELD: I would just like to make a quick
25 comment.

1 MR. ARNDT: Yes, sir.

2 DR. POWERS: Is this an item of verification?

3 DR. HOPENFELD: No, it is just a clarification,
4 that is all. For two phase flow, in subsonic flow, if you
5 have gas and particles, the loading of the particles is an
6 important factor because there is an interaction there, they
7 tend to stack up. That affects the standoff distance and
8 their loading rate. And I was just wondering, I am just
9 making a suggestion, so I am not criticizing anybody here,
10 maybe you should look also, look at it as a two-phase flow,
11 set up the basic equation for it, and this way you can find
12 out what the effect of concentration is, just like a
13 two-phase flow equation basically, particles and gas.

14 DR. KRESS: I suspect your number density of these
15 particles is so small, you are not going to affect the sonic
16 velocity in this case. It is a pretty small number density
17 there, so it looks pretty -- it is mostly acting like a gas.

18 MR. ARNDT: And, of course, if you have any
19 additional questions, I am available tomorrow, and, of
20 course, we can provide additional input.

21 MR. HIGGINS: You didn't have a slide on the
22 conclusions, but you said verbally that the conclusion from
23 that was that they would not, the particles would not erode
24 the other tube. That wasn't really the objective of this
25 part of the study. Part of the study objective was to

1 provide particle and velocity -- particle and fluid velocity
2 calculations to the Division of Engineering so they can look
3 at what particles moving at those kind of velocities, in
4 those kind of densities would do, and they are going to talk
5 about that next.

6 DR. KRESS: The particles that are right on the
7 line of symmetry have nowhere to go except impact the tube
8 -- so those at least will go on and impact.

9 MR. ARNDT: Yes. And we would expect them to
10 impact in the two or three hundred meters per second kind of
11 time velocity.

12 DR. KRESS: I guess the question may boil down to,
13 do those particular particles do some sort of damage to the
14 next tube?

15 MR. ARNDT: Right. And Joe is going to talk about
16 some of the experimental work he is doing on velocity,
17 particles of that velocity and that size on actual pieces of
18 zinc alloy.

19 DR. MUSCARA: Okay. So, based on the information
20 we have been gathering, we have set up some tests, tests to
21 address the jet impingement under severe accident conditions
22 to be conducted at the University of Cincinnati with
23 Professor Tabakoff, and we are also in the process of
24 planning and running some tests at Argonne National
25 Laboratory under steamline break conditions.

1 The conditions we are considering for the severe
2 accident conditions, a temperature of 700 degrees centigrade
3 and a pressure 2350 psi. The particle loadings, we
4 discussed earlier, taken from the code. You see most of the
5 particles are silver, about 85 percent of the particles are
6 silver. There are some oxides, 10 oxides dominant and
7 indium oxide.

8 The total loading is 115 grams per cubic meter.
9 The medium --

10 DR. POWERS: It is a little surprising you don't
11 have any urania in that mix.

12 DR. MUSCARA: Any?

13 DR. POWERS: Urania.

14 DR. MUSCARA: You know, I suspect it has to do
15 with its melting and volatilization temperatures. If it is
16 not volatilized, it doesn't get picked up in the stream and
17 condensed later on into an aerosol.

18 Charlie.

19 MR. TINKLER: I am not sure we are claiming it is
20 zero. I think we have just listed the dominant species and
21 compounds that might be present. I doubt very seriously if
22 it was zero UO2 in there.

23 DR. KRESS: It looks an awfully lot like it is at
24 the stage of the accident where you have just failed the
25 control rods and attacked the plant a little bit, but

1 haven't gotten --

2 MR. TINKLER: That is also true. You know, in
3 past presentations, I have indicated that typically these
4 are the conditions at the time that we normally predict the
5 surge line or hotleg to fail.

6 DR. KRESS: Okay. So you haven't really --

7 MR. TINKLER: They are still relatively early in
8 the core degradation, overall core degradation process.

9 DR. KRESS: You have probably entered the high
10 rate of steam zirc reaction.

11 MR. TINKLER: Yes.

12 DR. KRESS: Just barely probably.

13 MR. TINKLER: We are into the temperature
14 escalation of the cladding and the core, but we haven't
15 gotten to the formation of a large molten pool or things
16 like that yet.

17 DR. MUSCARA: That is why we try about 700 degrees
18 centigrade, it reflects the temperature of the tubes at the
19 time of surge line failure, which is at 684 degrees under
20 the 6 RU scenario that is described in many of Charlie's
21 reports.

22 DR. SIEBER: Once the surge line fails, the
23 driving force can make the jet --

24 DR. MUSCARA: This is why we are concentrating
25 here, yeah.

1 DR. SIEBER: So that is a reasonable assumption.

2 DR. MUSCARA: So the mean particle diameter is 1.5
3 microns, most of the particles were less than 3 microns. I
4 think the distribution I saw, there might have been a few
5 particles at 5, but nothing at all beyond 5.

6 So before we are planning this work, we looked for
7 places where you could conduct some experiments. And it
8 turns out there are a couple of rigs around the country. At
9 the University of Cincinnati, there is this apparatus that
10 has been used for many years and many erosion studies
11 conducted by Professor Tabakoff. We decided that this was a
12 place we could conduct some experiments.

13 This is the rig that is used. Essentially, there
14 is a propane burner atop of the rig. Air is mixed with the
15 fuel. Below this there is a preheater for the particles, so
16 the particles are fed out to the preheater, with some time
17 in residence to pick up temperature. And then the particles
18 are injected in the stream and there is a fairly long
19 tunnel, acceleration tunnel. And at the bottom, here is
20 where the test specimen is. There is a capability for
21 changing the angle of the specimen with respect to the
22 fluid.

23 Beyond that, there is an exhaust tank where
24 effectively these gases cool, the particles can drop out and
25 recover.

1 Well, the atmosphere certainly is not pressurized
2 steam, but it is an oxidizing atmosphere. Most of the
3 combustion products would be CO2 and steam.

4 DR. KRESS: What particles do you use?

5 DR. MUSCARA: Well, that is one of the following
6 viewgraphs. The predominant particles that we had in the
7 aerosol, as mentioned, was silver. And we can't use silver
8 for these tests, in particular because the silver would melt
9 in the combuster. So we were looking for a surrogate
10 material we could use for silver and still be conservative.
11 So what is important here, of course, is the density and the
12 size of the particles, and essentially the hardness of the
13 particles at that temperature.

14 So when we compared different materials to the
15 major particles in the aerosol, we settled on using nickel
16 for the majority of the particles and to simulate the oxides
17 with nickel oxide. And, also, to be even more conservative,
18 we were looking at some aluminum oxide in conjunction with
19 the nickel.

20 We did need information on the velocities,
21 however, when we run these experiments, we like to go beyond
22 the particular velocity that was calculated, just to make
23 sure that we have enough information. So we run tests from
24 a lower velocity, about 300 feet per second, up to 1800 feet
25 per second. The initial series of tests were aimed at

1 determining the worst conditions, so we ran a number of
2 tests at 1,000 feet per second by changing the angle of the
3 target. We looked at, I believe, 20, 30 and 45 degrees, and
4 the maximum wear rates were obtained at 30 degrees. This is
5 similar to many other tests that have been conducted. This
6 is a similar angle that produces the worst results.

7 So the subsequent tests were run at 30 degrees and
8 we varied the velocity and also the particle mix.

9 Again, I must say that these tests are not
10 complete, but we have completed tests with the nickel
11 powders at 300, 600, 1,000, 1,800 feet per second, 100
12 percent nickel. The particle size, 3 to 7 microns. And
13 there is the initial data on the erosion rates.

14 We are also planning on running tests with nickel
15 plus 15 percent nickel oxide and nickel plus 15 percent
16 aluminum oxide, and have completed some tests with the 100
17 percent nickel oxides, thinking that this would be as
18 conservative as one could get, all of the particles are the
19 hard oxide.

20 DR. POWERS: Your data seemed to indicate that
21 something unusual happens between 1,000 and 1,800 feet per
22 second.

23 DR. MUSCARA: Well, there is the relation of the
24 wear with respect to velocity. Professor Tabakoff had some
25 tests some years ago using 70 micron quartz and, clearly, he

1 gets higher wear rates, but the velocity dependence is
2 similar, and it is representative of what happens with
3 mechanical abrasion.

4 DR. KRESS: Now, the units on this are cubic
5 centimeter per gram per second.

6 DR. MUSCARA: Yeah, actually, those are converted
7 numbers. What we get from Professor Tabakoff from the tests
8 are milligrams of material lost per milligram or gram of
9 particles impacting the surface. So we converted those
10 numbers and are taking into account the temperatures. We
11 convert to get an estimate of the amount, depth of material
12 that is worn.

13 And for the 300 meter -- well, 1,000 feet per
14 second, and with the nickel powder, the wear rate on this
15 material is about 4 mils per hour.

16 Now, I am not sure if I have a viewgraph on this,
17 but the experiments we have conducted with the nickel oxide,
18 in fact, we did not get anywhere. We effectively had
19 deposition. There is the sample weight more at the end than
20 it did before. But at these temperatures, of course, the
21 material is fairly soft, and the hard, abrasive particles
22 embed themselves into the material. They plow the material,
23 they don't cut the material, so we had -- we didn't have any
24 wear there. So now we are going back and trying the nickel
25 with 15 percent nickel oxide and also nickel with 15 percent

1 aluminum oxide just to see whether there is synergistic
2 effect there, but I suspect limiting data will be the data
3 with just the nickel powder.

4 You know, I have indicated that we will be running
5 some tests for the steam line conditions, but in some of our
6 prior work for different purposes, we are running some tests
7 on different size orifices. We did have one test where one
8 32nd inch hole was impinging on the inconel target. This
9 was a test at room temperature, with 2500 psi pressure, a
10 four hour duration test. At the end of the test we noticed
11 only very light burnishing of the tube.

12 We will run tests under more prototypic
13 conditions. Well, first, conservative tests at 2500 psi and
14 300 degrees C, and then following those tests, we will
15 consider running some tests that more closely reproduce the
16 accident scenario. There is the actual pressures and time
17 relationships.

18 DR. POWERS: And these are liquid tests that you
19 are talking about?

20 DR. MUSCARA: This would be tests where we
21 effectively, on the primary side, we have high temperature
22 water. The secondary side will be dry and we will see what
23 happens.

24 Well, I think quickly to conclude, we believe the
25 damage by jet impingement, due to severe accident conditions

1 in particular, is not going to be a concern. We are doing
2 additional tests, I think that will be confirmed.

3 I guess, also, we conclude for the rest of this
4 section, which has to do with the work that Bill will talk
5 about tomorrow, but effectively develop models for
6 predicting the structural behavior of a good tube, as well
7 as degraded tubes under normal operating design basis
8 accident conditions and severe accident conditions. We will
9 see all of that tomorrow. But the models have been very
10 good in predicting behavior and we have quite a bit of test
11 data to validate those models.

12 So I think at this point, I am finished unless
13 there are some questions.

14 DR. POWERS: Any other questions on this
15 presentation?

16 I don't know these results are all stunning -- I
17 mean surprising, are they, to you? I mean, typically, when
18 you use jets to cut things, you work with much higher
19 velocities?

20 DR. MUSCARA: Much higher loading on the particles
21 and much larger particle sizes. Our meeting with the
22 experts, they really felt there would not be much erosion
23 under those conditions. We felt that there was enough
24 evidence from the literature and from the meeting that that
25 would be the case, but we wanted to run some tests to verify

1 it.

2 DR. CATTON: I think the use of a CFD code like
3 NPARK, which is really, it is a code that has been around
4 for a long time, it was originally developed by Los Alamos
5 and then the Air Force picked it up, and they actually have
6 an office in St. Louis whose only purpose in life is to
7 incorporate everybody's experience. It is a reliable code.
8 The only question one might have is the shock standoff
9 distance might not be quite right. But looking at the
10 particle sizes, they are correct, and the drag coefficient
11 is anywhere near correct, the tracking of the particles to
12 the fluid velocity, you could have that shock standoff
13 distance and it still wouldn't cause much of a problem. I
14 think they did a fairly substantial job in demonstrating
15 that this particular aspect is not a problem.

16 DR. POWERS: My concern remains the same, it is
17 counter-intuitive to me to have particles like that tracking
18 the velocity so closely. Because usually we rely on the
19 fact that they don't track velocity closely in order to
20 sample and trap them.

21 DR. CATTON: That's right. That's right.

22 DR. POWERS: But I mean I have no experience that
23 at these kinds of velocities.

24 DR. CATTON: My only experience was the opposite,
25 and I cut a hole right through the device, but it was a lot

1 hotter.

2 DR. KRESS: I would follow up a little on Dana's
3 comment. The code you are talking about doesn't have
4 particles in it, it calculates the stream lines.

5 DR. CATTON: It is pure and simple a compressible
6 flow code.

7 DR. KRESS: The question I have then is how did
8 one translate the drag coefficients in order to see whether
9 the particles followed the stream lines or not.

10 DR. CATTON: Well, you have to make an assumption
11 when you do this. The assumption is that the particle
12 density is low enough that it doesn't impact the flow.

13 DR. KRESS: That is a reasonable assumption.

14 DR. CATTON: If the loading starts to go up.

15 DR. KRESS: No, that is a reasonable assumption on
16 his loading we have here.

17 DR. CATTON: If you can make that assumption, then
18 it is just a matter of fitting the particles into the flow
19 field and asking, where do they go?

20 DR. KRESS: Do you have the capability of putting
21 them in the flow field and changing the drag coefficient?

22 DR. CATTON: Not with NPARK, no.

23 DR. KRESS: As you move from one spot to the
24 other.

25 DR. CATTON: I suspect what they did is they just

1 have a data set with a velocity field in it, and they stuck
2 the particle in and said, where do you go? Is that correct?

3 SPEAKER: Yeah.

4 DR. CATTON: Yeah. So once they have the velocity
5 temperature and pressure fields.

6 DR. KRESS: So all you have to do is put one
7 particle of each size at a given spot and watch it go?

8 DR. CATTON: That's correct. That's correct. And
9 then just look at its trajectory.

10 DR. POWERS: I mean the place where we run into
11 problems with that is so much higher that I mean I don't
12 have any trouble with these assumptions. I have troubles
13 with the conclusion because I mean, how do we move particles
14 across boundary layers? They don't track fluid velocities.
15 And especially when you get up to a micron, I mean it is a
16 micron where we have impaction problems. You get much below
17 a micron, then, yeah, they track the stream velocities
18 pretty well. Certainly, if you get down as low as a tenth
19 of a micron, then they really track stream velocities well.

20 DR. CATTON: What are the drag coefficients?
21 These are --

22 DR. POWERS: It is a drag curve, a lot like the
23 one he showed with the dots that come across there. I mean
24 the drag coefficients you had were about -- seemed all very
25 rational to me. So I am perplexed, I mean my experience in

1 shockwaves is exactly zero.

2 DR. MUSCARA: I had almost forgotten, but there is
3 another item on the agenda, and that is to discuss the
4 behavior, the reasoning for the selection of the
5 quarter-inch crack.

6 DR. POWERS: Right.

7 DR. MUSCARA: Steve.

8 MR. LONG: After what just transpired, I think I
9 need to remember everybody that I am about to talk about
10 what happened first.

11 DR. POWERS: In the beginning there were
12 quarter-inch cracks, right.

13 DR. KRESS: Your first test is to see if you can
14 turn the thing on.

15 DR. POWERS: If you can't turn that thing on, then
16 we are not going to believe a word you say.

17 DR. KRESS: It is the big long bar on the front.

18 MR. LONG: There we go.

19 DR. POWERS: Now we have to listen to him.

20 MR. LONG: Okay. To put this in context, when we
21 did NUREG-1477, we were dealing with really just
22 measurements of cracks in terms of voltage, and we didn't
23 have length and depth information. We were somewhat
24 concerned about severe accident issues where there would be
25 high temperature flowthrough cracks in tubes. We didn't

1 really -- I'm sorry. We didn't really have any way of
2 working with that until we got some distributions of crack
3 sizes. So, through a research contract, Dominion
4 Engineering produced some correlations of crack sizes and we
5 could proceed when we did NUREG-1570 work.

6 DR. POWERS: Correlations of crack sizes with?

7 MR. LONG: Well, basically, they were giving us
8 results of a lot of different analyses that the utility
9 companies had done with their distributions in their plants,
10 separated out by distribution -- by degradation type, and
11 then trying to give us a distribution of lengths and a
12 distribution of depths.

13 DR. POWERS: This is just the database they
14 maintain on what people find.

15 MR. LONG: I don't know if they maintained it or
16 produced it, but we received it through the subcontract.
17 They didn't correlate the length and the depth, and when
18 they did the correlations to the depths with the data, they
19 used gamma functions that basically fit the data in the
20 exponential part of the function and had offscale low in
21 depth and in length, extremely high artifact peaks that
22 didn't fit any of the data.

23 So the difficulty was we ended up, when we tried
24 to combine the two to get a distribution of physical cracks
25 estimated, we would end up with a very large number of

1 extremely short but extremely deep cracks.

2 Well, when we looked at the temperatures and what
3 we expected the cracks to behave like at the temperatures
4 the tubes would reach before RCS pressure boundary failure
5 in core damage accidents, the type of behavior we were
6 seeing would have said a crack that was maybe 4/10ths of an
7 inch long would be about as short as you would expect to
8 rupture with a typical limit load analysis based on the flow
9 stress, as best we could extrapolate it.

10 So, we were aware of the DPO concern about
11 cutting. I think there was also some consideration of
12 cutting when NUREG-1150, accident progression expert
13 elicitation was done. So we wanted to try to represent the
14 cutting somehow assuming the cracks that were still too
15 short to rupture would open significantly and might be able
16 to cut adjacent tubes, or for that matter, erode the hole in
17 that tube that the flow was going through.

18 But the problem was we had a large number of
19 cracks that could be throughwall that were perhaps less than
20 a hundredth of the inch long in the correlation, and if I
21 just put that in there, I had a probable certainty that
22 those cracks would be present. Should I assume they cut?

23 Talking to the materials people, this was
24 seemingly resolved with sort of the classical back of the
25 envelope argument that stress corrosion cracking had

1 typically as aspect ratio that was at least five times
2 length to depth and, therefore, for a 50 mil tube, we really
3 shouldn't see throughwall things much shorter than a quarter
4 of an inch.

5 That sort of became the cut-off in NUREG-1570 for
6 looking at the distributions that were given to us by
7 Dominion.

8 That picture sort of stayed in vogue until we
9 really started doing profiles of cracks that were coming
10 from plus point analyses of flaws found in power plants.
11 And the first one I was afflicted with was from Farley when
12 they requested essentially a waiver of a mid-cycle
13 inspection on the last fuel cycle before they replaced their
14 steam generator tubes. And the way this data was being
15 treated is that the eddy current signals were being treated
16 as planar cracks with jagged shapes, and then these were
17 being projected over the cycle to grow, at least in depth,
18 and I have forgotten if they were growing theirs in length.
19 Sometimes they are not grown in length, sometimes they are,
20 depending on who is doing the analysis.

21 At any rate, once they are grown in a Monte Carlo
22 process by depth, they are analyzed for the fraction of the
23 crack that might go throughwall and perhaps create a leak or
24 go throughwall and burst. And this is done by
25 mathematically taking a rectangle, taking a small length and

1 moving it along the crack, taking the average depth within
2 that length, calculating the stress magnification factor,
3 then taking a slightly longer length and doing the same
4 thing until the find the part of the crack that has the
5 maximum stress magnification factor for pop-through and the
6 maximum for burst.

7 What Farley found, very late in the review
8 process, actually, Westinghouse was doing the analysis, was
9 that they had a near certainty that they would have
10 something go throughwall by growth during that cycle. The
11 concern was that they thought it was very short, and did we
12 want to treat that as a complete failure of the primary to
13 secondary boundary for the risk analysis?

14 This was a difficulty because now we weren't
15 talking about a whole crack that went throughwall, it was
16 sort of a simplified rectangular approximation to the crack
17 shape. Now, we were talking about long cracks, they might
18 be half an inch, an inch long, but we were only talking
19 about a small segment, so we couldn't argue they don't
20 exist, they probably do exist.

21 So we had to figure out, did we believe a crack of
22 a certain length that was throughwall would really open
23 significantly and leak significantly? We didn't really have
24 data that would allow us to do this back when we were doing
25 the Farley analysis.

1 So it ended up with a telephone conversation late
2 in the game. Bill Shack was on it, Joe Muscara was on it.
3 I am sure Bob Keating was on it. I think Tom Pitterly was
4 on it, but I have forgotten. I was, some people from the
5 Farley site, and we were trying to figure out what we would
6 do in this case. Would we basically reject the application
7 on the idea that some crack, not matter how short, would
8 penetrate the wall during the fuel cycle? Or would we stick
9 with the quarter-inch or set some other value?

10 And I think the general feeling was, from the
11 people that had some experimental evidence but hadn't really
12 been able to quantify it, so it was a qualitative feeling,
13 that the quarter-inch crack was probably not going to be
14 severely cutting, not in the timeframe that we thought we
15 had before some other part of the pressure boundary would
16 fail, if, in fact, this didn't fail first and relieve
17 pressure.

18 We didn't really know what number to pick. It
19 wasn't a quantified judgment. So at this point what we
20 decided to do was leave the crack at the quarter-inch as the
21 threshold for what we would consider to be a gross failure
22 and proceed with the application review.

23 We wrote the SER and pointed out that the results
24 would be sensitive to this conclusion. I will go into the
25 practices of risk-informed decision-making on my slides

1 tomorrow, so at this point I will just say that one of the
2 principles is to look at the things that your decision is
3 sensitive to and the uncertainties.

4 We put in that this was a judgment, and I know
5 that that upset the DPO author because he felt should have
6 something better to make a relaxation. The best we could do
7 at the time was to make that clear, that it was not an
8 analytical result, it was a judgment, that we were sensitive
9 to that judgment, and to modify the DPO considerations
10 document as well so it was clear in there that this was an
11 issue that we needed more information on.

12 Subsequently to that, RES started the work that
13 you just heard about. That was actually before we formally
14 got the letter over to them to request them to do that. And
15 as you have heard, at least from the cutting angle, it
16 doesn't seem as though there is a real problem with the
17 quarter-inch cracks. And there is another aspect of this
18 that has to do with how much those cracks would open up and
19 leak, and Joe Donohue is not here today to present that, so
20 I guess we will have to deal with part of that tomorrow.

21 There is still then, now we are talking about
22 quarter-inch openings that might exist, there is still the
23 potential issue about how much leakage would you get through
24 them. And there what we would like to do is make sure that
25 we are at least staying below the 1 GPM that is the current

1 tech spec limit.

2 In that regard, you would want to have, you know,
3 very few cracks. And another part of the work that I didn't
4 hear about was to try to add the creep aspect of the crack
5 opening, so that you could get a crack area and get a more
6 valid calculation of leak rate tomorrow.

7 I hope that explains the history of not answering
8 all the technical questions.

9 DR. POWERS: Okay. Any questions on this? We
10 have a quarter-inch cut-off for cutting, which may not occur
11 at all, but we still, we don't have any cut-off for leakage?

12 MR. LONG: The leakage has not been handled
13 quantitatively at this point for very small cracks, in terms
14 of looking at a distribution and quantifying it through
15 that.

16 DR. POWERS: Any other comments that the members
17 would like to make?

18 [No response.]

19 DR. POWERS: Well, on that note, I will thank
20 everyone for some very nice presentations, very informative,
21 and invite you all to reappear at about 8:30 tomorrow for
22 some more of this fun.

23 [Whereupon, at 7:00 p.m., the meeting was
24 recessed, to reconvene at 8:30 a.m., Friday, October 13,
25 2000.]

REPORTER'S CERTIFICATE

This is to certify that the attached proceedings
before the United States Nuclear Regulatory Commission in
the matter of:

NAME OF PROCEEDING: MEETING WITH THE AD HOC
SUBCOMMITTEE ON DIFFERING
PROFESSIONAL OPINION ISSUES

PLACE OF PROCEEDING: ROCKVILLE, MD

were held as herein appears, and that this is the original
transcript thereof for the file of the United States Nuclear
Regulatory Commission taken by me and thereafter reduced to
typewriting by me or under the direction of the court
reporting company, and that the transcript is a true and
accurate record of the foregoing proceedings.



Mike Paulus

Official Reporter

Ann Riley & Associates, Ltd.

GL 95-05: CONDITIONAL PROBABILITY OF BURST

Calculation methodology

Sample projected EOC voltage distribution

Sample burst pressure correlation with that voltage

Sample material properties distribution (based on pulled tube data)

Repeat for all indications in the steam generator and record if any of samples had burst pressures less than the MSLB pressure

Repeat this process many times for the SG

Divide the number of SGs which had indications which burst by the total number of times the SG was sampled

Limit conditional probability of burst to 1×10^{-2}

1/5th of value assumed in NUREG-0844

Provides indication that a tube may exceed Regulatory Guide 1.121 structural limits

GL 95-05: LEAKAGE DURING POSTULATED ACCIDENTS

Calculation of leakage involves combining EOC voltage distribution with

- Probability of leakage correlation

- Conditional leak rate correlation

Conditional leak rate correlation

- If linear correlation can not be demonstrated based on statistical analysis, leakage is treated as independent of voltage

- If linear correlation can be demonstrated, leakage is treated as a function of voltage

- Parametric uncertainty must be accounted for in either approach

Licensing basis assumptions are used to determine offsite doses associated with primary-to-secondary leakage

- Offsite doses are evaluated against applicable regulatory limits (part 100, GDC19)

- If doses are unacceptable, options include, reducing iodine limits and/or repairing additional steam generator tubes

FARLEY EOC 14 RESULTS

Predictions bounded actual results except for SG C

Under predicted the peak EOC voltage (7.6 volts versus 13.7 volts)

Under predicted the probability of burst (1.4×10^{-3} versus 5.2×10^{-3})

Even though licensee under predicted the probability of burst and peak EOC voltage for SG C, the licensee was still within "limits" for tube burst and SLB leakage

Tube with 13.7 volt indication was removed from SG for destructive analysis

Grew from 1.4 volts (12.3 volt change from prior cycle)

Post-pull voltage was 28.5 volts

Burst slightly higher than 1.4xMSLB

Leaked at 0.72 gpm (no leakage during in-situ pressure test)

GL 95-05 CORRELATION STATISTICS

GL 95-05 review involved detailed evaluation of correlations and probabilistic methodology (reviewed by statistician at PNL)

Coordinate system, Residuals, Parametric Uncertainty

Correlations submitted to NRC on periodic basis to reflect additional data

Burst Correlation

	3/4"	7/8"
N	96	91
σ	0.86	0.82
r^2	82%	82%
p-value	10^{-36}	10^{-35}

Leak Correlation

	3/4"	7/8"
N	48	29
σ	0.61	0.81
r^2	62%	12%
p-value	10^{-11}	.035

Figure 1
Farley Unit 1 April 97 Outage
Bobbin Voltage Distributions at EOC-14 for Tubes in Service During Cycle 14




Table 3
Farley Unit 1 1997 EOC-14 Outage
Summary of Calculations of Tube Leak Rate and Burst Probability

Steam Generator	POD	Number of Indications	Max. Volts ⁽¹⁾	Burst Probability		SLB Leak Rate (gpm)
				1 Tube	2 Tubes	
EOC - 14 PROJECTIONS						
A	0.6	1276	6.9	7.5×10^{-4}	2.5×10^{-5}	7.1
B	0.6	1310	6.7	7.1×10^{-4}	1.9×10^{-5}	6.0
C	0.6	1545	7.6	1.4×10^{-3}	1.9×10^{-5}	10.2
EOC - 14 ACTUALS						
A	1	921	6.9	6.2×10^{-4}	1.9×10^{-5}	5.3
B	1	1014	3.7	1.9×10^{-4}	$< 4 \times 10^{-6}$	4.2
C	1	1140	14.9	5.2×10^{-3}	$< 4 \times 10^{-6}$	7.6
EOC - 15 PROJECTIONS ⁽³⁾						
A	0.6	1411 ⁽²⁾	13.5	2.5×10^{-3}	5.9×10^{-5}	10.7
B	0.6	1563 ⁽²⁾	13.4	2.1×10^{-3}	$< 4 \times 10^{-6}$	9.3
C	0.6	1733 ⁽²⁾	14.7	9.6×10^{-3}	1.2×10^{-4}	15.6
	0.6 ≤ 10Volts 1.0 > 10 volts	1732 ⁽²⁾	14.1	6.3×10^{-3}	6.6×10^{-5}	15.4
	POPCD	1199 ⁽²⁾	13.0	4.4×10^{-3}	3.1×10^{-5}	9.6

Note:

- (1) Voltages include NDE uncertainties from Monte Carlo analyses and exceed measured voltages.
(2) Adjusted for POD.
(3) Based on a Projected Cycle 15 length of 486 EFPD (1.33 EFPY)

3 VOLT ALTERNATE REPAIR CRITERIA

At Byron 1 and Braidwood 1, a modification to the standard GL 95-05 repair criteria was implemented

This involved expanding tubes above and below the tube support plate to limit the deflection to ~0.1-inch

Axial burst probability is minimal

Axial tensile tearing needed to be addressed because of the higher voltage limits

Modified leakage approach to account for indications which attempt to burst but don't fully open because of the presence of the TSP

Byron 1 and Braidwood 1 subsequently replaced their SGs

No operating plants currently implement this criteria - an application to implement has been submitted by 1 licensee