

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25  
26

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

RIC 2014

+ + + + +

26<sup>th</sup> ANNUAL REGULATORY INFORMATION CONFERENCE

COMMISSIONER GEORGE APOSTOLAKIS PLENARY

+ + + + +

TUESDAY

MARCH 11, 2014

+ + + + +

The Regulatory Information Conference convened in the Grand Ballroom of the Marriott Bethesda North, 5701 Marinelli Road, Rockville, Maryland, at 11:15 a.m., Eric Leeds, NRR Director, moderator.

P-R-O-C-E-E-D-I-N-G-S

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(11:15 a.m.)

1  
2 MR. LEEDS: If you'd bear with us a moment,  
3 we're going to change out. I'm going to invite Dr.  
4 Brian Sheron and Commissioner Apostolakis, to the  
5 stage.

6 Thank you.

7 (Pause.)

8 DR. SHERON: Okay. Well, good morning.  
9 I'm Brian Sheron, Director of the Office of Nuclear  
10 Regulatory Research. And it is my privilege to  
11 introduce Commissioner Apostolakis.

12 The Honorable George Apostolakis was  
13 sworn-in as a Commissioner of the United States Nuclear  
14 Regulatory Commission on April 23, 2010, to a term  
15 ending on June 30, 2014. Dr. Apostolakis has a  
16 distinguished career as an engineer, a professor, and  
17 a risk analyst.

18 Before joining the NRC, he was a professor  
19 of nuclear science and engineering and a professor of  
20 engineering systems at the Massachusetts Institute of  
21 Technology. Excuse me. He was also a member and  
22 former chairman of the statutory Advisory Committee,  
23 excuse me, on Reactor Safeguards at the NRC.

24 In 2007, Dr. Apostolakis was elected -- I'm  
25 sorry, I'm having a little bit of trouble talking right

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 now, George. Why don't you go ahead. I'm sorry.

2 (Applause.)

3 COMMISSIONER APOSTOLAKIS: Thank you,  
4 Brian.

5 If an interpretive dance --

6 (Laughter.)

7 -- can help this agency accept the  
8 recommendations of my favorite report, I am all for it.  
9 And I will follow it with a Greek dance.

10 (Laughter, followed by applause.)

11 Not now.

12 The title of this speech -- over the years,  
13 I have seen studies that take past incidents, past  
14 accidents of nuclear reactors, and through some  
15 statistical analysis they produce maybe the frequency  
16 of core damage or the frequency of releases. But it  
17 is really the core damage events that are usually of  
18 interest.

19 So I decided with some of my friends, the  
20 staff whom I will name later, to take a look and see  
21 what is the issue there, what do we learn from these  
22 analyses and what is the state of knowledge regarding  
23 the frequency of core damage.

24 Now, before I complete -- well, this is it,  
25 I suppose. I think I need to explain what I mean by

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 "global statistical analysis." We struggled with  
2 trying to find a better terminology. By that I mean  
3 the estimation of core damage frequency or large early  
4 release frequency using accidents that happened at a  
5 high level, at the plant level, like core damage events.

6 PRA also uses statistics but at a much lower  
7 level, at the component level. So that is the big  
8 difference -- that in a PRA we use analysis to identify  
9 accident sequences, and so on, and then we use  
10 statistical information at the low level of components  
11 and human performance sometimes, whereas in the global  
12 analysis it is at a very high level, so many core damage  
13 events worldwide, divide by the number of years, and  
14 you get the estimate.

15 I think it is important to understand how  
16 decisions are made, and I believe the Chairman alluded  
17 to this earlier today talking about the kinds of  
18 knowledge that we have to have when we make decisions.  
19 Regulatory decisionmaking is based on what we know when  
20 we make the decision, on the current state of knowledge.  
21 It does not involve any prophecies as to what is going  
22 to happen in the future. It is what we know now.

23 And what is it that shapes this current state  
24 of knowledge? It's the design of the facilities.  
25 It's the operation and the regulations. And we are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 informing the state of knowledge by science, and the  
2 Chairman talked about the earth sciences earlier this  
3 morning; engineering, the design and operation of the  
4 facilities; and operating experience, especially  
5 including past incidents.

6 So it is important to bear in mind that  
7 probabilistic risk assessment does not predict  
8 anything. We are not trying to predict the future. We  
9 are evaluating possible evolutions of accidents based  
10 on what we know now. We don't claim we are trying to  
11 predict what is going to happen and enumerate future  
12 possibilities, so that the decisionmakers will have a  
13 better picture of what may happen and make better  
14 decisions.

15 So this is very important to bear in mind.  
16 Nobody is trying to predict what will happen in the  
17 future. And sometimes you hear, you know, did you  
18 predict Three Mile Island, and so on? Well, there are  
19 thousands, tens of thousands of sequences that are in  
20 a PRA. One of them may predict what happened. There  
21 will be thousands of others that didn't. So these are  
22 evaluations or assessments of possible evolutions of  
23 accidents.

24 Now, probability is not always an easy  
25 concept to use, and there is a nice story here. If you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 live to be a hundred, rejoice. Why? Because very few  
2 people die past that age.

3 (Laughter.)

4 Fundamental misunderstanding of the concept  
5 of conditional probability in the first statement, and  
6 unconditional probability in the second. Now, that's  
7 not my joke. It was told by a well-known American  
8 comedian, George Burns.

9 (Laughter.)

10 Now, let's talk a little bit about how these  
11 global estimates -- remember, at the plant level -- are  
12 produced. In order to be able to say something about  
13 the frequency of core damage of current reactors, and  
14 you want to use statistical analysis, you have to make  
15 sure that your statistical sample consists of reactors,  
16 plants, that are what is called in probability theory  
17 "exchange of events."

18 In other words, is a current reactor of the  
19 same design, of the same operation procedures, and  
20 under the same regulatory requirements, as a reactor  
21 back in the '70s? Back in the '80s? Is it the same  
22 as -- under the same -- operating under the same  
23 conditions as the Daiichi plants in Japan were  
24 operating?

25 This is a fundamental assumption that we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 cannot ignore when we sample -- when we create a  
2 statistical sample. So this exchangeability you will  
3 hear about throughout this speech.

4 So when people use this formula, dividing the  
5 number of incidents by the number of years, there is  
6 this assumption behind it that the incidents of  
7 reactors -- or that the incidence you are including in  
8 your sample happened at reactors that are -- that's  
9 called nominally identical with current reactors, at  
10 least in this country. And it turns out that this is  
11 not quite true, as we will see in a few minutes.

12 Now, the reason -- I think it's important to  
13 bear in mind this principle of exchangeability or  
14 assumption of exchangeability. And I think there is  
15 another example that really brings the message home.

16 Okay. Professor Wilson of Harvard  
17 published a book a number of years back where he listed  
18 the riskiest professions in the United States. And he  
19 stated that the riskiest profession is being President,  
20 that the probability of death of a President is .019  
21 per year, followed by firefighters, a factor of 48  
22 lower, and police officers, a factor of 59 lower.

23 Now, he didn't comment on it, but I thought  
24 that was strange. So I tried to find out how that  
25 number was derived. Well, as most people in this

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 audience know, there have been four assassinations  
2 going back to 1865. So the number of years of the  
3 republic until the time that this calculation was done  
4 was 211. So if I use the formula I showed you a minute  
5 ago, divide for by 211, you get .019.

6 So the question is, then, is this really?  
7 Yah. Is .019 the risk of a modern President? I don't  
8 believe that. I don't believe that it is riskier than  
9 being a firefighter or a policeman. So if you think  
10 about it now, the answer is no, because what happened  
11 in 1865, 1881, and so on, the presidencies at that time  
12 are not exchangeable with the modern presidency.

13 The protections are higher. You might argue  
14 that the ways of attacking the President are also more  
15 sophisticated these days. But the point is that the  
16 whole structure of the presidency and the protections  
17 that various federal agencies provide are very  
18 different from those of 1865.

19 So this number is not valid. It was derived  
20 under the false assumption of exchangeability.

21 Now, even if we accept that Three Mile Island  
22 is not exchangeable with modern reactors, it would be  
23 nice to know how to do the analysis right. So if you  
24 take as statistical evidence one core damage event back  
25 in Three Mile Island, over 38 -- or approximately 3,800

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 reactor-years of experience, and you use what is known  
2 as Bayes Theorem, you get this uncertainty distribution  
3 which ranges from something like eight ten to the  
4 minus -- ten to the minus is important -- four, all the  
5 way down to ten to the minus six.

6 Now, this is the uncertainty that you would  
7 have derived if you had made the false assumption that  
8 Three Mile Island is exchangeable with modern reactors.

9 So you might ask, why do I say that? Well,  
10 look at the changes that have been implemented and  
11 continue to be implemented after Three Mile Island.  
12 There was a large number, according to some people a  
13 very large number, of regulatory changes after Three  
14 Mile Island. And right now, as it was pointed out by  
15 earlier speakers, there are major changes in our  
16 regulatory structure because of Fukushima.

17 The Institute of Nuclear Power Operations  
18 was established after Three Mile Island. That has had  
19 an impact on the way the facilities are operated. The  
20 NRC established the Individual Plant Examination  
21 Program and the Individual Plant Examination for  
22 External Events Program, where the licensees  
23 identified vulnerabilities and they took action to fix  
24 them.

25 And a major step forward is also the FLEX

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Program that the industry is proposing and implementing  
2 right now after Fukushima. So these are a few of the  
3 changes that really invalidate the assumption of  
4 exchangeability.

5 Now, what are the numbers that reasonably  
6 recent PRAs are telling us about core damage? We have  
7 plotted here the point estimates that have been  
8 reported. These are not uncertainty estimates, unlike  
9 what I showed earlier. The curve earlier was the  
10 uncertainty distribution. This is just the point  
11 estimates of reactors as they have been reported, and  
12 they range from ten to the minus four again all the way  
13 down to ten to the minus seven, six.

14 The analysis is based on submissions by 61  
15 units, and 90 percent of these submissions occurred  
16 after 2005. So they are fairly recent results.

17 If we move on to the large early release  
18 frequency, the statistical analysis is even more  
19 problematic, the reason being that there have been zero  
20 large releases in the United States. And, again, if  
21 you take zero with 3,800 reactor-years, if you divide  
22 of course you get zero, but if you go Bayes Theorem you  
23 get a distribution that you see here. And the numbers  
24 range from ten to the minus four to ten to the minus  
25 nine, a tremendous range of uncertainty. All this says

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 is that this range is consistent with seeing zero events  
2 in 3,800 years.

3 Now, the distribution of the LERF estimates  
4 from PRAs, again, this is based on 55 units, 90 percent  
5 after 2005. It is a much -- it is a smaller range, ten  
6 to the minus five all the way down to ten to the minus  
7 six.

8 And, again, the statistical analysis not  
9 widely inconsistent with the PRA estimates, although,  
10 again, the statistical analysis is questionable.

11 So to reinforce -- well, first of all, I have  
12 already said that exchangeability doesn't apply, but  
13 the question then is, so all of these accidents in the  
14 past are useless? Of course not. Of course not. We  
15 are learning a lot from each accident or incident, and,  
16 again, this morning previous speakers talked about the  
17 changes that were implemented after Fukushima.

18 So this is a continuous learning process.  
19 In other words, the value of the experience with the  
20 accidents is the qualitative insights, what happened,  
21 trying to understand why it happened, what can we do  
22 so that it will not happen again. So here is a list  
23 of lessons learned and actions taken after Three Mile  
24 Island auxiliary -- a lot of auxiliary feedwater  
25 systems at the time before the accident were only

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 manually actuated. After the accident, all of them  
2 converted to automatic actuation.

3 And there is a number of things here -- the  
4 emergency plant regulations were upgraded. There were  
5 requirements related to hydrogen control. Operator  
6 training was improved. Staffing requirements and the  
7 program on fitness for duty was established. If you  
8 look at Fukushima, we -- as it was mentioned earlier,  
9 the Commission has issued three orders that are being  
10 implemented right now.

11 So we require the mitigation strategies for  
12 beyond design basis accidents. We are studying very  
13 vigorously the issue of multi-unit accidents, although  
14 in the United States there is only a few sites that have  
15 three units. It was mentioned earlier also about the  
16 severe accident capable containment events for BWRs  
17 with Mark I and II containments and -- well, it's clear  
18 what we've done.

19 But it's important also to bear in mind that  
20 we are not learning only from experience, from our  
21 operating experience. Analysis is contributing a lot  
22 to our state of knowledge. Going back to the mid-'70s,  
23 the first probabilistic risk assessment, the reactor  
24 safety study, pointed out the importance of the small  
25 loss of coolant accident because at that time everybody

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 was focusing on the large loss of coolant accident, the  
2 significance of human errors and support systems.

3 That study was followed by two  
4 industry-sponsored PRAs in the early '80s -- those for  
5 Zion and Indian Point -- which for the first time  
6 identified the significance of fires and earthquakes  
7 to nuclear power plant risk.

8 People were aware of the seismic risk and  
9 fires, and so on. There was a fire protection program  
10 before that. But, really, the focus was on the large  
11 break of a pipe, and it was for the very first time,  
12 interestingly enough, by a study sponsored by the  
13 industry that these two major contributors to risk were  
14 identified, and this finding has been confirmed time  
15 and time again in the last 30 years.

16 In the '80s, we received word from France  
17 that our colleagues there had done a PRA for lower power  
18 and shutdown modes, and they found that the risk from  
19 those modes was comparable to the risk from power  
20 operations. That was a surprise to people, at least  
21 in this country, because being shutdown was considered  
22 a safe mode. And that changed the way we looked at low  
23 power and shutdown. That did not come about because  
24 of operating experience. Somebody sat down and did a  
25 PRA and identified it.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           And the last point I want to make here is that  
2 another finding over the numerous PRAs that have been  
3 done over the years for plants demonstrate that the risk  
4 is plant-specific. And a good example is, again, going  
5 back to the Indian Point studies of 30 years ago, where  
6 Indian Point 2 and 3 are called sister units, yet the  
7 dominant contributors are different.

8           At that time, the dominant contributor to  
9 latent health effects was fire in one of the units. In  
10 the other one, it was earthquakes.

11           So what is the message here? Global  
12 statistical analysis requires the assumption that, at  
13 least if you want to do it for the United States, that  
14 Three Mile Island 2 is exchangeable with current  
15 reactors. It is not. It is the qualitative insights  
16 from operational experience that are most useful, of  
17 course in regulatory decisionmaking but also for the  
18 industry.

19           It is not the frequency of core damage and  
20 release that is derived from that experience. And the  
21 PRA results represent a current design, operation, and  
22 regulation.

23           So regulatory decisionmaking, as I said  
24 earlier, must be based on the best current state of  
25 knowledge, and that state of knowledge

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 includes -- refers to the design, operation, and  
2 regulation of the facilities. It is informed by  
3 science, engineering, and operating experience,  
4 including those past accidents. And, unfortunately,  
5 the need for the assumption of exchangeability between  
6 past, present -- past and present reactors or future  
7 reactors invalidates the global statistical estimates.

8 And another message that I would like you to  
9 leave with is that PRAs do not predict anything. They  
10 evaluate and assess potential accident scenarios, so  
11 that better decisions will be made.

12 So Mark Twain said something that is  
13 consistent with what I just told you: facts are  
14 stubborn things, but statistics are pliable.

15 And I want to finish by expressing my  
16 appreciation to Nathan Siu of the Office of Nuclear  
17 Regulatory Research for helping a lot with this study  
18 and the calculations, and Roger Davis, Nanette Gilles,  
19 and Belkys Sosa of my staff for providing comments that  
20 were occasionally helpful.

21 (Laughter.)

22 And with that --

23 (Applause.)

24 DR. SHERON: Okay. We have a number of  
25 questions. First one, it's on multi-unit PRAs. What

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 is your and the NRC's opinion on multi-unit PRAs?  
2 Should they be done as a regulatory requirement?

3 COMMISSIONER APOSTOLAKIS: Perhaps.

4 (Laughter.)

5 DR. SHERON: Would you like to elaborate?

6 COMMISSIONER APOSTOLAKIS: No.

7 (Laughter.)

8 DR. SHERON: Moving on to the next question.

9 (Laughter.)

10 What is the most important lesson from the  
11 Fukushima accident?

12 COMMISSIONER APOSTOLAKIS: Hmm. Being  
13 prepared for a beyond design basis accident. You  
14 really have to be prepared for those. Two people agree  
15 with me.

16 (Laughter.)

17 Yes. Paying more attention to beyond design  
18 basis accident. I just used eight words in a sentence,  
19 but I really think I had to do it.

20 (Laughter.)

21 DR. SHERON: The next one is, Diablo Canyon  
22 is following the South Texas Project with risk-managed  
23 tech specs, risk-informed resolution for GSI-191,  
24 despite that it has -- being a low fiber plant, and soon  
25 graded QA or 10 CFR 50.69. These tools help us to focus

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 on what is most important and operate safely and cost  
2 effectively. What do you think -- why do you think very  
3 few plants have taken full advantage of these tools,  
4 especially 50.69?

5 COMMISSIONER APOSTOLAKIS: Wow. I don't  
6 know.

7 (Laughter.)

8 I don't know.

9 DR. SHERON: Do you agree with the  
10 statements that some parts of the nuclear industry are  
11 raising with regards to the alleged failure of  
12 risk-informed regulatory activities? Has PRA failed  
13 us, or have we failed to implement PRA correctly?

14 COMMISSIONER APOSTOLAKIS: I don't know why  
15 you are asking a question about the PRA. Has the  
16 traditional deterministic system failed us as well?  
17 It's a matter of state of knowledge. It is not a matter  
18 of PRA predicting or failing or defense-in-depth  
19 failing. It is what we know at the time. Nobody  
20 predicted that we would be under station blackout for  
21 that long, not the defense-in-depth guys, not the PRA  
22 guys. So it's a matter of state of knowledge, and let's  
23 stop doing that. Did your PRA do this, or did your PRA  
24 do that? That's stupid.

25 It's a tool that contributes to the current

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 state of knowledge. And, you know, if there are  
2 failures in the PRA, there are failures on the other  
3 side, too. You make me talk too much today.

4 (Laughter.)

5 DR. SHERON: Okay. The idea that forcing  
6 all power plants staying idle until all backfitting  
7 requirements are completely fulfilled, which is the  
8 case in Japan, seems not to be reasonable. What is your  
9 view regarding appropriate backfitting in the nuclear  
10 regulations?

11 COMMISSIONER APOSTOLAKIS: Here or in  
12 Japan? In Japan. Well, in Japan of course after such  
13 a major accident, there is a situation that is very  
14 different from what we have here or in other countries.  
15 And I don't want to comment about what is happening  
16 there, but here I don't think we are forcing anybody  
17 to stay shutdown while backfits are taking place.

18 DR. SHERON: How does reactor life extension  
19 and component aging factor into the chances of a core  
20 failure? Davis-Besse was an early warning.

21 COMMISSIONER APOSTOLAKIS: Well, yes, it's  
22 an important issue. Unfortunately, we cannot include  
23 it in the PRAs. It is outside. So we have all of these  
24 aging management programs that both we and the industry  
25 have implemented. And it is an important issue,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 especially as a plant ages -- plants age.

2 DR. SHERON: What are your feelings about a  
3 full term?

4 (Laughter.)

5 COMMISSIONER APOSTOLAKIS: I have no  
6 feelings.

7 DR. SHERON: I just read the questions.

8 COMMISSIONER APOSTOLAKIS: No feelings.  
9 It is not up to me to decide.

10 DR. SHERON: What is your expectation on the  
11 result of the rulemaking on containment venting and the  
12 prevention of long-term land contamination?

13 COMMISSIONER APOSTOLAKIS: What was the  
14 first word? What is my what?

15 DR. SHERON: What is your expectation on the  
16 result of the rulemaking on containment venting and the  
17 prevention of long-term land contamination?

18 COMMISSIONER APOSTOLAKIS: I would rather  
19 not comment on that.

20 DR. SHERON: Let's see. The question of  
21 exchangeability is applicable for PRA and component  
22 level data. How does this impact PRA uncertainties and  
23 the decisionmaking process using PRA?

24 COMMISSIONER APOSTOLAKIS: Well, as I said,  
25 at the lower level -- I mean, if you look at the pump

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 or a valve -- it is easier to make that assumption and  
2 collect statistical evidence from a number of plants  
3 around the country. There are some differences, but  
4 the similarities are greater than the differences. So  
5 exchangeability applies at that level.

6 As you move higher up, then the issues of  
7 design, the issue of operating practices, and so on,  
8 become much more important, so exchangeability fails.

9 Now, how it affects decisionmaking I don't  
10 know. I mean, it affects the calculations that shape  
11 your state of knowledge. So that way I guess it affects  
12 decisionmaking as well.

13 Are there many more questions?

14 (Laughter.)

15 DR. SHERON: There's a lot of questions.  
16 What do you believe the largest challenge is to use risk  
17 insights in defense-in-depth from a culture  
18 standpoint? How do you think we can best overcome that  
19 challenge?

20 COMMISSIONER APOSTOLAKIS: Oh, that's a  
21 different culture.

22 DR. SHERON: It just says "culture."

23 COMMISSIONER APOSTOLAKIS: Overcome what?

24 DR. SHERON: What do you believe the largest  
25 challenge is to use risk insights --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 COMMISSIONER APOSTOLAKIS: Oh. Oh, oh, oh.

2 DR. SHERON: -- in defense-in-depth from a  
3 culture standpoint?

4 COMMISSIONER APOSTOLAKIS: Well, there  
5 is -- I mean, the agency and the industry together have  
6 done very well using the deterministic -- so-called  
7 deterministic -- it's not deterministic, it's  
8 so-called deterministic regulatory framework. And  
9 PRAs were the new thing that came in the '70s and '80s,  
10 and as such was always considered as a new approach.  
11 And I think there is a number of reasons why people have  
12 been reluctant to embrace it.

13 One is by some -- in some circles it was  
14 viewed as a replacement of the traditional  
15 defense-in-depth approach, which is not true at all.  
16 I think fundamentally, though, engineers in this  
17 country are not trained in probability. That's a  
18 general but I think true statement. And there are in  
19 mechanical engineering -- in electrical engineering  
20 departments, you will find courses in probability and  
21 statistics.

22 But by and large, in mechanical engineering,  
23 in nuclear engineering, you don't. And thinking in  
24 probabilistic terms is not easy. And if you are used  
25 to doing certain things and say, "Gee, you know, I open

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 a table and it tells me if, then, do this," then it's  
2 not my responsible; it's the table's responsibility.

3 Now, here come the PRA guys and say, "Well,  
4 you have to understand probability. There are  
5 uncertainties. You have to take an initiative and do  
6 this, do that." And people just don't like that, and  
7 you have to overcome that reluctance.

8 Many times you hear, "Well, I don't make  
9 those decisions. That's above my pay scale." Well,  
10 it's not anymore. You really have to think in terms  
11 of uncertainty and take action.

12 So if you are trained to think in terms of  
13 tables and manuals, it is very difficult to switch to  
14 that kind of thinking.

15 DR. SHERON: Based on your statement that  
16 exchangeability is of little value, what are your  
17 thoughts on the likelihood of plant operation beyond  
18 60 years? What is the biggest obstacle to long-term  
19 operations?

20 COMMISSIONER APOSTOLAKIS: There is a paper  
21 in front of the Commission now on the issue of life  
22 beyond 60. I'll tell you, life beyond 60 is fine as  
23 far as I'm concerned.

24 (Laughter.)

25 But for power plants, maybe it is best not

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to comment. The Commission will make a decision in the  
2 near future, so --

3 DR. SHERON: Given the recent  
4 decommissioning announcements, do you anticipate as  
5 interest in nuclear engineering at the university  
6 level -- oh, I'm sorry, do you anticipate less interest  
7 in nuclear engineering at the university level? What  
8 can NRC do to address this?

9 COMMISSIONER APOSTOLAKIS: One thing that  
10 always surprised me in my previous life is that you have  
11 young people making decisions about their career which  
12 will be for 40, 45 years, based on what they heard last  
13 week. There doesn't seem to be a very long-term  
14 thinking there. In fact, we did see at MIT a difference  
15 in the applications for graduate school right after  
16 President Bush said that we need nuclear power. So  
17 that affected I guess young guys in their choice of  
18 profession.

19 Yes. If the news keeps being bad, I think  
20 it's going to affect the number of applications.  
21 People are influenced by that. I think, you know, am  
22 I entering an industry that will not exist 10 years from  
23 now? So, unfortunately, it does have an impact, as it  
24 should actually.

25 DR. SHERON: What is your assessment of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 recent event at the WIPP, the Waste Isolation Pilot  
2 Project? Risk studies say it's one in 10,000 -- it is  
3 a one in 10,000-year event.

4 COMMISSIONER APOSTOLAKIS: I don't know. I  
5 don't know where you got that number, and I haven't  
6 really investigated that incident.

7 DR. SHERON: Okay.

8 COMMISSIONER APOSTOLAKIS: By the way, a lot  
9 of times you hear incredible numbers. And how many  
10 times have you heard that the Fukushima accident was  
11 unthinkable, of incredibly low probability? None of  
12 this is true. None.

13 The probabilities were not unthinkable.  
14 And if we had done it in this country on the basis of  
15 that probability, we would have shut it down. Ten to  
16 the minus four, I hear even higher numbers, apocryphal  
17 numbers. So it was not a highly improbable event.

18 So I don't know where the ten to the minus  
19 four came for the WIPP incident. A lot of this stuff  
20 reminds me of what the Chairman said about the guy with  
21 the Geiger on the west coast of the United States and  
22 saying, you know, "Look, I'm getting very high  
23 measurements."

24 DR. SHERON: If we have the same risk while  
25 operating as when we are shut down, why do tech specs

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 require a shutdown when equipment fails?

2 (Laughter.)

3 COMMISSIONER APOSTOLAKIS: That is a  
4 remnant of the deterministic system.

5 (Laughter.)

6 DR. SHERON: Let's see. I like your  
7 explanation of exchangeability. But in a similar way  
8 we talked after Chernobyl, but Fukushima has happened.  
9 What have we missed? What are we missing now before  
10 the next major one?

11 COMMISSIONER APOSTOLAKIS: Well, that's a  
12 good question, but I'm not sure there is a good answer.  
13 In my view, when we have identified an issue,  
14 either -- for whatever reason, so science or  
15 engineering or experiments, PRAs, as a community we are  
16 pretty good at taking care of it. Pretty good at taking  
17 care of it, either through new regulations, through new  
18 requirements, or new equipment like FLEX, and so on.

19 It is when we have not identified the issue  
20 that bad things happen. And, in other words, this is  
21 an issue of incompleteness of our state of knowledge.  
22 And that incompleteness can be in the PRA; it can be  
23 in the traditional defense-in-depth approach. It is  
24 a matter of what we know.

25 So is there anything we don't know about

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 lightwater reactors? I don't know. I think it's a  
2 mature technology, but there are always surprises,  
3 perhaps from external events. So that is really what  
4 should worry us more. What are the holes in our state  
5 of knowledge? Because once we have identified an  
6 issue, I have no problem. I think we are pretty good  
7 at taking care of that.

8 DR. SHERON: Load-following is a current  
9 reality. Has the risk profile for plants been  
10 evaluated for continued operation at reduced power?

11 COMMISSIONER APOSTOLAKIS: I don't think it  
12 has.

13 DR. SHERON: Let's see. I think this is,  
14 what statistics -- or it's not really clear. What  
15 statistics should be used for defense-in-depth  
16 analysis for non-reactor licensing activities?

17 COMMISSIONER APOSTOLAKIS: I don't know.

18 (Laughter.)

19 That's an easy way out.

20 DR. SHERON: Let's see. And I think the  
21 last one here is -- there you go.

22 (Laughter.)

23 Considering the bias of the PRA, why do  
24 regulators give so much importance to PRA as compared  
25 to deterministic safety analyses?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   COMMISSIONER APOSTOLAKIS:   Whoa.  What is  
2                   what?  What?

3                   DR. SHERON:   Considering the bias of the  
4                   PRA, why do regulators give so much importance to PRA  
5                   as compared to deterministic safety analyses?

6                   COMMISSIONER APOSTOLAKIS:   This is one of  
7                   the most wrong statements I have ever heard.

8                   (Laughter.)

9                   There is bias in PRA.  There is bias in the  
10                  deterministic world.  The regulators give so much more  
11                  importance to PRA?  That's news to me, and I have been  
12                  a regulator for years.  We don't.  I think the  
13                  traditional system is well entrenched, and anybody who  
14                  thinks that PRA takes precedence over that is mistaken.

15                  And on that happy note, thank you very much.

16                  (Applause.)

17                  MR. LEEDS:   Okay.  I think this ends the  
18                  morning session.  So thank you very much.

19                  (Whereupon, at 11:49 a.m., the proceedings  
20                  in the foregoing matter were concluded.)

21

22

23

24

25

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12