

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
26

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION

+ + + + +

RIC 2014

+ + + + +

26th ANNUAL REGULATORY INFORMATION CONFERENCE

+ + + + +

TECHNICAL SESSION 1: AGENCY EFFORTS TO
ADDRESS THE CUMULATIVE EFFECTS OF REGULATION

+ + + + +

TUESDAY,

MARCH 11, 2014

+ + + + +

Technical Session 1 of the Regulatory
Information Conference convened in the Grand Ballroom
of the Marriott Bethesda North, 5701 Marinelli Road,
Rockville, Maryland, at 1:30 p.m., Lawrence Kokajko,
Moderator, presiding.

PANELISTS:

MARISSA BAILEY, Director, Division of Fuel
Cycle Safety and Safeguards, NRC

JOSEPH GIITTER, Director, Division of Risk
Assessment, NRC

GREG HALNON, FirstEnergy

SHANA HELTON, Division of Policy and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Rulemaking, NRC
LAWRENCE KOKAJKO, Director, Division of
Policy and Rulemaking, NRC
DAVID LOCHBAUM, Union of Concerned Scientists
MIKE WELLING, Chair, Organization of
Agreement States

P-R-O-C-E-E-D-I-N-G-S

(1:30 p.m.)

MR. KOKAJKO: Good afternoon and welcome to the session on cumulative effects of regulation.

My name is Lawrence Kokajko. I'm the Director of the Division of Policy and Rulemaking in the Office of Nuclear Reactor Regulation. And I would like to thank you for choosing this session and thank the panelists for accepting our invitation to be here today.

Before I begin, I have a housekeeping chore I need to take care of. And as a courtesy to the presenters and other conference participants, please silence your electronic devices. If you need to leave the room during the session, please wait for a break between speakers or leave as silently as possible. Please note the exit door location in case of emergency.

During the question and answer portion of the session, feel free to step to the aisle microphone to ask your question, or, if you prefer to write your question on the cards provided, NRC staff will collect them to be read from the podium.

Questions that are not answered during the session will be posted along with the answers on the NRC RIC website after the conference.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 This session and all technical sessions
2 are being recorded. Recordings will be available on
3 the NRC RIC website after the conference.

4 Your feedback is very important to us.
5 Technical session evaluation forms have been handed out
6 and will be collected at the end of the session. You
7 may also complete the technical session and overall
8 evaluation forms electronically by scanning the QR
9 codes available on signage throughout the conference
10 center or at the kiosk located on the lower level or
11 via links found on the NRC RIC website.

12 This session is a workshop format. Once
13 the panelists provide brief opening remarks, the
14 session will be an open discussion between the
15 panelists and the audience. I will start by asking
16 some opening questions from each panelist to get things
17 rolling, and I would also like to encourage a dialogue
18 between the panelists.

19 I encourage your active participation
20 today, so start preparing your questions now.

21 Let me now provide a brief background on
22 the cumulative effects of regulation, also known as
23 CER. CER is an agency cross-office program that
24 describes the challenges that licensees or other
25 impacted entities face while implementing regulatory

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 positions, programs, or requirements. CER can
2 potentially distract licensee staff from executing
3 other primary functions that ensure safety and
4 security. In essence, it is an organizational
5 effectiveness challenge.

6 Safety is of paramount importance to the
7 agency's CER efforts. The staff believes that CER
8 enhances safety by establishing implementation
9 schedules that address resource constraints, and thus
10 eliminating distractions that can arise from limited
11 resources.

12 I like to think of it as if I have one dollar
13 for safety, where am I going to spend that one dollar?
14 CER is not about eliminating requirements, and CER does
15 not consider financial constraints. The cost of
16 regulations is considered as part of NRC's regulatory
17 analysis process and is used as a decisionmaking tool.

18 One exception to this is when a regulation
19 is needed to ensure adequate protection of the public
20 health and safety. In this case, costs are considered
21 only if there is more than one way to obtain the same
22 level of protection. As many of you know, the CER
23 effort officially began in 2009 when the Commission
24 directed the staff to consider whether the schedule for
25 implementing the new emergency preparedness rulemaking

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and future rulemakings should be influenced by the
2 aggregate impact, which is now known as CER.

3 Since then, the staff wrote two Commission
4 papers on the subject, SECY-11-0032 in March of 2011
5 and SECY-12-0137 in October 2012. Today you will hear
6 a description of the rulemaking process improvements
7 established in these papers, as well as the current
8 Commission direction on CER.

9 For power reactors, we also have what is
10 known as the risk prioritization initiative, or RPI.
11 RPI is the staff's effort to respond to Commission
12 directions started -- or stated in a November 2012 COM
13 SECY developed by Commissioners Apostolakis and
14 Magwood, and it was entitled The Proposed Initiative
15 to Improve Nuclear Safety and Regulatory Efficiency.

16 RPI focuses on operating reactors only.
17 And the purpose of the initiative is to enhance safety
18 by applying probabilistic risk assessment information
19 to determine the risk significance in an integrated
20 manner on a plant-specific basis. The staff is
21 exploring options for achieving the initiative and will
22 develop a Commission paper that describes options and
23 the staff's recommendations. The Commission will then
24 vote on whether to implement such a process.

25 NRC staff believes that RPI, if

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 implemented, would be a useful tool that operating
2 reactors could use to address CER.

3 As I stated earlier, CER is an agency
4 initiative, and the Office of Nuclear Material Safety
5 and Safeguards is exploring a fuel cycle centric
6 integrated schedule to help address CER at fuel cycle
7 facilities. This integrated schedule will use
8 important security and safety information to establish
9 generic implementation schedules for NMSS fuel cycle
10 regulatory actions.

11 And, finally, I'd like to point out that
12 the NRC recently added a member of the Organization of
13 Agreement States to the NRC's CER Working Group to
14 better identify the CER needs of the states. We look
15 forward to working more with this organization.

16 With this as prologue, I would like to ask
17 Shana Helton of the Division of Policy and Rulemaking,
18 for her opening remarks. Shana?

19 MS. HELTON: Thank you, Lawrence. And
20 I'd just like to note that there are several seats open
21 in the front for those of you who are standing at the
22 back.

23 My name is Shana Helton. I'm Chief of the
24 Rulemaking Branch in the Office of Nuclear Reactor
25 Regulation. My branch has the responsibility to lead

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the agency's efforts on the cumulative effects of
2 regulation, and we help coordinate the papers that we
3 send to the Commission on this topic.

4 I would like to echo Lawrence's
5 appreciation for all of the public participation that
6 we have had on CER to date, and we look forward to
7 continuing the CER conversation today and more in
8 future public meetings.

9 Ultimately, CER will enhance safety, as
10 Lawrence noted, by ensuring new requirements are
11 implemented in an achievable manner considering
12 resource constraints and allowing licensees to
13 maintain focus on items of greatest import. This is
14 why we are all here talking about this topic today.

15 Lawrence mentioned two Commission papers the
16 staff has authored describing rulemaking process
17 enhancements. Primarily, we have increased the amount
18 of public interaction during the regulatory basis
19 stage. We are now publishing draft guidance with the
20 proposed rule and final guidance with the final rule,
21 so it is clear to all involved exactly what it is going
22 to take to implement the requirements.

23 In our proposed rule that we issue for
24 public comment, we have specific questions targeting
25 feedback on CER-related concerns. And, lastly, during

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 our latter stage of developing the draft final rule
2 package, we held a meeting to discuss the
3 implementation dates, given what is on the plate in
4 front of licensees and other stakeholders as well, I
5 should mention.

6 Currently, our efforts are focused on
7 recent Commission direction to continue to develop and
8 implement outreach tools that will allow NRC to more
9 completely consider the overall impacts of multiple
10 rules, orders, generic communications, advisories, and
11 other regulatory actions on licensees.

12 Additionally, we are gathering input on
13 the effectiveness of the NRC's CER process enhancements
14 that we have enacted to date. As Lawrence mentioned,
15 we have been directed to engage with the Agreement
16 States broadly on CER, and it is a pleasure to have Mike
17 with us here on the panel today to provide that
18 perspective.

19 And, lastly, we have been engaging with
20 industry to look at past case studies and see what the
21 accuracy of our cost information and schedule estimates
22 used were in those studies. We recently had a public
23 meeting on January 28th in that regard.

24 So with that, I will conclude my opening
25 remarks. I really appreciate the strong attendance

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that we have at the session today, and I look forward
2 to hearing everybody's questions.

3 MR. KOKAJKO: Next we have Joe Giitter.
4 Joe?

5 MR. GIITTER: Okay. Good morning. Or
6 good afternoon, rather. Sorry. I'm the Director of
7 the Division of Risk Assessment, and my division is
8 leading the effort to respond to the Commission's SRM
9 to explore the use of PRA to enhance safety and improve
10 regulatory efficiency which you have already heard we
11 refer to as the Risk Prioritization Initiative or RPI.

12 I have to apologize for the RPI. At least
13 it is not RIP. But it -- I guess we ran out of acronyms,
14 and we -- so for those of you who may have gone to
15 Rensselaer Polytechnic Institute, I apologize. But
16 anyway, we do refer to it as RPI, and it is what I'm
17 going to be talking about.

18 We do have several staff within my division
19 that are supporting the effort. And they are actually
20 fairly excited about it, and they are excited about it
21 because it is an opportunity both for the staff and
22 industry to put safety first, to focus on those things
23 that are most safety significant.

24 Most recently we observed, along with
25 staff from the Division of Policy and Rulemaking, we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 observed plant-specific tabletop exercises, a draft
2 prioritization process that was developed by industry.
3 And what I like about the prioritization process -- and
4 we are still evaluating it, but it does build on
5 existing processes that we already have in place, the
6 SDP process, 50.59, the maintenance rule, other
7 well-established processes we have.

8 And to me that is one of the appealing
9 things about it, because I think if this -- if a method
10 is going to be successful, number one, it has to be easy
11 to -- or simple to implement, not overly complex. And
12 I think it also has to be transparent. It has to be
13 clear how we come up with the results that we do.

14 One of the reasons that we are interested
15 in this effort is it provides for a process where we
16 can identify those activities at each plant that are
17 most important from a safety perspective. And as I
18 said, that really resonates with the staff, and it does
19 it in a way that I think traditionally we -- you know,
20 just looking at things deterministically, we may not
21 come up with the same answer.

22 So I think using risk as a tool to do that
23 is an effective way to ensure that we are focused on
24 those most safety significant items.

25 We have conducted -- back in December we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 did a generic tabletop -- or we observed a generic
2 tabletop exercise of NEI's draft process. That was in
3 a public meeting. And we -- as I said, we recently
4 observed two plant-specific tabletops, and there is a
5 third one at Summer that is going to take place later
6 this week, and we are going to have staff support that.

7 We are planning to issue a trip report that
8 summarizes the results of those tabletops, and it will
9 be publicly available. It should be noted that the
10 main goal of the NRC is to ensure safety, and that
11 continues to be a focus.

12 When we go back to the Commission in
13 response to the SRM, we will provide a number of options
14 at some point in time, and those options will also look
15 I believe at incentives to further enhance PRA.

16 But as Lawrence said, this is not an effort
17 for licensees to defer regulatory actions
18 indefinitely. The goal is to focus activities on those
19 things, those activities that will result in the most
20 safety significant enhancements while still meeting
21 the NRC's regulatory requirements.

22 That concludes my remarks.

23 MR. KOKAJKO: Thank you, Joe.

24 Marissa?

25 MS. BAILEY: Thanks, Lawrence. I'm

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Marissa Bailey. I'm the Director of the Division of
2 Fuel Cycle Safety and Safeguards in the Office of
3 Nuclear Material Safety and Safeguards.

4 I will just briefly talk about the efforts
5 within the NRC fuel cycle program to manage the
6 cumulative effects of regulation.

7 For us, managing CER really needed to begin
8 with getting a big picture look at everything that was
9 on our plate, all of the regulatory initiatives on our
10 plate. So to that end, we developed what we call the
11 fuel cycle integrated schedule of regulatory
12 activities.

13 The integrated schedule provides a
14 one-page graphical overview of the major regulatory
15 activities in the fuel cycle program, the drivers for
16 those activities, and the major milestones over the
17 next four years. It is essentially a planning,
18 scheduling, and communication tool, and our goal is to
19 review this schedule with our stakeholders on a
20 periodic basis to discuss the status of the items on
21 the schedule, to adjust the timing of milestones if we
22 can to avoid where they might overlap or any pinch
23 points, and in some cases to adjust the timing of those
24 milestones so that they do align for effectiveness or
25 efficiency.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Overall, our goal is to make the integrated
2 schedule a very useful tool for managing the cumulative
3 efforts of regulation and managing our work, and to
4 ensure that our licensees and us are focused on those
5 activities that have a clear connection to safety and
6 security.

7 We want this to be a useful tool, as I've
8 said before. So in terms of next steps we are exploring
9 strategies for ranking the items on the integrated
10 schedule, making adjustments to those -- to the
11 schedule, and also developing a participative and
12 transparent process for issue resolution.

13 So I'd just like to conclude my opening
14 remarks by saying that we at NMSS are very committed
15 to holding quarterly public meetings on this subject
16 and making the integrated schedule a useful tool for
17 managing CER. And we would very much like your
18 participation in our public interactions on this topic.

19 So thank you very much, and I look forward
20 to your questions.

21 MR. KOKAJKO: Thank you, Marissa.

22 For an industry perspective, I'd like to
23 introduce Mr. Greg Halnon from FirstEnergy
24 Corporation. Greg?

25 MR. HALNON: Thank you, Lawrence.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I was coached that sometimes my inside
2 voice gets a little bit too loud, so I had to write my
3 stuff down to prevent that. But if I stumble, it's
4 because I'm struggling with my inside and outside
5 voice. So I apologize for that in advance. Well,
6 maybe I don't apologize, because sometimes the inside
7 voice is more right.

8 The industry is focusing on safety and
9 reliability. You've heard a lot about safety, but we
10 really think that reliability is a key thing,
11 reliability of the grid, because eventually, as the
12 base load plants continue to drop off, whether it be
13 coal, nuclear, the grid reliability is key. It is key
14 for safety of the nuclear plants. We all rely on that
15 also.

16 We have a very mature industry at this
17 point. We have matured a great deal in our training
18 and our safety culture and our technical knowledge of
19 the whole process. Certainly, you can look at the
20 difference between TMI 2 back in 1979 and where we are
21 now. It's tremendous.

22 So there are three paths that the industry
23 is pursuing to address cumulative impacts. You can see
24 that we already agree with the NRC on what it's called.
25 They call it cumulative effects; we call it cumulative

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 impacts. So, you know, here we are already working on
2 that.

3 It's not just regulation. It's we do
4 we do focus on that a lot, but it's not just regulation.
5 The regulatory actions is a key piece. The second one
6 is the inspection program burden. And the third piece
7 we are working on is our own industry self-examination
8 of our administrative processes.

9 For the regulatory actions, we are off to
10 a reasonable start. As Joe was saying, the new process
11 draft is complete. Tabletops are in process, and we
12 are looking for six full-blown pilot plants in May to
13 actually prioritize the projects and the regulatory
14 requirements to see where they fall out in the spectrum
15 of safety and reliability importance.

16 We do consider Fukushima actions on the
17 table, but not the ones that are being ordered for
18 adequate protection. Adequate protection is a special
19 case, and we won't put those on the table.

20 For the inspection program burden, we are
21 talking a lot about substantive cross-cutting issues.
22 Those are the first ones we are going to be looking at.
23 We think that our corrective action program and our
24 safety culture assessment processes have matured way
25 beyond the need for substantive cross-cutting issues,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 notwithstanding the fact that many don't even think
2 that they are effective in what they are originally
3 supposed to do.

4 From the industry self-examination
5 perspective, we recognize that over time our approach
6 to the administrative portion of many of our programs
7 like corrective action program, work management, how
8 we deal with human performance, and the leadership
9 functions, need to be made more efficient. So we are
10 assessing and streamlining those.

11 So this is the struggle I have with my
12 inside and outside voice. Let's talk a little bit
13 about that.

14 We concentrate a lot on process, because
15 in nuclear that's what we do. We love process. So
16 just putting a new process in place in itself won't fix
17 the cumulative impact that we are trying to fix. It
18 is important to have the throughput of these processes
19 efficient, right, safety-informed. I'm not trying to
20 lower that.

21 But the main reason that we are having
22 problems right now in regulatory burden, inspection
23 program, even within ourselves in the industry, is our
24 behaviors. Our behaviors -- on the government side,
25 it's behaviors that simply like cause a plant to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 forcibly shut down because suddenly GDC 17 is
2 reinterpreted to mean that you can't have the back feed
3 as an accredited offsite power source. It is behaviors
4 that we put in 50.54(f) letters that say voluntary, and
5 then tells you to mitigate beyond design basis events.

6 It is behaviors where it takes four years
7 to resolve a tech spec issue that if you have a drip
8 under the reactor vessel, and you watch it for 400
9 years, it might drain it below the level of fuel, that
10 we suddenly have a tech spec compliance issue. Those
11 types of behaviors are what is killing it.

12 It is when friction no longer exists during
13 an earthquake when you have two large casks stacked on
14 top of each other. It is the irresponsible use of our
15 democratic process of public input where we just have
16 a one-dimensional agenda that costs a lot of money just
17 to show that it's not necessarily what we want at this
18 time.

19 On the industry side, it is our misuse of
20 the concept of continuous improvement. We have
21 allowed ourselves to change and expand our programs and
22 administrative requirements to be monsters, and that's
23 what we are trying to do on the industry side is pull
24 back on that.

25 These behaviors are the ones that are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 really hurting the U.S. industry, nuclear industry.
2 We must -- here is the bullets that we must do. We must
3 restore the sanctity of the design basis and the legal
4 standing of our licensing basis. We must allow
5 technical realism to solve issues. We must
6 responsibly use the public input process. Understand
7 that safe is safe, safer is margin, and there is a cost
8 for margin.

9 Understand that adequate protection is the
10 law. If we are adequately protected now, then
11 rulemaking right now is margin. And then we have to
12 credit the uniqueness of the American process and the
13 American culture.

14 So we are on our way. We are doing a good
15 job on this new prioritization process to manage and
16 inform our projects. We are looking -- starting to
17 really talk about this taboo subject as how much
18 continuous improvement is too much.

19 And we have still a long way to go to make
20 sure that our regulations that are there to maintain
21 healthy safety margins are in the right spot at the
22 right time. We need this for the future building of
23 the next generation of nuclear energy plants, and, more
24 importantly probably, the standard of living that we
25 all like, but with a reliable grid of electricity.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I guess I'd better stop with that. Sorry.

2 MR. KOKAJKO: Thank you, Mike. I
3 appreciate that.

4 MR. HALNON: I'm Greg. Thanks.

5 MR. KOKAJKO: I mean, Greg. Excuse me.
6 I'm going to Mike, though.

7 MR. HALNON: Although you can credit that
8 to Mike, if you want.

9 (Laughter.)

10 MR. KOKAJKO: I have to tell you, I wish
11 I was now a panelist, after your presentation. Anyway,
12 thank you, Greg.

13 I'd like to get the agreement state
14 viewpoint. We have Mr. Mike Welling, Chair of the
15 Organization of Agreement States. Mike?

16 MR. WELLING: Thank you, Lawrence. I
17 would like to begin by thanking the NRC for this
18 opportunity to be here to present today and for inviting
19 us to be part of the CER review process.

20 For those of you who have never heard of
21 us, the Organization of Agreement States represents the
22 37 states that have entered into agreements to license
23 and regulate radioactive material users in their
24 states. As of November of 2013, the Agreement States
25 had almost 18,000 licensees, while the NRC only had

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 3,000.

2 This is also posted on our website, and I'm
3 going to read it to you, just so you understand. The
4 OAS is a progressive professional society whose members
5 and activities constitute an invaluable resource to the
6 regulation of radioactive materials and radiation
7 safety across the nation. Together, through committed,
8 collaborative partnerships with state and federal
9 agencies, and other professional organizations, we
10 will improve regulation of radioactive material,
11 create a unified culture that values its members'
12 participation and opinions, and ensures OAS stands
13 strong in representing its members who regulate the
14 majority of radioactive material facilities within the
15 United States.

16 So, as you can see, we have a strong opinion
17 as far as when it comes to regulations as we regulate
18 18,000 licensees in this country. So we do appreciate
19 this opportunity to participate.

20 MR. KOKAJKO: Thank you, Mike.

21 And, finally, I would like to introduce Mr.
22 David Lochbaum with the Union of Concerned Scientists
23 for an NGO perspective. Dave?

24 MR. LOCHBAUM: Thank you. There for a
25 while I thought I was on the wrong session, because I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 have little interest in the cumulative effects of
2 regulation. My interest is in the cumulative effects
3 of non-regulation, but I have come to believe that that
4 is the other side of the same coin.

5 The NRC needs to be like a nuclear
6 Goldilocks, enforcing -- establishing and enforcing
7 regulations that are not too harsh nor too lax. A harsh
8 regulator places an undue burden on plant owners. A
9 lax regulator places the public and workers at undue
10 risk. So the trick is for that regulator to be like
11 nuclear Goldilocks -- just right.

12 To protect the owners from harsh
13 regulation, there are a number of mechanisms the NRC
14 has, like the backfit rule when new regulations are
15 considered, and its associated regulatory analysis to
16 make sure there is a need for that new regulatory
17 requirement. Likewise, factors like the committee to
18 review generic requirements look at proposed
19 activities to make sure they are not introducing new
20 regulations or new requirements outside the regulatory
21 process. So that protects against harsh regulations.

22 The other side of the coin, there are
23 things like the notices of enforcement discretion that
24 provide a thorough analysis of a deviation from a
25 regulatory requirement that is approved by the NRC only

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 when a formal analysis shows that it is justified for
2 the time and the conditions warranted. So that
3 protects the public from lax regulation.

4 But those activities on either side of that
5 coin really are done on an individual basis. And there
6 is also a need, as this CER undertakes, is to look at
7 the cumulative effects of those things. The analogy
8 I use is from experience I know I can survive a single
9 bee sting, but I'm not sure I'd want to try 300 bee
10 stings in short order -- one of the reasons I don't
11 juggle beehives, among many reasons.

12 CER needs to look at cumulative
13 effects -- hence its name -- to see if individual things
14 that are evaluated properly don't impose undue burden
15 from their collective -- from their collection. And
16 for that we applaud the initiatives that the NRC is
17 doing and the NRC is participating in to provide that
18 protection against harsh regulations to the
19 aggregation of individual items that were each ruled
20 okay individually.

21 What concerns us is that there doesn't seem
22 to be equal rigor for the other side of the coin -- the
23 cumulative effects of non-regulation. The tracking
24 that is being done in fuel cycles and that NRR is looking
25 at -- new requirements, new regulations, what do they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 cause, or is there clearly an effect on the industry
2 that needs to be considered? But who is keeping
3 track of the non-regulation items? Which plants don't
4 meet fire protection regulations or in some stage of
5 transitioning under NFPA 805? What plants don't meet
6 or haven't fully satisfied or closed out GSI 191?
7 Which plants have inspector findings that are
8 identified, reveal a safety problem, that aren't yet
9 fixed?

10 For a CER to work, it really needs to
11 consider all items, not just the ones that are imposing
12 undue harm. They need to include safety issues that
13 are known but not yet resolved as they apply to
14 individual plants. If you fully considered the list,
15 then I think you would have a great process, as Lawrence
16 pointed out, of where to focus -- which things getting
17 done first pay the greatest dividend for reducing
18 burden while at the same time maintaining or restoring
19 safety.

20 If you only look at one side of the ledger,
21 you are really doing safety a disservice. So we like
22 the program. We'd like to see it expanded to also
23 account for known safety problems that are not yet
24 existed. We think it would help prioritize properly
25 which ones get closed out faster rather than just

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 closing something out to satisfy some schedule or
2 detail. So it's a good process. It just needs to be
3 expanded.

4 Thank you.

5 MR. KOKAJKO: Thank you very much, Dave.

6 I'd like to have the panelists ask a
7 question to each, just to try to flesh out some of their
8 efforts to date from their perspective, and I'm going
9 to start with Shana. Shana, can you describe some
10 recent examples of rulemaking process enhancements
11 that address CER?

12 MS. HELTON: Sure. There are several
13 examples to pull from, so I'll try to be brief in the
14 interest of the questions you have for the other
15 panelists. The first example that I would point to is
16 in 2011 we issued the final rule for emergency
17 preparedness requirements, and that is a prime example
18 where late during the rulemaking stage we had a public
19 meeting focused on implementation.

20 We had participation from members of the
21 public, including licensees, industry, states, state
22 and local governments, and we had a number of
23 requirements that we were putting in place with that
24 rule. As a result of the feedback that we got from a
25 variety of different parties at that public meeting,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we suggested to the Commission that we adjust, I would
2 say, I think about six or seven of the 12 or so
3 requirements in that rule, adjust those implementation
4 dates in response to the feedback received.

5 And what that did was it ensured that state
6 and local governments, which had conflicting
7 priorities in some cases with the NRC requirements, as
8 well as licensees, we were able to balance all of those
9 considerations, so that when we actually issued that
10 rule requirement there was a full consideration of the
11 spectrum of activities that everybody was dealing with.

12 I'm sure that anybody who has been
13 following any of our rulemaking activities in response
14 to the Japanese lessons learned efforts have noticed
15 that we have been very proactive in seeking public
16 engagement all through the rulemaking process.

17 I mentioned earlier that we have enhanced
18 our public participation during the regulatory basis
19 development stage, and in a few cases we have even
20 issued advanced notices of proposed rulemaking, held
21 public meetings at that stage. We have issued draft
22 regulatory bases documents and sought public comment.

23 These are all things that we do for the sake
24 of getting a better idea of what is the problem that
25 we are trying to solve with the new requirement that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we are going to be putting in place, and to try to
2 understand how that would fit into existing
3 requirements. And that is all part of our CER effort.

4 Then, lastly, I will just touch on one
5 example that has led to rulemaking. We recently sent
6 a paper to the Commission -- not so recently now, we
7 are in 2014, but in 2012 we sent a paper to the
8 Commission on filtering strategies, and attached to
9 that paper was a pretty well-developed regulatory
10 analysis.

11 We don't often do regulatory analysis as
12 a matter of practice for issues that are in the policy
13 development stage. But knowing that this was an issue
14 that required a lot of structured, reasoned thought,
15 the regulatory analysis is the perfect process that we
16 already have at the NRC to do that.

17 So you would know it if you went back and
18 looked at what we call SECY-12-0157, that we went ahead
19 and did a regulatory analysis and we had multiple
20 interactions with people outside of the NRC. And that
21 is, again, all stemming from CER. We recognize that
22 in order to best solve a new potential regulatory issue,
23 the best way to do it is to have a lot of public
24 interactions up front, so that when the rule
25 requirements go final hopefully they are requirements

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that everybody can live with.

2 MR. KOKAJKO: Thank you.

3 Joe, I'm going to ask you, you know, how
4 RPI could be a useful tool in the effective
5 implementation of a CER approach. But I also would
6 like to maybe follow up that question after you finish,
7 so please.

8 MR. GIITTER: Okay. Thanks. As we have
9 talked about, we view RPI as a tool for implementing
10 CER using risk insights. But to really clarify that,
11 let me give you an example.

12 And I want to go back to something that
13 David Lochbaum said, and I think David had a lot of good
14 points. We do need to consider all items on the plate,
15 and some of those items are compliance, strictly
16 compliance. And I'm probably going to be burned at the
17 stake before I leave here, but sometimes if you look
18 at things strictly from a compliance perspective you
19 miss the big picture, because there are some things that
20 are strictly compliance that may not -- let me put it
21 differently. There are some compliance things that
22 may be less safety significant than things that are not
23 related to compliance.

24 And I'll give you a good example of that.
25 When I observed the tabletop a few weeks ago at one of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the utilities, they were looking at a number of
2 different issues to prioritize. NFPA 805 was one of
3 them, reactor coolant pump shutdown seals, which would
4 protect the plant from a station blackout. They looked
5 at implementing the fatigue rule, Part 26.

6 But they also looked at modifications that
7 were identified by the licensee that weren't required
8 by the NRC. And an example of that was modification
9 of a circ water pump, and that circ water pump was aging.
10 And even though the circ water pump in and of itself
11 wasn't safety-related, if that circ water pump failed,
12 it could be a significant initiator for that plant,
13 which is risk-significant.

14 So I think for this to work -- I agree with
15 Dave. I think for this to work you do have to look at
16 all things on the table, and you need to do it
17 holistically. You can't just look at those compliance
18 issues. You have to look at plant-initiated changes
19 that are safety significant. And that's why I believe
20 using risk insights is the best way to do that.

21 MR. KOKAJKO: Thank you, Joe.

22 I'd like to ask a clarifying question and
23 ask you to address it a little more fully. And I will
24 probably ask Greg and Dave to ask -- provide their
25 perspective as well. If an item grades out as low year

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 after year, why must it be implemented at all? This
2 will continue to detract from safety, all for the sake
3 of low safety compliance. And let's assume for a
4 moment it's our NRC regulatory requirement.

5 MR. GIITTER: I think that's an excellent
6 question, and, you know, it's something that we are
7 looking at. Maybe the answer is that it doesn't, but
8 we need to make sure that that's the case. And that
9 is one of the things, you know, that we are currently
10 looking at right now as we prepare options for the
11 Commission.

12 MR. KOKAJKO: Greg?

13 MR. HALNON: Well, from our perspective,
14 I think that's one of the key points that we are
15 disappointed right now with the present process because
16 we have been told that what we're working on cannot take
17 something off the table. And it may be basis to go
18 start an exemption process or some other type of
19 process, but those processes in themselves have a
20 tremendous burden on our staff because of the extensive
21 requirements to develop information and go forward with
22 it.

23 So we would like to get there. We would
24 like to get to the point where we have one process,
25 prioritizes things, all the projects that we need to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 do, both regulatory and non-regulatory, and the ones
2 that are below the line don't need to be done.

3 Now, I understand that line is, you know,
4 a negotiation process based on a lot of factors. But
5 we really want to be able to get things to fall off,
6 so that we have our resources put on the most
7 significantly safety and reliable projects.

8 MR. KOKAJKO: Dave?

9 MR. LOCHBAUM: If there's a regulatory
10 requirement on the books, they went through a process
11 to establish it. And turning a blind eye to it or just
12 voting and deciding not to care about it can't be an
13 option. There are legitimate ways to take that off the
14 books or eliminate that 50.59 for individual licensing
15 requirements, petitions for rulemakings for larger
16 ones.

17 We're going back and revisiting the
18 regulatory analysis and the basis for the requirement
19 in the first place. If things have changed such that
20 that's not as important or is not as necessary as it
21 was when it was established, then by all means go
22 through the process and remove it. But just ignoring
23 or turning a blind eye to it cannot be an option
24 to -- even if it's unanimous, everybody in NRC and the
25 industry agree that's not the right process to achieve

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that outcome.

2 MR. HALNON: Can I just add -- I promise
3 not to agree with Dave a whole lot, but the regulatory
4 analysis -- and we're working on that. I mean, we agree
5 that we've got to work on that, get it more precise.
6 That's got to remain valid through the entire process.
7 In other words, if something changes, it needs to go
8 back and it needs to be looked at.

9 If you get to the end of the project and
10 you say, "That regulatory analysis is not even valid
11 anymore because of the changes," then we have failed
12 the whole process. And I'll bring us back to the QC-QV
13 addition for the fatigue rule, Part 26. We were told
14 in a public meeting that that regulatory analysis -- the
15 people who did it said, "That's not so good. Don't even
16 look at that. Let's go forward and put QC-QV in the
17 fatigue rule."

18 And we were just silent. I guess we
19 couldn't believe it. I mean, if it was that bad, then
20 why are we even proceeding without a valid regulatory
21 analysis? So that's a key point.

22 That's the last time I'll --

23 MR. KOKAJKO: Shana, would you like to
24 address the regulatory analysis?

25 MS. HELTON: I would. Thank you. Yes,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and I'm really glad to hear so many people say the words
2 "regulatory analysis," because I have been in
3 rulemaking for four or five years now. And when I first
4 came to the organization, you know, pretty much the
5 perspective that we had in the rulemaking staff was this
6 was something that we put a lot of time and energy into.
7 We did our best to make assumptions, given the
8 information that we had, but we just didn't have enough
9 information.

10 And it was always published with the
11 proposed rule. We always sought public comment. And
12 very little times did we actually ever receive public
13 comment on the regulatory analysis. So I think this
14 recent focus, looking at this existing regulatory tool,
15 I agree with Dave Lochbaum completely that we do need
16 to tighten up our efforts in the area of regulatory
17 analysis. And we are proceeding with that. We are
18 having these case studies to look at past regulatory
19 analyses to see if there is any lessons learned that
20 could help us do them better in the future.

21 There is a separate effort, not under the
22 umbrella of CER, that we have going on to update our
23 cost-benefit guidance so that some of the tools and
24 assumptions that we use in our regulatory analysis can
25 be brought up to date and improved if necessary.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So that's the comment that I wanted to
2 make. Thank you.

3 MR. KOKAJKO: Thank you.

4 Let me turn to Marissa Bailey from NMSS.
5 Marissa, can you describe some of the major activities
6 in the integrated schedule for fuel cycle regulatory
7 actions?

8 MS. BAILEY: Sure. Thanks, Lawrence.
9 There are actually 19 or 20 activities that are
10 currently highlighted in the integrated schedule, and
11 I'd just like to highlight three of them. The first
12 one is natural phenomena hazards. And just some
13 background information because I know a lot of you are
14 not in the fuel cycle program area.

15 But after Fukushima, we conducted
16 inspections of our operating fuel cycle facilities to
17 ensure that they had adequate strategies for mitigating
18 the impact of emergency events. For one facility, we
19 found a potentially safety significant issue, and we
20 took immediate steps to ensure that that facility
21 didn't operate until corrective actions were
22 implemented.

23 For the other fuel cycle facilities, we
24 identified generic unresolved issues that are not
25 safety significant, but it did relate to how the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 licensees were addressing natural phenomena hazards in
2 their integrated safety analysis. So one of the items
3 that is in the integrated schedule is our process for
4 developing a generic letter and the implementation
5 guidance to bring to closure those unresolved items
6 that we identified during our post-Fukushima
7 inspections.

8 Another activity that is in the integrated
9 schedule is cyber security. We are evaluating the need
10 for establishing requirements for cyber security in
11 fuel cycle facilities. And to that end, we have
12 engaged in extensive dialogues with our licensees to
13 make sure that we have a good understanding of their
14 digital assets, what the vulnerabilities are, and what
15 the consequences are.

16 Our overall goal for cyber security is to
17 provide reasonable assurance that the digital assets
18 associated with the safety and security of fuel cycle
19 facilities are adequately protected from cyber
20 attacks.

21 And then the third item that is in the
22 integrated schedule is the revised fuel cycle oversight
23 process. We are in the process of revising the fuel
24 cycle oversight process to make it more risk-informed,
25 performance-based, transparent, and predictable,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 essentially trying to incorporate some of the elements
2 of the ROP into the FCOP, such as the use of
3 cornerstones, a significance determination process,
4 and also an action matrix.

5 This is an enhancement to the oversight
6 process. The oversight process is good enough in
7 inspecting fuel cycle facilities, but we believe that
8 these are worthwhile enhancements because it will help
9 us focus our inspection resources on more -- on the more
10 safety-significant items.

11 But because these are enhancements, the
12 pacing of the activities are on a slower track
13 than -- and so this is a multi-year effort with multiple
14 opportunities for public interactions.

15 And the reason that I picked these three
16 activities is because, first, I think they illustrate
17 the broad scope of activities that is in the fuel cycle
18 program that we are trying to address in the integrated
19 schedule. You know, we are trying to manage a broad
20 scope of activities in the fuel cycle program.

21 I think these activities also illustrate
22 how we are trying to focus our priorities or our actions
23 on those things that have maybe more immediate impact
24 on safety and security, which is why the fuel cycle
25 oversight process, for example, is on a slower track

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 than the other activities.

2 And then, the third thing I think is that
3 it illustrates that we are trying to address the impacts
4 of non-regulation, if you will. And I think our
5 efforts on cyber security illustrates that. There are
6 currently no regulations, no requirements for cyber
7 security in fuel cycle facilities.

8 I think we are responding to the current
9 environment where cyber attacks are a real possibility.
10 And so we are trying to make sure that before we move
11 forward and address this area that we do understand what
12 the vulnerabilities are and what the consequences are.

13 MR. KOKAJKO: Thank you.

14 Greg, one of the questions from the
15 audience is, why doesn't the industry provide more
16 comments on CER? I suspect that what they mean is
17 providing more comments on regulatory proposals and
18 things like that?

19 MR. HALNON: Well, that's kind of a real
20 general question. If there was one specific one, I
21 could get into -- but I was going to make a comment that,
22 you know, like the regulatory analyses and other things
23 that we're looking for comments on, it's very difficult
24 to do any kind of quantitative or even precise comments
25 on something you are not sure what the target is yet.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Sometimes the language comes out and it's
2 totally different at the end of the process. So it's
3 very difficult to do an estimate on something you don't
4 know what exactly you have to do.

5 The other piece of it is the comments on
6 CER. I think we are fully engaged with that. I think
7 we've got, you know, a working group at NEI that is
8 working hand in hand with the NRC on the process. As
9 Joe mentioned, they are part of the process in the pilot
10 plants.

11 So I'm not sure if there is, you know, lack
12 of comments there in the public, or it's just a lack
13 of, you know, feeling that we are not making, you know,
14 full engagement.

15 But back on the original language, if I'm
16 reading it right or listening to it right, it's on the
17 regulatory analysis because a comment was made that we
18 are not getting a lot of comments on the regulatory
19 analyses.

20 And that is mainly because we don't know
21 what the target is just yet. I mean, we could go off
22 and do estimates, but we need something -- when you give
23 something to an estimator, they've got to know what they
24 are doing. And general language doesn't always get it,
25 so it's difficult to do that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We recognize the difficulty. That's why
2 we want to work with the NRC on trying to figure out
3 what the best way to do this cost-benefit analysis is.

4 MR. KOKAJKO: Okay. Thank you.

5 Mike, I just wanted to ask you, what is the
6 biggest hurdle to the Agreement States incorporating
7 regulatory requirements?

8 MR. WELLING: Well, even though we call
9 ourselves "Agreement States," there's 37 states that
10 have a unique regulatory process that they must follow.
11 So it's hard for the Agreement States to do the same
12 thing, and some states, due to their administrative
13 process, take almost five years to implement
14 regulations.

15 So from an Agreement States' perspective,
16 we need to prioritize the regulations that are coming
17 to ensure public health and safety. Those take
18 precedence as the burden to the states is to get them
19 through the process first and foremost before any of
20 the regulations come in place.

21 MR. KOKAJKO: Thank you.

22 Dave, I wanted to ask you two questions.
23 One is, what are your views on the risk prioritization
24 initiative as outlined by Joe? And also, do you agree
25 with the remark that the industry's gap processes are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 mature enough to eliminate substantive cross-cutting
2 issues?

3 MR. LOCHBAUM: I'll take the second part
4 first. Yes. In fact, even if they weren't, I'd get
5 rid of the SSCIs because they provided no value. So
6 even if it was the old days, the TMI days, get rid of
7 that because that just -- that just -- but I do think
8 they have matured, but I'd get rid of them anyway.

9 As far as the risk prioritization, as I
10 mentioned in the opening remarks, we felt they needed
11 to be expanded to include areas where plants are known
12 not to meet federal regulations that are on the books
13 like -- transitioning to NFPA 805, Generic Issue 191,
14 issues like that that we know plants have a ways to go
15 yet. There is a regulatory analysis that says they are
16 safe when they get there, but they are not there yet.
17 That needs to be on the list. That needs to be
18 accounted for.

19 And I agree with Joe's comment that there
20 will be times when compliance items aren't at the top
21 of that list or aren't even above some of these other
22 issues. In those cases, I also agree with Joe that
23 transparency is very important. If you provide the
24 explanation for why this isn't being done or is not
25 going to be done until later, that keeps anybody else

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 from ascribing motives for that delay.

2 If you don't provide those kind of reasons,
3 I will be glad to substitute motives for why things are
4 being delayed. You probably aren't going to like the
5 motivates that we will assign to those reasons, but if
6 you provide good, solid reasoning for why something is
7 not happening or why it's happening after a
8 non-compliance issue, I think you can be successful.
9 And I think you'll achieve the goals that have been laid
10 out.

11 MR. KOKAJKO: Thank you.

12 I'd like to address this question for Joe
13 and Shana. What should industry expect regarding the
14 probable outcomes of CER and the risk prioritization
15 initiative? And with regard to regulatory relief and
16 the timeframe for regulatory relief?

17 MR. GIITTER: I take it this isn't one of
18 your questions?

19 (Laughter.)

20 MR. KOKAJKO: This is not one of my
21 questions. This is from the audience.

22 MR. GIITTER: Good question. It's a very
23 good question, and I really can't give a -- I can give
24 a guess, but we have a process to follow. And, you
25 know, we are -- there is progress being made both on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the part of industry and on the part of NRC. We have
2 observed, as I indicated, a number of -- well, one
3 generic tabletop and at the end of this week it will
4 be three plant-specific tabletops. But then the plan
5 is to actually go back to the Commission and let them
6 know that we plan to participate in the pilot, and, you
7 know, we need to make sure we have Commission buy-in
8 before we go too far down the road.

9 We also need to inform the Commission
10 and Shana can talk a little bit about that -- that we
11 are combining the two initiatives, CER and what we call
12 RPI, into one initiative.

13 So assuming that all -- you know, the
14 Commission gives us the green light on that, then, you
15 know, for those plants that pilot this activity they
16 would presumably be able to make decisions about
17 scheduling the items that are evaluated. But it would
18 only be for those plants that pilot it.

19 And then, you know, once we have
20 confidence, then we would need to go back probably to
21 the Commission and make sure they agree with this
22 broader concept being applied to the entire industry.
23 So it's not something that is going to happen in weeks
24 certainly. It will probably take many months, and I'm
25 a little reluctant to give you, you know, a guess on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 when that might be.

2 But the more focus there is on this, both
3 at the NRC and on the part of industry, and comments
4 and feedback from our stakeholders, the more likely
5 that we are going to be able to move forward on something
6 that will put safety first in making decisions about
7 where we put our resources.

8 MR. KOKAJKO: Before I come -- let me ask
9 Shana to also tackle that from a CER perspective.

10 MS. HELTON: Sure. I think Joe hit the
11 nail on the head, and I just would add on to that that
12 the CER is really something that we have been applying
13 from an agency perspective. So you've heard Marissa
14 talk about some of the activities happening with fuel
15 cycle or process enhancements for rulemaking have been
16 put in place across the board for every rulemaking that
17 we do, regardless if we're talking about operating
18 reactor licensees, fuel cycle facilities. It's just
19 for everybody.

20 The RPI effort, which Joe and his team have
21 the lead on developing, the way that we have been
22 thinking about it is it has been evolving since the
23 Commissioners wrote their tasking memo on that
24 topic -- is that this is a tool that we could potentially
25 use to help with CER for operating reactors. So that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is very focused in the reactor arena.

2 Joe alluded to a paper that is going to
3 describe the staff's vision for how RPI fits in with
4 the broader effort of CER. We are working on that
5 paper, anticipate it is going to be delivered to the
6 Commission in the coming months, but we don't have a
7 specific timeframe for that that I could give today.

8 And in that paper I think hopefully we will
9 accomplish a few objectives, and we are still working
10 on that in-house, so I can't go into too many details.
11 But I think we will be directly addressing the question
12 that was raised in that paper, so I will just say to
13 stay tune.

14 MR. KOKAJKO: Thank you.

15 MR. LOCHBAUM: Lawrence, can I make a
16 quick comment?

17 MR. KOKAJKO: Yes, please.

18 MR. LOCHBAUM: I just want to remind,
19 mainly for you guys, a quote out of SRM for
20 SECY-12-0137, "NRC management should carefully monitor
21 the CER approach to ensure no significant unintended
22 consequences occur." So we need to probably have that
23 conversation, what is an unintended consequence, as we
24 get through those, especially maybe before the pilots,
25 because we don't want to add more work, right? We

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 want -- this is to reduce the burden, not to add to the
2 burden.

3 MS. HELTON: Right.

4 MR. KOKAJKO: Thank you for your comment.

5 Yes, sir.

6 MR. RICCIO: Hi. My name is Jim Riccio.
7 I work with Greenpeace. I'm just wondering if you
8 think this effort -- this goes to scheduling. Do you
9 think you could deregulate these standards quickly
10 enough to make this industry economically viable?

11 MR. KOKAJKO: I'm not sure who that
12 question is to.

13 MS. HELTON: Lawrence?

14 MR. RICCIO: Anyone?

15 MR. KOKAJKO: I would -- go ahead, Dave.

16 MR. RICCIO: Maybe Mr. O'Hanlon from
17 FirstEnergy. I hope the irony of FirstEnergy on a
18 deregulatory --

19 MR. HALNON: Yes. I'm Irish, but it's not
20 O'Hanlon. It's Halnon.

21 MR. RICCIO: I'm sorry.

22 MR. HALNON: Right now, I mean, from an
23 economic viability, it is not just regulation that is
24 causing the issue that we are seeing in the industry
25 now. Certainly, reducing the regulatory burden is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 going to help. You know, we have a lot of market issues
2 going on. We have rules within our regional
3 transmission operators that are going on. A lot of
4 dynamics there.

5 Can we do this? Yes. Can we reduce the
6 burden of regulatory so that it helps? Yes. And we're
7 on our way there. We have got to keep the momentum
8 going. We've got some momentum going right now, and
9 we need to keep it going with these pilots, and then
10 beyond that.

11 But your question is a good one. I'm glad
12 you raised it, because I had the point to make about
13 keeping that momentum up and making sure that we do this
14 with all urgency and not just let it be another process
15 that takes four or five years to get through.

16 Thank you.

17 MS. HELTON: I would also like to chime in
18 on that, and I'm glad that Greg had the first crack at
19 answering your question. It's a very good question.
20 I think industry is best poised for keeping the industry
21 economically viable, and I would just remind you that
22 the mission of the NRC is not to maintain the nuclear
23 industry as being economically viable. Our mission is
24 focused on ensuring adequate protection of public
25 health and safety and security.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So we are coming at this CER and RPI effort
2 with that in mind, at the forefront of our minds.

3 MR. KOKAJKO: Dave, do you want --

4 MR. LOCHBAUM: Just considering this is
5 the third anniversary of the Fukushima accident, if
6 these safety problems don't get fixed before a U.S.
7 reactor goes up in flames or has some disaster, just
8 as no nuclear plants are operating in Japan, they could
9 lose the entire fleet if they don't get -- they don't
10 properly manage safety.

11 So whatever it takes to get the
12 safety -- the compliance issues resolved before that,
13 it is kind of like a race between whether economics
14 closes them or the next disaster closes them.
15 Hopefully, if they've got to pick between those two,
16 I'd rather have economics take out the fleet than a lot
17 of Americans paying a high price.

18 MR. RICCIO: And just from a public
19 perspective, we don't think things just fall off the
20 table, because I'm sure the folks at FirstEnergy didn't
21 think that boric acid crystals on top of a desk were
22 all that important.

23 MR. LOCHBAUM: Fair enough.

24 MR. KOKAJKO: This is to Greg, and perhaps
25 this is continuing with that same theme. What estimate

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 does FirstEnergy have as to how much cumulative impacts
2 cost nuclear power operators?

3 MR. HALNON: I don't know. It's a lot.
4 When we look at the -- if you look backwards -- and
5 business plans normally look forward, but if you look
6 backwards, we see about a seven percent increase in our
7 regulatory cost, if you will, each year. And so -- each
8 year, so let's just take the past five years that has
9 been -- do the math, 35 percent increase in regulatory
10 cost. That is displacing other things.

11 As we get our plants older, we have
12 obsolescence, and to worry about -- we have aging
13 components to worry about. We have other things that
14 we have to do also that have a like -- and like Joe was
15 saying, and have a downstream effect on safety through
16 the risk of initiating events and other things.

17 So, you know, we look at that as big
18 picture. And when you have regulatory requirements
19 come down, they will displace other things. It's a
20 finite -- we have a finite amount of money.

21 So, actually, to quantify the cost is
22 difficult, but we can see the trend. And the trend is
23 not slowing down. It is actually increasing,
24 possibly, probably, you know, you'll say because of
25 Fukushima. That's probably correct. But the point is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that over the next five to 10 years costs continue to
2 extend up, and we need to make sure that we spend that
3 correctly.

4 MR. KOKAJKO: Okay. Thank you.

5 Dave?

6 MR. LOCHBAUM: Yes, I would
7 just -- typically, the annual budgets for nuclear power
8 plant operation are called O&M, operating and
9 maintenance costs. We flip that and look at what
10 is -- what we call M&O. Bad management and lax
11 oversight have cost the industry more money than
12 regulatory compliance has.

13 If you look at Davis-Besse and the costs
14 it cost both the plant and the industry, Fort Calhoun
15 has not been generating a lot of electricity the last
16 couple of years, not due to CER or anything like that,
17 due to bad management. So it -- you know, yes, there
18 is a cost associated with this. That's like the paint
19 on the outside of a grenade; it's really the shrapnel
20 that is the big issue, not the lead-based paint that
21 you -- that the grenade is painted in.

22 MR. KOKAJKO: Thank you, Dave.

23 This is a question to all the panelists,
24 and you can probably answer lengthy or short, depending
25 upon your point of view. Does anyone on the panel

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 believe Fukushima was caused by too much regulation?

2 I'll start with you, Dave.

3 MR. LOCHBAUM: Well, I can't speak for the
4 entire panel, but this member of the panel doesn't say
5 so, doesn't believe so, no.

6 MR. KOKAJKO: Marissa, you start it.

7 MS. BAILEY: No. It was caused by an
8 earthquake and a tidal wave.

9 MR. KOKAJKO: Joe?

10 MR. GIITTER: I would just say no.

11 MR. KOKAJKO: Shana?

12 MS. HELTON: I agree with the rest of the
13 panel.

14 MR. KOKAJKO: Greg?

15 MR. HALNON: Yes. I don't know the
16 Japanese regulatory structure very well. You know, if
17 you are asking the question from the realm, would more
18 regulation have saved it or less regulation have saved
19 it? I think that's probably an unfair question at this
20 point.

21 MR. KOKAJKO: Mike, do you want to provide
22 an Agreement States point of view?

23 MR. WELLING: No, thank you.

24 (Laughter.)

25 MR. KOKAJKO: Greg, I wanted to ask you,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 concerning the risk prioritization initiative that is
2 going on at the power plants, can you discuss some of
3 the factors that go into NEI's draft prioritization
4 process? And will licensees put emphasis on
5 non-safety-related issues such as cost concerns?

6 MR. HALNON: Well, cost is definitely a
7 piece of this, but it's not part of -- an input to the
8 process. I mean, if we look at the safety and
9 reliability aspects of each of the projects -- and Joe's
10 illustration earlier on the circ water pump is a perfect
11 example of how a non-safety-related component,
12 non-safety-related project can work its way into being
13 fairly high on the risk significance from the
14 standpoint of the PRA, so that -- that pretty much, if
15 you just kind of analyze that example, it pretty much
16 tells it.

17 We also look at cyber security aspects and
18 radiation protection perspective also. They also kind
19 of weight -- have a weighting factor in there. So when
20 you add all of those things together, the cost is not
21 a factor in this prioritization process, because we
22 don't want cost to overwhelm the safety aspect. So the
23 risk performance or the risk significance of it is what
24 the key is.

25 MR. KOKAJKO: Shana, how are the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 regulatory analyses -- it says, how are the regulatory
2 analyses issued for public comment? I suppose that
3 means, you know, are the regulatory analyses issued for
4 public comment? Can you describe that?

5 MS. HELTON: Sure. I'll say that in
6 recent times I think we have been -- even early in the
7 development of a proposed rule or a regulatory basis,
8 having some public meetings focused on the content of
9 the regulatory analysis.

10 Typically, what we've done throughout the
11 years is we will refer to the regulatory analysis in
12 the Federal Register notice. I will say that I don't
13 believe we always publish in the Federal Register the
14 regulatory analysis.

15 They tend to be lengthy, and there is quite
16 a steep cost for publishing documents in the Federal
17 Register. But they are always available and referred
18 to in ADAMS, our public document access, which is
19 highlighted in our Federal Register notice.

20 So part of our CER process enhancements and
21 rulemaking are drawn to ask questions in our Federal
22 Register notice that direct the public's attention to
23 these regulatory analysis documents, because we have
24 historically had difficulty getting feedback. You
25 heard Greg talking about the industry's reluctance to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 provide feedback during the proposed rule stage on our
2 regulatory analyses.

3 Well, this is really a prime opportunity
4 that I think industry is missing, and other members of
5 the public as well, because this is the document that
6 we send to our Commission, accompanying our proposed
7 rule package, and that helps inform our decisionmakers
8 as to whether or not to proceed with a proposed
9 regulatory action.

10 So getting that early public feedback on
11 regulatory analysis is critical. I think those really
12 help us identify the alternatives to rulemaking. And,
13 again, I am just speaking within the realm of
14 rulemaking. We can do regulatory analyses for other
15 actions, but we have been focused to date on rulemaking,
16 and we are just now considering expansion to other
17 processes.

18 But, you know, this regulatory analysis is
19 a key tool for decisionmakers. And as much as it can
20 be informed, that is just going to help the process out.
21 So we do have those questions now in the Federal
22 Register notices that try to direct attention to these
23 documents in our ADAMS public document system.

24 MR. KOKAJKO: Thank you.

25 Dave?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LOCHBAUM: Yes. Just -- I understand
2 Greg's point about it's difficult to comment on those
3 because what is -- the target is not real defined. We
4 have the same problem. It's difficult for us to
5 comment at that stage because it's not real clear what
6 is going on.

7 For years we have been advocating that the
8 NRC should issue draft regulatory guides around that
9 same time, because that really defines what -- the
10 expectations the NRC is trying to achieve and the ways
11 it would accept to achieve those. Absent that, it is
12 very difficult to look at a regulatory analysis and see
13 whether it is good, bad, or indifferent. So it's hard
14 for us to justify the resources to submit comments on
15 such vague notions.

16 MS. HELTON: And that's a really good
17 point. So that's another reason why, as part of our
18 process enhancements for CER, we are making sure and
19 we are holding to a very tough standard that every time
20 we issue a proposed rule we've got draft regulatory
21 guidance accompanying it, so that everybody who is
22 looking at the proposed rule fully understands what it
23 is going to take to implement those requirements.

24 So the impact that that has on the NRC in
25 developing these new requirements oftentimes it will

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 take us a little longer to get a proposed rule published
2 in the Federal Register, because there is a lot more
3 work going on to really define what that means and
4 getting the guidance available as well.

5 MR. KOKAJKO: Thank you.

6 Joe, this is for you. Prioritization has
7 many facets in addition to safety, such as money,
8 technical resources, time, individual units versus the
9 fleet. How are these other factors considered in
10 principle in the -- your prioritization initiative?

11 MR. GIITTER: There was an effort years
12 ago that the industry and NRC undertook, and it
13 considered a number of factors. And in my view, it
14 became overly complex and difficult to implement. And
15 while those are factors, I think my view anyway is
16 simpler is better.

17 So I would -- I think if we focus on safety,
18 and based on, you know, using risk insights to determine
19 that, and other qualitative factors as appropriate, I
20 think that's the best way to go, because I think if you
21 try to introduce too many other variables it becomes
22 overly complex.

23 MR. KOKAJKO: Dave or Greg, would you like
24 to address that, too?

25 (No response.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Okay. Shana, this one is for you. Is
2 filtered vent: a) adequate protection, b) margin of
3 safety, or c) excess regulations?

4 MS. HELTON: Those are some terms that are
5 a little bit different than what we usually deal with,
6 except for the adequate protection term. So I believe
7 that it should be clear filtering strategies is not a
8 matter of adequate protection. The Commission voted
9 on SECY-12-0157 I think is the reference to the
10 Commission paper that we sent with the policy issue on
11 vents.

12 So, as an outcome of that, there was an
13 order issued -- that is, an adequate protection
14 order -- to make hardened vents also severe accident
15 capable. Certainly, the way that we are proceeding
16 today, if we do wind up doing a filtering strategies
17 rulemaking, we would probably be considering insights
18 from that order.

19 But for the large majority of the
20 rulemaking effort, separate from that order, we are
21 looking at, does it pass the backfit rule, 10 CFR
22 50.109? So that is why in that effort, which I referred
23 to earlier, we are really making sure that our
24 regulatory analysis, which is going to include our
25 considerations of backfit, is well thought out and has

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 as much information from the public process as
2 possible, because we will be looking at that issue in
3 terms of, is it a substantial safety enhancement? If
4 it is, then does it pass the cost-benefit test in the
5 backfit rule?

6 MR. KOKAJKO: Yes, sir.

7 MR. BLANCH: My name is Paul Blanch. I'm
8 an energy consultant, previous Millstone employee, and
9 very much involved with the industry over many, many
10 years. And I have heard the word used "adequate
11 protection" on at least two occasions in this session.
12 And to me, and I'm not sure how much there is agreement,
13 but adequate protection is assurance that you are in
14 compliance with your license conditions or current
15 licensing basis.

16 I think there's more -- maybe we ought to
17 focus not on cumulative effects of regulation, but more
18 so on the cumulative effects of regulatory compliance.
19 We saw certainly at Davis-Besse, you know, literally
20 dozens of items of non-compliance which both
21 Davis-Besse missed and the NRC missed, and we have seen
22 some of the lessons learned task force, and so on and
23 so forth.

24 But, in my opinion, it is really -- what
25 we need to ensure is even though we have regulations

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 out there, we don't ever look at compliance. I have
2 talked to many inspectors. Some believe the FSAR is
3 an absolute requirement; some believe that the general
4 design criteria of 10 CFR 50, Appendix A, is an absolute
5 requirement; others don't.

6 The reactor oversight process does not
7 look at regulatory compliance. They don't compare
8 either the FSAR, SER, or any other documents that are
9 part of the current licensing basis.

10 My concern is not the regulation. My
11 concern is more compliance with the regulation. And
12 the most vivid example I have -- we have regulations,
13 and I look at 10 CFR 50, Appendix A, and back in I believe
14 it was 1991 or '93, the Commission determined that
15 Appendix A wasn't applicable to certain plants.

16 So we have regulations out there, and by
17 Commission directive, without rulemaking, they have
18 just determined it wasn't applicable. So how do we
19 assure adequate protection if we have no idea what the
20 degree of compliance is with the regulations? I know
21 that's a multi-faceted question, but I'd like to hear
22 anyone that cares to respond to that statement.

23 MR. GIITTER: Yes. I would disagree with
24 your premise that the oversight program doesn't look
25 at regulatory compliance. That is precisely what the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 regulatory oversight process looks at.

2 And with regard to Appendix A, some plants
3 were licensed prior to the general design criteria. So
4 although they may not specifically have that as part
5 of their licensing basis, it is in fact -- they probably
6 have something that is similar to it, a precursor to
7 it. But some plants were licensed in fact before 10
8 CFR 50, Appendix A, was issued.

9 MR. KOKAJKO: Anyone else on the panel who
10 would like to address the comments?

11 MR. HALNON: I can only say that the
12 adequate protection I referred to is that of the Atomic
13 Energy Act. So, I mean, it is similar to what you said
14 but not quite the same.

15 MR. KOKAJKO: Thank you.

16 I wanted to ask a question. Joe, the RPI
17 process that you are envisioning, how is it different
18 from the old ISAP process that the agency embarked on
19 back in the early '90s?

20 MR. GIITTER: I think that remains to be
21 seen to a certain extent. The ISAP process was the
22 process I was referring to before that, in my view,
23 was -- you know, when we went back and we looked at the
24 lessons learned from that process, there were a
25 tremendous amount of resources that were involved on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the part of the NRC. It looked at more than just safety
2 or risk. It looked at a number of other factors.

3 And, quite frankly, I think it got
4 into -- it had the NRC where it was trying to get into
5 the decisions that the licensee made to an extent that
6 was probably not appropriate. I guess my feeling is
7 that licensees are responsible for safely operating
8 their plants, and they need to make the decisions on
9 which things are most safety significant based on
10 guidance that we agree to.

11 And I go back to the example of the circ
12 water pump. I would hesitate to try to
13 second-guess -- you know, if a licensee believes that
14 they have a circ water pump that needs to be replaced,
15 I don't want to be in the business of trying to
16 second-guess that. I'm going to take their word for
17 that.

18 Again, what we're looking at here is
19 scheduling. We are looking at focusing on those things
20 using risk as a metric that are most important from a
21 safety perspective. And so it is kind of a long answer,
22 but I think the ISAP process, I think it was overly
23 complex. I don't think it was well understood. I'm
24 not sure it was very transparent. And for all of those
25 reasons, I think what we are looking at today is a better

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 process.

2 The other thing I would add that is -- it
3 does borrow on processes, as I said earlier, that are
4 well understood, well known, the SDP process, 50.59.
5 So licensees and the NRC already have familiarity with
6 those processes and have confidence in those processes.
7 They have worked well over time, so I would hope that
8 this approach has a better chance of success than the
9 ISAP process, which did not succeed.

10 MR. KOKAJKO: A related question, Joe, in
11 terms of the risk information, what is the pedigree?
12 And how much information is necessary to support this
13 process? On the plant side.

14 MR. GIITTER: Yes. Based on what we've
15 seen, I mean, the NRC would prefer to see PRA
16 information as up to date and as complete as possible.
17 Although I think in some cases that based on what I saw
18 at the tabletop that I witnessed there is going to be
19 some cases where you have to rely on more qualitative
20 insights rather than quantitative insights. And I
21 think that's appropriate, as long as there is a good
22 technical basis for it.

23 But I do think in general, because of a lot
24 of the voluntary initiatives out there, like NFPA 805,
25 for example, and risk-informed Tech Spec Initiative 4B,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 for example, that the completeness and quality of PRAs
2 has improved probably more in the last five years or
3 so than it has in probably the last couple of decades
4 prior to that.

5 There is more PRAs out there that are Reg
6 Guide 1.200 compliant, and there is a number of
7 licensees who will be doing seismic PRAs. And so I
8 think PRA is a bit -- is a more reliable tool than it
9 was 20 -- I know it is a more reliable tool than it was
10 20 years ago. But I do think there is going to be
11 situations where, you know, the issue of concern
12 doesn't lend itself to a PRA model.

13 Probably a great example of that is the
14 fatigue rule. And for something like that, you are
15 obviously going to have to use qualitative insights,
16 and that's where I think this other methodology that
17 looks at things like 50.59 is appropriate.

18 MR. KOKAJKO: One of the things that -- the
19 COM SECY from Commissioners Apostolakis and Magwood was
20 about incentivizing the use of PRA. I wanted to ask,
21 Greg, what about that? What can be done to incentivize
22 the use of PRA in the -- with the licensees?

23 MR. HALNON: Well, if we all believe it,
24 and truly believe that something is not going to happen
25 in twice the age of the earth, and we just shouldn't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 have to worry about it, that would incentivize me not
2 to -- I mean, to use it, and actually put something away,
3 not have to do it.

4 You know, we are dealing -- even at the new
5 plants now, we are talking, you know, ten to the minus
6 seven to eight type of thing. So let's agree that that
7 is not going to happen. I mean, you can always say
8 there is a minute possibility. We are dealing with
9 floods now that in the flooding hazard reevaluation we
10 are not allowed to use PRA to take events off the table
11 that aren't going to happen.

12 So we have to deal with floods that are
13 going -- never going to happen, we've got to be able
14 to tell you how we're going to protect against them.
15 And it's an ugly picture in some cases. So allow us
16 to use the PRA to actually screen things off the table.
17 That would be a great incentive for us.

18 MR. KOKAJKO: Dave, would you like to
19 address that?

20 MR. LOCHBAUM: Yes. I think you could
21 repeal the Price-Anderson Act, federal liability
22 protection for the owners, and then the insurance
23 underwriters that they have to go to would be very
24 interested in what the risks are that they are
25 undertaking, and that would help boost PRA quality. So

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that would provide financial incentive for quality
2 PRAs, and also protect the American public better,
3 which would be a collateral benefit.

4 MR. KOKAJKO: Joe?

5 MR. GIITTER: I just wanted to comment on
6 something Greg said. We have to be careful as move
7 forward that we are not risk-based. And even though
8 I do think risk can provide very important insights and
9 is a very useful tool, you get to the issue of floods
10 that are a very low probability -- and I understand
11 that's probably a bad example because I'm not sure how
12 well we are modeling doing probabilistic risk
13 assessment of floods.

14 But I think to be truly risk-informed we
15 need to think about defense-in-depth and safety margin
16 as well. So that is why I think the mitigation strategy
17 work in FLEX is extremely important, because it is there
18 to protect you against the unforeseen. Even if you
19 don't think there is going to be a high -- you know,
20 a ten to the minus eight frequency of a particular
21 flood, if something unforeseen does happen, you are
22 going to have the means of ensuring critical safety
23 functions are maintained.

24 MR. KOKAJKO: So the answer is no.

25 Steve Dolley.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. DOLLEY: Thank you. Steven Dolley
2 with Platts. Just following up on that, I was
3 wondering if any of the panelists could comment on
4 whether the entire very complex and very -- you know,
5 ultimately very disastrous Fukushima scenario would
6 have been estimated under PRA to fall below a ten to
7 the minus seven or ten to the minus eight threshold.
8 I doubt it would have been below ten to the minus eight.
9 Was it below ten to the minus seven?

10 MR. HALNON: Yes. I don't know the answer
11 to the question.

12 MR. DOLLEY: Would it, therefore, come off
13 the table if it were?

14 MR. HALNON: Well, again, if Fukushima had
15 a PRA, I don't know about it.

16 MR. DOLLEY: No, that's not what I'm
17 asking. That kind of scenario.

18 MR. HALNON: Again --

19 MR. DOLLEY: I mean, if you're talking
20 about using PRA to take things off the table, that's
21 what I'm trying to get at. Would this be the kind of
22 scenario which could potentially come off the table?

23 MR. HALNON: I guess I can't answer your
24 question because I'm not sure what scenario you're
25 talking about. Are you talking about an earthquake

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 followed by a 35-foot wall of water?

2 MR. DOLLEY: An extended SBO that resulted
3 in a triple meltdown.

4 MR. HALNON: Every PRA is going to be
5 different in that respect based on plant
6 considerations. You have to see what the grid around
7 the plant looks like, what the topography is,
8 what -- there is a tremendous amount of stuff that goes
9 into it. So I can't tell you. I mean, your scenario
10 doesn't -- I haven't analyzed the Fukushima scenario
11 with the PRA to any of my plants. My plants have a PRA;
12 each PRA stands on its own based on the plant
13 characteristics. That's what you have to look at.

14 MR. DOLLEY: Does anyone else on the panel
15 have any insights on that?

16 MR. KOKAJKO: Dave?

17 MR. LOCHBAUM: Yes. I think Joe spoke to
18 something that -- depending on how the process worked
19 that could address that question. If the PRA was
20 backstopped by a defense-in-depth evaluation, for
21 example, certain security -- you know, terrorist
22 actions, sabotage, you can't really do a PRA on that.

23 So you're going to have to use some other
24 mechanism to determine -- well, the things that from
25 PRA that seem to be very low likelihood, you might also

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 use that companion tool to see if at the same -- are
2 we not going to do anything, or that companion tool that
3 you are using for security and other events could say,
4 well, we need to do this. Even though it's ten to the
5 minus seven, ten to the minus eight, it might be still
6 a good idea to do it.

7 So I think Joe's outline, depending on how
8 it worked out, could address that point.

9 MR. DOLLEY: It could provide some margin,
10 but you still have the question about what needs to be
11 considered in the design basis and beyond the design
12 basis.

13 MR. LOCHBAUM: Yes. Exactly.

14 MR. KOKAJKO: Marissa, I would like to
15 ask, how is risk information used in NMSS? And how
16 might it be used in the CER framework?

17 MS. BAILEY: Well, let me talk about the
18 fuel cycle facilities. The risk information -- the use
19 of risk information is really built into the regulatory
20 framework. Fuel cycle facilities are required to
21 conduct what is called an integrated safety analysis,
22 which is a systematic look at the hazards at the
23 facilities, whether that's external hazards or
24 facility hazards, the likelihood of that hazard and the
25 event sequence that that might cause, and then the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 consequence.

2 And then after you go through that, the
3 licensees are required to identify the items relied on
4 for safety that they would put in place to mitigate or
5 prevent the consequences of that accident. So from
6 that perspective, risk information is used to manage
7 the safety programs of fuel cycle facilities. It does
8 not need to be a quantitative type of risk analysis.
9 It can be qualitative, it can be quantitative, it can
10 be something in between.

11 And I forgot the second part to your
12 question.

13 MR. KOKAJKO: How might it factor into CER
14 in the fuel cycle framework?

15 MS. BAILEY: Well, I think that's sort of
16 the next step for us for managing the cumulative effects
17 of regulation. You know, we now have the integrated
18 schedule, so we've got a big picture look at all of the
19 activities or all of the major activities within the
20 fuel cycle program.

21 And so the next step is taking a look at,
22 is there some strategy that we can use to do a relative
23 ranking of those activities? And can we use risk
24 information, whether it's qualitative or quantitative,
25 to help us rank those activities? I think it's really

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 more for new initiatives that are coming, because the
2 activities that are already in the integrated schedule
3 were already in the process of doing them.

4 So the next question, then, is for, you
5 know, new regulatory initiatives. Can we come up with
6 some sort of strategy to clearly define what the issue
7 is, what is the risk that we are trying to address, and
8 then put some sort of a relative ranking to how we move
9 forward in addressing that issue or that initiative.

10 So it's -- you know, it's kind of not a very
11 firm answer, but I would say that's sort of the next
12 step for us, managing the cumulative effects of
13 regulation and incorporating that into the integrated
14 schedule process.

15 MR. KOKAJKO: Thank you.

16 Greg, Dave Lochbaum asserted a little
17 while ago that perhaps it was internal matters that
18 drove up a lot of cost of operations by the licensees.
19 Is the industry doing anything or has any initiatives
20 to address internal improvements?

21 MR. HALNON: Yes. When I mentioned the
22 industry self-examination of our processes, work
23 management is one of those to try to reduce and
24 streamline the administrative process so that we do a
25 better job of figuring out what preventive maintenance

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and predictive maintenance to do and when. And we are
2 really looking at it from an as-found perspective.

3 If we find something that is not as good
4 as it should have been, and we are going to increase
5 the frequency of the PM, if we find something that is
6 a lot better than what we -- has a trend of being better,
7 then we are going to reduce the frequency of the PM and
8 use that as insights into how that program gets done.
9 So that should help making sure our resources are
10 hitting the right things and making sure the right
11 equipment is being worked on and the right frequency.

12 I'm not sure if that was the full answer
13 to Dave's question, but that's part of the aspects that
14 we're doing.

15 MR. KOKAJKO: Mike, I wanted to -- not to
16 leave you out.

17 MR. WELLING: That's fine.

18 (Laughter.)

19 MR. KOKAJKO: Can you give me some
20 perspective from you as far as the Agreement States
21 Program goes at -- you know, what is impacted by the
22 cumulative effects of regulation? And what would you
23 suggest that you can work on, but also things that you
24 would engage with the NRC on?

25 MR. WELLING: The Agreement States have a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 unique perspective in that we have limited staffing and
2 budgets due to states deciding what a good quality pay
3 scale is and what good quality staffing numbers are.
4 So from our perspective, we have to prioritize our
5 issues, because not only do we license, regulate,
6 inspect, do regulations, do emergency response, as a
7 daily basis, so we have to manage those daily needs to
8 ensure we meet the adequacy compatibility to maintain
9 our agreement.

10 So from an Agreement States' perspective,
11 we are trying to prioritize the regulations to ensure
12 that ones we're working on, that we have to enhance
13 our -- to protect public health and safety, and nothing
14 less.

15 MR. KOKAJKO: Okay. Thank you.

16 I would like to ask each of the panel
17 members if they would like to provide a closing comment
18 before we adjourn. Shana?

19 MS. HELTON: I'd just, once again, like to
20 thank everybody for their participation today, and to
21 say that this is certainly not the end of the
22 conversation. We have public meetings in the works,
23 so please stay tuned on our public meeting website,
24 because we do appreciate all of the public feedback that
25 we get on cumulative effects of regulation. This is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 not an issue that the NRC can tackle on its own, and
2 I appreciate the session today.

3 Thank you.

4 MR. KOKAJKO: Joe?

5 MR. GIITTER: Yes. Just one final point,
6 and I alluded to this earlier. The focus has been on
7 the cumulative effects of regulation on industry. But
8 there is another side of it, and that is the cumulative
9 effects of work on the NRC staff right now.

10 And, you know, just speaking for my
11 division, the Division of Risk Assessment, we are
12 extremely busy, and we want to focus on those things
13 that are most safety significant. So this has a
14 benefit for the NRC as well as for industry.

15 MR. KOKAJKO: Marissa?

16 MS. BAILEY: I guess I would pretty much
17 repeat what Shana and Joe had to say, that the
18 conversation really isn't over. We are very committed
19 to managing the cumulative effects of regulation. It
20 doesn't mean that it is an excuse or it's a way of
21 alleviating the requirements that are currently in
22 place. It is really making sure that we manage our
23 work, so that our focus and the focus of our licensees
24 are on those things that have a clear connection to
25 safety and security.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We are committed to making the integrated
2 schedule work as a way of managing the cumulative
3 effects of regulation, and we are looking at ways to
4 making it better and making it a more useful tool.

5 So thanks.

6 MR. KOKAJKO: Thank you.

7 Greg?

8 MR. HALNON: We think it's real positive
9 that we -- I think everybody is aligned around the need
10 to do -- to manage the effects and to make sure we do
11 the right things first relative to safety and
12 reliability. So we are really encouraged with Joe's
13 participation and the pilots and the others.

14 We think that we are going to learn more,
15 we are going to -- as Mark Satorius said this morning,
16 we need to stay agile and take our learnings and factor
17 them back into process and keep the momentum going, so
18 that we can work through this and get something in place
19 clearly by summer or the end of the year would be good.

20 MR. KOKAJKO: Mike?

21 MR. WELLING: Well, I just want to thank
22 the NRC again for allowing us to participate. We look
23 forward to coming up with some good ideas in regards
24 to CER.

25 MR. KOKAJKO: Okay. Dave?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LOCHBAUM: I also appreciate the
2 opportunity to be on this panel and talk about this
3 subject. And hopefully the focus -- sharpening the
4 focus is seldom a bad thing, and I think there are some
5 very good things that could occur along the way.

6 Just make sure that some of the safety focus
7 doesn't get dropped along the way, and I think we end
8 up at a good place. But, again, there is some work to
9 do yet, so you could also detour off in a bad place.
10 Hopefully, that won't happen.

11 MR. KOKAJKO: Thank you, Dave.

12 I would like to thank the panelists for
13 being here today and sharing their viewpoints. I would
14 also like to thank the audience for attending today and
15 listening.

16 And, more importantly, I'd like to thank
17 Tara Inverso, who helped coordinate this session,
18 because without her it wouldn't have come together as
19 well as it did. So thank you, Tara.

20 (Applause.)

21 This adjourns the session. Thank you.

22 (Whereupon, at 3:00 p.m., the technical panel
23 discussion was concluded.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701