

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

RIC 2014

+ + + + +

26th ANNUAL REGULATORY INFORMATION CONFERENCE

ERIC LEEDS SPECIAL PLENARY SESSION

+ + + + +

WEDNESDAY

MARCH 12, 2014

+ + + + +

The Regulatory Information Conference
convened in the Grand Ballroom of the Marriott Bethesda
North, 5701 Marinelli Road, Rockville, Maryland, at
10:30 a.m., Eric Leeds, NRR Director, moderator.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

P-R-O-C-E-E-D-I-N-G-S

(10:30 a.m.)

MR. LEEDS: Welcome back. Thank you for returning for this plenary session. The plenary session will be a panel discussion on operating new reactors: answers to your question. I'd like to take a moment to introduce our panelists and then we'll get to the questions and have some answers for you.

Once again, my name is Eric Leeds. I'm the director of the Office of Nuclear Reactor Regulation here at the U.S. NRC.

First, I'd like to introduce Tony Pietrangelo. Tony is the Nuclear Energy Institute's senior vice-president and chief nuclear officer. Tony has been with the NEI and its predecessor organization since 1989. He's responsible for the management of licensing, risk-informed regulatory initiative, performance-based regulation and other comprehensive technical and regulatory issues.

Prior to joining NEI Tony was with Westinghouse Electric Corporation as a project engineer for the construction, testing and start-up of nuclear power plants in Brazil, South Korea, the Philippines and the United States.

Next is Dennis Koehl. Dennis is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 president, chief executive officer and chief nuclear
2 officer of STP Nuclear Operating Company. In this role
3 he is responsible for the safe and reliable operations
4 of Units 1 and 2, as well as the overall strategic
5 direction of the company.

6 Prior to his current position Dennis was
7 the senior vice-president and chief nuclear officer for
8 Excel Energy responsible for activities at the Prairie
9 Island in Monticello Nuclear Power Plants. Dennis has
10 more than 30 years of experience in the nuclear
11 industry, has a diverse background in operations,
12 assessment, engineering and plant performance.

13 And our third and final panelist is Mike
14 Johnson. Michael Johnson is the deputy executive
15 director for Reactor and Preparedness Programs here at
16 the NRC and he's responsible for leading the Offices
17 of Nuclear Reactor Regulation, New Reactors, Nuclear
18 Security and Incident Response, as well as the NRC's
19 four regional offices.

20 Mike has 37 years of federal and nuclear
21 service first with the U.S. Navy and subsequently with
22 the NRC. He began his career with the NRC in 1986 as
23 an inspector. And since then he has held a number of
24 progressively more responsible staff and supervisory
25 positions here at the NRC.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Now to begin with; and we're really
2 dependent on your questions to keep this going, but we
3 have a couple questions in store for the panelists to
4 get things started while you all jot down your questions
5 and get them up here so that I can read them to the
6 panelists.

7 Unlike the session that I do with the
8 Commissioners where you're here to listen to the
9 Commissioners, even though I am the moderator, I will
10 interject on occasion and provide my opinions with the
11 panel.

12 So for the first question for the
13 panelists, last fall the industry CNOs visited
14 Fukushima Daini and Daiichi sites and saw firsthand the
15 results of the accident and learned insights from the
16 plant staff about the event. Three weeks ago the top
17 NRC managers involved in the Reactor Program made a
18 similar trip to Japan.

19 From the industry and the regulators'
20 perspectives what did you learn and gain from the trip
21 that you'd like to share with the audience? If I can
22 begin with Dennis.

23 MR. KOEHL: All right, Eric. When we went
24 over there, the best way to describe it is as you're
25 approaching the site you go into this 20 kilometer

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 exclusion zone. So you get to see what we often preach
2 about nuclear power that it's special and unique. And
3 by that I mean is when you come into this exclusion zone,
4 there is no one there. There's empty houses, there are
5 stores that still have merchandise in them.

6 And then as you proceed further, you start
7 to see these fields of black bags as big around probably
8 as that table there, you know, four feet tall, stacked
9 on top of another where they've started to
10 decontaminate the area. So that's the first
11 impression you get, but that reinforces to me over and
12 over again is that our business is special and unique
13 because of the fuel source that we use.

14 Then as you approach the site, you can
15 start to see the devastation of both the tsunami as well
16 as the impact; and this is at Daiichi, of the hydrogen
17 explosion. So I mean, you get the visual of the
18 physical site. And you can also see more of what the
19 power of the tsunami, what, you know, Mother Nature can
20 really do.

21 And I know yesterday was the three-year
22 anniversary, but as you get to the site and you get an
23 opportunity to start talking to the operators that were
24 there, I mean, these are operators that were actually
25 there on the day of. So you get a good sense of, you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 know, how they felt and how they reacted.

2 We had a little bit of discussion about the
3 tsunamis. You know, the Commissioners talked about
4 the potential for complacency. The operators will
5 even tell you that they had many tsunami warnings. And
6 from the complacency aspect they would be told what the
7 tsunami height would be, but it normally was less than
8 that. So it became a pre-conditioner for them to think
9 that it was less.

10 And then as you talk to the operators, as
11 they carried out their functions and their duties, it
12 brings a different perspective to, in my mind, how we
13 should approach our emergency preparedness, some of the
14 things that we do. You can't pre-job brief every
15 condition that somebody may run into when they're
16 dispatched to go out into the field to do an action or
17 an evolution, because the conditions were very dynamic.
18 They were changing very quickly, you know?

19 So I think it left me with the thinking of
20 we've got to change that perspective. You know, we
21 spend a lot of time/effort on training to get our
22 operators, our maintenance people knowledgeable, but
23 we don't always allow them to use some of that knowledge
24 to make decisions when they're faced with that
25 condition. You know, we sometimes ask them to turn

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 around and come back. And that may not be the right
2 answer for us as we look at these beyond-design-basis
3 events and evolutions that could happen. So very good
4 perspective.

5 The people definitely wanted to do all the
6 right things. As we moved roughly seven kilometers,
7 I think it was, up the coastline to Daini, there what
8 I took away was, you know, we had been working on our
9 FLEX strategy for roughly two years, almost
10 two-and-a-half years at the time we went to visit. And
11 what that showed me when I got there is that FLEX works,
12 because it was a little bit of an untold story, but they
13 were actually faced with a similar situation with the
14 units that they had there.

15 Yes, they had the tsunami. They lost
16 electrical power. Yes, they did have one off-site
17 power source. Was actually to a rad waste building.
18 But their safety pumps, they needed to get power to
19 several safety pumps. I think it was five motors had
20 to be powered up. They were dispatching people to get
21 the condition of the equipment, what needed to be done.
22 And in the end, in a 30-hour period of time, they
23 basically ran six miles of cable to these five different
24 motors.

25 And, oh, by the way, at the same time I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 think replaced either two or three of those motors or
2 did maintenance on those motors such that they were able
3 to power those up and to provide the needed cooling.
4 So what that showed me was the method we were using,
5 the flexible equipment, the pre-staging it, it brought
6 credibility to the approach that we were taking here
7 in the U.S., because they basically did it on the fly.

8 The next key item that I and several others
9 took away is the leadership. The individual that was
10 running that station, Masuda-san, definitely provided
11 the crisis management, if you want to call it that, but
12 it was true leadership to the people.

13 And everybody is going to react
14 differently. I think we all would want to think that
15 we're going to be very brave, we're going to not have
16 emotion, but that's not the case. There's going to be
17 people that will not function, there's going to be
18 people that will function extremely well, but as the
19 leaders you've got to figure out, okay, I can deal with
20 this, this individual, we're going to have to, you know,
21 set aside and deal with that aspect of it. But they've
22 got to keep the focus on what the safety-significant
23 items were and making sure that when people were
24 dispatched they had a commitment from that individual
25 that they were going to do everything they could to get

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there, get the needed information, the assessment, get
2 the information back and keep the work force informed,
3 and communicate to the work force exactly where they
4 were, exactly what needed help.

5 To me, that again became an item to bring
6 back how do we train our leaders? Do we do everything
7 that we should and could in potentially a crisis
8 situation, in a situation where there is literally life
9 and death occurring, so that we can help our emergency
10 organizations to be better prepared?

11 And I guess the last take-away that I took
12 is the choice had become a lot of the work at the
13 facility was being done by contractors, so there was
14 a lot of tasks and skills that really the in-house work
15 force was not accustomed to doing. So again, as you
16 look at your work force, how much are you relying on
17 a vendor, because that vendor may not be there the day
18 you need that task to be done, and can, you know, your
19 work force really perform all the different and needed
20 tasks?

21 I think we have, you know, one step up, and
22 that's the fact that we do have our training programs
23 having run through the academy, what the specifics are.
24 We've got a lot of people. We've got a lot of specific
25 task qualifications and the majority of them are in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 house. But it was a slight little twist that I think
2 we have to go back and look at to see is there any
3 critical tasks or items that we may need and not really
4 have the in-house people trained.

5 MR. LEEDS: Thank you. Thank you. Very
6 comprehensive.

7 Tony, anything to add?

8 MR. PIETRANGELO: No.

9 (Laughter.)

10 MR. LEEDS: Mike?

11 MR. JOHNSON: Thanks. I do first want to
12 tell you that a lot of the messages that Dennis gave
13 resonate with us, resonate with me personally.

14 I will tell you that for us the trip by the
15 Senior Management Team and the Reactor Program was
16 probably one of the most impactful certainly that I've
17 had in my career, and I think they would agree to a
18 person also that it was impactful. The RAs went.
19 Eric, Glen and Jim Wiggins went. We also took of course
20 Dave Skeen as head of the JLD and Scott Flanders.
21 Scott, you will recognize, is involved with the seismic
22 and flooding reanalyses, and we thought it was
23 important for Scott to be along.

24 So that team in Japan, we were able to reach
25 out to the industry in fact and sample from them or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 identify from them where they went, what they thought
2 would be most beneficial. And we, like the industry,
3 went to see Kashiwazaki-Kariwa. We went to Fukushima
4 Daiichi and Fukushima Daini. We also met with the
5 regulator, an RA, our good friends. We met with JNC,
6 the Japanese INPO. And we had an incredibly candid
7 opportunity or an incredible opportunity to meet with
8 Tepco and found them to be tremendously candid in terms
9 of the insights that they provided for us.

10 And so my overall impressions are, first,
11 to recognize that there were tremendously heroic
12 efforts that happened, not just on the day of the
13 accident, but in the ensuing three years. And it shows
14 when you show up in Japan. And so, you know, I always
15 want to be grateful to our Japanese colleagues and
16 friends recognizing what they faced and what they were
17 able to with that situation in Japan.

18 As has been discussed by numerous
19 presenters, they also suffered tremendous loss. As
20 Dennis described, you can't help but as you ride on the
21 roads leading up to the site be mindful of just the
22 tremendous loss even today as a result of that
23 particular accident.

24 On the day that we visited Fukushima
25 Daiichi, there were 4,000 people on site on that day.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Recognize there will be many, many people, thousands
2 of people on site for the next 20 to 30 years that it
3 will take to decommission those facilities. Just a
4 tremendous cost.

5 It certainly disrupted lives, as Dennis
6 indicated. There are folks who are beginning to
7 return, but there are folks who won't in their lifetimes
8 return to some of those areas surrounding the plant.
9 Again, just the scope of the loss, well beyond what was
10 caused by the immediate impact of the tsunami. And so
11 really I think it made an impression on us. Not to
12 mention the fact that the industry -- those plants are
13 still shut down. And so the Japanese regulator and the
14 Japanese people are working with respect to the new
15 regulations to be able to restart those units.

16 Also struck by the tremendous resilience,
17 as I indicated, with respect to seeing the site. I was
18 impressed by how much has been done, how much has been
19 cleared away, how much the prefecture has been able to
20 restore and recover. It just points to the tremendous
21 resilience of that country, those people, our friends.

22 And I also, as I started, would just say
23 again how we found them to be, everyone, tremendously
24 willing to share their insights. I thought, gee, what
25 a contribution to the international community to be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that sharing with respect to the experiences faced that
2 day and those experiences as they've continued to
3 recover.

4 For us the messages -- I'm just going to
5 give three messages, Eric.

6 MR. LEEDS: Good.

7 MR. JOHNSON: The messages -- and they're
8 sort of an overarching message for us, to be prepared
9 for the unexpected. Prepare for the unexpected.
10 Recognize that in terms of the way we approach
11 regulation, we certainly want to have a good idea about
12 what challenges the design will face, what challenges
13 the operators will face. We want to make sure that the
14 regulatory framework and structure is set up to deal
15 with that. We want to make sure of course that
16 licensees and operators, of course the plants are ready
17 to handle those. But in the event the unexpected
18 happens, the trip reinforced in our minds the
19 importance that we prepare, that licensees prepare,
20 that the industry prepares for the unexpected.

21 Like Dennis, we were impressed by FLEX.
22 Can't help but as you visited, as we visited Fukushima
23 Daini to be impressed by their ability to bring to bear
24 strategies and have them be effective in terms of
25 recovering those plants. Just tremendously

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 important. And you can see that mirrored in the way
2 in which we approached the regulations, the
3 requirements, the new requirements, I should say, to
4 deal with mitigating strategies.

5 Also though, as a result of our trip to
6 Daini, with respect to preparing for the unexpected,
7 it reemphasized in my mind the importance of making sure
8 that the installed plant equipment provides the time
9 necessary for folks to bring to bear those strategies
10 that they'll put in place to be able to deal with the
11 unexpected should the unexpected happen. So, also the
12 importance of the installed equipment. And we're
13 working also with that perspective in our mind.

14 The second perspective I think is also one,
15 Dennis, that you talked about in terms of -- the way
16 I guess we talk about it is making sure that the
17 licensees have a deep understanding of the plant.
18 Clear to us based on interactions with the shift manager
19 at Fukushima Daiichi who talked about the challenges.
20 As we talked to -- for example, the maintenance
21 supervisor at Fukushima Daiichi talked about the
22 challenges, the struggles with respect to what they
23 faced as a company, Tepco as a company as they were
24 reliant, heavily reliant it turns out, on contractors.
25 It reinforced in our minds the importance of making sure

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that indigenous to the licensee is the technical
2 capability to be able to understand that plant.

3 Commissioner Ostendorff talked about the
4 technical capability, technical confidence.
5 Tremendously important in situations like that. And
6 an analogous thing for us as a regulator to make sure
7 that on our staff we have the technical capability to
8 be able to deal with those kinds of situations. So left
9 us with that as a very strong impression.

10 And then last, but not least, I think we
11 left with a dedication that I think we've always had,
12 but reinforced regarding the need to make sure that
13 whatever we put in place to meet the requirements today
14 that 10 years from now, 15 years now, that those
15 requirements, that those actions, that those plans,
16 those strategies are still being implemented. We
17 don't want to have taken good steps, implemented good
18 actions only to have them be undermined because we've
19 not paid due attention to them.

20 We're capturing the results of our visit
21 on video. We got from Tepco the ability to capture
22 those. We've got a number of good still shots and
23 reflections from each of the participants. And so
24 we're going to use that as a knowledge management tool
25 to enable us to be able to communicate with the staff

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 10 years now, 15 years from now regarding lessons
2 learned from Fukushima.

3 MR. LEEDS: Tony, you wanted to add
4 something?

5 MR. PIETRANGELO: Yes, one other thing,
6 and it struck us when we were there, and it comes up
7 at each one of our Fukushima Response Steering
8 Committee meetings that we have. And that is the
9 ongoing situation with the water management at the
10 site. We continue to be concerned by that. They have
11 their trains of their decontamination systems running
12 now, but they're not allowed to discharge any water back
13 into the ocean even if it's relatively clean. You
14 know, eventually that water is going to wind up in the
15 ocean. You can do it in a controlled fashion after
16 you've put through the decontamination system or you
17 can do it in an uncontrolled fashion when -- and it's
18 not if, it's when you have another earthquake that's
19 significant.

20 There's lots of flat-bottomed tanks.
21 There were 1,000 when we were there. I think they've
22 got two to three years left of space on that site. You
23 can see them clearing trees for additional tanks, but
24 eventually the water has to be discharged. The reason
25 it's not is that there's a lack of trust in the operator,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there's a lack of trust in the regulator. And that's
2 the lesson learned is you can't lose that trust or
3 you're going to shut down everybody.

4 So, you know, we've been talking about what
5 the CNOs here could do in terms of a letter signed, you
6 know, in concert maybe with the NRC and the U.S.
7 Government to Japan saying you need to get on with this
8 and enter a dialogue, you know, with the fishermen and
9 other interested stakeholders to come up with a plan
10 that puts some confidence in the operation to be able
11 to safely discharge that water. Because again, when
12 we were there they had just had a leak. When you were
13 there they had another leak. When you're monitoring
14 the level of 1,000 tanks and they go from one to the
15 other, you're going to have some leaks from time to
16 time.

17 So you're going to see it show up in the
18 news and be a concern for all people. So the sooner
19 they deal with that problem, the better. And we're
20 trying to think about what we can do as an industry to
21 help support movement towards the eventual discharge
22 of that water.

23 MR. JOHNSON: And I think Commissioner
24 Magwood talked about the very close relationship we
25 have with the regulator and the Japanese government and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 activities ongoing this week in terms of, for example,
2 bilateral interactions regarding how can we assist
3 them. It's certainly clear to me that when we were on
4 site they are focused on water as an issue, water
5 management as an issue. And we stand ready to assist
6 them any way we can. As Mr. Magwood indicated, we
7 believe that they're approaching this in a highly
8 capable way. We look to help any way we can.

9 MR. KOEHL: Just as one other item; and
10 Tony reminded me of it, is the relationships that you
11 have with the communities where you serve and around
12 you. I mean, they ran six miles of cabling, but they
13 didn't have six miles of cabling on the site when the
14 event happened. I mean, they were making calls and
15 trying to work relationships that they had, where that
16 material could be, and even getting assistance from the
17 people on the other end to get the material part way
18 there so that they could meet halfway.

19 You know, especially in an event that's
20 being driven by Mother Nature, you don't know what
21 barriers you're going to run into. You only know, you
22 know, like Commissioner Apostolakis says, the
23 information that you have at the moment you're making
24 the decision. So you really have to be leveraging
25 those relationships and thinking all the what ifs.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Because that was a key item is questioning the what ifs
2 and putting contingencies in place for those what ifs.

3 MR. LEEDS: Well, thank you, all. I
4 really resonated with the panelists' discussion about
5 the Fukushima accident.

6 I want to add one observation to your
7 discussion. And the Chairman and a number of the
8 Commissioners noted that yesterday was the three-year
9 anniversary of the Fukushima Daiichi accident. I want
10 to remind everyone that this month is another
11 anniversary that's very significant to our community,
12 especially here in the United States. Thirty-five
13 years ago this month was the anniversary of the Three
14 Mile Island accident.

15 So when I think about that, I think about,
16 well, we've had 35 years of safe reactor operation here
17 in this country. For most industries I think that
18 would signal them to relax. It's time to, ah, we made
19 it. We're there. And I really resonated with what
20 Dennis had to say. This industry is special. We can
21 never relax. We can never take our eyes off the ball.
22 We can never think that we're there. We need to
23 exercise. I think what we learned, one of the
24 principal learnings from Fukushima Daiichi is that we
25 need to continue to exercise and exercise in new ways

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 so that we are prepared for the unexpected, as Mike
2 mentioned.

3 So thank you, all. Very profound
4 experience going over there. So thanks, guys.

5 Let's go to the next question. Yesterday
6 at one of our breakout sessions we had a session on
7 cumulative effects of regulation, impacts of
8 regulation on the industry and on the regulator. We
9 had outstanding attendance at that meeting. I got
10 there a little late and couldn't get in.

11 (Laughter.)

12 MR. LEEDS: So for those of you like me
13 that weren't able to hear the discussion, I'd like to
14 pose a question to the panelists so we can catch up on
15 the status.

16 So the question reads, what actions have
17 the NRC and industry taken to date to address the issue
18 of cumulative effects of regulation? Are there any
19 plans going forward?

20 Tony, I'll ask you to begin from the
21 industry's perspective.

22 MR. PIETRANGELO: Yes, I actually was at
23 the breakout session, Eric. I found a seat. So it was
24 very, very good. Several panelists.

25 But let's put it in context first. I mean,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 back to Fukushima for just a moment. Our principal
2 concern has been that in terms of evaluating and
3 implementing the Fukushima lessons learned is that we
4 were going to divert operational safety focus from the
5 current fleet. Okay? And that continues to be a
6 concern because this is implementation really for many
7 of the Tier 1 requirements.

8 It's really the same rationale that
9 applies for cumulative effects of regulations. Can
10 you focus on the right things based on safety
11 significance, prioritize those and really, you know,
12 get the bang for the buck in the shortest amount of time?

13 So we're making great progress I think.
14 We've had three successful tabletop exercises. In
15 fact, one started at Summer and then got snowed out and
16 they're finishing it this week. But they've been to
17 Robinson. They've been to Prairie Island testing out
18 our prioritization guidance that looks at safety,
19 security, EP, reliability. And through an expert
20 panel-like process prioritizes the work that gives you
21 the biggest safety benefit for the buck.

22 As noted at the panel yesterday, that
23 really should include things that are already on your
24 plate that haven't been fixed yet. Where does it fall
25 in the scheme of things? I know we want to move forward

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 with pilots later this spring or summer. I know the
2 staff -- Michael, I'm sure you'll talk about the paper
3 that's going up to the Commission pretty soon. So
4 we're anxious to move forward with it because we do
5 think it's a way to focus.

6 And one thing I see across the board; I see
7 it at NEI with my own staff and at the plants we talk
8 about it with the CNOs on our Nuclear Strategic Issues
9 Advisory Committee, you know, there's just too much
10 stuff. I know you feel it at NRR sometimes about all
11 the different demands on your time and resources. And,
12 you know, the pie isn't getting any bigger. So we've
13 really got to focus on the things that deliver the most
14 safety benefit and reliability. That's what that
15 effort is about. So we're anxious to move forward with
16 it and get it rolling.

17 MR. LEEDS: Thank you. Thank you, Tony.

18 Dennis, did you want to add something?

19 MR. KOEHL: Yes, there was one item that
20 came out. I was in that session yesterday. And there
21 is two sides to that coin in reality, because it's not
22 all specifically about total, you know, bang for the
23 dollar, but it's also a distracter to our work force.
24 And we've got to make sure that we do not put distracters
25 in place that are going to take them away from what we've

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 trained them to do in the jobs and the evolutions that
2 we're asking them to do.

3 So I think this process, we're going to
4 have to constantly reassess it. Because again, going
5 back to one of the Commissioner's talks, you know what
6 you know at the time of the decision. If facts start
7 coming in or data starts coming in, we may have to
8 reassess. It may mean that there's a regulation that
9 does have to be changed or new regulation that gets put
10 in place. But it's the process of constantly assessing
11 that I think will help keep the distracters away from
12 our work force.

13 MR. LEEDS: Mike?

14 MR. JOHNSON: Thanks. And I did not
15 attend the session. I'm sorry. I'm sure I was
16 somewhere else in an interesting RIC session getting
17 great insights.

18 Cumulative effects of regulation has been
19 tremendously important to us. And in fact, I know we
20 talked about that topic at last year's RIC, and I know
21 we've been working that issue for several years. For
22 us, evaluating and seeking to better manage the
23 cumulative ongoing activities that are required by the
24 regulator is something that we think is a priority
25 activity. We in fact share with the industry the idea

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that if we're not careful with respect to all of the
2 things that are on our plate and making sure that we
3 prioritize and managed those -- if we don't do that,
4 we will potentially distract both our attention and our
5 focus, but also the industry's focus on operational
6 safety, operational security. And that's not where we
7 want to be. And so that's why we've continued to work
8 on cumulative effects of regulation.

9 And, you know, I won't, for the folks who
10 were in that session, try to repeat everything that you
11 must have heard with respect to what we've done and
12 where we're going. Certainly you should recognize
13 we've made progress with respect to looking at
14 rulemaking, for example, in terms of making that
15 process better in terms of engaging with external
16 stakeholders earlier. The notion about providing
17 guidance, draft guidance with the proposed rule, final
18 guidance with the final rule. That all, if you will,
19 serves with respect to improving our cumulative effects
20 of regulation, or understanding of the cumulative
21 effects of regulation as it relates to rulemaking.
22 Recognize also that we are moving beyond rulemaking and
23 certainly looking at the other major activities that
24 again add to that entire list of things that licensees
25 have to do with respect to implementing what is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 required.

2 We are looking of course in terms of the
3 activities that we have taken today, as was all the
4 direction from the Commission, to look at their
5 effectiveness. For example, to gain insights or to
6 make changes, we'll do that. In addition to that, as
7 Tony indicated or maybe didn't indicate, but certainly
8 would have heard in the session, we're focused on,
9 engaged with the industry on case studies. Those case
10 studies look at reviewing how we do regulatory analyses
11 or looking at, for example, the costs and scheduling
12 information providing in regulatory analyses. See to
13 what extent we can make that better. We know
14 that we're challenged. We the NRC, we the industry,
15 are challenged in understanding up front with respect
16 to what in fact the actual cost will be for a new
17 requirement that we're going to put in place. And so,
18 activities that have been recommended, discussed in a
19 public meeting with the industry based on those case
20 studies are certainly things that we think move us in
21 the direction that we need to move in with respect to
22 that.

23 Commissioner Magwood this morning talked
24 about the issue or the initiative and direction for the
25 staff to explore prioritization or the ability, for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 example, for licensees to prioritize requirements.
2 All of the requirements that might be on their plates
3 in a risk-informed; and I would stress that,
4 risk-informed, not risk-based, manner and be able to
5 propose that to the Agency. We think that also is
6 something that we ought to explore.

7 Tony talked about tabletops that are
8 ongoing that we watch. We think they're productive.
9 From my perspective I think that initiative has two
10 pieces, actually. I think there is a piece that looks
11 at; again from a risk-informed perspective,
12 generically all of the things that are on the industry's
13 plate. And then in addition to that, it looks at a
14 process that would enable a licensee then to go back
15 and make additional adjustments in a way that is
16 risk-informed. And so, that's where we're headed with
17 respect to that.

18 The activities' cumulative effects of
19 regulation I talked about with respect to rulemaking
20 and starting with rulemaking and this initiative about
21 looking at plant-specific prioritization we think are
22 so intertwined that we ought to be working them as a
23 single action, as a single product for the Commission.
24 And in fact, we're working on a paper that will make
25 that proposal to the Commission. We want to align the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 different milestones on those two activities, bring
2 them together and talk about the next steps in terms
3 of the pilot activity that we think will be important
4 in terms of enabling us to pull together pros and cons
5 and provide the Commission with a rich set of options
6 and recommendations.

7 So again, you know, I just want to leave
8 where I started. Cumulative effects of regulation is
9 certainly important. Recognize continues to be
10 important. We want to get it right this time. We've
11 taken a swing at setting up a prioritization scheme.
12 We did it actually in the late '80s and early '90s and
13 we don't think we were as well-served as we could have
14 been, should have been as a result of those activities.
15 We want to make sure that we get it right.

16 And then last, but not least, we are the
17 safety regulators. Safety and security is our
18 mission. And so all of the things that we do in terms
19 of looking at flexibility, looking at providing an
20 integrated schedule are all going to be done, all need
21 to be implemented not losing sight of the context which
22 we go after. We the industry, licensees, the NRC, are
23 focused on safety and security.

24 MR. PIETRANGELO: Eric, can I add one
25 other thing?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LEEDS: Oh, please, go ahead, Tony.

2 MR. PIETRANGELO: We've been talking
3 about the cumulative effects of regulation. As an
4 industry we're looking at the cumulative impact that
5 the industry organizations and even the corporations
6 put on the sites. So for example, we've looked at the
7 NEI initiatives and what that takes to get those done
8 as one of the things we're looking at. INPO has some
9 initiatives ongoing on the Corrective Action Program,
10 work management and human performance, also looking to
11 streamline those processes because they've kind of
12 become, you know, burdensome over the years as we've
13 added to them. So we're looking from the both a scope
14 and a process standpoint on how we can streamline some
15 of the impact we make on ourselves. So it's not just
16 regulations. And in that spirit, you know, we need to
17 do better, too.

18 MR. LEEDS: Thank you.

19 MR. JOHNSON: And one second. Thanks,
20 Tony. You know, and it's not just reactors. It's not
21 just reactors. I should have made that point. The
22 fuel cycle facilities have -- leadership of Kathy and
23 Scott and that community, have also engaged in an
24 activity of looking at in a similar way how do we get
25 a handle on, a better handle on the cumulative effects

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of regulations in that community? And so, for example,
2 there have been meetings. There has been an activity
3 to develop an integrated prioritized schedule again
4 with the idea of eliminating conflicts, to improving
5 coordination and certainly again as a bottom line to
6 make sure that we do focus on those things that are most
7 safety-specifically first.

8 MR. LEEDS: Thank you. Thank you,
9 gentlemen.

10 I've got a related question from the
11 audience, which I think is very interesting, and I'll
12 break it down for both the industry and for the
13 regulators.

14 The question is what are the top three
15 areas that plant owners can focus on to reduce operating
16 costs? And for the regulators, what would be the three
17 top areas that the regulators should focus on to improve
18 effectiveness and efficiency?

19 So, Dennis, if you would?

20 MR. KOEHL: And I think Tony hit on just
21 a few real quick from the industry's aspect is our
22 Corrective Action Program. We've continued to modify
23 our Corrective Action Program over time. And I think
24 it's like everything. You sometimes have to reflect
25 back on it, look at it. And the things you changed,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you know, 5, 6, 10 years ago, are they still effective
2 today and are they really, you know -- or have we gone
3 beyond them? So our Corrective Action Program,
4 definitely one on the top three.

5 When we look at our work management
6 process, and it's bigger than just work management
7 thinking it's the work order and everything. Our
8 pre-job brief process. Things that we've worked on.
9 We've revised those procedures and it's adding
10 additional time. Is it effective time? And I think
11 we've got to look at that as a whole, you know? And
12 are the people that are doing those -- is that time well
13 spent, or should they and could they be shortened
14 focusing strictly on the safety issues and the specific
15 items there?

16 And I think, you know, the third area
17 really becomes how we train and how we get our work force
18 to where they're, you know, competent at performing the
19 tasks. We've swung the pendulum. I think we're on our
20 third or fourth. You know, we have skill and craft and
21 we put it in the procedures. We take away the skill
22 and the craft. So I think we've got to look at that
23 process, too. And I'd say that would be a third.

24 MR. PIETRANGELO: Those were actually
25 established in a survey by INPO of the chief nuclear

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 officers across the industry. So Dennis got the quiz
2 right there.

3 (Laughter.)

4 MR. JOHNSON: I'd like to take a shot from
5 a regulatory perspective. And, you know, I could give
6 three or four, five items actually that I think that
7 we should focus on. One we just talked about at length,
8 and it's cumulative effects of regulation. Again,
9 we've been working on this for several years now and
10 we think there's more to do. It's important I think
11 from an effectiveness perspective.

12 With respect to continual learning, we
13 devote in the NRC a fair amount of effort to looking
14 at operational experience, to looking at insights
15 across our programs with the idea that we ought to be
16 always alert for ways in which we can do things better.

17 We've had just list a number of activities,
18 some of which will be discussed in the regional
19 administrative breakout session focused on the reactor
20 oversight process. In the new reactor area activities
21 that the new reactor folks put in place to look at how
22 do we -- based on Part 52 licensing. What can we do?
23 How can we make that more efficient, more effective?

24 With respect to construction oversight,
25 how do we make that more efficient and effective?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We're getting ready to stand up, if you will, an
2 activity to look at SONGS, an issue that we talked a
3 lot about probably this time last year. Everyone knows
4 where SONGS is today with respect to the fact that
5 they've permanently shut down.

6 But what did we learn? How do we learn
7 from the challenges, the licensing challenges, the
8 technical challenges that were faced? All of those
9 things. How do we focus on squeezing out lessons
10 learned from that operational experience and make
11 ourselves better? So that's an activity I think that
12 we continue to focus on.

13 And then something that we struggle with,
14 could do better, continually work on is our ability to
15 be able to prioritize given the uncertainties in
16 workload, the uncertainties across our programs. Eric
17 and Glen and I will meet next week actually to talk about
18 the realities of workload for the operating reactor
19 business line, we call it, the realities of workload
20 in the new reactor business line. How do we match the
21 resources based on what we understand as the available
22 work or the work that needs to be done, prioritize, and
23 how do I process this? How do our processes serve us
24 in being able to do that? So I think those are
25 opportunities for us to continue to improve across our

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 business.

2 MR. LEEDS: All right. Good. Tony?

3 MR. PIETRANGELO: Can I name one for the
4 NRC?

5 (Laughter.)

6 MR. PIETRANGELO: I was going to say
7 respect for the Backfit Rule. And let me say it in this
8 way; and Commissioner Magwood raised it in his talk:
9 It's not a rule that's there to protect licensees.
10 Okay? To me the Backfit Rule is a safety-focused rule
11 because there's only so many resources around to deal
12 with what's important. Okay? And the Backfit Rule
13 makes you focus on what's important. You have to have
14 substantial additional protection, right, that's
15 cost-justified in addition to all the stuff we have to
16 do for adequate protection.

17 So it is a safety-focused rule. It is
18 necessary. I think it needs to be reinvigorated in
19 your Committee to Review Generic Requirements. If
20 that's not working, let's come up with something else.
21 But I think that's part of what the importance of the
22 regulatory analysis is that was talked about earlier
23 this morning and in that cumulative effect session.

24 We did a lot on the cost side of that.
25 We're taking also a look at the benefit side of that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 as well going forward. So it's all about staying in
2 process. That's a regulation that's there for a good
3 reason and we need to follow it.

4 MR. JOHNSON: Yes, I think we'd, Tony,
5 agree with the importance of the Backfit Rule. And in
6 fact I would say that as an agency we've becoming
7 increasingly steeped in our understanding of the
8 Backfit Rule.

9 First of all, looking at the items that
10 were recommended by the Near-Term Task Force in terms
11 of Recommendation 1, for example, that has us look at
12 the framework and how do you apply -- you know, what
13 do we want to do? What does the Backfit Rule tell us,
14 for example, with how we should be approaching those
15 particular items? When we looked at each of the
16 Fukushima lessons learned, for example, we were very
17 mindful of what the Backfit Rule would do in terms of
18 helping us recognize that for an adequate protection
19 issue, you know, there are exceptions. There is
20 specific treatment with respect to how we handle
21 backfitting, that we won't consider costs, for example.

22 The staff has a greater awareness, a
23 greater appreciate for the Backfit Rule, and I would
24 submit; and I think Commissioner Magwood made the
25 point, I think the Backfit Rule contributes to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 regulatory stability. And so we're certainly with the
2 Agency focused on implementing the Backfit Rule,
3 recognizing that the Commission has within their
4 authority also the ability to administratively exempt
5 themselves or take an exception to the Backfit Rule
6 where they see it necessary. And there have been a few
7 instances where that's happened.

8 MR. LEEDS: Dennis, did you want to add
9 something?

10 MR. KOEHL: Yes, I would be remiss,
11 because there's four CNOs out there that have talked
12 to me on an issue. And, Mike, you hit on it when you
13 said prioritizing it right. It's unfortunate, but we
14 have units that are being decommissioned. We've got
15 to get the rulemaking on them moving. We've got to get
16 it right. I think we could leverage some things that
17 we presently have in place, you know, whether that's
18 a 50.54(q), whatever the processes we want to use. But
19 there's a lot of unneeded expenditures happening there
20 and it's taking away from the decommissioning fund to
21 be able to decommission those units and return them to
22 Greenfield.

23 MR. LEEDS: Thank you for mentioning that,
24 Dennis. The issue on decommissioning plants is a real
25 one. We're sensitive to that. I was talking with Dave

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Heacock last night about trying to raise the management
2 level on both sides, on the industry side and the NRC
3 side, put more of a steering group on it so that we can
4 go after those issues.

5 But I want to go back to the backfit
6 discussion, and I really appreciate you guys bringing
7 that up. I want to make a plug for the Regulatory
8 Information Conference. If you guys noticed, during
9 intermissions and during quiet times we run a series
10 of factoids up on these screens. And Dr. Brian Sheron,
11 my partner at the RIC, he's taking the lead to make sure
12 we have good factoids. One of the factoids is on the
13 Backfit Rule. It's the only regulation that actually
14 pertains to the staff, as opposed to licensees. So
15 just a little factoid for you all. And I hope you're
16 paying attention the factoids. You could learn
17 something.

18 MR. JOHNSON: Eric, and I want to go to the
19 mention that Dennis made on decommissioning. I think
20 it is an important topic. And, you know, it's funny,
21 as Mark was giving his opening yesterday, he talked
22 about what we did in 2009 in terms of looking forward,
23 the crystal ball perspective. And, you know, we did
24 a good job overall in terms of looking forward, in terms
25 of how we scope at a macro level the sides of the New

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Reactor Program, the Operating Reactor Program based
2 on the state of the knowledge, I guess, Commissioner
3 Apostolakis would say, as we saw it then.

4 But in 2009 we certainly would not have
5 anticipated waste confidence, the remand of the court.
6 We certainly would not have anticipated that there
7 would have been Fukushima. And look at where we're
8 spending resources, industry resources and NRC
9 resources. And we certainly would not have
10 anticipated that we would have had -- what is the count,
11 Dennis?

12 MR. KOEHL: Four right now.

13 MR. JOHNSON: Four utilities or four
14 plants right now, sites right now: SONGS 2 and 3,
15 Kewaunee, Crystal, VY soon. We certainly would not
16 have anticipated that in 2009.

17 Now we had earlier on, as Dennis probably
18 knows, around the early 2000s, like 1999, probably,
19 early 2000, we were focused on a decommissioning rule
20 that would take on a process, provide a process for how
21 you would deal with the issues that plants now find
22 themselves in decommissioning -- how we would take that
23 on. Of course you know what happened at 9/11. And
24 suddenly 9/11 demanded our focus and the Commission did
25 not continue with that rulemaking.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Having said that, given where we are, we
2 are focused on making expeditious decisions with
3 respect to the licensing actions that have to be
4 implemented or considered and approved in order to
5 facilitate decommissioning, the exemptions that have
6 to be executed, if you will. So we're focused on that,
7 but this is another interesting area where we have to
8 consider priorities.

9 It turns out actually that some of those
10 exemptions, the folks that would review some of those
11 exemptions are also some of the folks who are working
12 on, with respect to the operating fleets, supporting
13 implementation for the operating units of the Fukushima
14 items. So that's a perfect example of how challenges
15 with respect to priorities can cause us to have to make
16 adjustments in order to be able to accommodate all the
17 work. Understand we do recognize the priority of folks
18 who are walking their way through the decommissioning
19 process and we're bring resources to bear to focus on.

20 MR. LEEDS: Thank you, all. I want to
21 change the subject of our questions a little bit. I
22 have a number of questions from the audience here
23 involving new construction, new plants, questions
24 involving quality assurance issues and others. And
25 for a broad perspective, I'll read one of the broader

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 questions.

2 it's been just over two years since the
3 issuance of the COLs for Vogle 3 and 4 and Summer 2 and
4 3 and construction of the Watts Bar 2 unit is
5 progressing. NRC has conducted lessons learned and so
6 has the industry. For the regulator, can you provide
7 some of the key findings that you've taken out of the
8 progress so far, lessons learned?

9 And from industry, have you identified
10 lessons learned and process improvements from the new
11 construction?

12 Mike, I'll ask you to tackle it first.

13 MR. JOHNSON: Sure. And I should point
14 out that there is a session -- I was just checking
15 -- there is a session on Thursday that will deal with
16 those issues in detail. So I would hope that if you
17 are interested you do go to that session. It is
18 certainly true, as I made the point, that we have
19 continued to try to learn lessons as we've gone forward,
20 and that certainly is the case with respect to new
21 reactors licensing and new reactor construction.

22 We completed a couple of those reviews
23 actually in 2013. One of them looked at the Part 52
24 licensing process and how it was performing and what
25 could be learned. We do believe that we successfully

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 implemented the Part 52 licensing process up through
2 issuance of the COL. Shouldn't surprise you to hear
3 that we also identified that we could do aspects of that
4 licensing program better, and we're working on
5 improving it.

6 Also, from a construction perspective
7 post-COL we did look in terms of how those activities
8 are being implemented. And of course we think we are
9 being effective. We're having success. Certainly
10 there are areas that we could work on to make that focus
11 be more effective.

12 One of the things with respect to licensing
13 that we learned was -- and actually it was a reemphasis
14 on something that we always knew, and it is the
15 importance of a high-quality technically-complete
16 application. It turns out that if we're not careful,
17 you know, we accept an application that doesn't have
18 the appropriate quality, doesn't have the necessary
19 depth in all of the areas that we need to review, that
20 can prolong the licensing reviewing. So, we've gone
21 back through audits and pre-application stage, looked
22 to make sure that the applications that we get in will
23 meet our expectations with respect to quality and
24 technical completeness. And as we do acceptance
25 review we're continually looking to make sure that we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 live by that standard.

2 I'll just give one example in the
3 construction area. Certainly we've learned,
4 continued to learn that communication is critical in
5 enabling us to be able to make regulatory decisions
6 early in support of licensee plans moving forward.
7 Communications with the staff. So if we see an issue,
8 if Vic's folks in Region II see an issue at the site,
9 that the processes support them raising those issues
10 up early in communication with the folks in Glen's
11 organization and communicate those with licensees.
12 That communication is important from a regulatory
13 perspective. It's also important that licensees and
14 their consortium members communicate early, for
15 example, when they identify design changes, they're
16 changing the design or they're running into
17 construction issues. The earlier those activities can
18 be communicated, the earlier we can focus on them and
19 make decisions in time such that they don't adversely
20 impact the schedule.

21 MR. LEEDS: Thank you.

22 MR. PIETRANGELO: So we've been on a
23 learning curve with Part 52, first to get to the design
24 certification and COL stage, and now in the actual
25 implementation of Part 52 in real projects.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The projects are going well. Everybody's
2 focused. I'll be honest, I continue to be concerned
3 about the level of detail expected with some of the
4 license amendment requests. I think when the design
5 is certified, roughly 35 to 40 percent of the design
6 is final. And we're having issues about, you know,
7 what has to be submitted v. an amendment, versus what
8 can be put through a 50.59-like process and be screened
9 and the licensee can move forward with a document to
10 change and move forward.

11 I think we still need more dialogue on
12 that. I'm sensitive to when you get into full-bore
13 construction with systems, piping, instrument,
14 etcetera, that if we're not careful, we're going to snow
15 ourselves with minor amendments that take up your time
16 to review and the licensee to prepare. And is there
17 a way within the current construct of the rule to
18 somehow screen some of these items? Maybe do a true-up
19 when you're done with the system. You know, you hear
20 this thing "strict compliance during construction."
21 We're not going to let you build a -- if you went for
22 an AP1000, end up with an ABWR-kind of deal.

23 (Laughter.)

24 MR. PIETRANGELO: That's not what we're
25 talking about. But there has to be some flexibility

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in that process to, I think, get to the finish line on
2 these. And these projects are of national
3 significance to us, to our industry, to our
4 stakeholders, and I think we need some more dialogue
5 on how we can navigate that process.

6 So steep learning curve. We're doing
7 well, but there's more to learn still.

8 MR. JOHNSON: Yes, I guess I would be
9 remiss; thanks, Tony, also if I didn't mention -- and
10 I'm sure this will be discussed in the session on
11 Thursday. But, you know, the back end of that process,
12 the ITAAC finding is tremendously -- it's well thought
13 out, I would say. It's a demanding process that would
14 ultimately enable a plant to load fuel and begin
15 operations. And the more work that we've done; and
16 we've done a tremendous amount of work again with the
17 reactors in Region II, the more work that we can do,
18 the more work that licensees can do with us in terms
19 of making sure that we have sort of met expectations
20 with respect to ITAACs being closed. We have
21 a process that works well with respect to scheduling,
22 so we're there as a part of the things, our activities
23 to be able to verify those ITAAC for the ones that we
24 need to verify. The better orchestrated that piece of
25 the process can be as the ITAAC are coming in towards

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the end, the better off that entire process is going
2 to be. So there's more work to be done, and I'm sure
3 that will be discussed on Thursday.

4 MR. LEEDS: Thank you. Good. Good.
5 Good questions.

6 All right. The next question both for
7 industry and for the regulator, the question is with
8 Fukushima in mind, which was considered a highly
9 improbable event, do we still think that a
10 performance-based or risk-based approach to regulation
11 can give us the confidence that we need to handle severe
12 accidents going forward?

13 MR. PIETRANGELO: Absolutely.

14 MR. JOHNSON: Yes.

15 (Laughter.)

16 MR. LEEDS: Thank you, Commissioner
17 Apostolakis.

18 (Laughter.)

19 MR. PIETRANGELO: I wondered who was going
20 to say that first.

21 (Laughter.)

22 MR. PIETRANGELO: Commissioner
23 Apostolakis went into great length about how PRA is
24 really the current state of knowledge. I want those
25 tools with us as we deal with Fukushima. I don't want

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to look at this without my full set of tools, whether
2 it's operating experience, as reflected in the PRA,
3 other analytical insights. We want everything on the
4 table. So I think we also need to be
5 smart enough to know we don't know everything. Right?
6 And, you know, the approach to this point has been, you
7 know, in the design basis these very highly-stylized
8 transients, that licensees do analysis to show they can
9 safely shut down the plant for all these worst-case
10 assumptions that could happen. And that's how we got
11 licensed. And you do your own confirmatory analysis.

12 This is a different space. You don't know
13 how you got to where you got in severe accident space.
14 Okay? So taking the same approach really isn't going
15 to get you there because all the stuff you had you have
16 to assume failed. So, you know, this is a different
17 approach we're tackling. And I think having
18 flexibility, diversity, redundancy, where you stage
19 it, where you hook it up, where you get the water from,
20 give the operators -- trained operators, drilled
21 operators, okay, who have contingency mitigating
22 strategies, you know, that they've practiced on in
23 their hip pocket, so when if you do get to that, you
24 know, kind of extreme event, you're giving them all the
25 best thinking and tools they can to deal with that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 scenario. So in addition to what we already have in
2 place in the permanent plan.

3 So, I mean, we think that's a durable
4 answer going forward as opposed to trying to design for
5 what you think is going to get you exactly, you know,
6 in that scenario. You just assume we lost all our
7 power. We lost our ultimate heat sink. What are you
8 going to do to safely shut down that plant? I mean,
9 those were the two real lessons learned from Fukushima.
10 And I don't care what the design is. If you starve it
11 for power long enough, you're going to melt fuel.

12 MR. LEEDS: Tony, if I could, yes, here's
13 one incidence where I think the regulator and the
14 industry are very closely aligned and agree. We want
15 all the tools available. We don't want to try to guess
16 what the next accident is going to be.

17 MR. PIETRANGELO: Right.

18 MR. LEEDS: You want to be prepared for
19 whatever could arise and you want to have that quiver
20 of every arrow you can to be prepared.

21 MR. PIETRANGELO: Right.

22 MR. LEEDS: So I think that we're in
23 agreement on that.

24 Dennis, you wanted to say something?

25 MR. KOEHL: Yes, and I just think, you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 know, and Tony hit on it, you know, we spend a lot of
2 time training our operators with the operational focus
3 and a good understanding of the plant. They're going
4 to be faced with situations where they're going to have
5 to take the knowledge they have and make a decision,
6 because they're going to have additional information
7 that we don't have today, but they're going to see right
8 there. And we've got to work to train them to
9 understand that it's okay. At that point you now have
10 new information. Make the decision.

11 MR. LEEDS: Well said.

12 MR. JOHNSON: Yes, and I guess I would just
13 add, not that I don't support all of the points
14 -- in fact, I support all of the points that have been
15 made. I think they're all very good.

16 You know, with respect to moving forward,
17 I would say not only do we not want to go without PRA
18 risk insights in our tool box. Actually on a number
19 of areas we have to have, we're reliant on those
20 insights to be able to make ultimate decisions about
21 what fixes might need to be made at plants. For
22 example, we're looking at in the area of seismic and
23 the seismic reanalysis. Ultimately when we get around
24 to figuring out whether or not we need to add margin
25 at a plant, we want to have, again, one of the tools

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 -- not the only tool, but one of the tools we want to
2 have in our toolbox to enable us to do that is the
3 results of, for some plants, the seismic PRA.

4 So again, Fukushima didn't tell us that PRA
5 insight or PRA as a tool is not a good tool. It told
6 us other things, and I think we've talked about that,
7 each of the panelists talked about those incidents.

8 MR. LEEDS: Thank you. Now it's
9 interesting. That question, I think the regulator and
10 the industry had a lot of agreement.

11 On this next question it will be
12 interesting to see if there is much agreement. And I'm
13 going to ask the industry to respond to it first.
14 Remember, this is one of your questions, not from here.

15 As a general observation --

16 MR. JOHNSON: There's regulators sitting
17 in the field.

18 (Laughter.)

19 MR. LEEDS: I don't know think a regulator
20 sent this question.

21 As a general observation the more staff a
22 regulator has, the more regulation is created.

23 (Laughter.)

24 MR. LEEDS: Looking at IRS, EPA, FAA, FDA,
25 the others, this seems to be the case. How does this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 principle apply or not apply to the NRC? Industry?

2 MR. KOEHL: All right. You want me to
3 start?

4 MR. LEEDS: You can start. Go ahead.

5 (Laughter.)

6 MR. LEEDS: We read the tough ones, guys.

7 MR. KOEHL: I don't think I would draw the
8 same conclusion that maybe -- the basis of the question
9 more staff, more regulation. I really believe it comes
10 down to effectively utilizing the staff. You know, we
11 sit here and we've talked about cumulative impact.
12 We've talked about the multitude of regulations.
13 We've talked about decommissioning. I really believe
14 it comes down to prioritizing. If we do as leaders a
15 poor job of prioritizing what should be focused on when,
16 you leave your resources to focus on what they think
17 they're work list is. So they could pick an item from
18 the bottom of the work list and be working on that
19 because it's on their work list, you know, but it may
20 not really be the right item to be focusing on at the
21 time, you know, at that very moment. So I think that's
22 a leadership and a management item that we have control
23 over, or the regulator has control over in their
24 leadership and management department.

25 MR. LEEDS: Thank you. Tony?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. PIETRANGELO: I think whether you're
2 an operating company or, you know, a regulatory agency,
3 no one's going to hold an umbrella over you from market
4 conditions or what the budget constraints are for the
5 Federal Government. You got to deal the
6 -- what the cards are dealt. So as Dennis said, when
7 you're in a situation like that, you just got to
8 prioritize based on, in our case, safety significance
9 and reliability. I mean, those plants are there to
10 product electricity safely. You don't get to produce
11 electricity if you're not safe. That's the ticket into
12 the game and that's what you guys do so well. So, you
13 know, whatever, how many resources you have, you just
14 got to make sure they're focused on the right things.

15 I get concerned when kind of the -- and,
16 Eric, you own a lot of the product lines associated with
17 the day-to-day operations, the tech spec requests,
18 relief requests, what have you, that has to get done
19 to support, you know, continued safe operation. And
20 you've got a lot of other stuff on your plate that's
21 a little -- I'll call it a little bit more esoteric than
22 just the day-to-day stuff, whether it's Recommendation
23 1, or the Risk Management Task Force, or let's go look
24 at the License Renewal Rule again, or -- I can name a
25 bunch.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LEEDS: Yes, foreign ownership
2 control and domination.

3 MR. PIETRANGELO: There you go.

4 MR. LEEDS: All of these types of things.

5 MR. PIETRANGELO: The day-to-day stuff
6 matters.

7 MR. LEEDS: Yes, it does.

8 MR. PIETRANGELO: And you guys I think do
9 your best to keep up with that. I think we see some
10 instances where you're starting to crack at the seams
11 a little bit, decommissioning being one that we're
12 going to address. But there's others, too. I think
13 we have to be able to prosecute -- you're about to get
14 hit with a lot of Fukushima reevaluations on seismic
15 and flooding. Lots of work for the staff to do there.
16 And, you know, this is a challenge that you all face
17 with the resources you're dealt. So it's time to
18 prioritize. You've already been doing it, obviously.

19 But go ahead, Mike.

20 MR. JOHNSON: Yes. No, as Tony was talking,
21 I was more and more recognizing that this question isn't
22 all that controversial, actually. I don't think we're
23 going to come out in a different place.

24 You know, from a what-do-we-need-from-an-
25 overall-resource perspective, the challenge is that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 what we need changes based on changes in what the work
2 load actually is that will materialize in any given
3 year. So this year it's Fukushima. You know, you can
4 build the list.

5 If we have a good idea about what that work
6 load looks like, the question about how many resources
7 do you need, that's actually that's not difficult a
8 question. What the changes cause you to do, as we've
9 discussed, is to prioritize the resources that you have
10 on board at any given time based on the work that you
11 have.

12 Now, we can certainly be more efficient in
13 terms of the way that -- or be more effective or more
14 efficient, I guess, in terms of the way that we do work,
15 and we continually, as I discussed, try for that. And
16 I guess the example that comes most readily to mind is
17 in the new reactor area, the reviews and getting ready
18 for the small modular reactors, or the SRP and getting
19 ready for small modular reactors, the Standard Review
20 Plan. That is the guidance that reviewers will use.
21 We've developed a design-specific review standard that
22 is risk-informed, recognizing that if we can focus most
23 on the areas of that guidance, that are highest
24 priority, highest priority from a safety perspective
25 and less on other areas overall, we think we can do that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 work, that unit of work with fewer resources.

2 So again, if we can on occasion, or as a
3 routine part of the way in which we approach work, if
4 we can become more effective or more efficient in terms
5 of doing that work, we do. But the work load really
6 is the major driver and so we need to be able to
7 prioritize.

8 And I guess the other thing I would say is;
9 and this hearkens back on the point that I made
10 regarding Fukushima, we do want to make sure that we
11 have skills indigenous to the staff to do the work that
12 will show up on our plate. Now, we can flex, we can
13 rely on commercial contractors, we can rely on the labs,
14 for example, if there's work in any given year that
15 exceeds the ability of on-board bodies to be able to
16 accomplish what is on our plate, but we never want to
17 be in a situation where we're reliant on that expertise
18 and not have that expertise indigenous to the staff.
19 So that sometimes drives what is in place in terms of
20 the size of the staff.

21 MR. KOEHL: Just one other; and it's a
22 small item, but I think it goes back to, you know, the
23 amount of knowledge transfer and the amount of training
24 that we give, because we all face new people coming into
25 the industry. And as we have new people, with it comes

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 challenges, whether that be in the form of questions,
2 whether that be in the form of I don't accept these past
3 judgments that were put in place. You know, but it's
4 really incumbent on management and leadership to make
5 sure that all those questions don't pile up. It may
6 not be new regulation, but it now is more and more
7 questions about something or a subject that truly was
8 vetted in years gone by. And there is no new detail.
9 It's just questioning it. We've got to respect the
10 question, but I think we've got to manage, you know,
11 the more that gets piled on, if you understand what I'm
12 saying.

13 MR. LEEDS: Right. We certainly don't
14 need to reinvent the wheel. We've got to be able to
15 transfer that knowledge and how we made those
16 decisions. You know, what the technical basis of those
17 decisions? Lot of agreement there. Thank you.

18 MR. JOHNSON: I want to talk about
19 knowledge management since Dennis raised the issue.
20 Can I do that?

21 MR. LEEDS: Go for it.

22 (Laughter.)

23 MR. JOHNSON: So it is important, right?
24 So I guess 20 percent of the staff have done at the NRC
25 fewer than five years. Fifty or so percent of the staff

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 have been at the NRC fewer than ten years. That's a
2 good number. And so we are reliant on our ability to
3 make sure that we transfer knowledge between staff
4 members and -- whether they be inspectors, or license
5 reviewers, or enforcement specialists, or you pick the
6 area of discipline. And we've got processes and a
7 focus to be able to do that in things that we provide
8 in terms of qualification requirements and things that
9 I mentioned like the Standard Review Plan, inspection
10 procedures and all of the bases that support those kinds
11 of things.

12 So again, it's one more of those continuing
13 challenges for us to make sure that we have the right
14 folks on board with the right expertise. I think we're
15 doing a good job. We can obviously continue to work
16 it.

17 MR. LEEDS: Thank you. Thank you.

18 All right. Let's move on. Aside from the
19 Fukushima action items what are some of the key
20 technical and/or safety issues causing the most concern
21 for the operating fleet looking forward, both from an
22 industry and an NRC perspective?

23 The industry has taken the last few.
24 Mike, you want to take the lead on that?

25 MR. JOHNSON: Sure, I'll start. And even

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 though you accepted or set aside Fukushima, I do want
2 to point out that this really is a tremendous year with
3 respect to Agency actions on Fukushima and industry
4 actions on Fukushima. Certainly in addition to all of
5 the other things that are significant we can't lose
6 sight of the fact that this is an important year. Next
7 year will be as well. The year after will be as well.

8 I would be remiss if I didn't mention
9 cyber. I know it was talked about. Commissioner
10 Ostendorff talked cyber. You know, there are a few
11 threats that are evolving faster than cyber. Cyber
12 threats have the potential to challenge us in safety
13 and security areas. It puts a spotlight, if you will,
14 on safety and security interface. That's certainly an
15 area that I think we as the Agency are focused on,
16 certainly the industry is focused on. As Commissioner
17 Ostendorff indicated, I think we're off to a great
18 start, but certainly there's more to do, and you're
19 probably never done. So that's an area that we want
20 to focus on.

21 I worry about, I know the staff, Eric, your
22 folks, Glen's folks worry about things like; you more
23 so than Glen in this case, component degradation,
24 material degradation and facilities. We're still
25 seeing, plants are seeing leaks, leaks in pipes and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 leaks in tubes and leaks in housings and indications.
2 And we're seeing shield buildings and with ASR, and
3 those kinds of issues. Those are all issues that again
4 I think the industry/licensees are dealing with as they
5 arise. They're issues that we need to stay on top of,
6 the industry needs to stay on top of or they'll
7 challenge safety systems. So that's certainly an area
8 of focus.

9 And I guess rather than going on and on,
10 if you look at the agenda of the RIC, you'll see a number
11 of topics in the technical breakout sessions and those
12 topics hit on very well, Eric, in terms of the way you
13 guys set up the agenda -- hit very well on the things
14 that are on the minds of the regulator with respect to
15 technical issues as we go forward. So I'll stop there.

16 MR. LEEDS: Thank you.

17 MR. KOEHL: About the only item that that
18 I would possibly add is -- and Commissioner Ostendorff
19 made mention to it when he was a control room, and I
20 can't remember. He named Sequoyah, Watts Bar. He
21 named a couple of plants. But, you know, when you look
22 at some of the controls of them being analog controls,
23 you know, it's not always bad if we've got the right
24 vendor support and we've got the right material support
25 that we don't move to some of the newer technology,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 whether that be digital, brings in cyber.

2 You know, so I guess I view it as we've got
3 to make sure that, yes, if there's an equipment issue
4 that we're solving the equipment issue with the right
5 fix, not necessarily an easy fix or something new that's
6 out there, you know? Because like I do with my staff,
7 when we put digital in, the first challenge is going
8 to be how are my operators going to react? Are they
9 going to do something different, you know, based on that
10 digital information than the analog information?

11 MR. LEEDS: Okay. Very good. Thank you.
12 Tony?

13 MR. PIETRANGELO: You took the words right
14 out of my mouth, I mean, and Commissioner Ostendorff
15 mentioned it. We're lagging on the implementation of
16 digital I&C technology. I mean, it's almost shameful
17 at this point. So we need to get on with this. I mean,
18 hopefully new plants will show the way on this but, we
19 got to make some more progress here.

20 The other thing I worry about is the
21 cumulative effect and the operational safety focus,
22 trying to implement all the Fukushima things this year,
23 Tier 1 for most people, as well as deal with the current
24 work load. I think you've got to stay focused on the
25 safe reliable operation. Really, I don't worry about

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 any of the stuff you've got on the agenda. That's not
2 what gets me. It's all of it at the same time.

3 But the digital thing, it's what we're not
4 doing that worries me. We have got to make strides in
5 this country and move forward with this technology.
6 It's got so many advantages over the analog. I
7 understand some of the, you know, common mode software
8 failure. I was in the early '90s working on the analog
9 to digital upgrades. And we did a guidance document.
10 And that's being looked at again now. But I mean, we've
11 made some progress. But I mean, we need to make a lot
12 more, because the analog is getting obsolete.

13 MR. LEEDS: Thank you.

14 MR. PIETRANGELO: And you can't even find
15 people to service the stuff. I mean, they might have
16 read about it in text book, right?

17 (Laughter.)

18 MR. PIETRANGELO: History. When they're
19 doing history.

20 MR. LEEDS: With a slide rule.

21 MR. JOHNSON: Yes, and I think the obvious
22 advantages, potential advantages of digital are
23 certainly there. And I think the staff shares, if you
24 will, an appreciation for Eric's guys, Glen's guys,
25 folks, guys and gals -- share an appreciation for what

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 can be done with respect to digital. Of course, our
2 concern is to make sure that we have built, in terms
3 of the design, sufficient redundancy and independence
4 that we don't set up a situation that could result in
5 things that are unsafe for the plant.

6 And I know with respect to some of the
7 designs, particularly in the new reactor area where
8 we're talking about a plant that has a broad use of
9 digital across the plant design, that creates a
10 situation where we want to make sure that we understand
11 what that architecture is like, that we have in fact
12 been able to satisfy ourselves with respect to the
13 potential safety of that design in terms of how it is
14 implemented.

15 Again new reactor challenge. Recognizing
16 that at the time that you approve the design you may
17 be years from when the actual plant is built. And so
18 how do you approve an infrastructure or a design that
19 provides a structure with respect to digital
20 instrumentation and control that then enables at the
21 time when the plant is built us to have assurance --

22 MR. LEEDS: Right. Good point.

23 MR. JOHNSON: So there are challenges.
24 Recognize that there's work to do on both the industry
25 and licensee's part, applicant's part in terms of being

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 able to move forward.

2 MR. LEEDS: Well, thank you. We have time
3 for a couple more questions.

4 This next one is both for the industry and
5 the regulator, and this has to do what your perspective
6 is on shutdown plants looking at delayed
7 decommissioning, taking advantage of the safe store
8 option. And the question more or less is pointed at
9 public acceptance and how a licensee should go forward
10 and proceed. Thoughts?

11 MR. KOEHL: Well, my perspective and, you
12 know, just from feedback that also comes in through the
13 NSAIC, I think each utility has to face that decision
14 based on where they're decommissioning funds are and
15 what they have in their decommissioning funds, where
16 you are in the life of the plant. I mean, it's a lot
17 different that, you know -- and I think, Mike, you said
18 it, in 2009 we didn't think there would be four units
19 shut down in 2013. I mean, it just wasn't on the
20 horizon. So as the horizon changes and the information
21 changes, I think you have to face where are you
22 economically and is it the right decision?

23 But once the decision is made and in reality the
24 fuel is taken out of the core, I think that's what we
25 owe the utilities now, or I mean the regulator owes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We got to get the regulations right so that it can move
2 along and we don't spend unneeded dollars on
3 decommissioning because we're holding resources. You
4 know, it's everything from cyber to security. You
5 know, what do you secure now? The fuel is all over.
6 You know, can you reduce your security? Can you reduce
7 your security force? EP. You know, there's no
8 longer, you know, core damage. You're now talking it's
9 in the pool and the structure is different.

10 So I think those are the items that we've
11 got to get them right because there are
12 decommissionings. And if you read, there's other ones
13 that may come just purely based on the economic
14 situation that we face.

15 MR. LEEDS: Sure.

16 MR. PIETRANGELO: And it's been
17 demonstrated that both safe store and more immediate
18 decommissioning can be done safely. Obviously if
19 you've got two units on the site and one's retiring and
20 the other one's still operating, it makes perfect sense
21 to go into safe store and wait until the second one's
22 ready. So we like the flexibility given that they're
23 both safe. And as Dennis said, you know, we have to
24 pay attention to the decommissioning funding as well.
25 You don't want to unnecessarily draw from that fund

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 waiting to do certain things. So I think we need to
2 look at that.

3 MR. JOHNSON: Yes, and I guess the only
4 thing I would add to that is I -- Commissioner Svinicki
5 I think fielded this question, and I think she did it
6 very well. You know, the regulatory structure is such
7 that either option is viable. Plant has to be
8 decommissioned by 60 years. There's a reason for that,
9 a rationale for why that is in the regulations. That's
10 appropriate. It's a decision that I think the licensee
11 has to make.

12 There is opportunity of course for public
13 involvement, stakeholder involvement in terms of
14 understanding, providing comment on the plans of the
15 licensee associated with the post-shutdown
16 decommissioning activities report. And when that
17 report is received, you know, we provide an opportunity
18 for stakeholder to weigh in. Of course, you get closer
19 to license termination, there's another opportunity
20 for stakeholder engagement, involvement.
21 Stakeholders' views are important, of course, in terms
22 of how that decommissioning is exercised, but I think
23 from a regulatory perspective we're comfortable with
24 the flexibility provided and recognize that licensees
25 need to be able to make the decision based on how they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 want to do that.

2 MR. LEEDS: All right. Time for a last
3 question. I have a number of questions here involving
4 SMRs. So basically I'm just going to ask the question
5 as broadly as possible and let you guys take it wherever
6 you'd like.

7 The future of small modular reactors, does
8 the industry see this as being viable in the commercial
9 market? Any interest in the U.S. industry? And for
10 the regulator, how is the safety review going for SMRs
11 and where do we see SMRs going?

12 MR. PIETRANGELO: Yes, and yes.

13 MR. LEEDS: Thank you, Commissioner.

14 (Laughter.)

15 MR. KOEHL: I probably shouldn't answer
16 that.

17 MR. JOHNSON: And what was my question?
18 Can I answer my question with a yes/no? What was
19 my --

20 MR. LEEDS: Any safety concerns with our
21 review of SMRs to date?

22 MR. JOHNSON: No, I -- well, so, you know,
23 we're still in I guess pre-application stage with
24 respect to the SMR applications that we might receive.
25 We've worked to identify policy issues and move those

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 forward. We think we're on a good path to move forward
2 with respect to those. This is another area where
3 we're trying to read the tea leaves with respect to what
4 might actually materialize, recognizing that we
5 certainly want to be in a position to be able deal with
6 what actually materializes. We haven't seen anything.
7 We haven't done the safety review, obviously, engaged
8 in pre-application work, so it would be premature to
9 judge the safety of those designs.

10 But I will say my own personal view is that
11 it holds great promise. Now, we've got to get an
12 application and we've got to work through the process
13 where we conduct those reviews obviously and ultimately
14 end up with a decision moving forward. What actually
15 materializes, I don't know. Predicting what will show
16 up in small modular reactor space is continually
17 changing, so we're trying to make sure that we're
18 resourced and ready to deal with it when it
19 materializes.

20 MR. LEEDS: Great. Tony, you wanted to --

21 MR. PIETRANGELO: Well, you know, I'm hard
22 on your guys sometimes, but in this case I sympathize
23 with you because market conditions change, people
24 playing change, and you're trying to make sure you've
25 got something in place to deal with whatever comes your

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 way, and it changes all the time. So, I'm glad you're
2 there doing your jobs as federal servants, you know?
3 Thank you.

4 (Laughter.)

5 MR. LEEDS: Well, this will conclude our
6 panel.

7 (Laughter.)

8 MR. LEEDS: I want to thank the audience
9 for your questions. And if you'd please join me in
10 thanking the panelists for their answers.

11 (Applause.)

12 MR. LEEDS: Now, everyone, we're going to
13 take a break for lunch and we will reconvene in the
14 technical sessions at 1:30. Thank you, all.

15 (Whereupon, the hearing was recessed at
16 12:00 p.m.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701