

1 that caused that to be. The majority of our condition  
2 reports came out of our discovery efforts off our Building  
3 Block Plans. So, that, does that answer your question,  
4 Bill?

5 MR. DEAN: So, really what  
6 you're saying is those items that are being deemed  
7 necessary to support restart is relatively low even though  
8 you're still identifying issues that are feeding your  
9 Corrective Action Program.

10 MR. PRICE: Correct.

11 MR. DEAN: Okay.

12 MR. PRICE: Okay, this next  
13 slide just goes through a little bit of our process. If I  
14 sounded a little repetitive before, I really was. The  
15 basic process behind all of our restart plans is the same  
16 as depicted on this slide.

17 We perform our discovery activities that are laid  
18 out in Building Block Plans, and we document all of our  
19 findings on condition reports in our Corrective Action  
20 Program. Those condition reports are classified as restart  
21 O350, restart with our site criteria and nonrestart.

22 Mike Roder will talk a little more about the  
23 Restart Safety Review Board in a moment, but the 350 means  
24 that it's associated directly with our Restart Checklist.  
25 Site criteria actually is restart criteria at the site that

1 is established that go above and beyond the 350 criteria  
2 for restart consideration.

3 And then, nonrestart are items that we determine are  
4 not either required for restart or not really associated  
5 with restart activities. It could be done any time. Many  
6 of those are done right away, but they're not necessarily  
7 focused from a restart perspective.

8 These condition reports all go through an evaluation  
9 phase, and then corrective actions come out of those  
10 restart -- excuse me. Corrective actions come out of those  
11 condition reports. And again, they are classified in the  
12 same three categories.

13 Then, they go on to implementation, and our priority  
14 for implementation is based on technical mode restraints,  
15 administrative mode restraints, and pretty much logic and  
16 schedule and management preference on where we want to  
17 schedule those activities.

18 MR. GROBE: Clark, I know  
19 that you've been spending a lot of effort on site to go  
20 through the issues that are identified to make sure that  
21 they're properly characterized as to what milestone they  
22 need to be closed by. Could you give me an idea of how  
23 many issues have previously been characterized as restart  
24 required items that are now characterized as something that  
25 can be delayed to after restart?

1           MR. PRICE:           Where we have  
2 actually made a classification change on them? Oh, I  
3 don't know, there haven't been too many. What we do is, we  
4 go through the condition reports and evaluations, and many  
5 of those get classified as restarts. Are you talking kind  
6 of percentage-wise how many get classified as required for  
7 restart, how many post restart?

8           MR. GROBE:           Actually what I  
9 was looking at was more specifically, as you've gone  
10 through these reviews and maybe, Randy, this is more a  
11 question for you in the Operations area. I think you've  
12 been trying to get your arms around from an Operations  
13 perspective exactly what's needed in each mode. I was  
14 wondering if there were things characterized as restart  
15 required, that you've now deferred until after restart; and  
16 how many issues like that have been coming up?

17           MR. RODER:           I can address that  
18 right now, if you'd like.

19           Yeah, Jack. One of the things we did -- I'm Mike  
20 Roder, The Operations Manager.

21           One of the things we did in the last several weeks  
22 is, we had several work orders and several corrective  
23 actions that were coded as Priority 300. What that meant  
24 was there a high desire to get those done, however they  
25 weren't necessarily required for restart.

1           So, as we approach our restart dates, we are now  
2 looking at those very seriously to which ones we still want  
3 to get done and have a strong desire to get done and which  
4 ones we're going to defer to a later time.

5           So, we went through those, and I believe we came up  
6 with somewhere in the area of maybe two, three hundred that  
7 we deferred until later through our recent review; out of,  
8 oh, I don't know how many total. Maybe Mike Stevens has a  
9 better idea of the total number, but it was about maybe 20  
10 percent of the electives that we deferred.

11           MR. GROBE:           Just to make sure  
12 I understand, Mike. You've eliminated the Category 300,  
13 and that was highly desirable prior to restart and made  
14 those either restart requirements or you deferred them  
15 until after restart?

16           MR. RODER:           That's correct.

17           MR. GROBE:           And none of those  
18 items that you deferred are viewed as equipment operability  
19 issues or mode change restraints?

20           MR. RODER:           No, none of them.

21           MR. GROBE:           Have you got a  
22 sense of what your corrective action backlog is going to be  
23 at the time you restart the plant given what you know  
24 today?

25           MR. STEVENS:         Yes, it's going to

1 be less than 250 corrective action work orders. We define  
2 our corrective maintenance through 18928, which is  
3 the Institute of Nuclear Power Operators definition for  
4 corrective maintenance and how the rest of the industry  
5 characterizes that. It will be less than 250.

6 When we started into this refueling outage, our  
7 corrective maintenance backlog was 193. So, we've taken, I  
8 don't like to always use numbers, because it really doesn't  
9 tell the story, but I can answer your question directly.

10 We had 160 Mode 6 restraints, that we took all the  
11 work orders, all the corrective actions, all the CRs. Each  
12 one has an owner. We had the whole team at the station go  
13 through all their assignments and identify with the  
14 Operations Mode Restraint Team, which are required for Mode  
15 6. The result of that was 522, I believe, mode  
16 restraints. So, we went from 160, and ended up with 522.

17 Came into work after the Christmas holiday, all  
18 during the Christmas holiday, work control and work  
19 management worked on identifying those restraints, figuring  
20 out where they fit into schedule, readjusting our schedule  
21 so we had a total integrated picture.

22 The management team at the station spent two whole  
23 days touching each and every one of those owners and the  
24 system managers going through each and every one of those  
25 issues so they could understand and make recommendations.

1       The team constituted the Restart Station Review  
2 Board, but there were additional managers on that team to  
3 ensure that we didn't miss anything.

4       The result of that, what came out of that, we  
5 decided to take train one of the emergency diesel generator  
6 out of service; go perform maintenance on that machine.  
7 There is some issues with some of the bolting that make up  
8 the coupling. We didn't have the documentation to assure  
9 ourselves that those coupling bolts were tight. We needed  
10 to know that before we called that machine operable.

11       That came out of the Operations Department. We took  
12 that work activity. The bolts we found them at, torqued at  
13 the proper value, however we added some additional work to  
14 that outage that we normally would not have done and would  
15 not have been restrained to start up, but because we were  
16 in that condition and we had the materials ready to perform  
17 that work, we lumped those together and performed that  
18 maintenance.

19       We're doing those kinds of things. We're taking  
20 advantage of the system, the structure, bringing the  
21 systems back to support our milestones, as well as  
22 implementing the work orders with the resources we have,  
23 which includes the materials and the maintenance  
24 organization.

25       And where we can, we're implementing modifications.

1 For example, we took, on our decay heat system, we have  
2 decay heat valve 23. We took that apart for inspection.  
3 We wanted to replace a gasket on its bonnet because there  
4 was a indication of minor leakage. We got that identified,  
5 scheduled.

6 We talked with the engineering department. We found  
7 out we had a stainless steel yoke for that valve. The  
8 craftsman, because of the deep drain valve work we did,  
9 recognized that the use of the stainless steel yoke would  
10 make that valve more robust.

11 We had our Design Engineering Just In Time Team,  
12 which affectionately call the DE-JIT, involved in a work  
13 support center. They said they could support the paperwork  
14 necessary to put that stainless steel yoke on that valve.  
15 So, we added that work order, real time went after that.

16 So, there is a lot like that, Jack, with examples I  
17 can give. It's more than just the numbers. I would say we  
18 added more work, in total, as we're going forward meeting  
19 these milestones and developing this schedule and getting  
20 the work scope clearly defined and integrated.

21 MR. THOMAS: Does this process  
22 also capture engineering projects that are being performed  
23 at risk and ensure that the engineering work is completed  
24 prior to that equipment, or transitioning to a mode where  
25 that equipment is required?

1           MR. POWERS:        Yes, Scott. The  
2 process for releasing work to the field; although, we have  
3 a built-in mechanism to release, where we call it an  
4 at-risk release of a modification package. The operations  
5 group cannot return a system to an operable status until  
6 work is completed satisfactorily on a modification package;  
7 and that means the mod is all complete and turned over.  
8 So, that process is built in, those checks and controls.  
9 (inaudible)

10           MR. GROBE:        Is that  
11 microphone working? No? I think you guys are going to  
12 have to share one mike.

13           And you all don't have to write on the feedback form  
14 that the sound system stinks. I've already got that.

15           MR. POWERS:        One of the things  
16 that Mike is referring to is when we release work to the  
17 field under this mechanism; for example, your earlier  
18 question, Jack, on the emergency sump work is ongoing.

19           We go through a process of assuring that as work is  
20 released, it's scrutinized both by the Design Engineering  
21 Manager, they're reviewing it. Also our Engineering  
22 Assessment Board takes a look at the change packages as  
23 they go to the field. And then a summary of the risk  
24 associated with that release is prepared by the engineers,  
25 for my assessment and signature.

1           And, when we talk about risk in this context what  
2 we're talking about is commercial risk to ourselves. We're  
3 releasing work to the field for construction; and we saw  
4 the pictures of the iron workers, boilermakers working down  
5 in the sump area. If we were to release something that, on  
6 the final package issue was, needed to be changed, then it  
7 would be at our cost and schedule to go and change it, but  
8 ultimately, the final package is issued before the system  
9 is returned to service and all the detail is provided  
10 there.

11           As I review the memorandum that summarizes what is  
12 required to be completed yet, the formal final package,  
13 then I can make a determination on the acceptability of the  
14 commercial risk associated with that. And I provide  
15 that then to Mike Stevens as the Outage Director. And he  
16 provides a review of that, and then releases work to the  
17 field if he believes that that's appropriate.

18           So, we have a number of checks and balances in the  
19 process as we go through it that allows us to provide a  
20 release of work to the field and get done those  
21 improvements that we feel are necessary in the plant. And  
22 ultimately through the program, make sure all the paperwork  
23 is finalized prior to the system being returned to operable  
24 status.

25           MR. MYERS:           Thanks, Jim.

1           MR. GROBE:           I appreciate  
2 that, Jim, and the reason I was asking questions,  
3 particularly about the sump mod, we went through quite a  
4 bit of planning over the last couple of weeks, and have  
5 come up with about 80 inspector weeks of effort that we  
6 need to put in on Davis-Besse before Mode 2.

7           And, one of the things we need to do before Mode 4  
8 is confirm that the design of the sump that you're going to  
9 have in place at the time you go to Mode 4 is adequate.  
10 Now, I understand that you're separating that design  
11 package into a couple of pieces, but the sump is an  
12 important enough risk significant system, support system,  
13 that we want to have confidence that it's adequately  
14 addressed before the first time you go to Mode 4.

15           So, it's absolutely critical that we get that design  
16 work. No job is done, especially in the nuclear industry,  
17 until the paperwork is done. This job isn't done until the  
18 NRC inspects it. So, we're going to have to have time to  
19 inspect those activities, and I hope you built that  
20 appropriately into your schedule, getting this design work  
21 early enough.

22           We don't have any problem with your at-risk  
23 installation work. If you do it wrong, you just have to  
24 redo it. We do have a concern regarding the completion of  
25 the design and giving us enough time to inspect it.

1           MR. STEVENS:       How many weeks did  
2 you say, Jack?

3           MR. GROBE:         80.

4           MR. STEVENS:       80 man weeks.

5           MR. MYERS:         A couple comments,  
6 I think. We're sitting here asking some technical  
7 questions back and forth. From a public standpoint, I  
8 think it's important to note that we wound up with a  
9 reactor vessel head issue when we built the Building  
10 Blocks; and that put us into an outage that's considerably  
11 different than what we typically will do.

12          In a typical refueling outage, we would plan the  
13 outage probably starting a year ahead. We would know all  
14 the CRs. We would generate the condition reports. We  
15 would buy all the parts. And when we come down, we have  
16 the work plans in place, we walked all the packages down  
17 and we're ready to implement.

18          In this particular outage, we walked all the systems  
19 down. We decided to go over our reactor coolant pumps,  
20 once we got in our extended outage. We decided to do a lot  
21 more work, like the containment sump work, a lot of the  
22 stuff we did in containment.

23          And we're finding the problems on these curves, or  
24 the questions, we're finding the questions. We're  
25 generating condition questions. And it's called a CR.

1 Then out of that comes CAs, and that's a condition we want  
2 to go fix. And we divide those up, and there may be four  
3 CA's for CR on the average.

4 Then we're going to separate those things into  
5 restart pile. Now once we do that, then we have to build a  
6 work package. We have to order parts. We're actually  
7 having parts manufactured in the field.

8 So, we're out looking for parts and going to  
9 vendors, and parts are a really important thing with us  
10 right now. So, we've built this outage as we're going  
11 through it.

12 So, some of these questions that we're asking about  
13 CRs and CAs, and when are we going to have that done. A  
14 lot of it is because we're still, we're out of the  
15 discovery phase, and now we're into full implementation.  
16 We're out building work packages for people to use. We're  
17 out building, estimating the job, the times and the parts,  
18 and buying parts. So, all that is going on while these  
19 meetings are going on.

20 So, I think that's the reason some of these  
21 questions don't seem as clean as they should be. Is that  
22 fair?

23 MR. GROBE: Yep.

24 MR. MYERS: Okay.

25 MR. MENDIOLA: If I can ask a

1 question in a different direction on the same topic. We  
2 talked a lot about all these condition reports turning into  
3 corrective actions and then being sorted out into restart,  
4 if you will, and nonrestart. I can not get out of my head  
5 the image that there is a large stack of nonrestart  
6 corrective actions that are, that are going to be scheduled  
7 to some milestone or some future date, if you will, beyond  
8 restart.

9 MR. MYERS: Yep.

10 MR. MENDIOLA: And I'm not  
11 getting, if you will, a clear understanding of what they're  
12 being tied to or what event they're being tied to or that  
13 they're actually being scheduled to a date, an  
14 opportunity.

15 MR. MYERS: If they're not,  
16 you know, if they're not a restart item, then they're going  
17 into our bucket, and that bucket right now looks like, I  
18 think it's about three thousand?

19 MR. PRICE: Yeah, there is  
20 seven thousand.

21 MR. MYERS: Yeah, corrective  
22 actions that we'll probably have when we start up, is  
23 pretty much in line with what we see. How many?

24 MR. PRICE: Seven.

25 MR. MYERS: Seven? Which is,

1 that's --

2 MR. RODER: That's total.

3 MR. MYERS: That's total.

4 MR. RODER: And there is 1500

5 restart right now that we've identified. So, there is  
6 about 5500 that are undergoing that review process.

7 MR. MENDIOLA: My view is that  
8 3000 or so of these items are suddenly going to come, for  
9 lack of better terminology, due on the plant's restart.  
10 That you'll have to suddenly, if you will, have a large  
11 crush of resources needed to plan, implement, prep for and,  
12 you know, seek an opportunity.

13 MR. MYERS: That's right.

14 MR. MENDIOLA: I want to get, if  
15 you will, the feeling that these are also being planned.  
16 If you will, that the organization, as we go through these  
17 condition reports and corrective actions, is looking beyond  
18 restart to properly place these items, if you will, in a  
19 scheme that will get them complete.

20 MR. POWERS: I'll give you a  
21 picture in the engineering world, Tony, on that one. We  
22 completed recently an Engineering Capabilities Assessment,  
23 as you know. One of the action items we got there is to  
24 prepare a plan, resource allocated plan, to work off the  
25 remaining actions that will be in place following the

1 restart of the plant.

2 That action plan is going to be created and be in  
3 place by June 30th. We already have that action within our  
4 Corrective Action Program. It's an item that needs to  
5 occur. Chuck Holly, who is my manager, project manager,  
6 has that action, put it together.

7 Dave Eshelman who is our Director of Asset, Complete  
8 Asset Management, has the action to divide resources among  
9 the FENOC fleet to ensure that resources are applied to  
10 work those off.

11 So, we're already turning an eye to that concern  
12 that we start up and have work ahead of us that we will be  
13 scheduling and resource we'll be working off.

14 MR. MENDIOLA: I would almost  
15 hope there would be, if you will, more work than you have  
16 between now and restart.

17 MR. POWERS: That may be the  
18 case.

19 MR. MYERS: I don't think  
20 that's the case. I think that there may be more  
21 activities.

22 MR. MENDIOLA: That's right; more  
23 activities, more, if you will, more tasks.

24 MR. MYERS: The big work is  
25 done. There is no containment sumps or anything like

1 that.

2 MR. POWERS: Right.

3 MR. MYERS: Ready for

4 restart? Go ahead.

5 MR. GUDGER: I'm Dave Gudger,

6 Manager for Performance Improvement.

7 We consciously underwent a review of these  
8 corrective actions and condition reports you're referring  
9 to. Most of these are conditions nonadverse to quality.  
10 We knew that we were going to move these out to a later  
11 point in time following our restart.

12 This process is allowing us to focus on the more  
13 critical and safety significant work for the power plant.

14 In doing so, part of our process is, as soon as we  
15 restart, we're going to take these items and we are going  
16 to take a look at scheduling them out, based on our  
17 resources at that time, but we wanted our staff to focus  
18 more importantly on the critical items right now. And,  
19 these items were getting in the way of that, so we took a  
20 proactive approach of this and performed that review.

21 MR. MENDIOLA: So, I'm sorry, to  
22 paraphrase what you said, more or less set aside for now  
23 until restart is over, at which time they will be  
24 scheduled, and resourced.

25 MR. GUDGER: That's correct.

1           MR. PRICE:           Tony, one of the  
2 other things that the Restart Station Review Board does in  
3 reviewing both condition reports and corrective actions  
4 that we classify as nonrestart, we identify whether those  
5 are needed. A plant outage, refueling outage, system  
6 outage or it can be done any time on the line to help us in  
7 the future in prioritizing that work and getting it laid  
8 out.

9           MR. MENDIOLA:       Not to belabor  
10 this more, but it seems that, if you will, what's being set  
11 up is a process now to identify those items necessary for  
12 restart in order to have them resourced and completed prior  
13 to restart; and if you will, a new separate scheme to deal  
14 with items after restart; rather than, if you will, one  
15 continuous in place process to do all work, whether it be  
16 before restart or after restart.

17           MR. MYERS:           That's correct.

18           MR. MENDIOLA:       What I said first,  
19 the first part?

20           MR. MYERS:           That's correct,  
21 yes.

22           MR. MENDIOLA:       So, the plan is to  
23 have one plan, if you will, between now and restart, and a  
24 separate plan, if you will, after restart.

25           MR. MYERS:           That's correct.

1 Once, we've got these items that are on the plate that we  
2 know about. We've reviewed all those. We've characterized  
3 them for restart. And as soon as we restart, we'll start  
4 going through those activities, and we built in a midcycle  
5 outage, which will take on a lot of that.

6 So, we thought about that and planned that out. So,  
7 we have a midcycle that we planned in somewhere after about  
8 a year of operation. That's what our intent is there.

9 MR. GROBE: This is not  
10 unanticipated for a plant in your condition.

11 MR. MYERS: No, it's  
12 typical.

13 MR. GROBE: I expected there  
14 would be several thousand items that need to be addressed  
15 after restart. The number 250 corrective maintenance kind  
16 of surprised me, that seemed low, but we'll look at that.

17 Why don't we get on with Clark's presentation, the  
18 last couple of slides, and then we'll take a five minute  
19 break.

20 MR. PRICE: Okay. This last  
21 slide, I would like to present today, is a simplified  
22 version of a management tool we use on site to monitor our  
23 progress towards our Restart Checklist activities.

24 The first two columns that are colored in that  
25 chart, the first column -- I don't know if you can see the

1 overhead, or you can look on your slides.

2 The first column is a discovery column. That's  
3 where we do all our inspection walkdown and other types of  
4 discovery activities, document those, and complete that  
5 discovery activity. And, as you can see, most of those  
6 activities in that area are complete. Green indicates  
7 complete on the chart, and blue indicates work that is  
8 still in progress.

9 The second column is the implementation phase.

10 And then the last column that's on that, that  
11 report, is a restart ready column, which essentially says  
12 that we've completed all the discovery and implementation  
13 activities associated with the particular Restart Checklist  
14 item. And from a site perspective, we've determined it's  
15 ready for restart. It will still require NRC inspection  
16 prior to it being closed out, and closed the Restart  
17 Checklist from an NRC perspective.

18 So, I think from this chart, you can see we're  
19 making good progress. Kind of affectionately call it our  
20 Go Green Chart on site.

21 Now, next meeting when we come in, we expect to see  
22 a lot of these progress, considerably more, and many of  
23 them nearing completion, if not complete, from the work  
24 that we're going to be doing on site, and preparations for  
25 the final NRC inspections.

1 Any questions on this chart?

2 MR. GROBE: Two questions.

3 The Boric Acid Corrosion Management Program and the Reactor

4 Coolant System Unidentified Leakage Monitoring Program.

5 That's 3 Delta and Echo. Are those going to be complete

6 before the first Mode 4?

7 MR. PRICE: Yes, they will.

8 MR. GROBE: Okay. It's my

9 expectation that we will have those two areas, those two

10 programs inspected before you go to Mode 4 the first time.

11 That's not a requirement on our part, but that's my

12 expectation.

13 Is the Reactor Coolant System -- I think the Boric

14 Acid Corrosion Management Program is now complete. Is the

15 Boric Acid Reactor Coolant System Unidentified Leakage

16 Monitoring Program, what condition is that in right now?

17 MR. PRICE: We're actually

18 going to talk about that shortly. I'll defer that

19 question, you can defer to later, to Jerry Lee, who will be

20 discussing that program, if you would.

21 MR. GROBE: Okay, thank you.

22 MR. PRICE: Okay, if there is

23 no other questions -- well, we're going to take a break.

24 MR. GROBE: It's, yeah, we've

25 been at it for about an hour and a half, why don't we just

1 take a ten minute break. I hesitate saying that, because  
2 that sometimes stretches into 15, but I expect to start  
3 promptly in 10 minutes. Bill says that's a five minute  
4 break.

5 (Off the record.)

6 MR. GROBE: The number I  
7 noted was 79 inspector weeks between now and Mode 2, which  
8 is a couple of months from now, several months from now.  
9 That is performed by a fairly large number of inspectors.  
10 And these are, there is multiple inspections that are going  
11 on, on a regular basis.

12 Apparently, some folks developed some concerns that  
13 that was 80 weeks sequentially, or that these two gentlemen  
14 on my right are going to be performing the next 40 weeks  
15 continuous inspection. This is many inspectors coming from  
16 both Region III, other regions and headquarters that will  
17 be performing these inspections.

18 This is not an unusual level of work effort that is  
19 necessary to bring one of these types of outages to a  
20 closure. So, I didn't mean to cause excitement or concern  
21 that the workload was onerous or unattainable. This is  
22 something that we've clearly planned for. The NRC will put  
23 the necessary staff on this project to get the job done  
24 consistent with the schedule that FirstEnergy expects for  
25 their restart.

1 I don't anticipate any delays associated with NRC  
2 inspection activities. Of course, unless the inspection  
3 findings are not positive, in which case, additional work  
4 would have to be done on the part of FirstEnergy to address  
5 those issues.

6 So, the message you should take from those comments  
7 is the NRC clearly has its work mapped out, and resource  
8 loaded, and that we will perform the inspections that need  
9 to be performed to make sure this plant is safe before it  
10 would restart. Okay? Thanks.

11 Go ahead, Dave.

12 MR. GUDGER: I'm Dave Gudger.  
13 I'm the Manager of Performance Improvement.

14 MR. GROBE: I don't think your  
15 microphone is on.

16 MR. GUDGER: I'm Dave Gudger,  
17 Manager of Performance Improvement. Performance  
18 Improvement is responsible for the corrective action  
19 process, the day-to-day administration of the program, as  
20 well as the restart improvements that we're here to share  
21 with you today.

22 First, the Corrective Action Program is first line  
23 of defense for identifying and addressing problems in the  
24 plant, as Lew has previously stated.

25 I'm very excited to be here today. We have many

1 enhancements we'll share with you during the course of this  
2 presentation. These enhancements include process  
3 improvements, procedure change, oversight and training  
4 needs. This presentation provides the status of the  
5 progress the Corrective Action Program is making towards  
6 restart.

7 In general, the program works, as evidenced by Clark  
8 Price, who was showing you all the work activities that we  
9 have that we're working off during the course of this  
10 outage.

11 We performed a comprehensive assessment of the  
12 program. We learned the mechanics of the program are  
13 acceptable; however, improvement of the program's  
14 implementation is needed. The desired outcome today is to  
15 show how our action plan drive the necessary improvements  
16 for restart.

17 Next slide.

18 This slide is an overview of our program. For  
19 simplification purposes, it is comprised of four functional  
20 areas. To your left, there is rectangular boxes. It  
21 requires interactive monitoring and management feedback,  
22 which is represented by the center double areas of the  
23 program.

24 We utilized performance indicators to communicate  
25 this need of the program and to accomplish this. Our

1 enhanced performance indicators are giving us feedback on  
2 our implementation activities as well as they'll be  
3 utilized for continued plant operation.

4 The program's effectiveness on the interim was  
5 maintained with immediate actions that we took.

6 Next slide.

7 This slide presents some of the key actions that we  
8 took. It's not all inclusive, but these are important  
9 actions for which not only do these maintain the programs  
10 effectiveness, but also we've strengthened the program at  
11 the same time.

12 The first item is, we provided feedback to the  
13 initiator of condition reports, as well as their  
14 supervisors through ~~he mail~~ e-mail. This is automated and this  
15 ensures that the initiators of conditions have an  
16 understanding of how we've dispositioned them and corrected  
17 them. This is an important part of our program.

18 Enhanced performance indicators have been developed,  
19 as you will see, as well as we've increased our performance  
20 monitoring over the program. This is what gives us the  
21 feedback to give our management the input to make the  
22 necessary adjustments.

23 Supervisor awareness training of leadership behavior  
24 expectations was conducted. The supervisors are the most  
25 important part of our program. These individuals start on

1 the initiation of a condition report with communications up  
2 through management. They provide the leadership and  
3 direction for oversight on the evaluation process, as well  
4 as they're at the closure of the process to make the  
5 corrective actions implement in the proper way.

6 Operations has enhanced the senior reactor operator  
7 review standards. Operation's focus is on plant equipment  
8 and systems reviews; the impact, the way the plant  
9 operates. They are more rigorously evaluated and  
10 documented providing adequate basis for the site to  
11 understand the decision and the determination made.

12 The independent validation reviews have been  
13 conducted by the performance improvement organization, as  
14 well as there were other reviews during the course of the  
15 process by other review groups. This ensures the program  
16 is in compliance with the following procedure. Individuals  
17 get feedback from the various program reviews, as we've  
18 provided them in our performance indicators.

19 Next slide.

20 This slide as on overview of improvement actions  
21 that we're taking for restart. I've simplified it. It's  
22 not all inclusive again; however, it brings the major  
23 points for you to understand.

24 There will be process changes in the areas of  
25 communication. We're establishing routine feedback

1 mechanisms, as I suggested with the initiator and  
2 supervisor feedback; a newsletter and a website, as well as  
3 we have a planned case study coming up.

4 The database user aids provide process checklists  
5 for individuals using the program. So, we ensure that  
6 we're complying to procedures; as well as electronic forms  
7 to ease the burden and make it more efficient on the  
8 users.

9 Performance appraisals now include a Corrective  
10 Action Program expectation, as well as we've raised it to  
11 the highest level, it's a nuclear safety competency for our  
12 organization.

13 In the area of procedure enhancements, we're  
14 reformatting the procedure in a work flow layout, as well as  
15 ensuring that the user has input where we are able to  
16 accept it. This increases user efficiency and ownership by  
17 the organization.

18 We've also included a responsibility section. Each  
19 individual that interfaces with the program up through the  
20 management ranks has responsibilities. They're delineating  
21 delineated in the procedure now.

22 We've incorporated effectiveness and collected  
23 significant significance reviews. Effectiveness reviews are where we  
24 evaluate corrective actions to ensure that they're  
25 addressing the causes. Collective significant significance reviews, we

1 evaluate similar issues and we look for or identify our  
2 cost-cutting causes that we can address across the  
3 organization.

4 In the oversight changes, we've provided the  
5 Corrective Action Review Board Charter. It now includes  
6 quorum requirements. We have specific section level  
7 managers participation, as well as we have a director  
8 chairing the board. And, lastly, we also include root  
9 cause quorum requirements of these managers.

10 We have root cause approval levels that have been  
11 raised. The Vice President reviews all root causes, as  
12 well as selected significant conditions adverse to quality  
13 reports will be reviewed by the Chief Operating Officer,  
14 as well as the Nuclear Group Council, which is comprised of  
15 our executive level management.

16 Training needs have also been addressed. We have  
17 provided root cause and evaluator training to our people.  
18 We have over 180 qualified individuals, as well as training  
19 now controls the qualifications of all of our evaluators.

20 We have annual, we are proposing annual site  
21 training, like plant access training and radiologic worker  
22 training which each of our folks receive each year, we are  
23 also going to have a module for the Corrective Action  
24 Program. This will bring the Corrective Action Program to  
25 the forefront of our operation.

1 We will also have refresher evaluator requirements.  
2 This will be conducted on a periodic basis, and it will  
3 include computer based training.

4 These particular improvement actions that I've  
5 described will bring the Corrective Action Program to the  
6 forefront of our operation.

7 Next slide.

8 This slide provides an overview of our top level  
9 performance indicators. As the process owner, Performance  
10 Improvement monitors the program's effectiveness. These  
11 are the top level performance indicators by which we do  
12 so. Performance indicators indicate the actions taken are  
13 effective so far, as you can see from the status here. We  
14 see positive results from these actions taken.

15 If there is no question on performance indicators,  
16 I'll move right on. Jack, you may have had a question  
17 earlier --

18 MR. GROBE: I have one  
19 question.

20 MR. GUDGER: -- on some of the  
21 numbers here.

22 MR. GROBE: The Condition  
23 Report Category, Accuracy; you call it CR Category Accuracy  
24 in your chart.

25 MR. GUDGER: That's correct.

1           MR. GROBE:           That indicator  
2 kind of bounces all around, doesn't appear to be trending  
3 in any particular direction. That indicator, if I  
4 understand it correctly, is an indicator that judges how  
5 your field folk and first line supervisors assess the  
6 significance of conditions that are identified in the  
7 plant, and whether they do that accurately or not. Is that  
8 correct?

9           MR. GUDGER:        Yes, that's  
10 correct.

11          MR. GROBE:        Why is it that you  
12 don't have -- I interpret that as one of the many  
13 indicators that you can use to look at Safety Culture. Why  
14 is it that you're not having a positive trend in that area?

15          MR. GUDGER:        If you look at the  
16 data that you're referring to, we have had a couple points  
17 of which it dropped, that's probably overly influenced the  
18 indicator. We consistently stayed high in the range of  
19 categorization. There is going to be some deviation, but  
20 when the supervisor makes a recommendation to the manager,  
21 we gauge the difference between when the MRB or the  
22 Management Review Board, in the morning managers meeting,  
23 determines a categorization difference.

24          MR. GROBE:        I'm not sure you  
25 answered my question. Maybe you can, I expect that on the

1 30th, you're probably going to be talking about some  
2 performance indicators that you're going to be using to  
3 assess Safety Culture. Maybe you could look at this one  
4 and determine whether or not this is something that is,  
5 provides some indication of Safety Culture and whether  
6 you're comfortable that it's a valid indicator in what it's  
7 telling you.

8 MR. GUDGER: Okay, we'll  
9 consider that. It was not developed for Safety Culture in  
10 mind.

11 MR. GROBE: I understand.  
12 You're just now developing Safety Culture assessment  
13 methodology, but this seems to me to be one that goes to  
14 the appreciation of the people in the field, the staff and  
15 the first line supervisors of the relative significance of  
16 the various issues that come up. Okay. I'm going to be  
17 interested in further dialogue on that.

18 MR. GUDGER: Okay. These  
19 indicators show that we are improving and we're on track  
20 for restart.

21 Next slide.

22 In summary, we have an approved action plan in place  
23 that addresses the necessary improvements for the program.  
24 We are scheduled, we are scheduled for implementation of  
25 the enhanced program by the end of February, 2003.

1           That's all I have.

2           MR. DEAN:           Dave, I have a  
3 question for you. It kind of ties a little bit where Jack  
4 was heading, so maybe we're foreshadowing a little bit the  
5 meeting on the 30th.

6           In looking ahead to the discussion later on, talking  
7 about Safety Conscious Work Environment and Safety Culture,  
8 it addresses the importance of having an effective  
9 Corrective Action Program as being an indicator that  
10 employees feel problems are being identified, that they are  
11 being resolved.

12          I guess what I want to ask you was, how were you  
13 tying or are you ~~typing~~ tying things that come out of the  
14 Employee Concerns Program into your Corrective Action  
15 Program in monitoring and measuring those?

16          MR. GUDGER:       Bill Pearce will  
17 speak more toward that at the end of the presentation. We  
18 do have a strategy for how we allowed for our different  
19 programs to be integrated under the Safety Conscious Work  
20 Environment. The Corrective Action Program is one element  
21 of that; however, it is only one element of several ways  
22 for people to express their concerns.

23          MR. DEAN:           Okay, thanks.  
24 We'll get to it later.

25          MR. GUDGER:        Okay, any other

1 questions? If not, I'll turn it over to Jerry Lee.

2 MR. MYERS: We start out --

3 let me see if I can save some of the discussion we had

4 earlier.

5 Question was asked earlier about backlogs, after

6 startup. Now our backlogs after startup, I'm not going to

7 use numbers, but let's just say we're estimating right now

8 in the 7000 CA range. That's relatively low, you know,

9 compared to some operating plants and also low compared to

10 a plant that's been in an extended shutdown. So, we feel

11 like that's in line.

12 The other question was asked is, are we prepared to

13 deal with that. I thought we answered it earlier. We've

14 already looked ahead. We know that backlog is there. And

15 as soon as we start up, we intend to put a team together

16 and go after that backlog and that resource. So, that

17 workload we do anticipate and we think it's easily

18 managed.

19 MR. GROBE: I hope our

20 questions in that area were not interpreted as criticisms.

21 It's expected that there will be a substantive amount of

22 work that is not necessary to assure the safety of the

23 plant, but are issues that you've identified. You've spent

24 a lot of effort going through the plant and essentially

25 turning over every rock, so to speak, to find what issues

1 might be there.

2 And some of them are very low level issues as far as  
3 significance, and those are going to be part of your  
4 backlog. There may be some that are more important that  
5 are part of your backlog, but don't affect safety systems  
6 or the safety of the plant in an immediate sense.

7 We plan on taking a pretty good look at your backlog  
8 just prior to restart, to get a sense of the, the  
9 integrated effect of that backlog; both from an impact on  
10 any safety systems. Sometimes individual issues look like  
11 they're not particularly important, but when you put it  
12 together with another 20 individual issues that didn't look  
13 pretty important, sometimes it tells a different story.

14 So, part of our inspection activities prior to  
15 restart, the readiness for restart, will be an integrated  
16 look at the backlog and whether or not there is some  
17 embedded safety strands there that need attention.

18 MR. MYERS: I understand.

19 MR. LEE: Good afternoon,  
20 my name is Jerry Lee, and I'm a plant engineer and I'm the  
21 owner of the Reactor Coolant Integrity Management Program  
22 or the Reactor Coolant Integrated Leakage Program.

23 My desire today is to provide a structural overview  
24 of this new and comprehensive program. The Reactor Coolant  
25 Leakage Program will challenge, evaluate, identify and

1 repair low level leakage, reinforcing a strong reactor  
2 coolant system inventory balance. The program is designed  
3 with two fundamental values of safe plant operation.

4 The first is to provide assurance of zero pressure,  
5 additional assurance of zero pressure boundary leakage.  
6 The second is to provide early detection and resolution of  
7 low level reactor coolant system leakage. Additionally,  
8 this program was designed to set industry standards for the  
9 identification and resolution of leakage.

10 This really starts by the plant employees. Their  
11 sensitivity to the reactor coolant system leak indicators,  
12 particularly the changes in the reactor coolant leakage  
13 system.

14 Part of this was with the reactor coolant head case  
15 study presented to the employees. This clearly identified  
16 the results of low level reactor coolant leakage.

17 Reactor coolant leakage trends will be made visible  
18 to plant employees using BBTB, and other media sources to  
19 ensure that leakage is clearly presented daily.

20 The program action triggers for adverse trends for  
21 unidentified leakage and for indirect leakage, such as  
22 containment activity, radiation elements, filter plugging,  
23 primary and secondary leaks; will be documented in  
24 corrective action programs and will be evaluated for plant  
25 impact.

1 Adverse trends will be, are going to be very low.  
2 The trigger for these trends are very low to provide for  
3 ample time for training and implementation for any actions  
4 required for a safe, documented and controlled function.  
5 That's up to and including a shutdown.

6 The improvements in the leakage rate calculation  
7 algorithm and reactor coolant system inventory balance is  
8 to insure that we have the best possible measurement and  
9 analysis results.

10 The Boric Acid Corrosion Control and the In-service  
11 Inspection Programs link with the Reactor Coolant System  
12 Integrated Leakage Program to form an inclusive reactor  
13 coolant system integrity management program, thus providing  
14 assurance of the reactor coolant system boundary.

15 Three different reactor coolant system leakage  
16 evaluation trends will be obtained from the water  
17 inventory balance requiring, that's required to be  
18 performed at least every 72 hours. Typically, we do this  
19 daily.

20 These evaluation trends are cumulative. This is a  
21 summation of all the leakage that has come out from the  
22 reactor coolant system over a period of time.

23 We also have a rate of change, which is the actual  
24 change in the rate of leakage. This is calculated over a  
25 seven day period and extrapolated to a 13 -- or a 30-day

1 period.

2 Then we have a step change. Now, this is a  
3 sustained change in the leakage level, and it has to be  
4 sustained for greater than three days. These evaluation  
5 trends were used to analyze the 1996 to 2002 leakage data  
6 from Davis-Besse. And the triggers or action levels  
7 provided in the program would have prompted the plant to  
8 take safe, or take actions to resolve leakage in the summer  
9 of 1998.

10 The plant will have a 7-day hold coming up. We'll  
11 do a nonnuclear heatup to normal operating power, normal  
12 operating temperature. At this point, we're really going  
13 to validate our new algorithm, and our new methodology, and  
14 make sure that we can achieve the lowest possible measured  
15 leak rate.

16 This is an unusual time for us, because we normally  
17 do not have steady state conditions at normal operating  
18 power and temperature -- or normal operating pressure and  
19 temperature.

20 Typically, we would go through Mode 3, Mode 2 and  
21 then to Mode 1, so we would not have steady state  
22 conditions. This will allow us an opportunity to fine tune  
23 this program, but it will also provide us with information  
24 for a baseline during Mode 3 testing, which can be compared  
25 to the hundred percent power data we would obtain later.

1           During the 7-day hold period, we will also have  
2 Engineering, Operations, Radiation Protection and  
3 In-service Inspectors, along with Boric Acid Corrosion  
4 Control Inspectors throughout Containment walking down the  
5 systems. We would do this at a pressure of approximately  
6 250 pounds prior to the heatup. And we would do another  
7 inspection at normal operating pressure and temperature.

8           We'll come back down from normal operating pressure  
9 and temperature after about a 7-day hold; and we'll come  
10 back in and do another inspection of the Reactor Coolant  
11 System.

12          Now, each of the these evaluation trend types has  
13 three different Action Levels. The Action Levels are very  
14 low, but Action Level I, we want to provide added  
15 management oversight. We're going to bring this up to the  
16 attention of the management in the morning meeting as soon  
17 as we find an indicator. We'll increase the walkdowns and  
18 readily assessable areas throughout the plant, and we'll  
19 monitor all the indirect leakage indicators.

20          Action Level II, we'll come back and do again all  
21 the readily available walkdowns, accessible areas. We're  
22 doing the same actions as in Level I, but we're going to  
23 extend it. The walkdown will include some of the not  
24 readily accessible areas, such as in containment that can  
25 be accessed during power operation.

1           And we're going to add a containment walkdown and  
2 inspection to a forced outage list. Action Level III,  
3 we're going to repeat everything again, and evaluate and  
4 schedule a plant shutdown to find and repair the leakage.

5           Are there any questions?

6           MR. POWERS:           There is a  
7 question on, with the program here, one of the things  
8 that's you designed into it is consideration for how this  
9 program enhancement would have helped us find the head  
10 degradation issue. Can you describe the sensitivity of  
11 this program?

12          MR. LEE:           Well, the  
13 sensitivity of this program is such that had we had this  
14 program in place prior to the head degradation, we would  
15 have had about 13 opportunities -- I'm sorry, about 21  
16 opportunities to enter Action Level III, which would mean  
17 we would look at a shutdown, schedule a shutdown to go in  
18 and inspect for leakage.

19          During cycle 13, that would have been eleven times  
20 of entering Action Level III, so eleven different  
21 opportunities. So, that's the sensitivity of this  
22 program.

23          MR. GROBE:           Okay, thank you  
24 very much, Jerry. I just have one question. Maybe you're  
25 not the right guy to answer this, but I understand that

1 prior to restart, you're going to be installing the Flus  
2 system, the new leakage monitoring system. Are your, is  
3 your leakage management program written to address the  
4 traditional leakage monitoring tools that you have in  
5 containment, or is it also going to incorporate the input  
6 that you're going to get from the Flus Monitoring System?

7 MR. LEE: The program, this  
8 program is really designed for the low level leakage,  
9 that's what we're going after. The Flus Program will be  
10 incorporated into this, any new modifications in the future  
11 to give us higher detectability levels on whether it's  
12 activity or whatever, will be added into this. This is an  
13 ongoing program.

14 The completion of this program, it will be complete  
15 prior to entering Mode 4. We'll have some enhancement  
16 steps to come out of Mode 4, or out of the Mode 3, 7-day.  
17 We want to verify our Action Levels. We want to make them  
18 as low as possible. But the program will be in place prior  
19 to Mode 4 -- yeah, prior to Mode 4. And then we will make  
20 those enhancements prior to starting up.

21 MR. MYERS: So, the answer to  
22 the question is yes.

23 MR. LEE: Yes, sir.

24 MR. MYERS: It also includes  
25 the radiation monitors, stuff like that, right?

1           MR. LEE:           It includes  
2 everything that's coming down the pike.

3           MR. DEAN:           To build on Jack's  
4 question, I think the last time we met, there was still  
5 some, some doubt as to whether the Flus System would be  
6 installed in time for the NOT/NOP Test. Where is the  
7 status of that?

8           MR. SCHRAUDER:       It is expected  
9 that the Flus System will be able to be installed prior to  
10 the NOP/NOT.

11          MR. DEAN:           Okay. Thanks,  
12 Bob.

13          MR. HOPKINS:       Yeah, I have a  
14 question. Are you going to do a similar type system at  
15 Beaver Valley or any of your other plants?

16          MR. MYERS:           We haven't made  
17 that decision yet. I'm unable to answer that now.

18          MR. HOPKINS:       And the  
19 improvements of the program, you say, is setting an  
20 industry standard; right? This isn't bringing you up to  
21 what the other industry has, this is going above?

22          MR. MYERS:           This is very  
23 unique, we're excited about this program. This was  
24 something we added based on going back and reviewing the  
25 entire history over several years of the head degradation,

1 and saying, what could we have done different. So, what  
2 we're trying to do is take those lessons learned and anchor  
3 them using one of our processes and a procedure, so that in  
4 the future that won't be there. It will send the red flag  
5 and set the Actions Levels that management will have to  
6 look at. So, we're really excited about this program.  
7 It's unique.

8 MR. HOPKINS: The number of  
9 times you indicated that you had opportunities to enter  
10 Level Action III, that's just based on leakage, correct,  
11 and not the indirect indicators of one containment cooler  
12 fouling?

13 MR. MYERS: I think it's  
14 related on indirect --

15 MR. LEE: This is based on  
16 the direct.

17 MR. MYERS: Direct indicators.

18 MR. LEE: Direct indicators.  
19 Indirect indicators that we could also use to narrow down  
20 the leakage or provide us information, yes.

21 MR. HOPKINS: Okay.

22 MR. GROBE: I would like to  
23 follow-up with Jon's question with just a little more -- I  
24 get confused when you talk about operating cycles.

25 You indicated that there were more than ten

1 opportunities that this program would have presented in a  
2 formal way for management to consider reactor coolant  
3 system leakage questions during Operating Cycle 13. That  
4 was from 2000 to 2002; is that correct?

5 MR. LEE: That would be  
6 correct, yes.

7 MR. GROBE: Okay. The Boric  
8 Acid Management Program, the Corrective Action Program, in  
9 this topical area, while previously it was not a specific  
10 program. I don't think there was a lack of awareness  
11 necessarily of reactor coolant system leakage at the plant.  
12 I think the Corrective Action Program itself was in fairly  
13 good shape as far as a procedure document.

14 I think the Boric Acid Management Program also is in  
15 fairly good shape. You've made enhancements to both of  
16 those programs, but really what was going on at the station  
17 wasn't the programs themselves, it was the people  
18 monitoring the program.

19 And, I appreciate this initiative. As you  
20 mentioned, Lew, this is a first in the industry. It  
21 provides an additional barrier.

22 MR. MYERS: Right.

23 MR. GROBE: And gives you  
24 additional insight that you might not have readily  
25 available to you, so I think that's positive.

1 But really, in all three of those areas, it's really  
2 the safety culture that resulted in failures. It wasn't  
3 the programs per se. So, I'm keenly interested, and I'm  
4 giving Mike Roder a preamble of a question I'm going to  
5 have for his discussion; I'm keenly interested in how  
6 you're considering safety culture improvements in your mode  
7 change decisions.

8 MR. MYERS: Let me comment on  
9 what you said too. Many of our programs like the, this is  
10 written similar to the Action Level Program that you see  
11 that works every day for chemistry control. All right?

12 MR. GROBE: Right.

13 MR. MYERS: This program is  
14 sort of molded like that. And that works, because it has  
15 trigger points where it forces you to make management  
16 decisions. What we had before did not force you to make  
17 those decisions. And it also has requirements like that,  
18 if you see these type, a Level III, you got to start  
19 scheduling within the next 30 days a shutdown, to go look  
20 for it. So, it's got management requirements.

21 So, that is a fundamental difference in safety  
22 culture, of anchoring a safety culture change different  
23 than what we had before. Okay?

24 MR. GROBE: Yep.

25 Any other questions?

1           MR. MENDIOLA:     I'm sorry, you  
2 probably said it sometime in there. What's your schedule  
3 for implementation of this?

4           MR. LEE:           We're putting  
5 together an implementation schedule today. We're getting  
6 ready to put one together, but the schedule for the actual  
7 program, the program will be implemented prior to entering  
8 Mode 4. During the 7-day hold period, the nonnuclear  
9 heatup, we will be doing some verification and some  
10 enhancements, possibly, and making sure that we have the  
11 lowest minimum detected level that we can achieve.

12          After we come back down from that 7-day hold, we may  
13 very well do some enhancements to the program, but the  
14 program will be complete prior to entering Mode 4.

15          MR. MENDIOLA:     Okay. I would  
16 feel from that statement alone that there is feeling that  
17 there is no changes to any of our ~~text~~ tech. specs or your ~~text~~  
18 tech. spec bases associated with this program?

19          MR. LEE:           No, this is much  
20 lower than those numbers.

21          MR. GROBE:         Okay, thank you.

22          MR. LEE:           Now, I would like  
23 to introduce Mike Roder.

24          MR. RODER:         Thank you,  
25 Jerry.

1 My name is Mike Roder, again, I am the Manager of  
2 Plant Operations. And I'm pleased to be here today to  
3 report on a couple different things.

4 First of all, our personnel readiness for Mode 6,  
5 and also I would like to spend a little more time on what  
6 Clark started us off on; and that's the Station Review  
7 Board, Restart Station Review Board, and how that process  
8 of reviewing the condition reports and corrective actions  
9 lead to our departmental reviews of items for Mode 6.

10 And also independent of that, totally independent  
11 and redundant, the Operations organization did our reviews  
12 for Mode 6, and then finally, the Multi-discipline Review  
13 that we had, spoke of earlier, about a two-day process of  
14 finding exactly what was required for our mode stations.

15 Next slide, please.

16 First of all, from personnel readiness, we spent a  
17 lot of time benchmarking over the last couple months, and  
18 developing our revised standards and expectations for  
19 operators. That was also reviewed by the Institute of  
20 Nuclear Power Operators; and they, we had some individuals  
21 on site that spent some time, spent some time with our  
22 operators and discussed our new standards and  
23 expectations.

24 But more importantly we take these expectations and  
25 we discuss them daily at our operator turnover, and we also

1 perform observations of selected expectations on a daily  
2 basis. That served to reinforce our different  
3 expectations, and also to make sure we've communicated them  
4 accurately and consistently.

5 To assure our team has consistent expectations, we  
6 place different Senior Reactor Operators in key decision  
7 making roles within the other organizations. And I have a  
8 couple examples up here.

9 First of all, we placed two Senior Reactor  
10 Operators, experienced individuals, on the Fix It Now  
11 Team. That's our rapid maintenance team.

12 We've also placed two senior SRO's and two staff  
13 members on our Containment Health Organization; and that  
14 served to specifically target and identify what containment  
15 health corrective actions need to be done and are required  
16 to be done prior to starting up and prior, more  
17 specifically prior to Mode 6.

18 We also had for about a year now an SRO with  
19 previous radiation protection experience. We have put him  
20 back on loan in the Radiation Protection Organization.  
21 That's also served to foster some additional teamwork  
22 between Operations and the other organizations.

23 With regard to the Senior Reactor Operator role, not  
24 only have we placed several people in our organizations,  
25 but I have spent many opportunities and time discussing the

1 Senior Operator's role with the Senior Operators and  
2 have, I guess -- that's a long dramatic pause. Explaining  
3 to them my reaffirmation to them as their role as an agent  
4 to the public. And that has been echoed, and I certainly  
5 appreciate the reinforcement of that by members of the NRC,  
6 both Region III Administrator and others. And I have  
7 gotten good feedback and a full understanding of that role,  
8 and more importantly too the understanding of how they have  
9 not fulfilled that role to the maximum ability.

10 So, from those items from both standards and  
11 expectations, placing SRO's in different organizations, and  
12 also the continued advocacy of their unique role as a  
13 licensed operator, there has been tremendous ownership  
14 displayed by the Operations organization.

15 MR. SIMPKINS: Mike, question for  
16 you there. This is for the Fuel Reload Readiness. Now,  
17 under the standards and expectation, would it be safe to  
18 assume that will continue after restart?

19 MR. RODER: My discussion  
20 about daily coverage?

21 MR. SIMPKINS: Yes.

22 MR. RODER: Oh, yes, that has  
23 become an expectation that will continue well past restart,  
24 yes.

25 MR. SIMPKINS: Okay. Then, the

1 two additional SRO's for the Fix It Now Team -- well, not  
2 necessarily containment health, but Fix It Now and the Rate  
3 Detection. Do you view that as a weakness before this  
4 issue, that you did not have Operation's representation on  
5 this?

6 MR. RODER: Yes, in today's  
7 world, I view that as a weakness. We did not have  
8 Operation's representation on the Fix It Now Team.

9 MR. SIMPKINS: Will it continue  
10 then after restart?

11 MR. RODER: Yes, right now we  
12 have --

13 MR. MYERS: Let me answer this  
14 question, as the site Vice President. I consider it a  
15 weakness in any organization that doesn't have Operation's  
16 expertise in that organization. I'll show you an Org.  
17 chart in a little while on my presentation that will  
18 demonstrate that.

19 MR. SIMPKINS: Okay, will this  
20 result in additional personnel coming, additional staffing,  
21 or is this just collateral duty and representation from the  
22 current SRO's?

23 MR. MYERS: It may result in  
24 more people getting SRO's or maybe not maintaining an SRO,  
25 but having an SRO. My belief is you should have active

1 SRO's in places like emergency repairs, maintenance, work  
2 scheduling, outage, all those organizations; operations,  
3 ownership should be involved in all the organizations in  
4 the plant; design changes, all those organizations.

5 You don't have the SROs involved, that's going to  
6 operate your plant, how can you make a design change and  
7 say it fulfills their needs? So, the expectation is we're  
8 going to need more SRO's.

9 MR. SIMPKINS: So, you may  
10 reactivate some SRO's?

11 MR. MYERS: Yes, and may get  
12 some new ones. We have two classes going on now. Two  
13 classes going now. That's consistent with our other plants  
14 too. We just finished a class of 26 people, I believe it  
15 is, at our Beaver Valley Plant, but it was sort of the same  
16 way, we have a good SRO ownership and good technical  
17 knowledge from our previous SRO experience and all of our  
18 management positions at our other plants. So, those are my  
19 expectations. There are some exceptions; there are not  
20 many.

21 MR. SIMPKINS: Okay. What I'm  
22 trying to narrow it down to then is, is it a licensed  
23 individual or an Operations staff person? I guess the  
24 reason why I'm asking this is I see a distinct difference  
25 between formerly licensed people perhaps regaining their

1 license and those actively involved in the Operations  
2 staff.

3 MR. MYERS: I guess the way I  
4 would answer that is, you know, what I'm accustomed to, is  
5 physically having some Operations staff people in the  
6 organizations like training and emergency preparedness that  
7 are on rotational assignments; physically in those  
8 organizations. Does that answer your question?

9 MR. SIMPKINS: It's starting to,  
10 yes.

11 MR. RODER: The answer, I  
12 believe, would be a blend. We would have some rotation of  
13 assignment. We would have some that were previously  
14 licensed, that had gained experience and then moved on to  
15 other organizations.

16 MR. SIMPKINS: That's fine.

17 MR. MYERS: If that didn't  
18 answer it, let's -- this is important.

19 MR. SIMPKINS: Well, my point  
20 that I was trying to get to is that, I know that during the  
21 operations cycle, at times the Operations staff was very, I  
22 don't want to say --

23 MR. MYERS: Strapped?

24 MR. SIMPKINS: Yes, pretty much  
25 so.