



1 PRESENT FOR THE NUCLEAR REGULATORY COMMISSION:  
(continued)

2

MS. CHRISTINE LIPA, Chief, Branch 4,  
Division of Reactor Projects;

3

4

MR. GEOFFREY WRIGHT, Project Engineer,  
Branch 2 Division of Reactor  
Projects;

5

6

MS. LAURA COLLINS, Project Engineer;

7

MR. JOHN JACOBSON, Team Member;

8

MR. SCOTT THOMAS, Senior Resident  
Inspector;

9

10

MR. DOUGLAS SIMPKINS, Resident  
Inspector.

11

PRESENT FOR THE LICENSEE:

12

MR. LEW W. MYERS, CEO, FENOC;

13

MR. STEVEN A. LOEHLEIN, P.E.,  
Principal Staff Consultant,  
FirstEnergy;

14

15

MR. MARIO P. DeSTEFANO, QA  
Supervisor, FENOC;

16

17

MR. BOBBY G. VILLINES, Senior  
Nuclear Engineer, FENOC;

18

19

MR. KEVIN A. SPENCER, Licensing  
Specialist, FirstEnergy;

20

MR. STEVEN P. FRANTZ, Morgan Lewis;

21

MR. GERALD M. WOLF, Engineer -  
Licensing, FENOC.

22

1 PRESENT FOR THE LICENSEE: (continued)

2 MR. WILLIAM MUGGE, Manager, Nuclear  
Training

3  
4 MR. TODD SCHNEIDER, Manager of  
Communications, FENOC.

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

1 CHAIRMAN GROBE: Good afternoon. My name is  
2 Jack Grobe. I am the chairman of the NRC's  
3 oversight panel for the Davis-Besse facility. This  
4 is a meeting of the NRC's oversight panel and  
5 FirstEnergy Nuclear Operating Company regarding  
6 activities at Davis-Besse. We particularly are  
7 focusing on today a discussion of the organiza-  
8 tional management and human performance issues that  
9 resulted in the degradation in the reactor pressure  
10 vessel head at Davis-Besse. I would like to  
11 emphasize the importance of this meeting and this  
12 discussion. Davis-Besse has undertaken a restart  
13 activity that has many components to it, and we're  
14 going to be talking about that a bit later. One of  
15 the components is improving the organizational  
16 effect of this area. Metals crack, boric acid is  
17 corrosive. These are not new concepts in the  
18 nuclear power industry. They're activities that  
19 need to be identified, managed and resolved. In  
20 fact, what caused the head degradation at Davis-  
21 Besse was not corrosion or boric acid and cracking  
22 materials. It was the fact that it was allowed to

1 go unfettered for years. And we're looking forward  
2 to hearing the results of FirstEnergy's evaluation  
3 as to why that occurred.

4 I am going to turn the beginning of the  
5 meeting over to Christine Lipa. And Christine is  
6 the chief of the Division of Reactor Projects,  
7 Branch 4 in our Division of Reactor Projects here  
8 in Region III. Christine is going to provide some  
9 logistical discussion about how this meeting is  
10 going to be set up and run today as well as she and  
11 Scott Thomas, the senior resident inspector, will  
12 provide some background information on the Davis-  
13 Besse activities. So Christine?

14 MS. LIPA: Thank you, Jack. First of all  
15 welcome to FirstEnergy and to members of the public.  
16 And I am the branch chief here in Region III, and I  
17 have overall responsibility for the NRC's inspection  
18 program at Davis-Besse. We'll go through the rest  
19 of the introductions in a few minutes. I want to  
20 refer to the agenda that we have up on the screen  
21 here, and it discusses the purpose of the meeting  
22 and the first few items. Right now we are in

1 introduction and opening remarks. I wanted to talk  
2 a little bit about protocol before we get started.  
3 This meeting is open to the public, and the public  
4 will have an opportunity before the end of the  
5 meeting to ask questions of the NRC. This is  
6 considered a Category 1 meeting in accordance with  
7 the NRC's policy on conducting public meetings. In  
8 addition to public access here in the Region III  
9 office in Lisle, Illinois, we are also video  
10 conferencing this meeting to our headquarters  
11 office in Rockville, Maryland. At headquarters the  
12 video conference is also open to the public. Also  
13 we have arranged for one hundred phone lines for  
14 participants to call in and listen to the meeting.  
15 Before the meeting is adjourned, there will be  
16 opportunities for members of the public at all  
17 three spots, here in Lisle and headquarters and on  
18 the phone lines, to ask questions. Due to the  
19 various means of communication we're using today  
20 through phone lines and video conferencing, it'll  
21 be really important that all speakers use the  
22 microphone when talking so that people can parti-

County Court Reporters  
600 South County Farm Road, Suite 200  
Wheaton, IL 60187  
(630) 653-1622

1 cipate on the phone lines. We're also having this  
2 meeting transcribed today to maintain a record of  
3 what we will be discussing, and the transcription  
4 will be available on the web page several weeks  
5 after today's meeting.

6 Also on the NRC's web page today and the  
7 Davis-Besse web page we have the agendas and the  
8 handouts. The NRC agenda that you see on the screen  
9 here and then the handouts that the licensee brought  
10 with them today, those are already available on the  
11 NRC's web site for people who are calling in by  
12 phone. Also at the back of the room and here are  
13 the meeting feedback forms that you can fill out to  
14 provide feedback to us on how the meeting goes with  
15 respect to format or content or any other aspects  
16 of the meeting because we would like to improve the  
17 quality of our meetings if we can.

18 Let's start off with introductions. We  
19 will start off at the table here, and then we will  
20 go around the rest of the tables.

21 MR. THOMAS: This is Doug Simpkins. He is the  
22 resident at Davis-Besse. I am Scott Thomas, senior

1 resident inspector.

2 MR. DYER: Jim Dyer, regional administrator,

3 Region III.

4 MR. JACOBSON: John Jacobson, panel member.

5 MS. COLLINS: Laura Collins, project engineer

6 for Davis-Besse.

7 MR. WRIGHT: Geoffrey Wright, team leader for

8 evaluating this particular area for the NRC.

9 MS. LIPA: Would you introduce yourselves?

10 MR. VILLINES: Bobby Villines.

11 MR. DeSTEFANO: Mario DeStefano.

12 MR. LOEHLEIN: Steve Loehlein.

13 MR. MYERS: Lew Myers, chief operating officer.

14 MR. SPENCER: Kevin Spencer.

15 MR. MUGGE: Bill Mugge.

16 MS. LIPA: Thank you.

17 MR. MYERS: We also have some staff here in

18 the back. Todd Schneider, manager of communications

19 for FENOC; Steve Frantz from Morgan Lewis; and

20 Jerry Wolf, Regulatory Affairs.

21 MS. LIPA: We also have a transcriber today,

22 Marlane Marshall. Welcome, Marlane. And also do

1 we have any representatives of public officials? I

2 know I saw Gere Witt.

3 MR. GERE WITT: Gere Witt, county

4 administrator, Ottawa County.

5 MS. LIPA: Welcome. Any other representatives

6 of public officials? Okay.

7 Now, next we will talk about a brief

8 summary of the major NRC activities related to

9 Davis-Besse since March, 2002. And if you will go

10 to slide 1, please? Okay. For background, this is

11 a summary of some of the major milestones beginning

12 with the March 6th date when the degradation was

13 first identified, and over the next few days

14 following March 6th the severity of the corrosion

15 was realized. On March 12th Region III sent an

16 AIT, which is an augmented inspection team, to the

17 site. That was a five-person team of inspectors

18 from the region, resident inspector and person from

19 NRC's Office of Research. On March 13 Region III

20 issued a confirmatory action letter to the licensee

21 describing our understanding of the specific actions

22 the licensee intended to take prior to restart.

1 And then on April 29th, 2002, the agency decided to  
2 use an IMC 0350 oversight panel. We have been  
3 having monthly public meetings with the licensee in  
4 Oak Harbor, Ohio, and we will continue to do so  
5 approximately once a month. Just for reference --  
6 we discussed this in detail at the May public meeting  
7 -- this supplies an overview of the goals of the  
8 Manual Chapter 0350 panel. We will go through them  
9 all in detail. Go to the next slide.

10 And this is a continuation of the goals  
11 of our panel. And this is a listing of the NRC  
12 members that comprise the IMC 0350 oversight panel.  
13 You can see we have managers and staff from Region  
14 III and from NRR on the panel.

15 Next I will turn it over to Scott Thomas.  
16 He's the NRC senior resident inspector at Davis-Besse,  
17 and he will summarize the degradation issue for you.

18 MR. THOMAS: Acknowledging the fact that there  
19 may be members in the audience that have varying  
20 levels of understanding of the issue, this is kind  
21 of just a general description of power plant  
22 operations and reactor vessel head construction.

1           A power plant is composed of a primary  
2 loop and a secondary loop. The primary loop  
3 contains high pressure, high temperature water  
4 which transfers heat generated in the reactor to  
5 the steam generators. This transfer of heat in the  
6 steam generator causes feed water in the steam  
7 generator to boil and produce steam. This steam  
8 drives a turbine generator which generates  
9 electricity. The steam that has passed through the  
10 turbine is condensed and recycled back to the steam  
11 generator as feed water to begin the cycle anew.

12           The containment structure basically  
13 contains the primary loops in the reactor. It's  
14 composed of an outer shield building which is  
15 approximately two and a half feet of concrete --  
16 excuse me -- rebar reinforced concrete, and the  
17 containment itself which is an inch and a half  
18 thick steel vessel that's within the shield  
19 building. Next slide.

20           This is a diagram of the top of the  
21 reactor. It shows the closure head itself which  
22 is the domed part. It shows the nozzles which

1 penetrate the head. It shows the lower support  
2 assembly which on top of the lower support assembly  
3 is the insulation, the head insulation, and above  
4 that is the service structure itself. Now, on the  
5 lower support structure are the weep holes, which I  
6 will go more into that in just a moment. Go to the  
7 next slide.

8       This is a typical diagram of a control  
9 rod drive nozzle. As you can see it penetrates the  
10 reactor vessel head. In the upper portion is a  
11 compression fitting, and down at the bottom is a  
12 J weld which secures the nozzle to the head. Go to  
13 the next one.

14       This is a picture of the top of the  
15 reactor vessel head in the 2000 outage. A couple  
16 things I would like to point out in this slide are  
17 the bolts that hold the head to the vessel itself,  
18 and you can also see the weep holes that I described  
19 earlier. These are approximately 5 x 7-inch rect-  
20 angles. And this was the area where the licensee  
21 did their inspections and their cleaning. There  
22 are a number of them around the periphery of the

1 head. What you see in red is a combination of  
2 boric acid and baric oxide that originated from the  
3 top of the vessel head. And that's all I have.  
4 Oh, one more slide. I am sorry.

5 This is a depiction of the drawing of the  
6 vessel head. You can see two nozzles and what's  
7 left of a penetration. The area that Doug is point-  
8 ing to right now is a depiction of the cavity  
9 itself that was found on top of the reactor vessel  
10 head. Basically that area right there is void; I  
11 mean there is nothing there. And all that was left  
12 at the bottom was the cladding on the inside of the  
13 reactor vessel head. And I believe that's all.

14 MS. LIPA: Okay. Thank you, Scott. We're  
15 ready next for Lew Myers if you would go ahead with  
16 your presentation.

17 MR. MYERS: Thank you, Christine. My name is  
18 Lew Myers. I am the FirstEnergy Nuclear Operating  
19 Company chief operating officer. We're here today  
20 to discuss the management and human performance  
21 root causes and how we arrived at these root causes  
22 if you will.

1 I guess the thought that I would have is  
2 that as we discuss these issues and come to an  
3 understanding of the management and its performance  
4 issues, as an organization we are very humbled and,  
5 in fact, embarrassed. I am personally embarrassed  
6 about where we're at today, and I think the  
7 depictions that are ahead indicate it all.

8 Our desired outcomes are we will talk  
9 about the root causes. And let me summarize  
10 those. They deal with management oversight. And  
11 what we will tell you today is if you look back in  
12 the history of our Davis-Besse plant, there has  
13 been some very good performance and there has been  
14 some good rigor. There has been some good manage-  
15 ment oversight. And we can clearly document where  
16 that started to deteriorate away.

17 The corrective action program is another  
18 major issue. That's the lifeline of a management  
19 program, to find and fix problems. And we  
20 identified several performance problems in the  
21 corrective action program where our corrective  
22 actions did not elevate to the proper level. We

1 classify our CRs as we get them, and we did not  
2 classify CRs properly nor did we perform the proper  
3 safety analysis of CRs we discovered.

4 From a technical rigor standpoint over  
5 the years we appeared to lose the processes or  
6 programs or thought processes that drive you into  
7 the 50.59 review or safety review process. So from  
8 a technical rigor standpoint you see that we often  
9 jump to the first conclusion, a conclusion that was  
10 in many cases production orientated. And that rigor  
11 of finding and fixing problems and not addressing  
12 the hard issues that once again deteriorated away  
13 over time well demonstrates from a program  
14 compliance standpoint we did not implement our  
15 program effectively. We did not have good  
16 ownership nor was our program technically adequate.  
17 It wasn't adequate to find and fix this problem,  
18 let's understand that. It did meet the regulatory  
19 requirements, and if used properly it should have  
20 been able to fix this problem.

21 And finally the most important thing that  
22 we want to talk about today is some of our key

1 corrective actions that we have been undertaking to  
2 ensure that we can return the plant to service in  
3 good material condition, and even then we can  
4 operate the plant safely and reliably for the  
5 long-term in a consistent manner.

6 I would like to take a moment to talk  
7 about the original root cause. When we had the  
8 event, we had the augmented inspection team come  
9 in. And Steve Loehlein next to me chaired the  
10 group of people that addressed a technical root  
11 cause that indicated that we had not as management  
12 effectively implemented our process and thus failed  
13 to address plant problems as opportunities arose.  
14 We had many opportunities to identify and fix this  
15 problem over the years and failed to recognize  
16 them. It was obvious that our processes if you  
17 will were somewhat broken and that we had not  
18 only -- when we had addressed problems we had not  
19 addressed the root cause early at the very  
20 beginning. So from a management standpoint we  
21 recognize that we need to make some changes in our  
22 management.

1           At that time my boss, Bob Saunders, the  
2 chief operating officer, and Gary Leidich,  
3 executive officer of FENOC, was our oversight  
4 organization. And we promoted Bill Pearce to the  
5 vice-president of Nuclear Oversight. And he meets  
6 regularly with our board now, and that will  
7 strengthen our oversight process. We completed the  
8 technical root cause because we knew that in the  
9 past we had overlooked issues that should have  
10 found and fixed this problem. So we couldn't  
11 depend on that same process solving the problem  
12 again. So we waited. We addressed the technical  
13 root cause. And then later on in the May timeframe  
14 I was assigned as basically a full-time employee of  
15 the Davis-Besse team for recovery. In the May  
16 timeframe I appointed a root cause team that was  
17 independent to go look at the management aspects of  
18 this event, and that's what we're discussing now.  
19 And that's the reason we waited so long. Really  
20 the reason we didn't do both at the same time is we  
21 knew that we couldn't depend on the management  
22 organization getting at the root cause because they

1 hadn't in the past.

2       So we chaired that team. We asked our-  
3 selves what kind of people we want on the team, the  
4 competition if you will. We found that we used the  
5 same leaders, Steve Loehlein next to me. Steve is  
6 from our Beaver Valley plant trained in root cause  
7 analysis who participated in a lot of the root  
8 causes we have done there in a very good manner.  
9 We wanted to get some people from our other plants,  
10 the FENOC plants, to provide input so that we could  
11 not only have an independent study, but we could  
12 take these issues that we were finding back to our  
13 other plants and make sure the same issues don't  
14 exist. We have some oversight support on the team  
15 to look at how our oversight failed. And then we  
16 wanted to bring in some process people that are  
17 recognized as industry experts. So we hired Conger  
18 & Elsea who use a root cause method called MORT  
19 which we will talk about later on. Then we wanted  
20 to involve some of the Davis-Besse management and  
21 people to ensure that we got good buy-in on these  
22 issues that we would come up with. That's how we

1 formed the team that reported directly to me to  
2 develop this root cause.

3       We also wanted to make sure we went down  
4 the right track. So during the middle of the root  
5 cause process we asked the Institute of Nuclear  
6 Power Operation to have some other utilities come  
7 in and evaluate the process that we were taking and  
8 make sure that we were looking at things from a  
9 broad perspective and the right depth. So we  
10 brought people in from several other utilities.  
11 Then at the end of the evaluation, the root cause  
12 evaluation if you will, we brought in an organi-  
13 zational effectiveness expert to help us decide  
14 some of the corrective actions that we might take  
15 as we moved forward. And then we staffed from the  
16 Lincoln Company two full-time people that have  
17 helped us develop and make sure that our corrective  
18 actions are effective. And they're organizational  
19 development consultants. They're on my staff now.

20       The team consisted of some really pretty  
21 good people. We had Steve Loehlein once again from  
22 Beaver Valley who was on the team. Bill Babiak

1 from Perry. He is a long-term root cause type  
2 person from our Perry plant. Mario DeStefano is on  
3 our team from Perry. Mario came to us -- He is a  
4 root cause person from our quality group and was a  
5 previous maintenance manager at one of our plants.  
6 Randy Rossomme from our Beaver Valley plant, the  
7 oversight agents. Lesley Wildfong was from the  
8 management oversight process group, the MORT group  
9 if you will. This is the group I was talking about.  
10 They do instant investigations on all kinds of  
11 industry events. So we wanted to bring in some  
12 very high level technical experts, and we did that  
13 there. Bill Mugge is from our Davis-Besse plant.  
14 He's spent some time at INPO recently and came back  
15 as their training manager. He is an employee there.  
16 Joe Sturdavant is at our Davis-Besse plant also.  
17 Bobby Villines is from Davis-Besse in the plant  
18 engineering area. They're both more than qualified.  
19 Dick Smith came in. Dick is a manager with Conger  
20 & Elsea and has been involved with some major  
21 events. And he came in and worked with the team  
22 for a couple weeks. Then Dorian Conger and Ken

1 Elsea came in. They own the company. What they  
2 did was make sure that we were analyzing things  
3 correctly, putting them in the right baskets in the  
4 trees, and just provide some general management  
5 oversight to the team. And then Spyros Traiforos  
6 who is a Ph.D. that we used to help us was an  
7 experienced root cause Ph.D. in materials. A lot  
8 of experience there. So we brought him in also.  
9 So we think the team was a very credible team. And  
10 it was the best team we could find to put together,  
11 and we're very pleased with the qualifications of  
12 people on the team.

13 That concludes my introduction. What I  
14 would like to do now is turn it over to Steve  
15 Loehlein. Steve is going to talk through the  
16 process if you will that we went through. For  
17 people that are not familiar -- and many people  
18 here I know are -- we will go through the process,  
19 and then we're going to go through the various root  
20 causes and how we concluded the root causes were  
21 valid, the basis for that. I will turn it over to  
22 Steve.

1 MR. LOEHLEIN: Thank you. I want to make sure  
2 that I have this -- Can everyone hear me fine with  
3 the microphone?

4 MR. DYER: If you have got the bright green  
5 light, you should be good to go.

6 MR. LOEHLEIN: How is that? I will be going  
7 through a number of slides. I want to make sure --

8 AUDIENCE MEMBERS: If all the speakers could  
9 do that, we'd appreciate it.

10 MR. LOEHLEIN: Okay. Again thank you, Lew.  
11 And I would like to say a few things up front.  
12 First on behalf of the team I want to recognize  
13 them for the very difficult job this was for them.  
14 We painstakingly reviewed many documents, a lot of  
15 interviews to form the conclusions that we'll be  
16 sharing with you today. We believe in the results  
17 and we believe in the product, and we'd like to  
18 share them with you. I think it would probably be  
19 very positive for us if as I go through this  
20 presentation that unless there is a point that I am  
21 making that needs clarification, there's a few areas  
22 in here where it'll be appropriate for me to stop

1 and ask for questions, but there's a certain flow  
2 to this I would like to maintain. So if that's  
3 agreeable with everyone, I will pause when I think  
4 is a good place to interject questions. There will  
5 be certain conclusionary points.

6 CHAIRMAN GROBE: Thanks, Steve.

7 MR. LOEHLEIN: We're now on slide number 9 for  
8 whoever might be looking at this from a computer or  
9 whatever. What we have shown on this slide is the  
10 initial statement that was used in our team's  
11 charter to focus our thoughts to. What we wanted  
12 to know is we wanted to understand why over a  
13 period of years Davis-Besse personnel failed to  
14 identify corrosion of the reactor pressure vessel  
15 head base metal. Now, this focused objective  
16 resulted in an investigation that led to very broad  
17 understandings of the issues, and that's what we'll  
18 be sharing with you today.

19 Slide number 10. We thought we would  
20 share with you right up front the overriding  
21 management oversight root cause statement. As  
22 stated there, there was a less than adequate

1 nuclear safety focus at the station. The focus  
2 was on production established by management that  
3 which combined with taking minimum actions to meet  
4 regulatory requirements resulted in the acceptance  
5 of degraded conditions. Now, before we get started  
6 into all the supporting conclusions -- and there  
7 are a number of them -- I think it's really  
8 important that we understand the context of this  
9 root cause statement.

10 First, a production focus has to be  
11 understood as it relates to nuclear power. The  
12 station is a production facility, and its desire to  
13 produce power is an assumed priority for the business.  
14 However, in nuclear power nuclear safety is the  
15 primary objective of everyone involved with nuclear  
16 power, and this takes precedence over the desire to  
17 produce electricity. Now, in the past Davis-Besse  
18 had -- We will show you in the late '80s and early  
19 1990s the station had good production numbers and  
20 still displayed the proper concern for nuclear  
21 safety. But what our presentation is intended to  
22 share with you is our conclusions regarding what

1 changed and when at the plant that allowed this  
2 loss of safety focus.

3       Slide 11 is just a header slide. I will  
4 tell you what we're going to be doing in terms of  
5 presenting the process. I will be first discussing  
6 how we developed our scope, how we obtained data,  
7 how we performed our data analysis and then finally  
8 formed our conclusions in each of the areas.

9       First in terms of scope development, we  
10 had before us the results of the technical root  
11 cause that were completed in April, and it provided  
12 us with some very clear clues. One was that we had  
13 errors that occurred over several years, that  
14 program effectiveness in a couple of key areas  
15 needed to be assessed, and that the potential for  
16 boric acid to cause damage had been an issue for  
17 this station in 1998 and 1999, the pressurizer  
18 spray valve in particular, yet that event did not  
19 result in corrective action that allowed the  
20 station to identify this corrosion sooner.

21       Next slide please. We're now on slide  
22 13. The techniques we used are recognized root

1 cause analysis techniques. We used causal factors  
2 charting, we used hazard barrier analysis  
3 techniques and also, as Lew mentioned before, the  
4 management oversight and risk tree technique. This  
5 is a very effective tool in evaluating management  
6 performance in particular. Then the sections we  
7 used from there are listed there. And these result  
8 in recommendations for corrective actions.

9       In terms of data sources the technical  
10 root cause analysis report was useful from a couple  
11 of perspectives. One, it summarized lots of  
12 information on the subject up until that point. It  
13 also had a lot of reference information that was  
14 readily available to us. The total number of inter-  
15 views from which we were able to extract information  
16 was over one hundred and twenty. Over the course  
17 of the investigation we examined approximately  
18 seven hundred documents. The data we examined took  
19 us across more than twenty years. The event and  
20 causal factors chart contains nearly a thousand  
21 discrete items of information, and in full scale on  
22 a CAD machine it prints out to 126 feet long. All

1 the references that were used and tied to the facts  
2 are numbered and filed so we can tie -- from our  
3 conclusions we can go back to the facts that  
4 supported them and back to a file that shows us  
5 where we got those facts.

6 The next slide, 15, is a cover sheet.  
7 What I want to say is on slide 16 which talks about  
8 the sequence that I will go through in our actual  
9 data analysis.

10 CHAIRMAN GROBE: Steve, would this be an  
11 appropriate time? It seems like a break where you  
12 talked more about process and now you're --

13 MR. LOEHLEIN: Okay.

14 CHAIRMAN GROBE: I had two questions, actually  
15 one question and then a request that you go into a  
16 little bit more detail on one item. On page 10 you  
17 said there was less than an adequate nuclear safety  
18 focus and the focus was on production.

19 MR. LOEHLEIN: Yes.

20 CHAIRMAN GROBE: If you could include in your  
21 dialogue that you're going to go through also your  
22 thoughts on whether there was an inordinate focus

1 on dose minimization, I would appreciate that in  
2 addition to nuclear production.

3 MR. LOEHLEIN: Yes, I can comment on that.  
4 Surely.

5 CHAIRMAN GROBE: And the second thing if you  
6 could do now, if you would talk just a bit more  
7 about MORT and the MORT analysis approach? Folks  
8 on this side of the table are quite familiar, but  
9 many folks in the audience probably aren't.

10 MR. LOEHLEIN: Okay. The MORT technique --  
11 And I am personally not an expert in it. I am an  
12 expert in root cause. Not expert, but I am more  
13 qualified in root cause techniques. MORT is  
14 specifically geared toward management-type  
15 investigations. We had four or five members on the  
16 team that are qualified in it. But what it does is  
17 it exams or it asks questions in a tree analysis  
18 type of arrangement that takes you through a process  
19 of asking questions about how is the process put  
20 together, how does the organization use it. So it  
21 takes you from cradle to grave, infancy to implemen-  
22 tation on processes and personnel performance. So

1 there are areas that are dedicated to process,  
2 there are areas that are dedicated to how people  
3 make errors, and there are areas dedicated to how  
4 management assesses risk. And those are the kinds  
5 of areas that we targeted in this investigation.  
6 And that's what I will be going through. Is that  
7 an acceptable upper level discussion of how it's  
8 arranged?

9 CHAIRMAN GROBE: Yes, that's fine. Are there  
10 any other questions before Steve continues?

11 MR. DYER: Yes.

12 MR. LOEHLEIN: It's a tree and branch type of  
13 thing. There's upper level questions. It'll ask --  
14 For example, there's one on management policy where  
15 it says management policy, the first thing is it  
16 written, then how is it communicated and so forth.  
17 So it goes down the branches and gets more detailed.  
18 If you get through the process of answering these  
19 questions that are on the branches of this tree,  
20 it's like formulating where the breaks in these  
21 branches are and, therefore, there is a failure in  
22 the process.

1 MR. DYER: I have one question. In the scope  
2 in your -- On page 12 you talk about the scope  
3 development map. And you talk about -- the last  
4 subject bullet or star there talks about the  
5 potential boric acid that caused damage in 1998-'99  
6 which is the timeframe with the spray valve RC 2  
7 which we had some enforcement action on. Also  
8 earlier in the year -- Earlier in the life -- I  
9 think in the early '90s there was a boric acid  
10 corrosion problem with the -- I believe it was the  
11 high point vent to the steam generators. Did you  
12 look at corrective actions from that also?

13 MR. LOEHLEIN: We took a look at how the  
14 organization responded in several ways back in that  
15 timeframe. I think it was 1992 the containment air  
16 coolers had issues with boric acid accumulation.  
17 And we will be talking about that contrasting with  
18 how the organization reacted to that situation as  
19 compared to how it reacted to situations in the  
20 late '90s. We will be talking about that later in  
21 the presentation.

22 MR. DYER: Okay. So that's sort of the before

1 and after then? Is that what you are telling me?

2 MR. LOEHLEIN: By comparison it shows how the  
3 organization had an awareness and supported with  
4 technical analyses and a sense for safety focus and  
5 so forth at that time period in response to what  
6 the plant indicated as compared to the difference  
7 in how it was approached in the late '90s. So if  
8 we don't answer that adequately at that time, then  
9 we will talk to it more then.

10 MR. JACOBSON: I am curious. Touching on the  
11 same thing that Jim just mentioned, there were  
12 indications in documents that Davis-Besse was aware  
13 of the potential for corrosion on the head weld  
14 before 1998 and '99. I am wondering why you picked  
15 that date here in your slide to say that, you know,  
16 it was a potential from there.

17 MR. LOEHLEIN: The reason why it appears on  
18 the slide -- And you will see when we get to the  
19 timeline discussion. '98-'99 is only relevant to  
20 the pressurizer spray valve RC 2. And the reason  
21 it's relevant and the reason why we thought it was  
22 so key here is because that event led to

1 enforcement actions and numerous corrective actions  
2 on the part of this site. Yet immediately after it  
3 occurred and after these corrective actions had  
4 taken place, 12RFO occurred. And we saw the slide  
5 with the boric acid on the head. So we said the  
6 obvious question is how could the site have an  
7 experience like this spray valve event and not have  
8 made the connection to what was going on on the  
9 reactor head. So that made that particular event  
10 really important to understand why that was not  
11 effective.

12 MR. DeSTEFANO: Plus we were using the  
13 pressurizer spray valve event as a benchmark for  
14 ourselves as a team. Because as you mentioned you  
15 read that report, it's very obvious that that could  
16 have -- the actions from that should have prevented  
17 anything else and did not. So we used -- we made  
18 sure we read that, understood it, found out why it  
19 wasn't effective. So that we know we couldn't do  
20 the same thing as far as actions go; we had to go  
21 much further than that. So we also used that  
22 document internally with a full understanding -- so

1 we had a full understanding of what happened there.

2 MR. JACOBSON: There is no implication here  
3 then that you all were unaware that there was this  
4 potential before '98.

5 MR. LOEHLEIN: That's correct.

6 MR. DeSTEFANO: That's correct.

7 MR. LOEHLEIN: That's a correct interpretation.

8 MR. MYERS: If you look at the report there is  
9 a list, a couple pages of all the documents and  
10 documents back out from the '80s to now.

11 MR. JACOBSON: Right.

12 CHAIRMAN GROBE: Okay, Steve.

13 MR. LOEHLEIN: Thank you. Going to now the  
14 data analysis and end result section, we have got  
15 this broken into five parts. And we decided to  
16 present it this way because this is pretty much the  
17 way the team evaluated these. It wasn't exactly in  
18 this sequence -- there was some overlap -- but  
19 pretty much this way. It started with the boric  
20 acid corrosion control and in-service inspection  
21 programs and assessment of those, went to how the  
22 site handled technical information, the corrective

1 action program effectiveness, hazard assessment --  
2 which in this case we'll talk about that 50.59  
3 safety evaluation type of hazard assessment process  
4 -- and then the management oversight and risk  
5 assessment process.

6       So on slide 17 I think we're on now, the  
7 way we evaluated the boric acid and in-service  
8 inspection programs was to apply the hazard-barrier-  
9 target analysis. We applied it to two refueling  
10 outages, the 11RFO outage and the 12RFO one. So  
11 that's 1998 and the year 2000. In it the model  
12 assumed that the boric acid was the hazard and that  
13 the reactor head was the target. And for those  
14 that maybe aren't real familiar with how this is  
15 done, you identify these barriers, and many of them  
16 are procedure steps and things like that. But the  
17 key ones that I think were worth mentioning here  
18 are the design of the system, training that people  
19 get, inspection for leaks and corrosion, cleaning,  
20 and corrective actions. We looked at nearly fifty  
21 in all barriers in the boric acid in-service  
22 inspection programs.

1 For those two outages the conclusions  
2 appear on the next slide which is 18. The first  
3 statement I would like to make is that the boric  
4 acid and ISI programs did not meet expected  
5 standards. However, the process, we concluded, was  
6 adequate to have prevented the damage to the head.  
7 The key failed barrier was the failure to clean the  
8 head. That failed barrier prevented us even from  
9 analyzing what our behaviors would have been like  
10 at the station if the head had been cleaned and we  
11 would have been able to evaluate whether the nozzle  
12 inspections were adequate and so forth. But a number  
13 of barriers beyond there could not be evaluated.

14 Another thing that we concluded was that  
15 the reactor head was not a focus in the process as  
16 we would have expected in response or in the  
17 aftermath of the issuance of Generic Letter 97-01.  
18 Nonetheless, in closing we concluded that the  
19 programs, had they been followed as required, they  
20 would have been adequate to have prevented this  
21 serious head damage. And I will say at this point  
22 as we go through these conclusions on programs and

1 processes is that the processes themselves even if  
2 they were not state of the art at that time were  
3 adequate to have prevented the damage, but  
4 implementation of them was less than adequate.

5 MR. MYERS: Again we are not saying that the  
6 program or process met the requirements. We are  
7 not saying that at all.

8 MR. LOEHLEIN: That's probably a good clarifier  
9 here. As far as a rigorous root cause analysis  
10 technique, the real measure for adequacy is not  
11 whether it meets all requirements; it's whether it  
12 would have succeeded in preventing the unintended  
13 outcome, which in this case was the damage to the  
14 head. And so if you purely apply the process,  
15 that's the definition of adequacy and that's the  
16 one we used. So you will see us comment today in  
17 two ways. One, we will recognize that our  
18 processes in some ways were not everything they  
19 should be, but we may still have concluded had they  
20 been followed as required they would have been  
21 adequate to have prevented the event. If you don't  
22 have any questions on this at this point, I will

1 move on to handling tech information.

2 Handling technical information is on  
3 slide 19. We evaluated using the MORT technique.  
4 Now, what this really examined is how is information  
5 received and how is it processed and ultimately  
6 incorporated into the site processes. And in this  
7 case what we looked at was how the station performed  
8 through the history of industry knowledge with boric  
9 acid. So this took us back into the 1980s. And  
10 really it was the reason why our earliest date  
11 points on our causal factors chart went to the  
12 1980s when issues on boric acid were first being  
13 communicated of relevance.

14 The next slide shows our conclusions in  
15 that regard. In this case also we concluded the  
16 process itself for disseminating and incorporating  
17 technical information was adequate; personnel  
18 failed to correctly apply key industry information.  
19 By way of example, really what we found is only  
20 certain elements of the information would be  
21 incorporated in the process. As an example, the  
22 fact that dry boric acid on a hot component like a

1 reactor pressure vessel head would not by itself  
2 cause corrosion was understood by the organization.  
3 But the associated potential concern for corrosion  
4 if boric acid was wetted from beneath was not  
5 adequately captured. That concept was not captured  
6 by the site.

7 Another key item was the heavy reliance  
8 by the site on the fact that nozzle leakage was a  
9 low probability for them as a reason to not be  
10 concerned was also another key ingredient. Low  
11 probability meant low concern.

12 The next thing we looked at was the  
13 corrective action program. Again in this case a  
14 primary evaluation tool was the MORT technique.  
15 And we did use some change analysis with it as  
16 well. In this case what we chose to do is break  
17 the process up into steps that are clear. In a  
18 corrective action program process what you have is  
19 an initiation step by the person who identifies it,  
20 there is an initial operability review done by the  
21 control room, and then after that there is a review  
22 by management for categorization. It's given an

1 initial category and gets another review for  
2 categorization. From there it goes to someone who  
3 works on it, determines the cause and corrective  
4 actions to be taken for it. And then on the back  
5 end of the thing is the process should provide a  
6 means for trending and determining effectiveness.

7 Now, our primary focus for quite a few  
8 condition reports, some of them are referred to as  
9 potential conditions adverse to quality which is a  
10 term that was used at the site before the MORT.  
11 Now, the common term condition report is used  
12 generically really for both types of forms. We  
13 looked at the issues of boric acid on the head, the  
14 containment air cooler cleaning frequency issues,  
15 the plugging of the radiation monitor filters. We  
16 looked at the panel handling of the pressurizer  
17 spray valve, RC 2, and we looked at the reactor  
18 coolant system unidentified leakage, those five  
19 major areas for condition reports.

20 Slide 22. Once again the process was  
21 found to be adequate to find and fix problems. In  
22 all these cases there was an adequate number of

1 condition reports generated to have resolved these  
2 issues. They were adequately identified and  
3 documented as nonconforming conditions. However,  
4 implementation was less than adequate. Personnel  
5 at all levels did not effectively implement the  
6 corrective action process. It started off at the  
7 front end in which operability impact was under-  
8 estimated. Categorization did not recognize the  
9 significance adequately. The low categorization  
10 lent support to shallow cause analyses. And the  
11 corrective actions, therefore, tended to focus on  
12 symptoms, cleaning, for example, of containment air  
13 coolers rather than trying to eliminate the cause.  
14 And trending of recurrent equipment problems was  
15 not effective either.

16 MR. JACOBSON: Steve, before you go on to the  
17 next evaluation, you mentioned that there was a  
18 sense that this was a low probability. And I am  
19 curious as to what did you find as the basis for  
20 that feeling on site?

21 MR. LOEHLEIN: It was a reliance on analytical  
22 support that the probability of a leak was low. In

1 our interviews and so forth that is the feedback  
2 that was received. And the interview record is  
3 that the probability of a leak was low because of  
4 the plant's relative age.

5 MR. DeSTEFANO: More specifically it was known  
6 and well documented -- I am including by Commission  
7 documents -- that cracking will occur at some point  
8 in time. So the industry documents specifically  
9 done by the owners group for these design plants  
10 went ahead and tried to specifically analyze when  
11 cracking would occur, under what conditions, and  
12 who was most susceptible to it. When the station  
13 heard the good news piece being this is an age-  
14 related item -- believed to be at the time -- and  
15 the station is one of the younger ones, we will see  
16 it elsewhere first. So the pressure on keeping the  
17 attention on that was backed off waiting for other  
18 folks to find it first.

19 MR. JACOBSON: This is a B&W report?

20 MR. DeSTEFANO: Correct.

21 MR. LOEHLEIN: Thank you, Mario, for that  
22 clarification.

1 CHAIRMAN GROBE: I am not sure that completely  
2 answers the question. The probability of most  
3 untoward issues to occur is very low. I mean the  
4 plants are designed well, they're maintained well.  
5 So the probability of unlikely things that occur,  
6 unacceptable things to happen, all unacceptable  
7 things, is very low. There's got to be another  
8 piece to that. It went beyond a recognition that  
9 the probability is low to a level of it can't  
10 happen, a complete denial because the evidence  
11 was clear that there was something going on. And I  
12 think you indicated that the corrective actions  
13 from your RC 2 should have allowed the people to be  
14 in a position to recognize that evidence and they  
15 didn't. So they didn't have a recognition that it  
16 was low. It seems like there was something more,  
17 like a recognition that it's not going to happen,  
18 it's zero.

19 MR. DeSTEFANO: We had evidence of both at the  
20 station, Jack. From most interview data the  
21 pervasive attitude was that it's not going to happen  
22 here.

1 CHAIRMAN GROBE: Okay.

2 MR. DeSTEFANO: However, the folks who were  
3 responsible for responding to condition reports  
4 understood what was going on in the industry, and  
5 they realized that the possibility of cracking is  
6 there. However, it's okay for now to leave the  
7 boric acid on the head because that's the context  
8 where we were talking about the leakage underneath  
9 the boric acid. And that was where the failure  
10 was. They decided it was acceptable to leave the  
11 boric acid there without proving that there was no  
12 leakage at the time, instead relying on, well, it's  
13 still early in this issue and we probably don't  
14 have any leakage yet. So that's the context of how  
15 that was justified.

16 MR. LOEHLEIN: I think the other piece of it  
17 was this selective understanding of the technical  
18 information that the hot head was going to mean it  
19 would not result in corrosion anyway. That was the  
20 other piece of it, I believe, Mario.

21 MR. JACOBSON: Was this consciously used then  
22 to arrive at the position that you didn't have to

1 look, that you didn't have to look at the head, you  
2 didn't have to inspect under the head? Was that a  
3 key to concluding that?

4 MR. LOEHLEIN: You use the term consciously.  
5 I mean in our type of investigation we really are  
6 never in a position to judge peoples' motivations.  
7 We certainly can tell by the end of this  
8 investigation that -- and that's what we're leading  
9 up to -- that the organization had a mind set of  
10 supporting this production focus and what nuclear  
11 safety meant to them in their minds. And if I was  
12 going to characterize it collectively, it just was  
13 a -- it was a culmination of factors. We see a  
14 less than adequate rigor in assessing the technical  
15 issue and so many other pieces that fit together  
16 with not having the right nuclear safety focus.  
17 Jack pointed out, sure, a lot of the nuclear safety  
18 issues are low probability. That doesn't mean they  
19 can't -- they aren't treated as real  
20 possibilities. That's our job to do that.  
21 Anything you can add to that, Mario?

22 MR. MYERS: I also think we wrote the safety

1 evaluation back in, I think, '88. Then 97-01 came  
2 out. If you look at the documents that were signed  
3 off, this is not a nonconformance or stuff like  
4 that. It was never a recognition that there was a  
5 commitment to 97-01 and the items in 97-01. It was  
6 like it was not a regulatory requirement. And we  
7 got to the point -- Meeting the regulatory require-  
8 ments is okay. We got to the point where they were  
9 justifying meeting the regulatory requirements not  
10 realizing that it was a regulatory requirement.  
11 These are things that -- I don't think we ever  
12 recognized 97-01 as a regulatory requirement,  
13 something we committed to and internalized. Is  
14 that fair?

15 MR. LOEHLEIN: Yes.

16 MR. DeSTEFANO: It's also true with 88-05  
17 also.

18 MR. DYER: Steve, I am having a problem. I  
19 don't know if it's terminology or what. I don't  
20 know that I really understand what you mean by  
21 hazard assessment process.

22 MR. LOEHLEIN: We didn't get on that slide

1 very much yet. It's been up there, but we have  
2 been kind of backpedaling here.

3 MR. DYER: I didn't know if you had gone to  
4 that.

5 MR. LOEHLEIN: That will be our next slide. I  
6 am doing a mental check. What slide are we on?  
7 We're on 23, the hazard assessment process. I will  
8 talk about that next.

9 CHAIRMAN GROBE: Any other questions? Okay.  
10 Go ahead, Steve.

11 MR. LOEHLEIN: Okay. Now, the hazard assess-  
12 ment process within MORT can be looked at from  
13 personnel safety, and it can also be looked at from  
14 other ways as we did in this case which is nuclear  
15 safety. And our focus was really treatment,  
16 10CFR50.59, a safety evaluation process which all  
17 of us in the industry are aware of. This is what  
18 we do to examine nuclear safety from the  
19 perspective of how risks are analyzed for their  
20 significance. So again in this case our focus was  
21 on the 50.59 process in two ways. And that is the  
22 process itself, and the other thing is how do you

1 know when you're supposed to begin that process.

2 MR. MYERS: I call this decisionmaking, you  
3 know. When you have a problem and you get in the  
4 50.59 process, are you meeting your licensing  
5 basis, your design basis? You have to ask all  
6 these questions to determine if you are. And it  
7 seemed like we didn't even go to that process, you  
8 know. We're not asking these questions. Rather  
9 than doing that we were justifying why something  
10 was operable. Is it nonconforming? We still are  
11 meeting our license basis. Why is it operable  
12 instead, you know? That's what this does,  
13 decisionmaking. Is that fair?

14 MR. LOEHLEIN: Yes. What we did here we  
15 looked back in time all the way back to the '80s  
16 timeframe up until the late '90s and into the  
17 current process. And we concluded that once again  
18 the hazard analysis process itself, 50.59 if you  
19 will, contained the necessary elements to ensure  
20 that the design licensing basis was maintained.  
21 What changed over time was the process described  
22 and required for entering that evaluation process

1 became less restrictive over time. And Mario is  
2 going to be able to expand on this some because he  
3 investigated this, he and another guy in quite some  
4 detail. But what we found was in the late '80s and  
5 early '90s the recognition of the applicability of  
6 the safety evaluation to issues like boric acid on  
7 the head and so forth were recognized and the  
8 process was entered, and these types of things were  
9 treated as potential nuclear safety issues.

10 Whereas by the late 1990s -- and we will go into  
11 the areas later, the issues with the containment  
12 air coolers and radiation monitor filters and the  
13 boric acid on the head -- the concept that the  
14 safety evaluation process needed to be entered  
15 wasn't even considered by the organization. Mario,  
16 you want to say some things about that change in  
17 time?

18 MR. DeSTEFANO: Yes. Basically the process  
19 and the structure for performing safety analysis  
20 has been present at the station constantly. And  
21 then again it's one of those processes that if  
22 applied would work. What we saw in our investi-

1 gation were several times -- One, for instance, in  
2 1987 when after having some leakage of steam  
3 generator penetrations -- I am sorry, pressurizer  
4 penetrations, the plant manager specifically  
5 requested an independent safety engineering group  
6 to perform analysis of the effects of that kind of  
7 leakage. So they went off and applied safety  
8 analysis techniques to that issue. And there is a  
9 good example of did the station understand that  
10 boric acid issues were there early? Yes, because  
11 they extensively referred to information known as  
12 86-108 in that report and said basically they  
13 didn't find any problems with the current conditions.  
14 However, under even very hot metal conditions boric  
15 acid -- severe boric acid corrosion could occur if  
16 there is also an active leak underneath it or a  
17 leak of sufficient quantity to where it cools the  
18 base metal to the state where it becomes a very  
19 aggressive corrosion rate.

20 Another example would be in 1991 there  
21 was boric acid found on a reactor vessel head due  
22 to control rod drive flange leakage. That was

1 identified using the corrective action process at  
2 that time. They were the potential conditions  
3 adverse to quality. That process had a waiting  
4 factor system in it to where the analysis of the  
5 issue itself was applied a rating based on its  
6 significance right up front, and the higher the  
7 rating the more stringent the evaluation and  
8 analysis techniques that would be applied. And  
9 that full condition report was, in our view, done  
10 the way they all should be done. A 10CFR50.59  
11 applicability review was performed, all questions  
12 were no, so a safety analysis was not performed.  
13 The item was determined to be rework. They removed  
14 all the acid from the head, fixed the flange leaks  
15 and started the unit back up leak free without any  
16 boric acid or any conditions that hadn't been  
17 evaluated.

18 Now, what happened, though, in the later  
19 years, in the mid-'90s and 2000, you don't see that  
20 occurring any more when a condition report identifies  
21 leakage on a reactor vessel head. So that was the  
22 stark contrast. And what we found is that even