

1 though the base procedure for performing analysis
2 was still there, the procedures that fed into that
3 were no longer as explicit as they used to be. The
4 older procedures gave examples on when you would go
5 into safety analysis review. They didn't always
6 give you a list. They just gave you the types of
7 situations you might be in where you want to go
8 verify that your design analysis is still adequate,
9 that you are not giving someone an answer that's
10 contrary to your design basis. And in the later
11 years the procedures became less explicit, didn't
12 have examples, didn't have discussion on when you
13 would go out into the safety analysis base. And
14 then, interestingly enough, those other procedures
15 also had less review and approval signatures
16 associated with their processes. So less people
17 had the chance to be another barrier and ask folks
18 to go off and do more thorough analysis. So there
19 definitely were examples where the station
20 understood what was going on in the industry, they
21 were very active and interfacing with the owners
22 group associated with the concerns with both

1 primary water stress corrosion cracking and the
2 boric acid corrosion. However, when it came time
3 to analyze their own problems, that's when they
4 fell short.

5 MR. MYERS: Haven't we also found some cases
6 where -- At our Davis-Besse plant don't we have
7 some guidelines that are different than our other
8 plants?

9 MR. LOEHLEIN: There's an implementation guide
10 for that kind of a process, right. Bobby can
11 probably answer that more specifically coming from
12 Davis-Besse. But it's the guidelines talking about
13 implementing the corrective action program.

14 MR. VILLINES: Right. We do have a guideline
15 which implements the FENOC common process in
16 general, general portions of that. We're taking
17 some of the industry guidance and expanding upon
18 what's in the guideline to a large degree.

19 MR. LOEHLEIN: I think that's where we had the
20 concern about the categorization levels and so
21 forth. Particularly, I think, in effectiveness
22 reviews and in the equipment trending is where we

1 had issues with the guidance.

2 MR. VILLINES: Yes.

3 MR. MYERS: So we see issues that we think

4 we'd classify as more significant at our other

5 plants that were classified as conditions not

6 adverse to quality at our Davis-Besse plant.

7 CHAIRMAN GROBE: I am still struggling with

8 the connection between the safety evaluation

9 process and the 50.59, what you said, Lew, a few

10 minutes ago; and that is routine day-to-day

11 decisionmaking and how you approached that. Could

12 you help me understand the connection between 50.59

13 and decisionmaking on a day-to-day basis?

14 MR. DeSTEFANO: Well, you're going through the

15 same struggle that we did applying the MORT process.

16 Since the MORT process is very rigorous, we really

17 wanted to use its rigor to help us analyze as many

18 of these situations as we could. So the hazards

19 analysis branch of MORT was the closest technique

20 that we could find to really pushing the safety

21 review portion of this. And that's why, as Jim

22 pointed out, the terminology is a little rough.

1 But we're basically using some of the terminology
2 from MORT; however, rather than its original
3 intention which appears to me to be if you had an
4 industry accident, you are trying to figure out
5 what is the hazard. Maybe it's an oxygen deficient
6 atmosphere. The MORT wording fits perfectly to
7 that. In our case, though, the questions were
8 perfect for taking us down the road of safety
9 evaluation. So we utilized that branch of the
10 system. So that's why we're calling it hazard
11 analysis synonymous with safety analysis in 50.59.

12 MR. DYER: I guess in the way I understand it,
13 the way you are saying that it sounds to me like
14 this is understanding and using your licensing and
15 safety basis for your plant.

16 MR. MYERS: Yes.

17 MR. LOEHLEIN: Yes.

18 MR. DeSTEFANO: That's it.

19 MR. MYERS: That's it.

20 MR. DYER: The age old question we wrestled
21 with in the '90s was do licensees fully understand
22 what the licensing basis is for their plant.

1 MR. MYERS: What you see is we spent a great
2 deal of time where it appeared we really understood
3 that and you can see it in the quality of documents
4 that you reviewed. And then in the mid-'90s the
5 quality of those documents go from let's do a
6 safety evaluation to see if this is a problem to
7 justifying why the thing is operable. So you see
8 it's a very significant change in the level of
9 detail and understanding and your decisionmaking
10 process to get there.

11 MR. DeSTEFANO: I guess one of the most direct
12 examples is the -- I am trying to get my timing
13 correct here. I believe it was after Bulletin
14 97-01 when the -- No, it was earlier than that. I
15 can't remember the date. However, there was a
16 safety evaluation presented to the Commission on
17 behalf of the B&W owners group that the station
18 adopted. And basically it said in that safety
19 evaluation that the issue of cracking is not a
20 short-term issue and the visual inspection that is
21 required by Bulletin 88-05 would identify a
22 cracking if it did occur. Then when the station

1 found leakage and had boric acid on the vessel
2 head, a condition report response justified
3 operating with boric acid on the head and acid on
4 the head without performing an examination of
5 surfaces below it. That was obviously contrary to
6 the safety evaluation that had been submitted
7 previously. And no analysis or justification was
8 performed in the 50.59 space. It was just a
9 discussion in the condition report response that
10 said because of the high temperature it's okay to
11 leave the boric acid there. So that's an example.

12 MR. JACOBSON: This was a 1993 safety
13 evaluation, B&W?

14 MR. DeSTEFANO: I believe so. I think it was
15 early '90s.

16 MR. LOEHLEIN: And I think the condition
17 report you're referring to is a '96 timeframe.

18 MR. DeSTEFANO: Correct. 551, yes.

19 MR. JACOBSON: I think I heard you say that
20 you found a deterioration of your 50.59 process in
21 the mid-'90s. Did I hear you say that?

22 MR. LOEHLEIN: Not the process itself.

1 MR. DeSTEFANO: No, it was the procedures --
2 say the condition reporting procedures that would
3 tell you to go perform a 50.59 review. The
4 deterioration was in the condition reporting
5 procedure.

6 MR. LOEHLEIN: The entry dates to the process
7 that you rely on to apply. Once you were in the
8 process that was not really the problem.

9 MR. DYER: I guess following that same line of
10 reasoning I had a question regarding the overlap if
11 you would between handling the technical infor-
12 mation and then the hazard assessment process as it
13 would relate, say, to the 50.59 issue. And the
14 question I have is -- one is are you also saying
15 that you aren't -- that once you make a response
16 to, say, a piece of technical information or evaluate
17 a generic letter or an info notice or bulletin or
18 some sort of generic industry communication that
19 you don't keep track of it as to what you said
20 originally or whether or not you later on crossed
21 the threshold of the area of concern that's raised
22 in that technical information?

1 MR. DeSTEFANO: We found both cases. Obviously
2 the station has a tracking system for commitments,
3 and it's used. But we found some cases where
4 commitments were not entered into that system after
5 responding to bulletins. So yes, the information
6 that was documented previously was not bounced off
7 of what the current line of thinking would be.

8 MR. MYERS: We have a document we use at two
9 of our other plants called Tech 19. When we get
10 into if we classify a CR correctly to high level,
11 we go through a decisionmaking process that kicks
12 us out all these issues. The same document was not
13 used at Davis-Besse. And it drove us into doing a
14 more stringent safety analysis when we found this
15 problem. First, we would have had to classify it
16 properly. Second, we would have had to go through
17 the right questions and answers. It's just a check
18 sheet we use to make sure we go down the right
19 path, you know. We went just the opposite here.

20 CHAIRMAN GROBE: So you are not actually
21 talking about formally entering 50.59. What you're
22 talking about is in making decisions and evaluating

1 hazards, considering the types of issues that 50.59

2 would require of you?

3 MR. MYERS: Right.

4 MR. LOEHLEIN: That's it.

5 MR. MYERS: That's it.

6 CHAIRMAN GROBE: On all of these CRs or most

7 of them I would think the answers to the screening

8 questions for 50.59 would be no and that you

9 wouldn't do a safety evaluation.

10 MR. LOEHLEIN: Right.

11 CHAIRMAN GROBE: What you are saying is using

12 those concepts, whether or not the staff uses those

13 concepts in decisionmaking.

14 MR. MYERS: Right.

15 MR. LOEHLEIN: That's correct.

16 MS. LIPA: I guess I was thinking of it

17 differently. For that one example, the '96 CR, are

18 you saying that that B&W owners group became part

19 of your licensing basis and you later had a

20 condition that was different; it may have really

21 needed 50.59?

22 MR. DeSTEFANO: Well, let's see. It was not

1 directly referenced in the safety analysis report,
2 that response. It also wasn't placed in the
3 commitment tracking system. So it would not have
4 been considered design or licensing basis by the
5 reviewer. What we're saying is it certainly should
6 take the person down the path of evaluating what
7 the previous stance on these items are.

8 MS. LIPA: Okay. Thank you.

9 MR. LOEHLEIN: Okay? Now, Jack, I don't know
10 what you and your staff had in mind in terms of
11 potential break. But my sense is from putting this
12 together that going through the management oversight
13 and risk assessment part of this is going to take a
14 little bit of time. I would say my guess is twenty
15 minutes or so. And so if you want to take a break,
16 this might be the time if that's the kind of
17 timeframe we're talking about.

18 CHAIRMAN GROBE: Okay. Let's do that. Let's
19 take a break. Let's make it very short. Five
20 minutes?

21 (Following an interruption the
22 meeting was continued as follows:)

1 CHAIRMAN GROBE: Why don't we get started.

2 Okay, Steve, go ahead.

3 MR. LOEHLEIN: For everybody's interest we're

4 on slide 25. And we'll talk about data analysis.

5 We will take a minute to express the process we

6 used to ultimately understand the reason for the

7 errors in management oversight. And the way we

8 began our understanding of evaluating or under-

9 standing this started from the technical root cause

10 report. And that report identified plant conditions

11 that should have been signed as potential larger

12 problems. We have got them listed there. In that

13 original or technical root cause report -- it was

14 figure 26 -- it talked about reactor coolant system

15 unidentified leak rate, containment radiation

16 monitor filter plugging, frequency of containment

17 air cooler cleanings, and boric acid accumulations

18 on the head. And it showed in the timeline which

19 went from about 1995 to 2002 how those things were

20 going on. And what we did from that initial

21 understanding, we saw some patterns and we decided

22 to look at along with other things the pressurizer

1 spray valve we talked about, how that was handled
2 by the station prior to the time that the corrosion
3 of the fasteners was found and turned into an event.
4 We examined these issues as missed opportunities
5 from the perspective that they were performance --
6 human performance errors but at the management
7 level. We first started to examine these as task
8 performance errors.

9 Slide 26. Originally I put this slide in
10 ahead of the figure that was next. And having
11 thought about it, I really think it would be better
12 if we look at this after we look at the figure
13 which is on sheet number 27. In the room here we
14 have a large poster-sized hard copy of this. The
15 staff has 11 x 17s, and I think there were probably
16 some extra copies available to those in the room.
17 This will appear as part of the report on a small
18 sheet on 8 1/2 x 11. What I am going to do with
19 this, I am going to take a little bit of time and
20 describe to everyone how this is laid out. It's a
21 variation of that figure 26 that was in the
22 technical root cause report but in this case

1 provides some differences in information.

2 I would like to start with -- I have got

3 a pointer here. You won't be able to see it real

4 well on the overhead it looks like. But what this

5 is here for those that are looking at the camera --

6 because I don't think we can see this paper in the

7 corner here -- this is the timeline. These blue

8 lines come from the refueling or the operating

9 cycles at the bottom. At the top we have these

10 kind of blue-colored or turquoise-colored bars.

11 That is the time period. And then going back here,

12 this is about 1995 where it starts. And those are

13 quarters you see, you know, three months to a

14 quarter type of thing. And they're showing you the

15 RCS unidentified leak rate right there over that

16 time period. And you will see right here in the

17 1998 timeframe there was an increasing rate of the

18 unidentified leak rate. At that time -- you can't

19 read it there too well -- but there was a pressurizer

20 code safety valve that had a seat leak. And we'll

21 talk about what happened with that. The plant took

22 a midcycle out of its year, and thereafter the

1 unidentified leak rate did reduce significantly
2 but, as you can see, did not diminish to the point
3 of the low levels that were seen prior to that. As
4 we know now from the technical root cause, it was
5 in this timeframe that we now understand the
6 significant corrosion of the head was starting
7 which would have been consistent with an increasing
8 leak rate as well.

9 As you proceed down here these blocks
10 present information on how the station was dealing
11 with the unidentified leak rate. The yellow bands
12 there represent information that's again repeated
13 from a technical root cause. It talks about how
14 frequently we were changing the filters on the
15 radiation monitors to deal with the plugging from
16 boric acid and iron oxide. Below it right here are
17 blocks to describe what the station was doing in
18 response to it. Down here is the frequency of
19 containment air cooler cleanings that was occurring
20 mostly in 1999 and since. One of the patterns you
21 can pick up here is the frequency tends to just
22 disappear toward the end of the fuel cycle when

1 boric acid in the system is significantly diminish-
2 ing in concentration. And here's the blocks that
3 provide information on that. The green down here
4 did not in any way appear this way on the technical
5 root cause analysis of cause. It describes the
6 station's response to the pressurizer spray valve
7 problems. And then in these blocks here there's a
8 description of what was found on the reactor head
9 in each of the refueling nozzles. I will try to
10 add some understanding to this. These colored bars
11 down here, you will see the blocks up here for the
12 rad water filters have red bands around them, and
13 then the containment air coolers have blue or
14 purple. I don't know how you see it where you are
15 looking. And then the green down here, that shows
16 the time period over which the station was dealing
17 with these. And from this or this kind of
18 combination, this timeline, the thing that really
19 becomes clear is in this timeframe, the 1998, '99,
20 2000 timeframe, the unidentified leak rate was
21 really unexplainably high. We had these other
22 three things happening at the same time, and we had

1 12RFO, we had the significant buildup of boric acid
2 on the head that was inconsistent with the amount
3 of flange leakage that was experienced at the
4 plant. The CRDM flange leakage that was reported
5 was very minor, yet the amount of boric acid on the
6 head was significant. So it was at this point in
7 this evaluation that the team decided that
8 evaluating this as a task performance error on the
9 part of the organization was not going to be
10 fruitful by itself. Because really the question to
11 be asked here is in light of all of these concur-
12 rent circumstances, why didn't the organization
13 recognize the significance.

14 And now if we can back up just a minute
15 to slide 26, the thing we picked up from this
16 pattern-wise is now we listed twenty-two condition
17 reports. But it was twenty-two just from boric
18 acid on the head, containment air coolers and rad
19 monitor filters, just from those three things. We
20 actually had added to those the unidentified leak
21 rate issue and the RC 2 pressurizer spray valve.
22 In all of those this pattern is repeated. It's the

1 same one that we talked about in the corrective
2 action program. Operability and operational
3 impacts were underestimated, the categorization of
4 the condition reports was low, there were no root
5 causes really called for to be performed on these
6 issues and no collective significance recognized.
7 Some of the corrective actions were deferred or
8 they just treated the symptoms. And except for the
9 unidentified leak rate, there was no visible senior
10 management sponsorship of resolving it here. So
11 where this really sent us, what we said that we
12 really need to evaluate here is not peoples' errors
13 in performing tasks. This is really a question
14 of -- and now we will go to slide 28 -- it's a
15 question of risk management. This is a case where
16 the organization did not recognize the significance
17 of the plant condition.

18 So the concern here was why didn't we
19 recognize it. And the way we approached that is we
20 took the conclusions from the other sections that
21 you have heard about today, the technical information,
22 the way we used 50.59, corrective action program

1 and all those, fed that information into this,
2 added to it some additional MORT analysis that we
3 did in assessing management policies and incentives
4 and numerous interview insights that we got. We
5 put that all together and evaluated it under the
6 MORT section that's called risk assessment and
7 formed the following conclusions: At the beginning
8 of the mid-1990s the management focus became one of
9 production concerns. What we found was there was
10 a -- First of all, it was a single unit utility.
11 There was a belief that it was fighting for its
12 survival. Cost control became a big concern. At
13 this same time the rigor in assessing issues for
14 their potential impact on nuclear safety diminished.
15 There was a management team -- senior management
16 team in place at the time which developed a
17 philosophy that compliance meant safety. Head
18 issues, for example, were never resolved because
19 they were interpreted as not to be compliance
20 issues. Containment air coolers, the rad monitor
21 filters, the pressurizer spray valve, these
22 equipment problems were all managed rather than

1 resolved because requirements for operation could
2 be met by managing them rather than resolving them.
3 We had a management style in place that was less
4 directly involved and really relied on subordinates
5 to escalate concerns.

6 I guess I would like to take some time
7 now and describe some contrasts. In 1992 -- we
8 talked about this briefly earlier -- containment
9 air coolers were flooding. At that time one of the
10 issues that was identified was a leak on a head
11 vent line. There was extensive root cause done on
12 that, a good one. There were engineering reviews
13 done at the time that the containment air coolers
14 were flooding that went into significant detail
15 about the current conditions of lake temperature
16 and all the factors important for operations to
17 understand how to ensure that that system was
18 operable, how to keep it operable, and how to deal
19 with the situation so it could be fixed. When the
20 containment air cooler plugging situation occurred
21 in 1998, six years later, there was no new
22 engineering work applied to that. In fact, a

1 criteria that talked about what plenum pressure
2 would keep the system operable was just directly
3 applied with no question as to its applicability.
4 We also had interview information that told us how
5 differently the situation was handled in terms of
6 the approach to issues. We got a lot of anecdotal
7 stories from people saying that senior management
8 at the time in the early '90s if they heard about
9 boric acid on the head wouldn't talk about it, just
10 insisted it be cleaned off and done so
11 immediately. Contrast that to how this station
12 dealt with it in the late '90s. There was a
13 question about dose and how does dose factor into
14 this. What we found was this dose -- and I will
15 ask for help from my colleagues here if I don't
16 recall this correctly -- but the real -- the thing
17 that was unique about how dose, dose almost became
18 a production-related type of thing. Dose was
19 viewed as owned by the health physics department.
20 Health physics would allocate the amount of time to
21 do a certain job based on the goals for dose. And
22 it ended up being a situation where dose was another

1 indicator being managed. In fact, the containment
2 air coolers and the fact that they were plugging
3 were treated as an issue for this station from the
4 health physics perspective because the containment
5 entries and the cleaning was causing people to take
6 dose. And that was, we could tell, the most
7 important concern. We had to clean the coolers so
8 much so that the equipment was bought that would
9 allow them to clean it more quickly. I don't know
10 if that answers your questions about dose, but dose
11 itself was not -- beyond that kind of understanding
12 was not a player in the root cause for this event.
13 I forget who on the NRC -- Jack, you had a
14 question about dose?

15 MR. GROBE: Yes.

16 MR. LOEHLEIN: That was a perspective on dose.
17 You want us to comment beyond that?

18 CHAIRMAN GROBE: Let me just ask a question.
19 You indicated that dose became somewhat of a
20 production -- became a production-oriented concept.

21 MR. LOEHLEIN: For the people involved it was
22 their performance indicator. Mario says he can

1 help me out on that too.

2 MR. DeSTEFANO: That was definitely another
3 performance indicator. So that was our correlation
4 to production. The folks during an outage had a
5 goal, incentive goal that was associated with
6 minimizing their dose. So the RP tech in the field
7 can control the dose of the station by how much
8 time they allowed a person to be on the job. And
9 interviews that were conducted asked okay, if there
10 wasn't enough dose allowable to perform a function,
11 what happened next? Did the workers leave the
12 area, go and set up a recovery plan and reenter
13 with a new plan? And the answer that we received
14 was no, RP didn't hear about it. Nothing was
15 escalated through their chain of command to help
16 resolve any issues between what work had to get
17 done and how much dose was going to be -- how much
18 dose it would take to perform those functions. So
19 unfortunately control of dose became simply
20 associated with meeting a goal rather than
21 performing in the ALARA fashion to accomplish
22 performing a task that had to get done.

1 CHAIRMAN GROBE: So, in fact, dose became a
2 criteria for not completing a job.

3 MR. DeSTEFANO: Exactly.

4 MR. LOEHLEIN: It became a force where workers
5 needed to overcome it. Like in 12RFO, ultimately a
6 significant amount of dose was used in attempts to
7 clean the head. I think it was 1600 milligram was
8 the number and 280 or so man-hours involved in
9 attempting to clean the head. So when ultimately
10 the decision was made to do all that could be done,
11 dose was expended. But whoever had that job had to
12 overcome that barrier. What we saw was there
13 wasn't -- managing dose didn't appear to be a team
14 effort in trying to get the job done and minimize
15 dose at the same time. It was more a case where
16 dose was kind of a more direct goal and could to
17 some jobs represent a restriction to getting it
18 done. Is that clear?

19 MR. DeSTEFANO: A fair characterization.

20 MR. MYERS: At our other plants, you know, the
21 two I have been at, if you look at our dose during
22 an outage, we all have dose goals. But when we get

1 to 9% of, say, an estimated goal, we'll stop and
2 figure out if we didn't improve the dose some way
3 or reallocate dose somewhat, let's not do the job.
4 That's a little different mentality.

5 MR. DYER: Did you have the same mentality
6 also, say, with the outage schedule? If you had a
7 job that said clean the vessel head and it was
8 allotted, I don't know, 48 hours in the slot, at
9 the end of 48 hours if it wasn't done, was it --

10 MR. DeSTEFANO: We found that specific case in
11 one outage. And that was the outage where the
12 attempts were being made to clean the vessel head.
13 However, one of the major factors was it was time
14 to reinstall the vessel head, and also the folks
15 involved with the activity believed that they could
16 not successfully accomplish it with the equipment
17 they had on hand and had done enough for that
18 particular time period.

19 MR. LOEHLEIN: Yes. I really think that it
20 was two-fold.

21 MR. DeSTEFANO: It was a combination.

22 MR. LOEHLEIN: It wasn't just simply the dose

1 aspect. If you talk to people you will find there
2 was really no way else to do it at this point to
3 make it any better anyway. So in terms of their
4 preparation -- Some of these issues of outage
5 pressure may reflect more on outage preparation,
6 were the right contingencies in place to have taken
7 care of it rather than just at the time say well, I
8 am not getting enough time. So that type of issue
9 came up. People felt it from time to time. But in
10 terms of a direct impact, we found as much infor-
11 mation that told us that what preparations we made
12 and the tools that we had had been used to the
13 extent they could be, and so that was as far as it
14 went, that outage.

15 MR. MYERS: What we did find in the situation
16 at the beginning was we found the boron, went to
17 clean the head, we gave them some extra dose and
18 some extra time.

19 MR. LOEHLEIN: It was certainly in 12RFO. It
20 happened a number of times in 12.

21 MR. DYER: When a decision is made to leave
22 work undone -- this goes back to your hazard

1 analysis -- are the potential consequences of the
2 as-left condition evaluated whether or not it's
3 acceptable?

4 MR. LOEHLEIN: That was not done in this
5 case. No, that was not done.

6 MR. MYERS: That was not done.

7 MR. LOEHLEIN: The other thing we did in
8 evaluating this conclusion here was we took a look
9 at the management team in place at the time in the
10 late '90s and patterns in their beliefs about what
11 represented safety. And that's where we got a
12 clear message that things like the head issue would
13 have been dealt with from a mod perspective and so
14 forth had it been identified as a compliance issue.
15 And we see that pattern in the belief structure of
16 the management team that, you know, compliance equals
17 safety. And it was compliance as they understood
18 it. And that's part of the loss of safety focus.
19 Nuclear safety goes beyond just what the picture is
20 of compliance. I think all of us in the industry
21 know that.

22 MR. MYERS: We have some fans. They are for

1 containment. They didn't work. So we did an
2 engineering evaluation to find out why we didn't
3 need it rather than repair it, you know? So you're
4 just eating up your margin. We repair it today and
5 put a new motor on them and put them back in service.
6 It was like can we justify we don't need them. And
7 the analysis, we do an analysis, that's fine. So
8 we lost margin there. We met the requirements.
9 MR. LOEHLEIN: So the results of this pattern
10 or this change in focus show on slide 30. We found
11 cases where the plant was restarted to run for
12 extended periods with some degraded components.
13 The ones that are obvious are the pressurizer spray
14 valve RC 2 which the plant decided to run it,
15 manage that leak, do a little repair. Then the
16 containment air coolers were plugging. That was
17 tolerated until they had been cleaned seventeen
18 times at the same time that a high unidentified
19 leak rate was tolerated and turned out to be near
20 the tech spec limit, .8 gallons per minute. So
21 plant behaviors represent this production focus and
22 this loss of safety focus.

1 We also found through a lot of interviews
2 that personnel performed with the philosophy that
3 issues were not considered serious unless they were
4 proven to be serious. That really wasn't the
5 standard for getting a high category assigned to a
6 condition report. Just the concern alone was not
7 enough to get a high category. People felt that
8 you had to demonstrate a direct impact to plant
9 safety, and this contributed to the low
10 categorization.

11 And finally while this was going on --
12 And the rigor I have described earlier, rigor in
13 some of the important processes was declining at
14 the same time. While all this was going on the
15 threat of a crack, a nozzle leak and potential for
16 corrosion to the reactor head itself was increasing.
17 The plant was aging, the nozzles were becoming from
18 a probability standpoint more and more likely to
19 have this problem. So those things crossed in
20 time. We see the end result is the corrosion to
21 the reactor head.

22 So that really completes the data analysis

1 and the conclusions from the data that I was to
2 present today. What I was going to move on to now,
3 Jack, is the actual root cause and contributing
4 cause statements that we developed.

5 MR. DYER: Steve, I guess that last bullet
6 that you talked about, rigor in processes decline
7 at the same time that the threat of head damage
8 increased, are you referring to the -- I mean
9 physically the age of the plant was getting worse.
10 Also there's becoming a greater and greater body of
11 industry information that's saying it's a problem.

12 MR. LOEHLEIN: That's true. But as we pointed
13 out, the failings here were that information was
14 selectively interpreted. So the threats were not
15 incorporated in a way that the organization was
16 able to use them. The rigor in processes declined
17 we talked about were varying types. In some cases
18 we talked about recognizing the entry in the
19 processes that are to evaluate nuclear safety
20 declined. But it was also true that the plant's
21 own rigor in implementing processes was declining,
22 weaknesses in following processes as they were

1 written was declining. And it came back to the
2 station taking on a less than adequate focus on
3 nuclear safety and doing what's necessary
4 apparently to run the plant.

5 MR. MYERS: So the piece of equipment was
6 degraded. As long as it met the minimum
7 operability requirements and didn't affect
8 production, it was okay. Is that fair?

9 MR. LOEHLEIN: I am sorry?

10 MR. MYERS: The piece of equipment was
11 degraded. As long as it met the operability
12 requirement we could justify that and didn't affect
13 production.

14 MR. LOEHLEIN: If it could be kept operable
15 within how compliance was interpreted and it could
16 be managed from a maintenance standpoint, it was
17 accepted. That's the fact here.

18 CHAIRMAN GROBE: Back on slide 29 you have a
19 comment rigor in assessing issues for their
20 potential impact on nuclear safety diminished and
21 then taking minimum actions to meet regulatory
22 requirements was interpreted to be adequate for

1 nuclear safety. But you said earlier that had you
2 implemented -- even though the boric acid corrosion
3 control procedure could have been better, had you
4 implemented it the way it was written, it would
5 have been sufficient.

6 MR. LOEHLEIN: Right.

7 CHAIRMAN GROBE: So you didn't comply with the
8 regulatory requirements to implement your procedures.
9 I think I heard, Lew, you just said that you were
10 taking the minimum actions to meet operability
11 requirements.

12 MR. MYERS: Right.

13 CHAIRMAN GROBE: But that didn't include
14 necessarily complying with your station procedures.

15 MR. MYERS: All of these are true.

16 MR. LOEHLEIN: Right. And taking the minimum
17 actions -- and I think I used the words earlier --
18 as that was believed or interpreted. For example,
19 it was believed that boric acid on the head was not
20 a compliance issue. Yet if you look at the actual
21 process that was in place, it required that boric
22 acid be removed and understanding the source of

1 leakage had to be determined. So once again it
2 wasn't viewed as a compliance issue, but certainly
3 compliance with the process should have been an
4 issue.

5 CHAIRMAN GROBE: And why wasn't it viewed as a
6 compliance issue?

7 MR. LOEHLEIN: Focus was wrong is what we
8 concluded. In other words, they did not recognize
9 it because their focus was on compliance just meant
10 that it was operable because we understand why it's
11 not a threat. So there's a real loss in understand-
12 ing how to apply those processes that are designed
13 to keep you on the straight and narrow.

14 MR. MYERS: For example, we documented that
15 the boron on the head since it was not -- it was
16 dry, it wouldn't deteriorate the head was not a
17 nonconformance.

18 MR. LOEHLEIN: Correct.

19 MR. MYERS: It was not a nonconformance.

20 Clearly if you go back and look at 97-01, you
21 haven't met the requirements.

22 MR. LOEHLEIN: That was the misstep. The

1 misstep is we stated it was not a nonconforming
2 issue, yet it was not recognized as that and it
3 was accepted. The condition should have been
4 supported by an evaluation as to why that still met
5 the requirements, and it wasn't done. And that
6 goes back to what I said earlier. We found we
7 really couldn't evaluate task performance errors
8 because it wasn't so much people were doing tasks
9 wrong as they weren't recognizing what was in front
10 of them. They weren't recognizing the risk. It
11 goes back to the focus, the loss of a safety
12 focus. And we did find that as evidenced by the
13 site participating in the corrective action program
14 that that pattern, that lack of recognition
15 extended to all levels of the organization. So it
16 was a site approach thing.

17 MS. LIPA: I have a question on that. I was
18 thinking about if there was less emphasis on repair-
19 ing items if you could justify operability. I
20 would think this might show up in this increasing
21 maintenance backlog or closing CRs too early. Did
22 you see any trends there?

1 MR. LOEHLEIN: Well, you know, this was a
2 pretty big investigation. Some of the trails we
3 couldn't expand on maybe to the extent that you're
4 questioning. But we did see some of that. We saw
5 cases where condition reports were counting on other
6 condition reports to answer a piece of the puzzle.
7 But when we went there, the other condition report
8 really wasn't covering that issue. So some deadends
9 there. So going back to cause analysis, there were
10 things, sometimes just facts stated that there must
11 be a leak in containment somewhere and that's the
12 cause for this, and then that's all that was said
13 about it. So we did see cases of superficial
14 review. As far as backlogs go and the impact to
15 backlogs, we didn't attempt to assess that.

16 MR. DYER: Let me ask on page 29 and on page
17 30 also in connecting the dots if you would or the
18 bullets. In particular it talks about -- the one
19 subbullet where it talks about taking minimum
20 actions to meet regulatory requirements was
21 determined to be adequate for nuclear safety adding
22 that at that time -- second bullet -- where

1 personnel performed with a philosophy that issues
2 were not serious unless they were proven to be. If
3 I connect the dots on that I come up with a solution
4 or a conclusion that says that your safety
5 threshold was geared towards unless the NRC drives
6 the issue, it's not going to be addressed by the
7 plant. I would like a comment on that.

8 MR. LOEHLEIN: Well, I would say that there
9 were a few times -- in the information we have a
10 few times where that perspective was seen by
11 certain people is that that's the way they looked
12 at it in some cases. They didn't believe that it
13 was a real technical issue. Their understanding of
14 it was flawed. Their opinion was well, if it
15 becomes regulatory driven we'll have to deal with
16 it, otherwise we won't. There was some of that.
17 But the real issue in terms of the philosophy of
18 proving the category was this became important even
19 from a standpoint of the performance indicators for
20 the station that looks at the effectiveness of the
21 corrective action program.

22 The corrective action program performance

1 indicators look at a couple things. One is it looks
2 at initiation. And it found, I think, the same
3 thing we found. Despite what some people think
4 about initiation, we saw plenty of condition
5 reports initiated. So we didn't see problems with
6 the organization identifying the issue. But the
7 rest of the things are looked at and the indicators
8 rely on the categorization being correct. Because
9 it talks about looking at the upper level condition
10 reports and seeing that they're handled properly.
11 So if they're categorized too low, the performance
12 indicator won't see them. And that's one of the
13 things we're recommending come out of this, that
14 the performance indicators, the things we measure
15 need to look at that to be able to tell whether the
16 organization is properly interpreting the potential
17 for a nuclear safety issue, not just a proven
18 nuclear safety issue.

19 CHAIRMAN GROBE: Okay.

20 MR. LOEHLEIN: So slide 31 is a restatement of
21 the management oversight root cause statement made
22 at the beginning when we talked about less than

1 adequate nuclear safety focus. The important thing
2 here is this combination of it wasn't just the
3 production focus. Production we understand. If
4 anything is assumed in the power business is people
5 would like to produce power. So the desire to
6 produce power is not an issue by itself. What is
7 important is combined with trying to meet minimum
8 actions for nuclear safety is a root cause here.

9 The root cause under the corrective
10 action program has a number of subbullets. The
11 overall root cause is that there was inadequate
12 implementation of the corrective action program.
13 The corrective action program required higher
14 categorization in some of these cases because they
15 were repeat events and so forth and that did not
16 happen, and some of the other things that are
17 listed there, addressing symptoms rather than
18 causes, categorization we talked about, we had less
19 than adequate cause determinations, less than
20 adequate corrective actions and poor equipment
21 trending.

22 Under technical rigor -- And, by the

1 way, these are under the four areas we mentioned at
2 the very beginning.

3 CHAIRMAN GROBE: Steve, part of the corrective
4 action program is identifying issues.

5 MR. LOEHLEIN: Right.

6 CHAIRMAN GROBE: After the 2000 outage, was it
7 identified that there were corrosion products in a
8 CR flowing out of the weep holes?

9 MR. LOEHLEIN: When you say after --

10 CHAIRMAN GROBE: During the outage?

11 MR. MUGGE: Yes.

12 MR. LOEHLEIN: Yes, there were condition
13 reports.

14 MR. MUGGE: 00-1037 documented that.

15 MR. LOEHLEIN: What didn't happen with that is
16 there was no evaluation or any follow-up evaluation
17 saying anything about the acceptability of that or
18 resolving it. I think the only plant response,
19 Bill, was that, right?

20 MR. MUGGE: Right.

21 MR. LOEHLEIN: It was identified on a condition
22 report.

1 MR. MYERS: As a matter of fact, there it is.

2 MR. LOEHLEIN: It's even on this chart here if
3 you go back to whatever figure that was. What
4 sheet is it?

5 MR. DeSTEFANO: 27.

6 MR. LOEHLEIN: 27? In this light I can't see
7 it on this small one.

8 MR. MYERS: It's this one here.

9 MR. LOEHLEIN: CR 00-1037.

10 CHAIRMAN GROBE: Okay.

11 MR. LOEHLEIN: We're on slide 33, root cause,
12 technical rigor. Here the root cause was failure
13 to integrate and apply key industry information
14 specifically as it relates to the boric acid
15 corrosion control program and to compare new
16 information to baseline information that came in.
17 This is a reference to examples like Generic Letter
18 97-01.

19 The root cause under program compliance,
20 some steps in the boric acid corrosion control
21 procedure were not followed. Some specific
22 important examples were that we did not remove the

1 boric acid from the head. The station did not
2 inspect the areas under the boric acid and did not
3 perform technical analysis or safety evaluations to
4 support decisions to leave boric acid on the head.

5 We had two contributing causes that we
6 show on slide 35. Some decisions were made without
7 considering the need for a safety analysis. Really
8 throughout the development of the conditions as we
9 talked about them there were no safety evaluations
10 conducted or even considered necessary except there
11 were those done for the temporary modifications
12 that were done in supporting treating symptoms that
13 appear on sheet 27. That's when we brought high
14 efficiency air filters in the containment. That
15 was an attempt to deal with the iron oxide in the
16 atmosphere. That temporary modification is also
17 the one that bypassed the iodine cartridges because
18 of the problems with boric acid containment in the
19 atmosphere. Those both did receive treatment under
20 the 50.59 process.

21 The other contributing cause is the
22 corrective action program, we stated here, was not

1 state of the art. It really doesn't meet, in our
2 minds, industry standards particularly on the back
3 end in terms of equipment trending or repeat
4 equipment problems.

5 MS. LIPA: I have a question for you. You
6 will probably get into this later in corrective
7 actions. If your corrective action program is
8 common for all three plants, have you done an
9 assessment of the Davis-Besse implementation?

10 MR. LOEHLEIN: Yes, there is a nuclear
11 operating procedure FENOC-level procedure that
12 requires effectiveness in that area. It does right
13 now provide a lot of leeway for each individual
14 site to decide how it's going to do that. And at
15 Davis-Besse it does appear as though it's largely
16 nonexistent. Right, Bobby, the equipment trending?

17 MR. VILLINES: Yes.

18 MR. LOEHLEIN: And that's not the case at the
19 other stations. But yes, we are as part of this
20 considering under all common processes those things
21 that may affect the other stations. You want to
22 comment on that?

1 MR. DeSTEFANO: As part of the program
2 evaluations that are occurring right now the
3 corrective action program evaluation was performed
4 by all three stations at the same time. So the
5 knowledge level, the current status of the program
6 and where it should be has already been obtained by
7 all three stations.

8 MR. MYERS: Let me tell you this too: I
9 believe as I sit here today there's going to be
10 some enhancements that we will make to the function
11 of that process at all three sites. We already are
12 using that model. You have probably seen that
13 before at two of our sites. We will start using it
14 at Davis-Besse as well. But in our corrective
15 action process we will probably go back and do
16 enhancements to our programs.

17 CHAIRMAN GROBE: I think, Steve, at this point
18 that you have got some other key observations
19 you're going to go into. But you have summarized
20 the process that you have gone through, the
21 conclusions in each of the areas that you came to,
22 and then on pages 31 through 35 summarized what you

1 believe are the root causes and contributing causes.
2 Quite frankly, you have presented an extraordinary
3 amount of information. And I am sitting here in my
4 mind trying to walk through all of the various
5 performance deficiencies that I am aware of and
6 trying to see where they fit into these root causes
7 and whether this is complete. And that's the kind
8 of analysis we're not going to be able to do today
9 but we're going to have to do over the next several
10 weeks to be able to evaluate this and conclude, in
11 fact, that your root cause is comprehensive and
12 adequate.

13 MR. LOEHLEIN: And in the report we do the
14 best job we could at trying to lay this picture out
15 so that it can be interpreted in exactly the way
16 you're stating, Jack, so that there are a lot more
17 of the facts presented. And we try to do it in
18 such a way that the conclusions can be followed
19 clearly. And we do expect that's exactly what you
20 will do is you will examine this.

21 CHAIRMAN GROBE: Has this report been
22 submitted on the docket?

1 MR. LOEHLEIN: It's approved on site.

2 MR. MYERS: It's approved on site, but we sent
3 it to you by letter.

4 MR. LOEHLEIN: Yesterday we were preparing the
5 letter.

6 CHAIRMAN GROBE: So we can expect that next
7 week?

8 MR. MYERS: Right. We can give you a copy of
9 it today if you want it.

10 CHAIRMAN GROBE: That would be great. Okay.
11 Any other questions on the root cause or
12 contributing cause before Steve goes on to other
13 key observations?

14 MR. LOEHLEIN: The next two slides provide
15 observations. Observations are things that we felt
16 were important to mention in the report, but they
17 did not tie directly to the damage occurring to the
18 head and it going unnoticed.

19 There are some design aspects. Certainly
20 alloy 600 is something that deserves mention. And
21 the gasket design in the CRDM flanges which has
22 been a problem for this plant historically now has

1 apparently been resolved. One of the items was
2 training was not provided to individuals performing
3 inspections for boric acid. It was not considered
4 a contributing cause because, once again, the
5 knowledge of the personnel involved in our judgment
6 was adequate to recognize the significance of the
7 boric acid that was found. Another observation was
8 inspection activities and corrective actions were
9 not coordinated through the boric acid corrosion
10 control coordinator. This was really just another
11 failing of the process, was not critical in the
12 outcome but is an observation. The boric acid
13 corrosion control procedure did not specifically
14 reference the nozzles as one of the probable
15 locations of leakage. And that has been captured
16 as part of our response to the Generic Letter
17 97-01.

18 Slide 37. The condition reports
19 associated with the boric acid issue tended to stay
20 unresolved until significant degradation occurred.
21 That's the pattern that was observed with the
22 pressurizer spray valve and again with the head.

1 The next bullet mentions we found there was little
2 evidence of quality assurance's involvement and
3 that their documented findings were mixed quality.
4 What happened here is that the company decided a
5 while back now to do a separate root cause
6 investigation of quality assurance's lack of
7 effective impact on the outcome. And that root
8 cause is ongoing right now. I think it is nearing
9 completion.

10 The next two bullets talk about things we
11 found in terms of the monetary incentive program
12 and the way it rewards senior levels and written
13 policies and their treatment of safety. We really
14 didn't find a tie-in with these to the way and the
15 reasons why people made decisions. Particularly in
16 the monetary incentive program the changes to that
17 had been pretty recent. But in order for the plant
18 to move toward a proper safety focus, we felt the
19 need to point these out because they need to
20 deliver the right safety message both in terms of
21 incentive and in terms of policy. So we put them
22 in the report as something that needs to be looked

1 at.

2 CHAIRMAN GROBE: Steve, when you say fairly
3 recent, what timeframe are you talking about?

4 MR. LOEHLEIN: In the mid-'90s the incentive
5 program was -- A consistent level of safety got
6 treatment that was pretty consistent through the
7 organization up in terms of management. And then
8 as we went to the late '90s two shifts occurred.
9 Top level management started to get rewarded more
10 for production. And not only that but that became
11 more askew with lower levels. I believe even to
12 this day for the lower levels of the organization
13 the majority of the incentive still is based on
14 safety but not at the top level of the
15 organization. So that disconnect there does not
16 support good alignment in the organization going
17 forward. So the report recommends that the company
18 look at that.

19 MR. MYERS: And that was not, you know, a
20 deliberate management change. What happened is the
21 companies changed during that time. And when the
22 companies change, incentive programs change, right?

1 I mean it's just a different incentive program than
2 we used to have. I don't think it changed my
3 behavior whatsoever. But the factors are a little
4 different. They're very strong at the bottom,
5 probably not as strong at the top. That's
6 something we will go look at. But, you know, I
7 have been involved in that program now for several
8 years, and I don't think it's had anything to do
9 with my decisionmaking. But you contend -- you
10 think it's okay at the the bottom levels, though,
11 right?

12 MR. LOEHLEIN: Right.

13 MR. DYER: At what time did this change? When
14 it was turned over to FENOC or when FENOC was
15 formed?

16 MR. MYERS: We went to FirstEnergy probably in
17 '97. The incentive programs are a little different.
18 Never really thought much about it to be real honest
19 with you. So, you know, I don't think it's a
20 contributor, but it might be something that we can
21 do to help. We're going to go back and look at that.

22 CHAIRMAN GROBE: The top level management

1 incentive programs are consistent across the three
2 sites?

3 MR. MYERS: Yes.

4 MR. LOEHLEIN: Yes, they are.

5 Another thing that struck the team as we
6 went through this was that operations had minimal
7 involvement in resolution of these issues. Their
8 participation is pretty much evident on the
9 condition report process when they do an assessment
10 on the impact to the station, and then pretty much
11 we didn't find them visible. There is a condition
12 report that is separately considering this as a
13 root cause being done on that particular thing in
14 the station as well, the lack of operations'
15 involvement.

16 And finally in terms of observations we
17 had management had minimal entries into the
18 containment. We looked at 1998, the 11RFO. It had
19 improved some in 2000, 12RFO. But we do believe
20 that the management involvement in the containment
21 during outages is something that should be improved.

22 CHAIRMAN GROBE: Within this context you use

1 the word management. Are you referring to first
2 line supervisors?

3 MR. LOEHLEIN: We're talking really managers
4 and above.

5 CHAIRMAN GROBE: So that would be director
6 level in your organization?

7 MR. LOEHLEIN: We have managers and directors
8 and VP. I mean I work for Lew at Beaver Valley,
9 and I can tell you what the expectation has been
10 there. As manager over there I am in containment
11 several times at least myself. And our job is to
12 force standards and to make sure that we don't have
13 people unaware of where they are in containment and
14 a whole host of other things that we do.

15 MR. MYERS: I just believe that if we would
16 have had a little bit more management involvement,
17 if we would have seen the pictures of the head that
18 you showed a while ago or reviewed the videotapes,
19 that our decisions would have been the same as they
20 were in many cases on these corrective actions.

21 MR. DYER: I would like to go back to slide
22 37. You kind of brushed over the QA role in this.