

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

U.S. NUCLEAR REGULATORY COMMISSION
FIRST ENERGY NUCLEAR OPERATING COMPANY
PUBLIC MEETING

Meeting held on Wednesday, November 13, 2002 at
7:00 p.m. at the Oak Harbor High School, Oak Harbor,
Ohio, taken by me, Marlene S. Rogers-Lewis, Stenotype
Reporter, and Notary Public, in and for the State of
Ohio.

PANEL MEMBERS PRESENT:

- U. S. NUCLEAR REGULATORY COMMISSION
- John (Jack) Grobe, Chairman, MC 0350 Panel
- Christine Lipa, Branch Chief, Region III
- Anthony Mendiola, Section Chief PDIII-2, NRR
- Christopher (Scott) Thomas,
Senior Resident Inspector - Davis-Besse
- Douglas Simpkins,
Resident Inspector - Davis-Besse
- Sam Collins, Director of Nuclear Reactor
Regulation

1 MR. GROBE: It's about 7:00, why
2 don't we go ahead and get started. Let me start by
3 making some introductions of -- oh, thank you.
4 Should I start again?

5 Let's get started. Why don't I start by
6 making some introductions, and then we'll get into a
7 little bit of ground rules for the meeting tonight
8 and then receive public comment.

9 Our purpose for being here tonight is to hear
10 what you're thinking, receive any input you have, try
11 to answer any questions you might have. If we don't
12 have the answers here, we can certainly get them.

13 My name is Jack Grobe. I'm an Executive in
14 the NRC Region III office in Chicago, Illinois, and
15 I've also been assigned for the last several months
16 as the Chairman of the NRC's Oversight Panel for the
17 Davis-Besse plant.

18 With me here tonight are quite a few NRC
19 staff. Let's start with my immediate left is
20 Christine Lipa. Christine is a Branch Chief in the
21 Region III office. She has responsibility for the
22 inspection program, the NRC's inspection program at
23 Davis-Besse.

24 There's two fellows here that she supervises;
25 Scott Thomas, sitting right here in front is the

1 Senior Resident Inspector. He works at the plant
2 every day, and Doug Simpkins is the Resident
3 Inspector. Doug also works at the plant, and out in
4 the foyer was Nancy --

5 MS. LIPA: Keller.

6 MR. GROBE: -- Keller, thank you.

7 Nancy is the Resident Office Assistant, and she has
8 been a tremendous support for us for organizing these
9 meetings and making sure that we have the handouts
10 and getting you folks the information that you need
11 that we bring with us.

12 There's a number of documents that are out
13 there on the table. I hoped you picked them up.
14 One is our monthly newsletter. This newsletter
15 documents the results of several recently completed
16 NRC inspections, and it also indicates ongoing
17 inspections, provides a variety of background
18 information on what happened at Davis-Besse and what
19 the NRC is doing. Also there were slides from this
20 afternoon's meeting, both from the NRC presentation
21 as well as the First Energy presentation. In a
22 minute, Tony Mendiola, who is sitting on Christine's
23 immediate left, Tony is a Supervisor in our
24 headquarter's office of Nuclear Reactor Regulation.
25 He has responsibility for licensing of the

1 Davis-Besse facility, along with other facilities,
2 and John Hopkins works for Tony. John's the
3 Licensing Project Manager.

4 We also have one of our Senior Inspectors
5 here from the Region 3 office, Marty Farber. Marty
6 led a team of nine inspectors that were specifically
7 looking at the adequacy of systems at the Davis-Besse
8 plant.

9 Jay Collins is sitting back there. Jay is
10 an Engineer from the office of Nuclear Reactor
11 Regulation, who's working at the site with Scott and
12 Doug currently.

13 Over here, we have Roland Lickus and Vika
14 Mitlyng. Roland is our State and Government Affairs
15 officer, and Vika is a Public Affairs officer out of
16 the Region 3 office, and I think Vika is making a
17 phone call, but she'll be in in a moment.

18 We have two inspectors from the Perry plant,
19 I believe, Ray Powell. Ray, raise your hand. Ray is
20 the Senior Resident Inspector at Perry, and he's over
21 at the Davis-Besse plant helping out, and who am I
22 missing --

23 MS. LIPA: (Indicating).

24 MR. GROBE: Oh, okay, the resident
25 left, and on my immediate right is a very important

1 person, Sam Collins. Sam's the Director of the
2 office of Nuclear Reactor Regulation in headquarters.
3 Sam has overall responsibility for the safety of
4 nuclear power plants in the United States, and with
5 Sam tonight, Tony and John work in Sam's office, as
6 well as Margie Kotzalas. Margie is an Engineer in
7 NRR, and she works with Sam. She specializes in
8 communications effectiveness. Communications and
9 public confidence is one of our four primary goals.
10 Our most important goal is the safety of nuclear
11 power plants, but we also have goals on efficient
12 effective utilization of NRC resources, making sure
13 that our regulatory programs are well-founded, and we
14 minimize any unnecessary burden, as well as making
15 sure that we endeavor to communicate to the public so
16 that we enhance your confidence in us as a strong
17 regulator.

18 I think -- have I missed anybody? I think
19 I've got all the NRC staff that are here tonight.
20 We met this afternoon with FirstEnergy for about four
21 hours -- three and a half hours or so, and then took
22 public comments and questions after that meeting and
23 we're here tonight.

24 Tony is going to summarize this afternoon's
25 meeting, and before I turn it over to Tony, what I'd

1 like to do is ask Sam to make some comments.

2 MR. COLLINS: Thanks, Jack. Good

3 evening. Thanks for being here tonight. I know

4 some of you may have been here this afternoon also,

5 but I did appreciate the opportunity to talk to other

6 citizens of the area and workers at the plant and

7 those stakeholders who are in the area because of the

8 interest in the plant. I did acknowledge this

9 afternoon, I'd like to do so also this evening that

10 we're aware of the burden that the area is under as

11 result of the tornadoes on Sunday in Oak Harbor and

12 Catawba Island, and we appreciate the fact that some

13 of you may be distracted or perhaps not even here

14 tonight because of that, so it's a busy and important

15 time for you, but we are here to answer questions.

16 I'm here specifically to answer any questions that

17 people may have on the program and the process that

18 we use that resulted in the plant operating for the

19 additional 45 days beyond December 31st, at which

20 time they shut down in mid February and upon

21 inspection discovered the corrosion on the head. I

22 can go through the logic and the process and where we

23 are with the reviews and how we have been

24 self-critical under evaluation and how that took

25 place and how we intend to move forward as hopefully

1 a better organization. We think we owe you that
2 information and that clearly that was an unexpected
3 result, and we missed an opportunity to discover it
4 multiple times as a result of our regulatory
5 processees, and we know that's important to you as a
6 constituency not only in the plant area, but also
7 relying on the NRC to be a strong credible regulator.
8 Thank you.

9 MR. GROBE: Thanks, Sam. There's
10 one additional document that's outside, and I hope
11 you take advantage of the opportunity to provide us
12 some feedback. It's called a feedback form, and it's
13 self-addressed, so all you've got to do is fill it
14 out and drop it in the mailbox, and it will get back
15 to us. It asks you a number of questions regarding
16 the effectiveness of these kinds of meetings and asks
17 you for suggestions on how to improve the meetings,
18 so please take a few minutes after the meeting and
19 give us your thoughts because we're always looking
20 for ways to improve in how we conduct our business,
21 and we'd appreciate your feedback on that also.

22 Tony, why don't you summarize this
23 afternoon's meeting?

24 MR. MENDIOLA: Easier said than
25 done. I'm going to try to capture in a few minutes

1 here basically what we discussed in about three --
2 three and a half hours that we had with FirstEnergy
3 this afternoon.

4 Speaking from a few documents here -- and
5 I'll refer to them hopefully to help anyone who
6 wasn't here negotiate through what we discussed.

7 The first document, of course, is the agenda
8 from this meeting held as 2:00. I think there is
9 still some copies in the lobby if you need some, but
10 basically, we started, of course, with Introduction
11 and Opening Remarks and moved on quickly to the NRC's
12 part of the meeting, which was to discuss our restart
13 action checklist and the status of some ongoing
14 inspections that we have either completed or in the
15 process of inspecting at the site. Rather than go
16 through the long drawn-out list, I would prefer to
17 refer you to the NRC Update, this handout in the
18 lobby. It's basically -- well, it says NRC Update
19 on it, and it has our logo on it, but it clearly
20 defines the Findings of the Completed NRC
21 Inspections, including some that we actually had an
22 exit meeting on this morning at the site, and it
23 gives you a summary of what the NRC found and what we
24 still have left to do.

25 Additionally, on the front page, basically

1 where my thumb is here, there's a section which
2 discusses the ongoing NRC inspections and their
3 current status and as well as what we're inspecting
4 on site for those three inspections that are ongoing.
5 Rather than summarizing those for you, I'd prefer
6 that you look at these, and if you have any questions
7 or any -- need anymore information on that, we'll be
8 happen by to address them here.

9 The update also -- by the way, also has a
10 large amount of background information on the
11 occurrence that happened at Davis-Besse, and,
12 basically, if you refer to it, it will bring you
13 up-to-date on where we stand after all the activities
14 that has happened this year.

15 After summarizing that, we also had indicated
16 a potential for -- not the potential, the actual
17 scheduling of some future meetings. A week from
18 today, in this location, the Lessons Learned Task
19 Force, the NRC's Lessons Learned Task Force will be
20 here -- I think at 7:00, yeah, 7:00, a public meeting
21 to discuss their report with the public, and, I
22 think, to get feedback from the public.

23 Additionally, I'm sorry, the follow week, on
24 November 26th in headquarters, there will be a series
25 of meetings with Davis-Besse as well to discuss

1 issues associated with the leakage that has been
2 found on the bottom of the reactor vessel. That
3 meeting will be a public meeting in the afternoon of
4 November 26th, and it will be on the teleconference,
5 so people can call in and listen to the meeting since
6 it is back in Washington.

7 That basically wrapped up the NRC's portion
8 of the meeting. From that point on, we moved into
9 the Davis-Besse agenda and the -- their discussion of
10 the return to service update. I believe there is
11 still slides, copies of this out front. I'm only
12 going to address the high points. This was the
13 majority of the three -- three and a half hours that
14 we had this afternoon.

15 Basically, there was several desired outcomes
16 from this meeting which FirstEnergy set forth at the
17 beginning. They wanted to discuss clearly their
18 quality assurance organization, and the status of
19 that organization as it works through an
20 understanding of where quality assessment is at the
21 plant, as well as to demonstrate that there is some
22 value being added in their processees that they
23 currently have in place. They also wanted to
24 demonstrate where they were on some key Building
25 Blocks associated with getting the plant back to

1 restart. They wanted to address the lower level
2 penetrations and to address some emerging design
3 questions that have come up as they have gone through
4 their engineering analysis supporting their key
5 Building Blocks, and then they also wanted to review
6 the ongoing schedule for returning the plant to
7 start-up.

8 The first discussion that had to do with the
9 quality assessment, as I mentioned, the first key
10 element of their presentation discussing the major
11 responsibilities of their Quality Assessment
12 Value-added organization on site, basically the fact
13 that they had done a number of Plant and Staff
14 Readiness Assessments and evaluated various portions
15 of the Building Blocks looking for individual parts
16 of quality assessments that had been made and
17 evaluating the value-added and basically showing the
18 strength of their organization, their quality
19 assessment organization as issues emerged and were
20 resolved. They provided -- and you'll see this if
21 you have a copy of the slides, they provided
22 individual issues in each of these Building Block
23 areas and followed through with some simple
24 discussions on how their organization, their quality
25 assessment organization had improved or had helped

1 resolve these issues. This is a little awkward with
2 one hand. Sorry.

3 Basically, though, in summary on their
4 Quality Assessment Value-Added they indicated that
5 they had made some organizational changes and some
6 managerial changes associated with the quality
7 assessment area. They were still in the taking
8 action category, but one of the things they wanted to
9 do was do a quality assessment program review,
10 evaluate the program where they stand currently and
11 to determine what future actions they were going to
12 go on from this point on to make the quality
13 assessment an even stronger program at the plant.
14 Then they moved into the key Building Blocks,
15 basically discussed the restoration of the reactor
16 head, the current status of that, the engineering
17 status. That discussion branched off into the under
18 vessel area. You may be aware that there was some
19 questions about basically some deposits that were
20 found on the bottom of the reactor vessel, what are
21 they, where are they from and what does that mean,
22 what is the significance of those issues. The plant
23 worked closely with their vendor and came up with
24 some engineering evaluations and some chemical
25 evaluations. Rather inconclusive were the results.

1 Some key was where to go from here and they
2 developed -- basically, rudimentary developed a
3 bottom head plan, which is basically how they were
4 going to go about determining and evaluating what was
5 the findings on the bottom of the head, and they gave
6 basically a simple outline of the plan, which
7 involves basically cleaning the bottom head,
8 restoring the plant and taking it to what we call
9 normal operating pressure, normal operating
10 temperature, otherwise known as NOTOP, and then
11 holding that pressure for a period of time, anywhere
12 from three to seven days and then shutting the --
13 cooling the plant back down and going in and
14 determining what -- what results in there. If there
15 is a leak, of course, there would be some buildup of
16 some boron, or if there is any other misting or any
17 other spray characteristics down there, then they
18 would be able to figure out, what, if any, there is
19 leaking down there, and then obviously incorporate
20 whatever repair activities would be necessary.

21 There was discussion about installing some
22 on-line leak detection system currently or as soon as
23 possible basically so that they could be evaluating
24 this on a constant basis rather than, if you will, on
25 an opportunity basis. This system would always be

1 on-line, the leak detection system, would always be
2 on-line under there to see if there is any leakage.
3 It's very similar to what they do overseas. The
4 plan is still being drafted and future activities on
5 this really will center on the meeting on November
6 26th in headquarters.

7 Moving on, they went through some of the
8 other Building Blocks, a System Health Assurance,
9 basically discussing the Significance Assessments of
10 various systems and going through some issues and
11 evaluating those issues to determine just basically
12 how healthy and how ready these systems are in order
13 to restore the plant to restart status. Basically
14 most of the information gathered on System Health
15 Assurance for the facility anyway is in the
16 evaluation phase to determine what the significance
17 is of these issues that they've discovered.

18 Design Issues Resolution, this is one of the
19 other major issues that we discussed today. Design
20 Issues, of course, as they have gone through various
21 programs, they've determined that some of the
22 fundamental design basis calculations, if you will,
23 have some -- some -- uncertainty is probably a bad
24 word, but it's a word I'll use, uncertainty on
25 whether or not, you know, the calculations are still

1 valid, the methodology for calculations with the
2 initial conditions in order to set up the
3 calculations are still valid. They're going back to
4 verifying to be sure that these calculations are
5 valid, and they had a chart up on that wall -- it's
6 gone now, but basically discussing how far they -- or
7 what they've done so far and how much more they felt
8 that they needed to do in order to perform what we
9 call a design basis validation. They had this
10 program which will be focused on validating the
11 system descriptions and design criteria. Sorry.

12 The next area was the discussion, the next
13 Building Block area discussed was the Management and
14 Human Performance Actions. Basically there's been a
15 large amount of work associated with the plant in
16 order to complete an assessment, an evaluation, and
17 improvement, I guess, of the safety conscious work
18 environment, the ability, if you will, of the on site
19 staff to conquer any issues that come at them, and
20 there was some significant improvements which were
21 pointed to, a large amount of safety conscious work
22 environment training for most of the site contractor
23 supervisors. There was some assessments of
24 various -- at various levels of the staff on their
25 ability to follow through on these issues. The

1 staff I'm talking about the executives, the managers,
2 directors and supervisors, basically discussing with
3 them, you know, the understanding -- make sure they
4 have the understanding and training to be able to
5 follow through on a safety conscious work
6 environment.

7 There was a lot of discussion about the case
8 study. This was a one day stand down at the plant
9 where there was a large discussion of all the staff
10 on the plant to discuss the case, to discuss what
11 happened at Davis-Besse and the assessment of the
12 feedback from that meeting, that day, from the staff
13 and how -- how it is -- how those themes, if you want
14 to call it that, are going to be reflected in future
15 management styles and issues at the plant. Some of
16 the concerns were, you know, were also discussed such
17 as the management production versus quality, safety,
18 priority concerns and that there was some skepticism
19 about management's response for raising issues and
20 concerns, fear of reprisal.

21 In the interest of -- oh, I'm sorry, not yet.
22 One more major issue that was discussed was the
23 Operations Leadership Plan. This is a plan which is
24 going to seek to prepare the operations organization
25 for restart and to ensure that once restarted that

1 they will sustain a higher level of performance.
2 They were seeking to strengthen and prepare the
3 operations staff for restart and seeking, if you will
4 to make the operations staff the leader at the site
5 and be recognized as the leader at the site among all
6 the departments at the site and that continuous
7 improvement would be expected of the operations
8 personnel at the site.

9 In the interest of the time, we skipped the
10 last bullet which was a discussion of the Schedule
11 Review. Some of those Major Milestones are captured
12 in the slides, and, if you like, you should take a
13 look at these. These have to do with the major
14 milestones in the future for the plant, and by that
15 point we were well over the three hour point. We
16 had a few closing remarks, which basically I've
17 already captured. We did recap all the major plan
18 activities, and we did indicate that the next meeting
19 of this type would be December 10th, I want to say
20 down the street -- that's probably the wrong word;
21 over at Camp Perry at the clubhouse at Camp Perry.

22 That, in a nutshell, is everything that went
23 on for the last -- well, for three and a half hours.

24 If you have any other questions, or you need
25 anymore expedition on that, just let me know.

1 MS. LIPA: I also wanted to point
2 out that in the monthly newsletter, there's a lot of
3 key information. There's our web site address, and
4 there's a lot of good information on the web site,
5 inspection reports, transcripts from these meetings
6 and other information that you can use, and also in
7 there are the numbers for our Public Affairs
8 officers, so if you don't want to come up and ask a
9 question today, you can call either Viktoria Mitlyng
10 or Jan Strasma and ask them questions about the
11 Davis-Besse.

12 MR. GROBE: Before we get started
13 with questions, let me just do an informal survey.

14 How many people are here for the first time,
15 this is the first meeting that you have attend?

16 THEREUPON, a response was given by a show of
17 hands.

18 MR. GROBE: Oh, excellent. Thank
19 you very much for coming.

20 Given that, why don't I just take a few
21 minutes and go over some background information so
22 that you have a better understanding of what we're
23 all about.

24 I think most of you know that earlier this
25 year Davis-Besse shut down for a routine refueling

1 outage, as well as the performance of some unique
2 examinations and tests of the reactor pressure vessel
3 head. During the course of those activities they
4 discovered a rather large cavity, some have described
5 it as football shaped or as footprint shaped or --

6 MS. LIPA: Pineapple shaped.

7 MR. GROBE: What was that?

8 MS. LIPA: Pineapple shaped.

9 MR. GROBE: Pineapple shaped,
10 about, you know, four inches by seven inches. The
11 reactor pressure vessel is one of the barriers to the
12 release radioactive materials. The first barrier is
13 the fuel itself. The fuel pellets are ceramic, it's
14 the uranium fuel pellets, and they contains the vast
15 majority of the radioactive materials, the
16 radioactive waste within the pellet itself. Some of
17 the radioactive waste is in the gaseous form. It
18 collects inside the fuel pin. The pin is about 12
19 feet long and about the size of your little finger in
20 diameter, and there is half a gazillion of those
21 inside the reactor. They are arranged in fuel
22 elements, but that's the second barrier.

23 The next barrier is the reactor coolant
24 system itself, and just to give you some context,
25 there is some very good description in our newsletter

1 of this, so please take a copy of that, and if you
2 can't get it tonight, we'll be glad to send you one,
3 or if you can get on-line, all of this information is
4 on-line at our web site, but the reactor pressure
5 vessel is about a six inch thick steel vessel. It's
6 kind of shaped like a hotdog. It's about 14 feet in
7 diameter and about 25 or 30 feet long -- tall. It's
8 got rounded heads on both ends. The upper head is
9 where the degradation occurred. It was caused by a
10 crack in a -- in a tube, a four inch diameter tube
11 that goes through the head. There's quite a large
12 number of those that go through the top of the
13 reactor head and through these tubes are the control
14 rod drive mechanisms. That's the equipment that
15 drive the control rods in and out of the reactor
16 itself. The control rods control the level of power
17 by controlling neutrons in the reactor core, so these
18 rods normally when the plant is shut down, all
19 inserted in the core. When the plant operates they
20 are removed from the core, pulled up out of the core,
21 and these penetrations in the top of the reactor
22 vessel are for the mechanisms that move these rods in
23 and out.

24 Over the past number of years, there was an
25 issue that was developing with the certain type of

1 materials that were used in the Davis-Besse reactor
2 where some cracking in these penetrations have been
3 discovered and the inspections that were being done
4 during this outage were to confirm that, in fact,
5 there were no cracking. What was identified was, in
6 fact, that there had been cracking, that the cracks
7 went through the wall of the penetration tubes such
8 that the reactor coolant was leaking through these
9 cracks. That reactor coolant contains boric acid
10 and there is -- boric acid is an additive to the
11 coolant that is also used to help control the nuclear
12 reaction. It's a very, very mild solution of boric
13 acid. When it's in the reactor coolant, it's not
14 terribly corrosive, but when it becomes concentrated
15 it can be corrosive, and what happened on the head of
16 the reactor was that this boric acid became
17 concentrated, became a corrosive material and
18 actually corroded away six inches of steel. This
19 was a situation that had never been experienced
20 before in a nuclear power plant. It was completely
21 unexpected.

22 The licensee during the course of our
23 inspections immediately following the discovery of
24 this, FirstEnergy -- it was revealed that FirstEnergy
25 had a number of opportunities to discover this

1 earlier and they had performed unacceptably, and we
2 have two reports that document our inspections in
3 this area; one is an Augmented Inspection Team report
4 that was issued, I believe May 3rd, and then a
5 follow-up to that inspection, which was issued, I
6 think in September -- August or September, but both
7 of those are our on web site, and if you can't get on
8 our web site, we'd be glad to get you copies of
9 those. We identified a number of violations of our
10 requirements.

11 When the NRC identifies a plant that has
12 significance performance problems, we have unique
13 aspects of our inspection program that we implement.
14 Our baseline inspection program, which is our routine
15 program, it's administered at every nuclear power
16 plant in the United States is predicated upon certain
17 assumptions, and several of those assumptions include
18 the fact that the plant organization is performing
19 well, that it's well run, that they have a robust
20 corrective action program, and we use a lot of
21 jargon, and I'll try to explain that jargon. If you
22 have any questions, please ask me, but the corrective
23 action program what that means is that you're always
24 looking for problems. When you come across a
25 problem, you're willing to bring it forward and deal

1 with it and solve that problem, and it's a very well
2 structured program. In fact, at Davis-Besse their
3 corrective action program was not effective. They
4 had identified a number of issues that should have
5 led them to conclude that there was a big problem
6 going on in the reactor vessel head over a period of
7 about four to six years, and they did not do that.
8 In these kinds of situations where a plant is shut
9 down and there's significance performance problems,
10 we implement a procedure, we call it 0350. That
11 means nothing to you, but let me tell you a little
12 bit about it.

13 The reason I mention the number is a lot of
14 times you'll see the newspapers or in other
15 documents, the panel that I chair is referred to as
16 the 0350 Panel. It's official title is the
17 Davis-Besse Oversight Panel, but it's a unique
18 activity in the agency where we bring together
19 executives, managers, and staff from across the
20 agency to bring focus on this unique problem, and the
21 panel takes over -- the plant is removed from our
22 normal inspection and oversight programs and it's
23 placed under the panel itself. I chair that, I'm an
24 Executive of Region 3. There's an executive that
25 reports to Sam, a fellow by the name of Bill Dean.

1 He's Deputy Director of Engineering in headquarters,
2 and he is the Vice Chairman of the panel, so we have
3 executives both from Washington and Chicago, as well
4 as the variety of staff, John and Tony, Christine and
5 Doug are on the panel and a couple of other folks
6 also from the Region 3 office, so the purpose of the
7 panel is to provide additional oversight. We direct
8 the inspection program instead of having a routine
9 program implemented. We ensure that all of the
10 agency assets that are necessary, both the people and
11 any other sort of asset, research people, contractors
12 are brought to bear, and the entire organization,
13 NRC, is focused on this -- solving this problem at
14 Davis-Besse, so the panel has been in existence since
15 the end of April, and we've been actively involved in
16 routine oversight, and what I mean routine, it's
17 essentially continuous oversight at what's going on
18 at the plant. There's a substantially large or
19 greater number of inspections that are being
20 performed than you would normally see go on at a
21 nuclear power plant and in the United States. We
22 also coordinate licensing activities. There's a
23 number of licensing issues that are necessary for
24 replacement of the reactor head, and those are under
25 the coordination of the panel, so the panel brings

1 together all of the assets of the agency that are
2 necessary to make sure that this plant is safe.

3 The plan -- FirstEnergy has developed a
4 restart action plan, and Tony referred to Building
5 Blocks. It's comprised of a number of different
6 Building Blocks. Replacing the head is one of the
7 Building Blocks. Making sure that equipment inside
8 the containment structure is another Building Block.
9 Making sure the equipment outside the containment
10 structure is good equipment, it's safe equipment is
11 another building block. Human Performance and
12 Management Effectiveness is another Building Block,
13 so there's a number of Building Blocks. That's how
14 they've structured their restart activities. We
15 structure our oversight along those same lines so
16 that we can adequately evaluate what they're doing at
17 the plant. One of the responsibilities of the panel
18 is to develop what we call a restart checklist, and I
19 believe that's attached to the handout from this
20 afternoon so you should have a copy of that. It's
21 three pages long, and those are key elements that the
22 panel has determined are necessary for the plant to
23 address before the panel would consider a
24 recommendation for restart, and let me just talk a
25 little bit about that process.

1 If the panel comes to the conclusion that
2 FirstEnergy has done an adequate job of addressing
3 all of the issues that need to be addressed prior to
4 restart, those issues are captured in our checklist,
5 the panel would make a determination and a
6 recommendation to my boss, Jim Dyer, Regional
7 Administrator, the top person in Chicago, the panel
8 would believe that the panel was ready for restart.
9 That decision would not occur until the panel is
10 convinced that the plant can restart safely and then
11 successfully operate safely long after restart. Jim
12 would then discuss that recommendation with Sam, and
13 Sam and Jim are the decision-makers on a restart
14 decision, so in a nutshell, that's what we're all
15 about.

16 Tony, highlighted a little bit larger
17 nutshell, right, Tony?

18 MR. MENDIOLA: (Indicating).

19 MR. GROBE: Tony highlighted that
20 our newsletter includes -- this monthly newsletter
21 includes the results of some recent inspections.
22 We've completed a couple of inspections that had some
23 fairly positive results. One of the questions was,
24 is this head that FirstEnergy purchased from
25 Consumers Power in Michigan, is it an adequate head

1 for replacement at Davis-Besse, and the company
2 concluded that it was. We did a number of
3 inspection activities, both in Midland, Michigan as
4 well as here at the plant and also in Virginia to
5 confirm that, in fact, this reactor head is an
6 adequate head for Davis-Besse and will perform safely
7 in service, so that's a significant milestone.

8 There's a couple of outstanding issues, and
9 they are discussed in the report that still need to
10 be resolved, but that's a significant milestone.

11 One of the activities that had to be undertaken was
12 to put a rather large hole in the side of the
13 containment building to get the old head out and the
14 new head in. That's been done before. It's not the
15 normal type of activity that occurs at a nuclear
16 power plant, so it's one that we wanted to pay
17 particular attention to and it's on our checklist,
18 that that activity is accomplished well, and, in
19 fact, we concluded that the plant did a good job of
20 restoring the containment structure itself which is
21 about a one inch thick large building, one inch thick
22 steel, and then outside of that is about a three foot
23 thick concrete structure. It's called a shield
24 building. They had to cut holes in both of those
25 structures and then restore that, and we concluded

1 that that was well performed. There is also some
2 outstanding issues there. One of the most important
3 is, what is referred to as the containment integrated
4 leak rate test. What the company has to do is pump
5 up the containment to about 40 pounds per square inch
6 pressure inside and hold it there for a long period
7 of time to make sure that it's leak tight because
8 it's one of those barriers with multiple barriers to
9 release radioactive material if there is an accident
10 at the Davis-Besse plant, so that inspection went
11 well.

12 Another inspection that was recently come
13 completed, and we highlighted the results of this
14 afternoon was what the company refers to as the
15 Containment Health Building Block. Inside the
16 containment, not only was the head damaged, but there
17 was the potential because there was a variety of
18 boric acid spread around inside containment, there
19 was a potential that that could affect other
20 equipment, and we performed an inspection of that
21 activity very early on in the outage and found that
22 the company actually had done a very poor job in that
23 regard. There were a number of violations where
24 people weren't trained properly. They weren't using
25 procedures correctly. FirstEnergy stopped work,

1 started again, and rebuilt that effort from the
2 ground up. Our findings in the second part of that
3 inspection were fairly positive. There were, again,
4 some outstanding issues that we need to circle back
5 on, but that inspection we found that they had done
6 an adequate job of evaluating equipment inside
7 containment.

8 An additional inspection, the one that Marty
9 Farber led here, was looking at the design of
10 equipment outside containment and the readiness of
11 equipment outside containment to safely operate the
12 plant. FirstEnergy had performed fairly extensive
13 review of five very important systems at the plant,
14 and then a less detailed review of 31, I think,
15 systems, additional systems -- excuse me, and
16 FirstEnergy had identified a number of problems with
17 the control of the design of the plant. We came in
18 and did independent inspection of that activity as
19 well as our own review of three systems with a team
20 of experts and design -- mechanical design,
21 electrical design as well as operations and
22 maintenance of systems and found additional problems.
23 The Utility, FirstEnergy, is currently trying to
24 evaluate -- doing what they call a collective
25 significance review. Again, I'll try to avoid

1 jargon, but what they're doing is pulling together
2 all of the issues that they identified, all of the
3 issues that we identified, evaluating them, trying to
4 determine what that means as far as additional
5 actions that need to be taken prior to restart and
6 then lay out a plan for accomplishing those actions.
7 What FirstEnergy presented was that the significance
8 of the individual findings for the evaluation to be
9 completed by the end of November, and then some time
10 early in December, they will have clearly in focus
11 what additional work they're going to do, and then we
12 plan on meeting with them as soon as they are ready
13 to share that with us. There will be significance
14 additional inspections in this area.

15 The other inspection we reported on the
16 results of was -- I had mentioned Scott Thomas and
17 Doug Simpkins here in the first row, they're here
18 every day, at the plant, and doing inspection work,
19 and they issue reports on a regular basis throughout
20 the year, and they just completed one of their
21 routine reports, had a number of observations of
22 areas where work could have been better performed, so
23 all those reports again are on our web site. They're
24 summarized in our newsletter, and I encourage you to
25 -- if you're interested to seek out that information.

1 If you can't find it, as Christine indicated, you can
2 certainly call our Public Affairs folks. If they
3 can't get the information, I'm always on the phone
4 with folks. They're frequently searching me out to
5 chat with folks like yourself to answer questions
6 that you might have.

7 With that larger nutshell, to give you an
8 idea of what we're all about and why we're here, I'd
9 like to answer whatever questions you may have, and
10 what I'd like to do is start with folks that are from
11 the local community here around the Davis-Besse
12 plant. If you could try to limit your questions to a
13 three to five minute time frame, and we'll spend as
14 much time as necessary to answer them. That will
15 give everybody an opportunity to ask questions, so
16 I'd invite anybody interested to come forward. If
17 you could use the microphone, we'd appreciate it.
18 They way, everyone can hear your question. We also
19 have a Court Reporter here transcribing this meeting,
20 and that transcription will be available on the web
21 site, so please come forward. If you could sign in,
22 we'd appreciate it. Tell us your name and then ask
23 us your questions. We're here to answer them.

24 MS. LUEKE: Hi.

25 MR. COLLINS: Good evening.

1 MS. LUEKE: Good evening.

2 This is nicer having you down here. I'm Donna

3 Lueke, and I do have a few questions.

4 I have been trying to surf your web site and
5 want to thank the people at the public information
6 office when I couldn't get through, and I needed to
7 get through some things.

8 The thing that concerns me the most is
9 obviously we're working from a situation where things
10 happened that in retrospect nobody wished had
11 happened, either First Energy or NRC, that mistakes
12 were made. Those are being explored now and fessed
13 up to, and I think that's all really positive, but
14 the thing that concerns me is, there are a lot of
15 nuclear power plants and even if everything is fixed
16 with Davis-Besse and we never have another problem,
17 what can we do to help the NRC, what can the NRC do
18 to make sure that these same things don't happen
19 again?

20 Is it a matter -- I know I'm making this
21 question a little longer than necessary, but is it a
22 matter of funding? Is it a matter of needing more
23 autonomy? Is it a matter of needing a different
24 organization so that it's free of political
25 appointees and just want -- to the people here, I

1 mean, I know that you don't speak for the whole
2 organization and that there's another meeting coming
3 up about lessons learned, but what would you say is
4 the biggest problem?

5 MR. GROBE: Well, that's an
6 excellent question. Thank you. Let me tell you a
7 little bit about what is going on, and then I think
8 I'm going to give Sam an opportunity to comment on
9 this because he's much closer.

10 Our primary focus has been on Davis-Besse.
11 Independent of the oversight panel, there's a group
12 called the Lessons Learned Task Force, and what the
13 head of the agency, we call them the Executive
14 Director for Operations and Bill Travers, what he did
15 was he chartered a group of folks across the agency,
16 that were completely independent of Davis-Besse.
17 It is chaired by an individual who is my counterpart
18 in Region IV in our Texas office, and there were
19 people from the office of research, from other
20 regional offices, from the office of Nuclear Reactor
21 Regulation who sat on that panel. I think it had
22 about eight folks on it, and they spent a couple of
23 months trying to answer that exact question. They
24 published a report about a month ago, and it was --
25 received fairly wide coverage in the newspapers, and

1 it is also on the web site, but if you can't get it,
2 we'd be glad to get you a copy. They made a number
3 of recommendations in a variety of areas, inspection
4 area, in the licensing area, how regulations were
5 structured, and what Bill Travers did once he
6 received that report, was he chartered a group of
7 executives in the agency, and Sam is a member of this
8 team, it's called the Senior Management Review Team
9 to review that report and identify specific actions
10 that the agency is going to take. Sam, why don't you
11 comment on this?

12 MR. COLLINS: Yeah, thanks. You
13 say you had three questions. Is that the first
14 question?

15 MS. LUEKE: That's the first,
16 yeah.

17 MR. COLLINS: Okay.

18 MS. LUEKE: It's a big one.

19 MR. COLLINS: That's okay, that's
20 good. I think the answer to your question is really
21 pretty straightforward. You can't be complacent and
22 this industry has been around since the '70s, been
23 operating with the sanctions of the United States
24 Government. We're the ones who license the ability
25 to use the nuclear material for power reactors in

1 this case. We have a lot of rules and regulations
2 that power plants, all 103 units that are operating
3 today, have to abide by, and you can't ever assume
4 that you know it all, and on the industry's part, I
5 think you can never stop questioning what's
6 happening, why is it happening, do I understand it,
7 and if it takes me the extra time, people, and money
8 to pursue it, then we need to do it because there is
9 very little margin of error. These plants are
10 designed very well. They have multiple barriers and
11 boundaries, as Jack explained. They have typically
12 very good people, dedicated people operating them,
13 but they are high risk -- it's a high risk industry,
14 both in the business sense and in what I would call
15 human capital sense and that there's a public
16 constituency that needs to understand where these
17 plants are built, that the plants are being operated
18 safely and are being regulated well, and we lost
19 confidence in that area. Now, there was no
20 accident, but we found out something that we didn't
21 suspect, and we never want to be in that position.
22 We had multiple opportunities as an agency to
23 discover it. We had a lot of indicators. We had
24 people at the reactor vessel head looking at the head
25 being cleaned. We had people there for inspections,

1 and we never went to the extent where we put those
2 pieces of information together and asked the hard
3 questions. Why? I don't know. You have to get the
4 individuals to find that out and that answer probably
5 has changed overtime. We are independent. We only
6 have five political appointees. The rest of the
7 agency, all 2,100 or so of them are career employees,
8 so -- I am a career executive, Jack is, so we don't
9 turn over every five years. The administration and
10 our commission who are appointed by Congress and
11 confirmed by the President, don't turn over every
12 administration. They have four appointed terms, so
13 every four to five years, one of those individuals is
14 reappointed by the President Administrations, so
15 we're fairly neutral, and we pride ourselves on being
16 a technically focused agency.

17 The Lessons Learned Task Force was hard
18 hitting. I can go into all that if you're
19 interested in the details, but we're subjecting
20 ourselves to the same types of reviews that we would
21 expect the licensee to be under when there is a
22 program failure, when you miss these opportunities to
23 discover these types of issues. We did know about
24 boron degradation. In fact, it did happen at the
25 Davis-Besse plant before in a smaller sense to a

1 valve, a pressurizer spray valve, that had corrosion
2 on the carbon steel parts, which were the valve stems
3 and nuts or studs and nuts, and we knew about that
4 firmly. It happened at the Calvert Cliff plant on
5 the pressurizer. We thought we had a program to
6 address it, we thought the licensees were inspecting
7 it, we thought we were inspecting it, but we missed
8 this opportunity.

9 MS. LUEKE: Do you feel that
10 that's part of this complacency is because there's
11 too much of the same structure and not enough new
12 information or outside opinions or other independent
13 people taking a look at it from the outside?

14 We discussed this last time that you spend
15 all your time with the licensees and with each other,
16 but the public input is fairly limited, and the input
17 from -- I know there are people like the Union of
18 Concerned Scientist and people that are the watchdog
19 agencies, but both the public and watchdog agencies
20 tend not to get involved until something goes wrong.

21 MR. COLLINS: Well, I think that's
22 the tendencies of human nature.

23 MS. LUEKE: Yeah, but we don't
24 have much margin for error.

25 MR. COLLINS: That is true. I

1 would say that our process is probably one of the
2 more open processes, but is not local perhaps. In
3 the formulation of the inspection program that we had
4 today, which was in effect at the time that the
5 degradation was discovered, this degradation took
6 place over a long period of time, could be four to
7 six to eight years depending on the possibility of
8 the degradation rate. We've had about 30
9 meetings -- public meetings in the area here, if my
10 recollection is right. We had five exchanges of
11 correspondence with FirstEnergy when we were
12 determining to what extent they had inspections. We
13 had four public meetings where we had multiple phone
14 lines where people could call in. That was all an
15 open process. I would view this as more being
16 technically astute as being able to step back, look
17 at pieces of information, take operating experience,
18 which there is a lot of, use International experience
19 and focus on these areas that to some extent we have
20 passed judgment on, and we think they are working
21 well, so we move on to the next area, and the Lessons
22 Learned Task Force would say we should reserve some
23 resources, time, people, and money to go back and
24 test what we think is working well.

25 MS. LUEKE: Yeah.

1 MR. COLLINS: And to re-baseline
2 ourselves to be sure that those older issues -- even
3 though they maybe understood, may have a program, are
4 really being done well because we know that exist,
5 and look for the issues, but don't forget what has
6 been there, and that's what I mean when I say
7 complacency.

8 MS. LUEKE: So that does sound
9 like a key element. What about funding? From what
10 I was able to understand from the web site, over 90
11 percent of the funding comes from the licensees, so
12 this seems to me to be an inherent problem because
13 the people that you're regulating -- say, for
14 example, you found a plant you felt really needed to
15 be shut down completely and forever.

16 MR. COLLINS: Uh huh.

17 MS. LUEKE: By doing that, that
18 would cost you a great amount of money and a big
19 chunk of funding, so there wouldn't be much
20 motivation, I mean, other than your mission
21 statements, which I'm sure is taken very seriously by
22 everyone, but that seems to be an inherent problem.

23 MR. COLLINS: Yeah, I understand
24 appearance of a conflict between that, we are a fee
25 recovery agency. There are some details perhaps that

1 are important, and that is our budget does come from
2 a Federal fund. We reimburse that by fees, and it's
3 on off years, if you will. About 90 percent of our
4 budget, as you indicate, comes from the industry;
5 about 10 percent comes directly from the general
6 fund, and that funds what we would call the
7 International work and some other work that's
8 generic. The way I'm going to respond to you is, my
9 thinking, there is always going to be work for the
10 Nuclear Regulatory Commission, whether a plant is
11 shut down or whether it's operating. If it's shut
12 down, it's going to go through decommissioning.
13 Decommissioning takes an extended period of time. In
14 some cases it might not be done four 20, 15 or 40
15 years, if it's put in a safe store type of situation.
16 We're focused on the potential building of new
17 facilities, the operating of existing facilities and
18 a shut down of old facilities, so there's a lot of
19 business lines that we have.

20 MS. LUEKE: Okay.

21 MR. COLLINS: We do not do
22 accounting like you might think a consultant would
23 where when one of Jack's people leaves the site, he
24 presents a bill, collects a check, and leaves, if you
25 will.

1 MS. LUEKE: Uh huh.

2 MR. COLLINS: Perhaps that

3 connotation could be envisioned, so we stay as far

4 away from that as possible, and budgeting is done

5 really at a program office level. The budget that

6 the region receives is allocated by the office of

7 Nuclear Reactor Regulation. We go in for that

8 budget. We analyze that budget. We defend that

9 budget. We receive it. We analyze any cuts. We

10 allocate those resources to the regions. The

11 regions are not a direct part of that process, so

12 they do not have the view or the influence perhaps

13 that you might believe.

14 MS. LUEKE: Okay.

15 MR. COLLINS: I don't know, is that

16 understandable to you?

17 MS. LUEKE: Yeah, that was. One

18 area that seems to be -- and this may be a very naive

19 thought, but it appeared to me that, I don't know how

20 heavily you use fines, but it seems like that would

21 be an area where a lot could be accomplished by

22 using -- by using the fine approach, then you're not

23 only punishing the Utility for violations in a way

24 that they, as a business understand, but it's also

25 helping to fund more proactive NRC. I mean, so -- -

1 it just seems to me -- and perhaps even an award
2 system for companies that don't have problems. I
3 mean, I don't know, I'm just taking this from a
4 business perspective and what I know of business and
5 motivation, and it appears -- it's just something
6 that I had and I don't know if it's incorporated into
7 what -- how you do business or not.

8 MR. COLLINS: Good question.

9 MR. GROBE: It is. We have an
10 enforcement policy that includes civil sanctions,
11 which would include fines as well as orders to do
12 things. We use fines for very significant
13 violations. Most of the violations that we identify
14 day in and day out at nuclear plants that are not
15 that significant. There are some violations of
16 safety requirements, but they're handled through a
17 different process where we assess the significance of
18 a specific finding, ensure that the company is taking
19 corrective action, and as the significance goes up
20 the level of additional inspection goes up, but for
21 the most significant violations that occur as well as
22 those that don't lend themselves to risk evaluation,
23 we do use civil penalties, fines. An example of a
24 violation that doesn't lend itself to a risk
25 characterization would be a violation of our

1 requirements that prohibit a company from taking
2 retribution against somebody who raises a safety
3 concern. It's a whistle blower concept. If they
4 violate those requirements they go directly into the
5 traditional enforcement policy which includes fines.
6 If there's a significant overexposure or a
7 significant accident or event, we would consider
8 fines, but for the vast majority of the violations,
9 we don't use fines. That is part of our process.

10 MS. LUEKE: I realize that, it
11 just seems to me if you would use fines for lesser
12 offenses also, you might minimize them becoming
13 larger offenses.

14 MR. GROBE: If you go back 10 or
15 so years, we used to use fines to a much greater
16 extent, and what we found was that they were not a
17 significant motivating factor, so we elevated the
18 level of issues that we would use fines and I think
19 became more effective in the way we motivate improved
20 performance, and one of the things that's important
21 to keep in mind is that -- and this is not talking
22 about Davis-Besse, this is talking about the industry
23 as a whole, the safety performance of the industry
24 over the last 10 to 15 years has been steadily
25 improving, and if you take a snapshot today as

1 contrasted with a snapshot from 15 years ago, there
2 is a substantive improvement, very clearly measurable
3 by all indicators, that the plants in the United
4 States are operating safer today than they ever have.
5 Now, that's, like I said, separate from Davis-Besse.
6 The situation that occurred at Davis-Besse, I think
7 Sam indicated, an accident didn't occur, but
8 essentially all safety margin on the reactor pressure
9 vessel was eliminated because of failures to properly
10 implement required programs, and we didn't identify
11 that the company was failing to do that, so that's --
12 those are issues that we're dealing with.

13 MS. LUEKE: I guess we find that
14 less comforting because it happened here, No. 1,
15 because it was so close; No. 2, and because there are
16 so many of the plants that are aging, so I think
17 it's -- makes it even more important that these
18 things do happen.

19 MR. GROBE: Yeah, I think those
20 are concerns what we also share. We have
21 requirements that address aging issues. We have
22 requirements for making sure that the plants are well
23 maintained. There's a variety of requirements that
24 address the concerns that you have, but I understand
25 your comment.

1 Do you have any final comments before we go
2 to somebody else?

3 MS. LUEKE: Yeah, I realize I need
4 to go on. There were just a couple quotes that I
5 wanted to ask about that have been in the press
6 lately. One was that Mr. Sheron said that our
7 lawyer said if you issue an order you must have an
8 immediate safety concern and that was one of the
9 reasons that it wasn't shut down in November, and do
10 you need to go through lawyers every time you do a
11 shut down notice, and are the lawyers sort of
12 wagging -- the tail wagging the dog here? I mean,
13 we all know that lawyers are everywhere and they do
14 protect us.

15 MR. GROBE: We'll collect
16 lawyer jokes after the meeting.

17 (Laughter).

18 MR. COLLINS: Any lawyers in the
19 house?

20 (Indicating).

21 MS. LUEKE: Yeah, and so we
22 want to be respectful to the lawyers in the house.

23 MR. COLLINS: Yeah, very good.

24 MS. LUEKE: But I found that
25 comment unnerving, that you would have to go ask the