

1 order to do that, we have all the Restart Checklist items.
2 We have the owners we've assigned at the plant for those
3 Restart Checklist items. And then we have the discovery
4 phase and the colored bars, the implementation phase, and
5 then final closure of the Restart Checklist items.

6 The green identifies those items that we are
7 complete with from a discovery phase. And, as you can see,
8 we have a number of completions. Since our last meeting,
9 we have completed discovery, and Randy Fast talked about
10 this in his presentation. We completed the discovery in
11 the Containment Health Discovery Action Plan area. We've
12 also completed discovery in the Containment, or Containment
13 Emergency Sump items. And we're pursuing now the
14 modifications associated with the Containment Sump.

15 Also, we've completed, another item was our
16 inspections of our Boric Acid Systems outside of
17 containment. This was another area in our extended
18 condition, and we just recently completed those. So, we're
19 making great progress.

20 Another one that's a major milestone and a lot of
21 work and effort went into this, was the completion of our
22 System Health Readiness Reviews and Latent Issues Reviews
23 on our systems. Jim talked about those. That was a major
24 effort. A lot of people involved in that on site. And we
25 just finally finished those up. As a matter of fact, Jim

1 said he was signing some of those this morning and they're
2 all with Lew Myers for final approval, and then they'll be
3 ready for final NRC inspection.

4 I would like to address just a little bit on the
5 discovery area where we're not complete yet. The blue bar
6 up there is an activity in our Management Organizational
7 and Human Performance area, that we still have a few items
8 that we are working on right now. We talked earlier about
9 our Engineering Assessment that's going on right now at the
10 plant. That's an activity in there.

11 One of the activities in there that is complete, a
12 number of them is, we talked about those too, was the
13 Management Root Cause, in addition to Corrective Action
14 Root Cause, the Operations Root Cause; there is some items
15 that are complete in that area; however, we still have,
16 like I said, Engineering Assessment, and then we have a
17 collective review of all those assessments and root causes
18 that we'll be doing, pulling all the things together to see
19 if there is anything from a collective significance
20 perspective that we have missed in any of the individual
21 reviews, and that will be the final activity that will
22 close out that particular item.

23 If you go down further about midway down, you'll see
24 an item that's labeled 3 Charlie 1 or 3 C-1. Yes?

25 MR. MYERS: We're working the

1 plan there. That's exactly what we would expect right
2 now. It's not a deviation.

3 MR. PRICE: That's correct.

4 MR. MYERS: Okay.

5 MR. PRICE: Also, we worked in
6 our plan, we just talked about this one, the next blue bar
7 down, which is our Quality Audits Program Review. Now,
8 this was not in the Building Block for Program Reviews;
9 however, we are using a Phase 2 Program Review, our
10 approach for that for this review.

11 We completed a root cause of the Quality Assessment
12 Organization, and now we're in the process of doing a full
13 Phase 2 Review, utilizing the Phase 2 Program that was
14 designed underneath the Building Block, but it is not
15 necessarily under that particular Building Block. It's
16 underneath the Management/Human Performance Building Block,
17 as Lew stated.

18 Carrying right down, the two that Neil just spoke
19 about that are still in progress, which are the
20 Modification Program and also the Radiation Protection
21 Program. Those are going to the Program Review Board this
22 week and next for final review. And we will, we're
23 targeting to have those completed before the end of the
24 year.

25 The last one, down at the bottom that is noted as

1 5 C 1, or 5 C, or 5 Charlie, is our Functional Area Reviews
2 and those are still ongoing. Those are part of the
3 Management and Human Performance Improvement Plan and a
4 specific activity that we have in that area.

5 Any questions on that?

6 MS. LIPA: The column over on
7 the right, not to the far right, but there is a column
8 about four columns over that says, Ready for Inspection.
9 So, that, do you plan to fill in that column so we can use
10 this as a tool?

11 MR. PRICE: Yeah. One of the
12 things before it's ready for final inspection, it's
13 important to know, Christine, there is a column there that
14 has yes in it or it's blank; if that's the one you're
15 referring to?

16 MS. LIPA: Right.

17 MR. PRICE: Bottom, basically,
18 we have a process we go through as part of the Restart
19 Action Plan, which includes a closure package and
20 validation of those closure packages. And until that's
21 completed, which requires Lew Myer's signature, it is not
22 ready for inspection. So, even though we've completed the
23 phases, some of these items Lew has not had the final
24 sign-off on. When he does, which will be very shortly, a
25 number of these, the yes will go in there and we'll be

1 ready for the final inspection from the NRC.

2 On the right side we have another -- I'm sorry. Go
3 ahead.

4 On the righthand side, we have a number of actions
5 that are going on in the implementation phase. Many of our
6 implementation actions are, go on concurrent with
7 discovery. We don't wait until we're completely done with
8 discovery before we start correcting what we found.

9 And, as you can see, we have a number of actions
10 that are, a number of areas that are progressing quite
11 well, as a matter of fact.

12 MR. GROBE: Yeah, Clark, I
13 appreciate you bringing this slide forward. As you're
14 aware, we meet once a week on this slide, about a half a
15 dozen or eight pages go behind it that provide a lot more
16 detail, but this is probably very difficult for the folks,
17 the public to consume.

18 I would suggest that between now and next month, you
19 come up with a way to better portray the same data. I
20 think it's a great way of tracking what's going on, but
21 better portray the same data, but in a more human friendly
22 atmosphere.

23 MR. PRICE: Okay.

24 MR. GROBE: So, it can be
25 understood more easily.

1 MR. DEAN: I guess I would
2 offer in some earlier meetings, we had had some performance
3 matrix, individual performance matrix, individual graphable
4 display; that seems to be pretty reasonable.

5 MR. MYERS: We've got those
6 too.

7 MR. PRICE: This is just one
8 of high level overview monitoring tool that we're using.
9 We also have our performance indicators. And, I guess one
10 of the things I would like to say then, I'm going to talk
11 about some performance indicators here shortly, is one of
12 the most significant things I feel with our discovery being
13 essentially complete on what we've completed today, is we
14 have completed a lot of material issues, the discovery and
15 material condition issues of the plant.

16 As you saw, most of the open items in the discovery
17 phase are in the Management/Human Performance area, Program
18 Reviews. And we pushed through the discovery phase in the
19 system areas so we got the work identified, the issues
20 identified, and now we can go address and resolve those
21 issues. That was a very important phase that we needed to
22 get through in our Restart Plan.

23 On this next slide here, we're talking about again
24 completion of discovery. We're nearing that completion.
25 We have a number of open restart condition reports and I'm

1 going to get up in a second and address very briefly those
2 graphs that are hanging on the back wall.

3 And, but let me just continue on here with the
4 Operational Performance Indicators. We have a number of
5 indicators in what we call Operational Performance, which
6 are places where we look at workload, backlogs and those
7 types of things. And we're holding steady in those areas,
8 which is good. We're identifying an awful lot of work, but
9 yet we're keeping up with that work.

10 The Organizational Readiness Performance Indicators
11 are all showing steady to improving. And those performance
12 measures tend to be the areas where we're looking at
13 Quality and Human Performance, and we're seeing steady and
14 improving trends in those areas.

15 One of the things that's very fundamental in our
16 whole Building Block effort and our Return to Service Plan
17 is the use of our Corrective Action Program. And through
18 that process, we have identified many conditional reports
19 that have documented the issues that we have found during
20 our discovery phases of our activities. And then we also
21 then have corrective actions that come out of that.

22 If I could, I'll try to speak loud enough for
23 everybody to hear. I'll give everybody an opportunity to
24 stretch a little bit.

25 We have a number of charts and these are some that

1 I've shown in previous meetings. One of the things that we
2 saw in previous meetings is we were in the upwards incline
3 here, which meant we were still discovering more than we
4 were fixing. And this is an, all these graphs here
5 represent, or charts represent open condition reports and
6 open corrective actions.

7 The first two here are the total population
8 condition reports that we have that are open right now that
9 are classified by restart, classified as restart. The
10 Restart Station Review Board, which Bob Schrauder carries,
11 classifies all condition reports and all corrective actions
12 that come out of the condition reporting process, as
13 whether or not they're required for restart.

14 This is the total population of restart actions. It
15 actually is greater than just the O350 population of work
16 that we have. This is all things that we've identified
17 that we desire to have completed prior to restart also.

18 As you can see and what's very important,
19 management of the site and employees look at these curves,
20 because what we've seen in the last about a month ago, we
21 finally peaked and now as we completed the discovery phase,
22 our closure of those evaluations on those condition reports
23 are now seen incoming, and we're now in decline, we're
24 working those off, to restart.

25 What you see basically is, these are, this is a

1 total, the next three sets are major building block areas
2 for our, that we discussed. First is System Health
3 Reviews. The next is the Program Compliance. And the last
4 is Containment Health.

5 Those are all the different major Building Blocks
6 that generated the majority of the condition reports and
7 the discovery items that we found prior to executing the
8 plan.

9 So, this is a good news story. We're now catching
10 up with the, with our workload. We're driving these curves
11 down. We have a lot of effort in this area of focus
12 getting through our evaluations. Because, as probably Jack
13 would tell you, he considers some of that still the
14 discovery phase. And, and it is through true, through
15 those evaluations, we could determine that there are more
16 areas of work that we have to do. That's why we need to
17 get through those quickly, get the corrective actions
18 defined, and get those into the schedule that Mike has to
19 make sure that we got all those, that we can, all those
20 scheduled out for restart.

21 So, I believe that's all I had to share today. I
22 think one of the things, I think we made significant
23 progress in the last month. We've really been working hard
24 to get some of these discovery activities to closure, and
25 we made good progress in the last few weeks in

1 accomplishing that.

2 MR. GROBE: Before you go on,
3 Lew. Clark, I appreciated the way you described the
4 completion. And we would agree that the head resolution
5 area is essentially complete and our inspection was
6 recently issued on that topic and Containment Health is
7 essentially complete and we issued a report recently on
8 that.

9 You've described today two of the six programs are
10 yet to be completed, and I think the chart accurately
11 depicted that. And Management/Human Performance, you still
12 have the corporate oversight and the engineering function,
13 root causes, as well as collective significance; and I
14 think your chart accurately depicted that.

15 The thing that I want to make sure is not lost, is
16 this meeting later this month on engineering design issues
17 is critically important. And I view the eight additional
18 reviews and any further activities you determine are
19 necessary to be discovery, and you're going to identify a
20 significant number of issues, as you have already
21 identified in each of your prior design reviews.

22 So, there is no doubt in my mind that there will be
23 many condition reports coming out of those reviews, and
24 this may not, you know, we have to discuss the extent of
25 that review; and we'll do that hopefully on the 23rd.

1 MR. MYERS: Right. We would
2 agree with that. You know, I think what we want to show
3 the public, if you go look at our basic Building Blocks
4 right now with the first slide, from a System Walkdown
5 Standpoint, Containment Inspection Standpoint,
6 Management/Human Performance Standpoint, we got a lot of
7 the discovery done. In fact, most all of it is done. But
8 we didn't wait to finish all the discovery, there's
9 actually been a lot of work done in containment stuff.

10 So, we didn't wait to finish all discovery. You see
11 that turning green, over to the next column is
12 implementation. You see that implementation is well under
13 way also. So, if you walk away with those two things, of
14 that whole chart, that's all that we wanted to
15 demonstrate.

16 We made good progress on discovery. We also made a
17 lot of implementation progress also. You can see that in
18 our containment, the system walkdowns we've done, the valve
19 repacking program now, and the draindown window, reactor
20 coolant system. So, there is a lot of implementation going
21 on. Okay?

22 MR. DEAN: Let me offer one
23 observation and perhaps a question.

24 Having been involved with plants in the past that
25 have gone through a significant discovery phase, I don't

1 disagree this is kind of an important milestone when you
2 get to the point where your work-off rate starts to exceed
3 your discovery or input. That is a milestone.

4 But it's easy for us to get captured a little bit
5 about looking at things like corrective actions and your
6 hardware related issues, but we have to go back to the fact
7 that a major factor in this whole issue at Davis-Besse
8 revolves around safety culture related issues. And I think
9 it would be important at future meetings to be able to
10 present performance indicators and things that you are
11 monitoring that indicate in some objective sense progress
12 that you're making in terms of addressing the safety
13 culture related issue.

14 MR. MYERS: Okay.

15 Next area we have is, we want to take a few moments
16 to talk about some recent changes we've made at the plant,
17 and from a FENOC alignment standpoint. Bill Pearce and I
18 will talk about that.

19 In general, if you go look at our Building Blocks,
20 we talked about the discovery phase, you know, coming to an
21 end, and those latent issues areas.

22 What we want to do now, we're focusing on reloading
23 the core, pressurizing the containment, pressurizing the
24 RCS later on. That's on the near horizon for us. In order
25 to get there, we've got to do is, we've got to make sure

1 our plant management staff, if you will, is in good stead;
2 and that gets back to that safety culture issue.

3 So, what we did recently is, we had some significant
4 reductions I think in contractor work force. I've heard a
5 lot about that. In general though, what I want to tell you
6 is, we reduced like 380 contractors at our site, and there
7 is still another 900 there now. So, from a staff
8 standpoint, there is still a lot of people at our site,
9 over and above our normal 800 people that we have.

10 And, so we had some things that we wanted to
11 accomplish. First, we have certain contractors that are
12 fairly large contractors, engineering groups that we do
13 business with; FirstEnergy Nuclear Operating Company, we
14 want to make sure that we were aligned with those
15 companies.

16 So, as we took this effort, it was to realign us
17 with the companies that we normally do business with and
18 their management; engineering companies, companies that
19 supply us craft support, companies that supply us health
20 physic support, training support and all that. That was
21 one of our goals.

22 The next thing we want to do is align us, so we
23 could be more operations focused, if you will, then we
24 could assess our own internal performance. For example,
25 we've had this group together called Restart Senior

1 Management Team. Well, it's time to quit calling it the
2 Restart Senior Management Team, and really have the senior
3 managers that we brought into this plant take a leadership
4 role in moving the plant forward.

5 So, sometimes we've had some of our contractor
6 groups reviewing things. We intend to put our managers
7 more in the line organizations; and you'll see us making
8 that shift.

9 Then finally, you know, we wanted to make sure that
10 we had the contractor level in an area that we could manage
11 effectively. One of the things we've done for each
12 Building Block now is, we've gone through the discovery,
13 we're trying to get the work done for example in the
14 containment.

15 We've taken our key contractors and aligned the key
16 contractors with the Building Blocks. What that helps us
17 do, what that helps us with is to focus on that key
18 contractor, whether it be an engineering contractor or a
19 maintenance contractor, to ensure, like for instance on
20 these draindown window, that we have one group of people
21 that's focused on that work and we can do the work
22 efficiently and effectively.

23 So, those are the three objectives that we try to
24 accomplish. We think that aligned us well with our other
25 FENOC stations, and we think that also sets us up to make

1 the next step in loading the core, pressurizing containment
2 and then finally doing the, the hot operational testing.

3 If we can do all that well as a management team and
4 error free, then that helps regain public confidence about
5 our ability to effectively manage our plant. So, that
6 worked okay.

7 While we're doing this, we realized it would cause
8 some management concerns, so we've asked oversight to take
9 a look at the effects of that, and Bill Pearce will discuss
10 that, how we're doing that.

11 MR. PEARCE: Okay. When we
12 made this change, I guess our concern in the Quality
13 Assurance Organization was that any time you have a change,
14 you're at risk to introduce some things you didn't mean to
15 introduce with it. So, the QA manager and myself decided
16 it would be prudent for us to increase our level of
17 oversight during the period of this change.

18 So, we decided what we wanted to look at, was to
19 look at the new makeup of the Engineering Assessment Board,
20 the effectiveness and quality of the Engineering Assessment
21 Board review of Latent Issue Reports, and the quality of
22 System Health Readiness Review Reports ~~without~~ with that
23 Engineering Assessment Review Board.

24 So, that's in addition to what we had been looking
25 to previously. And, some of the things that we did, is for

1 the Restart Station Review Board, we had an increased
2 quality assurance oversight level and we increased the use
3 of QA Evaluators with operations experience to give them
4 more broader view of what we're looking at.

5 We revised, we looked at the revised membership on
6 the review boards. There were several review boards put in
7 place initially to get through some of these latent issue
8 reviews. So, we tried to look at the membership of those.
9 We examined them for their background and their
10 credentials. And the activities and results of the board
11 meetings, we are carefully observing to make sure there is
12 no loss of quality as the boards have changed.

13 What I brought you today, this has gone on over the
14 past few days, so I have some fresh information about what
15 we found in doing these things. We not only made a plan,
16 this is what we seen on the front end of the
17 implementation.

18 As part of our review, we talked to the EAB members
19 to discuss their qualifications, and found that based on
20 their background they were knowledgeable in the subject
21 areas they were looking at. And, at least two members on
22 the Engineer Assessment Board Review Team for Reactor
23 Coolant System were long time Framatone personnel. One is
24 currently system engineering manager there.

25 Three, four permanent Engineering Assessment Board

1 members participated in and observed the review of Aux.
2 Feedwater on the fifth of December. As a recent one that
3 they all participated in, so that was kind of a carry over
4 for them.

5 Says, probing questions were asked by all members of
6 the EAB team, which demonstrated they had time to review
7 the reports ahead of time so they were knowledgeable about
8 what they were reviewing.

9 Placed emphasis on operating experience to ensure
10 that the latent issue team members properly captured what
11 was required. That was a comment that was made. And one
12 of the EAB Panel Review members for the Emergency Diesel
13 Generator Team was the plant's station blackout diesel
14 engineer, which it's the same engine; one is emergency
15 diesel, other is blackout. So, it had a lot of information
16 and expertise in the area that they were looking at.

17 His line of question reflected his own experience,
18 presenting the station blackout diesel generator report
19 previously to the EAB. So, they're utilizing the
20 experience they gain.

21 I guess one perception we have in the Quality
22 Assurance Organization, is we did a pretty good job of
23 making the transition, and that the people that we have
24 presently doing those assessments, seem to have the proper
25 qualification and background to do them, and that the

1 quality of the assessments is not going to suffer because
2 of the change. That was what we were really trying to come
3 to the conclusion of.

4 We increased our oversight because of that. And
5 now, since the change has transpired, we'll go back to our
6 normal plan. But, we just wanted to tell you that we did
7 look harder because we made the change, and we've looked,
8 I think we tried to see if there was going to be any
9 problem associated with that, and it seems like everything
10 went pretty well.

11 Okay, Lew.

12 MR. GROBE: Bill, I wasn't
13 associated in this level of detail with Davis-Besse three,
14 four years ago, as I am today, but my sense is that this
15 sensitivity exhibited by the quality organization may not
16 have existed several years ago to being responsive to
17 changes in the station and increasing oversight. And I
18 really appreciate the fact that your organization is
19 functioning in a real time nature to balance your level of
20 confidence with an application of resources in areas where
21 you wanted to make sure that things are going well.

22 And certainly a time of transition is a time where
23 you could have problems, so I really appreciate that.

24 We performed a number of inspections over the last
25 several months and reported on them last month. One of

1 those was in the System Health area. And we likewise would
2 probably be performing some additional work as you go
3 through these additional design reviews to also regain
4 confidence that the, the new people and the new structure
5 are working as good as the prior reviews had worked.

6 MR. DEAN: Bill, I have a
7 question. In looking at the things, the assessment of the
8 impact in terms of the new makeup of the board,
9 effectiveness in quality, the quality of the System Health
10 Readiness Reviews; you talked about the impact of the
11 Engineering Assessment Board, but what have you done in
12 terms of looking at the quality of the System Health
13 Readiness Review about the EAB review.

14 MR. PEARCE: We reviewed those.
15 I got some information here, although it's -- we think that
16 the quality of the reviews have not changed since the board
17 has not done the final inspection of them any longer and
18 it's being done in the line management. We're looking at
19 the final product now.

20 There is a lot of them are already done and went
21 through the board, so we've got, there is a template that's
22 kind of been put in place of what acceptable and what is
23 not. And the new ones going through now are the same
24 quality level, fit the same template, got the same types of
25 information in them, and seem to go to the same depth as

1 they were previously when the board was reviewing them,
2 Bill.

3 MR. DEAN: Okay. Is your
4 intent, I didn't quite gather from your comments whether
5 you feel like you've completed your assessment efforts to
6 look at this transition or do you still intend to have some
7 enhanced observation in QA activities to monitor?

8 MR. PEARCE: Well, we were
9 involved all along in the boards that were going on, and
10 did overviews, but in this, for this case, the last five
11 latent issue reviews, wasn't it five, I think it was five
12 that went through; we went through all of them. We had
13 somebody at each one of them, sat through the entire
14 thing. We just didn't do sampling, we sat through the
15 entire thing, and watched that.

16 So, we'll go now back to our baseline level review
17 where we do sampling, and look at it in that regard.

18 MR. DEAN: Okay.

19 MR. PEARCE: The comment you
20 made about looking for change, I remembered a quote, and I
21 got this actually from a quality assurance guy about 15
22 years ago. He told me that "Change is the mother of
23 trouble and trouble is the mother of change." And I think
24 that that is, you know, you think about that, it is like
25 that. And, we need to be sensitive to change.

1 MR. MYERS: We need to make
2 it.

3 MR. PEARCE: We need to make
4 it.

5 MR. MYERS: Are you ready for
6 conclusion?

7 MR. GROBE: Absolutely.

8 Any other questions?

9 Go for it.

10 MR. MYERS: Good, thank you.

11 You know, we talked about our reactor head today.

12 If we go to the next slide. Reactor head is on the stand.

13 It's painted. The electrical lines are on the head.

14 Everything is ready to go. It's our intention to set the

15 head up, fit in the near future. Demonstrate that it fits

16 well and everything. So we made progress there and that's,

17 that's going forward.

18 Our System Readiness Reviews are complete. They're

19 on my desk. That might take a week or so, because my

20 intention is to sit down with a large group of engineers

21 and eye-to-eye and go through the System Readiness Reviews

22 before I sign them. So, they're basically complete.

23 Containment Health is good. The emergency sump is

24 moving along. We think that it's going to set an industry

25 standard. Integrated Leak Rate Test Program establishes a

1 new standard also for this industry. We think we'll have a
2 procedure process and way of identifying leakage and
3 formalize that, so that we'll be a model for other plants
4 to come and look at.

5 Additionally we're installing the Flus Monitoring
6 System, which is a new piece of technology that no other
7 plants in the United States has. And we think that's going
8 to make us sort of unique too.

9 So, Containment Health is good. Walk in our
10 containment now, material condition looks very good, we
11 think, compared to other containments I've been in, in the
12 United States.

13 Preparations are underway for core load in the near
14 future, January. Containment testing. Then operational
15 testing. And it's our intent then not just to bring the
16 plant up and pressurize it, but we have an integrated test
17 procedure we're putting together to go look at our
18 equipment to make sure it's going to function well. A lot
19 of our equipment hasn't run in about a year; steam pumps,
20 steam dumps, things like that.

21 We intend to give a good baseline so the plant will
22 be ready for restart, during this plateau. Then we'll cool
23 back down and go look for any potential leakage that we
24 might have, and do some more maintenance.

25 That's a change of the initial plan that we had from

1 several months ago. So, we think it's a good approach. We
2 find something, we fix it.

3 Per Management/Human Performance, we talked about
4 safety culture. Let me spend a moment on that. You know,
5 I think that we're well under way of creating a Safety
6 Conscious Work Environment at our plant, where people can
7 bring issues forward. I won't say we're perfect by any
8 means, but we're taking good steps there to make sure that
9 process; that I have an open door policy, my managers have
10 an open door policy. We've been trying to train them,
11 people in safety conscious work environment, so they know
12 how to address problems. We're trying to get them in a
13 more proactive role.

14 We talk about that at all of our 4-C's meetings. We
15 talk about that at our group meetings. We've done
16 training. So, we feel we're making good progress there.

17 One of the best things from safety culture
18 standpoint is in my mind, is find and fix problems. We
19 have a whole bunch of routine problems that we probably
20 didn't have to fix at our plant. You look over at our
21 graph, that's way over and above the 350 process. Find and
22 fix problems.

23 I love the valves and the draindown, the window we
24 went after, because we wanted to as a management team.
25 Nothing in the 350 process told us to go put in a reactor

1 cavity seal plate. That's a tough model, we did that on
2 our own. That's the right safety culture. And we're
3 driving to make sure that safety culture is in place.

4 Strong operational leadership. You know, most of
5 the managers we have at our plant now are previous SRO's.
6 Bill Pearce was my shift supervisor when I was a young boy
7 at another plant. So, life is a lot better now.

8 If you go look, down to our maintenance manager,
9 he's a previous SRO. The quality manager that we have in
10 place, certification. So, our management organization has
11 a very, very high respect for operational issues.

12 And, for example, a lot of the issues in the
13 Corrective Action Process, I spoke up during this meeting;
14 we write a condition that we think is an operability issue
15 or question, then it's up to us to go back and convince the
16 shift supervisor that we have this bounded. That
17 atmosphere didn't exist, and we're going to make sure it
18 exists when we start the plant back up.

19 We have CR's generating. The person that's going to
20 make that operability calls is the shift managers, like it
21 should be.

22 I want to talk about our people for a few moments.
23 We brought in a management assessment firm and they've
24 looked at our people. You know, I've worked at several
25 plants in the United States myself. I've worked at plants

1 where the population is a 30 mile radius amongst two
2 million people or so. You didn't know each other very
3 well. The community was very large. This is not a large
4 community.

5 I've worked at plants where we've brought people in
6 from the outside and they became part of the community over
7 the years, but they weren't from the community, they were
8 outsiders.

9 One of the things as a management firm we brought in
10 told us, I think is a strength, is that the people at our
11 plant, you know, are from this area. Many of them got out
12 of high school and went off to college, and got their
13 degree so they could work at this plant. They're not
14 move-ins, they're people that are from this area. They are
15 the community. They are the community.

16 And we have meetings scheduled now with our people
17 to go out in the community as we start returning the plant
18 to service, and I think we have like 17 meetings scheduled
19 in the next month or so, to meet with community people.
20 And we've been doing that all along to show to them,
21 demonstrate that we're ready to restart the plant.

22 We paid all this money for a consultant. I want to
23 tell you who it is. I went to my barber over in Port
24 Clinton the other day. She said, I could have told you
25 that without going to a management consultant. Most people

1 I went to high school with, two of my best friends went and
2 got their college degrees just so they could work at
3 Davis-Besse. Just so they could work here.

4 My message again is, I think we have good people at
5 our plant. The issue wasn't a safety culture that's bad
6 with our people, it was that we didn't implement from a
7 management standpoint a strong safety culture. There is no
8 balance between production and safety, it's the gate you go
9 through. And what we're doing is demonstrating that every
10 day at work. Thank you.

11 MR. GROBE: Any other
12 questions?

13 Well thanks, Lew.

14 Each month as we've met, we've seen progress.
15 Sometimes the progress was learning how to do discovery
16 correctly. Sometimes the progress has been much more
17 substantial. And this month is not a change. We continue
18 to see progress.

19 The three areas where we have the largest amount of
20 inspection work left are in the Systems and Design Area,
21 the Programs Area and Management/Human Performance. Your
22 Programs Area is further along. We'll be probably digging
23 into those areas again in detail in January.

24 I think we have the dates for our next three
25 meetings. I don't know that we've announced them

1 publicly. January 14th, we'll be here. That's, these are
2 Tuesdays. February 11th and March 11th. I'm not sure if
3 we'll be in this facility. This is the first time here.
4 We're going to evaluate the adequacy of this facility after
5 we're done, make sure it meets our needs, and see what
6 their schedules are and see whether they can support us in
7 the future. We'll be back here in the local area, January
8 14th, February 11th and March 11th, and we look forward to
9 those meetings.

10 Again, I want to emphasize, a very important meeting
11 on the 23rd, tentatively, and we'll be announcing that
12 publicly as soon as it's firmed up. It will be in Region
13 III. That's somewhat unique for us. We try to have as
14 many of our meetings as possible here at the site. Because
15 it's going to be at Region III, we'll be video
16 teleconferencing to our headquarters office where folks can
17 observe it there. Obviously, folks can come to our Region
18 III office, there will be a public meeting there in
19 Chicago. We'll also have telephone hookups, so if anybody
20 is interested wants to patch in by phone, we'll be doing
21 that also.

22 Why don't we take a very short break. It's 10
23 after, according to my watch. I'll have to synchronize
24 with Christine here, and take a five minute break and we'll
25 reconvene for the public section of our meeting in five

1 minutes. Thank you.

2 (Off the record.)

3 MR. GROBE: What we would
4 like to do now, I appreciate those who are left, having the
5 staying power for this meeting. I think it was quite
6 informative.

7 What we're doing now, is entering a time where the
8 NRC is going to meet with the public, and we're interested
9 in your thoughts, your feedback, any questions you have,
10 any suggestions you have for us. We're open to, to
11 anything.

12 What I would like to do is proceed and ask local
13 elected officials if they have any, or representatives of
14 local elected officials, if they have any questions or
15 comments, they want to come forward first, I would
16 appreciate that.

17 And if he we could each limit our questions to a 3
18 to 5 minute time frame, we could get to everybody and have
19 time to get to dinner too.

20 Hello, Jere.

21 MR. WITT: Hi, Jack.

22 Jack, I am older than you, so I have a prepared
23 statement, so I didn't forget to say what I wanted to say.

24 My name is Jere Witt. I am the Ottawa County
25 Administrator and a member of the Restart Overview Panel.

1 As a member of the Restart Overview Panel, I have been
2 intimately involved in the process since the beginning and
3 have learned more about nuclear power than I ever intended
4 to know, but I appreciate the opportunity.

5 I also have been involved with the Davis-Besse
6 nuclear power plant almost since its beginning, because I
7 have been in this position almost 25 years and have worked
8 closely with the plant over the years. I am not a nuclear
9 expert and never will be, but I believe I bring a common
10 sense approach to the panel along with the ability to ask
11 tough questions.

12 The biggest stake holder in this process is Ottawa
13 County. It affects all of us in many ways, especially the
14 families of the employees. Safe operation of the plant has
15 and always will be my first priority. It is obvious that
16 Davis-Besse and the Nuclear Regulatory Commission both made
17 mistakes as part of this incident; and they have admitted
18 so.

19 The Restart Overview Panel's function is to provide
20 independent oversight and review of plant activities in
21 regards to restart. This panel is made up of industry
22 experts and myself as a representative from the county.

23 They probably have asked the toughest questions of
24 anyone in this process and will press on until all issues
25 are resolved satisfactorily.

1 The Restart Overview Panel has been in containment
2 and will go back, because they are committed to this
3 assignment.

4 All of the members of the panel have added
5 additional expertise in some manner during this process.
6 It was never intended to be and never will be a rubber
7 stamp.

8 I believe we must evaluate the value of the
9 continued operation of the Davis-Besse Nuclear Power
10 Station in terms of safety, and value to the community.
11 Mistakes were certainly made in regards to the head
12 incident, but there have been many good things happening at
13 the plant over the years.

14 We must ensure that this type of incident never
15 happens again, and get back to operating the plant safely
16 and as a benefit to the community.

17 This has been a monumental task for everyone, and
18 the process to get there is unbelievable, but I believe
19 that the indicators show that we are moving forward. Let
20 there be no mistake, there is a lot of work to do yet, but
21 I believe you are getting there.

22 The management team and the process is in place to
23 make the right decisions and lead this process to
24 completion. The employees are a dedicated group that live
25 here and want to do what is right. It's been a tough

1 process and they have worked long and hard to get to where
2 they are today.

3 I congratulate you on the improvements you have
4 made. Keep up the good work.

5 Davis-Besse has made many improvements that go above
6 and beyond the required O350 process. Unfortunately, the
7 public will never see all the improvements and changes that
8 have been made. The process has been long and tough, but
9 the end result should be a good one.

10 There has never been any effort that I am aware of
11 to not address an issue, but to the contrary, they are
12 going above and beyond to address issues.

13 The plant has also planned for improvements that
14 will continue to be made after restart. I believe it is
15 now time to move forward with the safe restart of
16 Davis-Besse at the time when the plant and the NRC has
17 addressed all of the necessary issues appropriately.

18 I urge everyone to give the Davis-Besse team and the
19 Nuclear Regulatory Commission the opportunity to make it
20 happen, and work with them to get there.

21 I believe you can safely operate this plant in the
22 future, but also believe that close scrutiny must continue
23 by Davis-Besse, the NRC, FENOC, FirstEnergy, the County and
24 the public.

25 My family lives here along with my grandchildren,

1 and I would never suggest restart if I believe a credible
2 safety risk is involved. It is time to move forward in the
3 process, and restart with safety as the number one and only
4 goal. Thank you.

5 MR. GROBE: Thank you very
6 much, Jere. I did notice earlier that another member of
7 the Restart Oversight Panel was present at this meeting.
8 He left a bit ago. That is Christopher Bakken. He's Chief
9 Nuclear Officer from Merit American Electric Power Corporation.

10 And, of course, Bob Saunders, President of FENOC is
11 here.

12 I attend as well as some of the other NRC staff
13 those meetings each month. And Jere is right, they're a
14 challenging committee and I appreciate their contribution.

15 Yes, sir.

16 MR. KOEBEL: Thank you, Jack.

17 My name is Carl Koebel. I'm President of the Ottawa
18 County Commissioners, and I'm here today to represent the
19 feelings of the Commissioners toward what got us here.

20 Davis-Besse, as we've seen today through it's
21 management and its staff has worked extremely hard to get
22 to this point. And I think what I heard today and what was
23 stressed today was change. And I know from previous
24 experiences in other departments and with the county staff,
25 change is difficult. Change is always consistent, but it's

1 difficult.

2 And, especially when you look at change in an area
3 like Davis-Besse Nuclear Power, where it can affect the
4 people, it can affect the community, and it's from the
5 people that live and work, that work there, live within the
6 community, that stress has to be very, very high on them.

7 And I commend the staff of Davis-Besse for doing
8 what they're doing. And I commend them for the progress
9 that they've made today, both the staff and the
10 management.

11 Davis-Besse is very important to Ottawa County.
12 There is no question. And I appreciate that Davis-Besse
13 over the years has kept the county very well informed of
14 what was going on at the plant. And the NRC has been very
15 helpful in keeping us informed of what's been going on
16 during this oversight review.

17 I also would like to commend Davis-Besse for
18 allowing us the opportunity to have representation on their
19 Restart Overview Panel by allowing us to have Jere Witt sit
20 on that panel. It's been very, very helpful to us.

21 One thing we know is that our expectations are that
22 that plant must be operated with safety as priority one.
23 We heard that today from Mr. Myers. We heard that at
24 previous meetings. And I really believe that there is a
25 definite commitment from management and employees at

1 Davis-Besse that priority one is safety, priority one will
2 be safety and that priority one safety will build again the
3 confidence that we've had in the past of Davis-Besse.

4 We lost some of that confidence. We're gaining it
5 back every meeting, every meeting, every meeting. Today,
6 my confidence gained more than it did the last month. And
7 I think next month it will gain even more, because we're
8 seeing a move toward restart. And we know how important
9 that is.

10 Why is it important? Think of the contributions
11 that Davis-Besse has made to this county. We just went
12 through a tornado. Because of the Davis-Besse siren, we
13 were able to warn the people. And, although we lost a lot
14 of property, we lost no life and we had no serious harm to
15 anyone. And that was, one of the reasons were the people
16 were able to be notified. Why were they able to be
17 notified? Because of the siren system for Davis-Besse.

18 We also were able to expand that siren system
19 outside of the ten miles going around Davis-Besse, and to
20 the rest of the county, thanks to the help of Reggie
21 Strauss, one of the employees of Davis-Besse. We were able
22 to get those, and we know there is a hundred percent
23 coverage of every home in the county. We could not have
24 done that without the quality of people that are, were
25 presented to us through Davis-Besse.

1 One of our, one of our members ran into an
2 individual that worked at Davis-Besse, who informed them
3 that Davis-Besse allowed them off work to work with the Red
4 Cross during this last tornado. Most industries wouldn't
5 do that.

6 Our funding for our EMA through Davis-Besse has
7 allowed us to have training for things that we have to live
8 with on Davis-Besse because of where we are. Things like
9 floods, many of the other natural disasters. Through the
10 Davis-Besse training, we have been able to handle those
11 disasters much better than we would without Davis-Besse.

12 Of course Davis-Besse is our largest employer. Not
13 only does it provides jobs for our people, it provides
14 taxes for our government to run and it also provides
15 business opportunities for the other businesses in the
16 county.

17 One of the examples that nobody thinks about is,
18 small things like funding the radio system for our law
19 enforcement and our fire and our EMS. This is being done
20 by Davis-Besse. And they're not tooting their horn.
21 They're not going out bragging about it. And there is so
22 many other things like this, that we could go on for hours,
23 but I don't have the time and I'm sure that everybody else
24 is as hungry as I am.

25 So, what I would like to do is say, what do we get

1 if we don't start Davis-Besse? We get a mortar and brick
2 building that contains radioactive material, and that's
3 good for no one. If we restart Davis-Besse with priority,
4 safety as priority number one, we get jobs, we get dollars,
5 we get a well run plant, we get growth in this county, we
6 just get everything that we need that's positive.

7 That's where we need to go. That's where I think
8 we're headed, and I commend you all for getting us to this
9 point. Thank you.

10 MR. GROBE: Thank you, Carl.

11 The charts over on the wall describe hardware and
12 software issues, program issues, but I thought Bill Dean on
13 my left asked an excellent question, and that is that we
14 need to get a little more into the issues that got
15 Davis-Besse into the situation they were in; and that is
16 the cultural issues.

17 We heard a little bit today about the cultural
18 changes that are going on in Operations, and we ask that
19 that be expanded on in our next meeting, and that's good.
20 And Bill asked that we get some additional information on
21 the Safety Culture, Safety Conscious Work Environment, any
22 performance indicators that the company is using. And
23 there is several of them, as well as we had talked
24 previously about safety culture, I believe it was the
25 meeting at the Davis-Besse Administration Building.

1 And Bill Pearce indicated that they had planned an
2 additional survey of the staff to, to evaluate the
3 attitudes and views of the staff. And in meetings last
4 evening with Lew, I understand that FirstEnergy is planning
5 a little bit broader assessment concept of Safety Culture
6 and Safety Conscious Work Environment. And, that will be
7 on our agenda for next month also.

8 Carl indicated that Davis-Besse folks may have lost
9 some people's confidence in their performance that led up
10 to the discovery last March. He was generous in not
11 focusing too much of his comments on the NRC. The NRC I
12 think also lost some public confidence. And, I hope each
13 of you that's been able to attend these meetings has been
14 able to see how we do our job and get a better perspective
15 and understand the efforts, the self-assessment efforts
16 that we're going through.

17 Last month, Art Howell, who is my counterpart in
18 Region IV in Texas, presented our own self-assessment and
19 corrective actions were taken. There will be a commission
20 meeting I believe sometime in January where the
21 commissioners are going to hear the results of that
22 self-assessment, what corrective actions we're implementing
23 to improve our performance.

24 Are there any other local elected officials or
25 representatives of elected officials that want to come to

1 the microphone? Yes, sir?

2 MR. OPFER: Good afternoon. I

3 appreciate the opportunity to testify today. My name is

4 Darrell Opfer. For ten years, I was a County Commissioner

5 during what I call the middle period at Davis-Besse. For

6 nine years, I was a State Representative, and the point

7 person of my caucus on the discussion and eventual adoption

8 of deregulation. Currently, I've been for two and a half

9 years the Director of the Ottawa County Improvement

10 Corporation, which is the Economic Development Agency for

11 Ottawa County and its various subdivisions.

12 A couple of comments that I would like to make today

13 with regard to the importance of Davis-Besse to our

14 community. And I do this, because when I was in the

15 Legislature, a number of my fellow Legislators found it

16 difficult to understand why I was supportive of nuclear

17 power, and the Davis-Besse Plant in particular.

18 One of the things that you need to understand is

19 that within a few miles of where you're sitting, actually a

20 few thousand feet, Ottawa County for a number of years had

21 a major employer; and that was the Erie Ordinance Depot and

22 the Erie Army Depot which employed thousands of people and

23 brought thousands into the county during, especially during

24 and after World War II. That no longer exists, and we're

25 still struggling to try to increase the amount of

1 employment at that site to a portion of what we previously
2 had.

3 Next door, we have the Uniroyal building, which used
4 to have four to five hundred employees. That's now sitting
5 vacant. We had the Standard Products in Port Clinton,
6 which had four to five hundred. Now vacant. We had the
7 Celotex Quarry, which closed up last year, 150 employees.
8 Last Friday, the Metaldyne Company, which is in the Erie
9 Industrial Park closed, laying off approximately 80 to a
10 hundred people.

11 This county has been consistently declared by the
12 State of Ohio and the federal government to be a labor
13 surplus county, entitling us to certain benefits in terms
14 of tax credits and so on, but nevertheless, we are one of
15 the few counties in the State of Ohio outside of Appalachia
16 to be considered a labor surplus county.

17 Besides being the major employer in Ottawa County,
18 one of the things that is fairly easy to understand is the
19 taxes that the Davis-Besse pays to the school, the
20 township, the county, and also we shouldn't forget the
21 State of Ohio. It is also a major attraction of folks to
22 utilize our seasonal or particularly especially when they
23 have the, refueling in the nonsummer season, attracting
24 people to utilize our hotels, motels, restaurants and other
25 facilities.

1 It has, Carl has mentioned our EMA. It also
2 provided, when I was County Commissioner, a facility in the
3 courthouse, which although it's not the highest cost
4 facility, it certainly represents an excellent facility
5 that does us proud, not only with regard to Davis-Besse,
6 with floods and tornados as well.

7 The radio system was mentioned. It was not
8 mentioned that we, we have some roads in the area that
9 because of flooding were built up by Davis-Besse, so that
10 employees and emergency personnel could get to and from the
11 plant, and the area.

12 It has not been mentioned that Davis-Besse has
13 provided a great deal of environmental support for the
14 area. That the wildlife is important to our area as a
15 contributor of habitat to our bird migrations, the eagles
16 and so on. This county relies very heavily upon the
17 wildlife, the other things to bring folks in.

18 One of the concerns that some of my fellow
19 Legislators had on occasion was, well, you know, why don't
20 you go to wind power, why don't you go to coal, and so on.
21 I'm not sure how many acres are in Ottawa County, but the
22 estimate is that it would take 140,000 acres of windmills
23 to replace Davis-Besse. And I'm not sure that we have
24 that, that much acreage to spare in Ottawa County.

25 The obvious concern about coal is the other

1 pollutants that it produces, and we're spending
2 considerable time, energy and expense now to try to
3 mitigate that.

4 I'm also concerned about the cost of electricity and
5 the capacity of our electric generation for the future.
6 When I was in the Legislature, we were very careful not to
7 duplicate California and its problems, which we had
8 anticipated, but I am concerned about the year 2006, which
9 will be the end of the market phase of deregulation in this
10 area, and what this will do when we go to the marketplace
11 and have true competition, as to what will be the price of
12 electricity and whether there will be adequate supplies to
13 take care of our needs.

14 Some of my fellow Legislators thought that gas
15 peaking plants were the solution. They are not a long-term
16 solution. The use of gas during already high consumption
17 periods concerns me, especially since my gas bill is five
18 times what my electric bill is, and we haven't had any
19 peaking plants put on line in the area yet.

20 I'm also concerned and wondering about the national
21 emergency. Those who oppose nuclear power constantly talk
22 about terrorists attacking a nuclear power station. My
23 concern after knowing the type of security that there is at
24 the Davis-Besse Plant is not about terrorist activities
25 there, as much as what happens if there is a terrorist

1 activity in one of our surrounding cities, and do we have
2 the transmission line or transmission capability to provide
3 electricity in that kind of situation.

4 My concern is that -- and I do want to commend the
5 NRC, commend FirstEnergy, and other folks that are working
6 on this particular issue. My concern is that we not get
7 into a finger pointing issue, or an argument of a did too
8 or did not, and that the plant closure not be delayed as a
9 result of that type of activity.

10 I followed the progress of the various committees,
11 and am certainly impressed with what has happened.

12 A question that I have is, we have a number of local
13 business people and political leaders who were not able to
14 be here today. For example, the Mayor of Port Clinton
15 called and said that he had a council meeting this
16 evening. My question is, can the meeting feedback form be
17 used by folks to make comments to the NRC without
18 necessarily being present at the meeting?

19 MR. GROBE: Absolutely.

20 Thank you. You're an excellent segue. In addition to
21 these cards, if you have a comment, we also have meeting
22 feedback forms. You don't even have to put a stamp on
23 them. Just fill them out and send them back to us and they
24 get right back to my desk.

25 MR. OPFER: Thank you.

1 MR. GROBE: As well as a
2 number of other people.

3 MR. OPFER: I appreciate that,
4 Jack, and I do have some emails, copies of emails that I've
5 received from local business and political leaders, and
6 will present those this evening, if that is acceptable.

7 MR. GROBE: That would be
8 very good. Thank you.

9 MR. OPFER: Thank you.

10 MS. LIPA: The other thing I
11 would like to offer too, Jack, is on the back page of the
12 NRC newsletter is the email address and phone numbers and
13 names of our Public Affairs Officer. So, you can also
14 email questions to us at this email address on the back
15 page.

16 MR. GROBE: Very good. Are
17 there any other local elected officials or representatives
18 that are here this afternoon?

19 I would now like to open the floor to any local
20 residents, members of the public from the local area. The
21 rest of you are just dedicated listeners?

22 Yes, ma'am.

23 MS. LINCOLN: My name is Connie
24 Lincoln and I'm a contractor at Davis-Besse. And I have a
25 question. I think what, I've gone to all the hearings and

1 heard different things and you clearly see today that we're
2 really on the road to recovery, and people are feeling
3 pretty enthusiastic, feeling good about where we are. You
4 can see the curves are turning down. We're getting the
5 work done. So, we're sort of at a pivotal point.

6 So, I think about it, and I think in your shoes, you
7 have the keys to the plant. And you also are taking a look
8 at it, hopefully from a bigger look and a strategic
9 viewpoint on what has happened.

10 So, in sitting back and looking at it from the
11 bigger picture, what I ask you is what haven't you heard
12 that you want to hear from Davis-Besse, and is there any
13 showstoppers that you see that we need to be thinking
14 about?

15 MR. GROBE: Excellent
16 questions. I'll make a couple of comments and I'll let
17 Bill think and see if he has some thoughts that he wants to
18 add.

19 First off, we don't have the keys to the plant. Lew
20 Myers has the keys to the plant. And they've always been
21 with him.

22 We're observing, we're your representatives, making
23 sure when this plant restarts, it can restart safely, and
24 also that safe operation could be sustained for the long
25 run.

1 I think there is two areas that are of continuing
2 concern, but before I say that, let me step back. The
3 tenor of the meeting and nature of the comments this
4 evening has been interesting to me, because I haven't seen
5 a whole lot of difference in this meeting than I've seen
6 over the last several meetings. Each meeting there has
7 been steady progress. Each meeting there has been
8 demonstration of what I call the right stuff, over the last
9 three or four months.

10 Just because those curves have peaked. Those of you
11 who go over and study those curves closely will notice that
12 some of those curves feed other curves, so as one goes down
13 the other goes up. That's good news. It means discovery
14 is beginning to come to an end and resources can be shifted
15 to fixing the problems that have been identified.

16 There is still a substantial amount of work to be
17 done. Just bulk work. That's one area of focus that I
18 have.

19 Second area of focus is the design issues. That's
20 an important outstanding question. Discovery is not done
21 in that area.

22 And the third area is the one that Bill mentioned
23 earlier, and that's the Safety Culture and Safety Conscious
24 Work Environment at the plant. It wasn't any of these
25 hardware issues that caused the head to corrode for four to

1 six years and not be identified. The indicators were
2 clear. It was the safety culture of the plant that caused
3 that to happen. And we need to make sure that we get our
4 arms firmly around understanding FirstEnergy's view of that
5 safety culture and how it's been changed.

6 There is a lot of expertise out there that can
7 provide assistance in measuring the safety culture. And
8 lots of times people think that that's not something you
9 can measure because it's, it's not, as most of us engineers
10 relate to, it's not something I can put a calculator on or
11 use a micrometer on or anything like that, but there are
12 indicators that you can develop and monitor safety
13 performance.

14 So, those are my thoughts.

15 Did you have anything you wanted to add?

16 MR. DEAN: Yeah, what I
17 wanted to add, two things I guess. One is, plants that
18 find themselves in this situation where they're in an
19 extended outage due to notable performance issues and a
20 significant type of event that occurred here, there is a
21 definitive life cycle.

22 Both Jack and I have had experience with other
23 plants that have gone through similar sort of evolutions.
24 And I don't disagree with you. I think I made the point
25 during the presentation, that looking at those curves, that

1 is a milestone along the way. But I think as you heard
2 Jack say, there is a lot of work that needs to be done.
3 First of all, you know, we have to get a sense for,
4 you know, you asked, what are the things we need to see.
5 Okay. We've got to get a sense for, in toto, what is the
6 significance of the issues that are on the plate now in
7 terms of, you know, is there a collective significance to
8 that and what has to be done to ameliorate that collective
9 significance, so we have a comfort level that the plant has
10 addressed those issues at least from a hardware perspective
11 that support safe restart.

12 I applaud the Licensee for taking on some mobile
13 modifications and, that are not associated with the vessel
14 head degradation. I think you heard Lew talk about some
15 today. We talked about others in the past, you know. And
16 so that's the type of indications that we want to see that
17 maybe get towards more the safety culture. Okay. What is
18 the approach that the plant is going to take relative to
19 the application of its resources, the use of its capital
20 investments, in terms of making the plant safe or making it
21 robust and making it capable of being able to operate on an
22 ongoing basis safely.

23 Okay. Those are the things, the demonstrations we
24 have to see. We are only seeing, what have they done to
25 identify issues. Now we have to see them resolve these

1 issues, we've got to see them more importantly resolve
2 those issues related to, I want to get this place, in its
3 place to begin with, which gets to the safety culture
4 issue.

5 And that's going to be a challenge area. It's going
6 to take some sort of qualitative assessment. And, to be
7 honest with you, those issues are not going to be resolved
8 if and when the plant restarts. Okay. Those are going to
9 be long term issues that going to need to be addressed and
10 monitored for a period of time.

11 MS. LINCOLN: Thanks.

12 MR. GROBE: Okay, thank you
13 very much. Excellent question.

14 Floor is open. Anyone here that's not a local
15 resident or worker at the plant that has a question or
16 comment?

17 MR. DEAN: We have another
18 floor show at 7.

19 MR. GROBE: I don't know if
20 you heard that. Bill said, we have another floor show at
21 7. And we do. Those of you that have additional questions
22 that you think of over dinner are welcome back at 7:00.

23 I just want to make one final observation. As Bill
24 indicated, he was associated with the Millstone facility
25 and the restart effort there, and I've been associated with

1 a number of restart efforts. And most of those took
2 years.

3 And, one of the differences that I see at
4 Davis-Besse is that they brought in a strong management
5 team with a good focus. And that doesn't solve the
6 problem, but that allows the problem to be, problem
7 resolution to begin. And, that was done very early on.

8 We're eight months into this, nine months into this,
9 something like that. And, as I said, you've seen steady
10 progress over the last several months. I think that's
11 noble. Restart is not going to be next month. But there
12 is steady progress being made, and I guess I'll close with
13 that.

14 Thank you very much.

15 (Off the record.)

16 - - -

17

18

19

20

21

22

23

24

25

1 CERTIFICATE

2 I, Marie B. Fresch, Registered Merit Reporter and
3 Notary Public in and for the State of Ohio, duly
4 commissioned and qualified therein, do hereby certify that
5 the foregoing is a true and correct transcript of the
6 proceedings as taken by me and that I was present during
7 all of said proceedings.

8 IN WITNESS WHEREOF, I have hereunto set my hand and
9 affixed my seal of office at Norwalk, Ohio, on this 16th
10 day of December, 2002.

11

12

13

14

Marie B. Fresch, RMR

15

NOTARY PUBLIC, STATE OF OHIO
My Commission Expires 10-9-03.

16

17

18

19

20

21

22

23

24

25