

# Official Transcript of Proceedings

## NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Nuclear Waste  
135th Meeting

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Tuesday, June 18, 2002

Work Order No.: NRC-434

Pages 1-219

**NEAL R. GROSS AND CO., INC.**  
**Court Reporters and Transcribers**  
**1323 Rhode Island Avenue, N.W.**  
**Washington, D.C. 20005**  
**(202) 234-4433**

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION

+ + + + +

135TH MEETING

ADVISORY COMMITTEE ON NUCLEAR WASTE

(ACNW)

+ + + + +

TUESDAY

JUNE 18, 2002

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

The Advisory Committee met at 12:30 p.m.  
at the Nuclear Regulatory Commission, Two White Flint  
North, Room T2B3, 11545 Rockville Pike, Dr. George M.  
Hornberger, Chairman, presiding.

SUBCOMMITTEE MEMBERS:

- George M. Hornberger, Chairman
- Raymond G. Wymer, Vice Chairman
- B. John Garrick, Member
- William J. Hinze, Consultant
- Milton N. Levenson, Member
- Bruce Marsh, Consultant

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1        ACNW STAFF PRESENT:

2        Howard Larson

3        Sher Bahadur

4        Andrew C. Campbell

5        Lynn Deering

6        Latif Hamdan

7        Timothy Kobetz

8        Michael Lee

9        Richard K. Major

10       Richard P. Savio

11

12       ALSO PRESENT:

13       Derek Elsworth

14       William Melson

15       Meghan Morrissey

16       Ken B. Sorenson

17       Jeremy Sprung

18

19

20

21

22

23

24

25

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

A-G-E-N-D-A

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

Opening Statement

Chairman Hornberger . . . . . 4

Igneous Activity Considerations at the Proposed High-Level Waste Repository at Yucca Mountain

William Melson . . . . . 7

Derek Elsworth . . . . . 37

Meghan Morrissey . . . . . 77

Bruce Marsh . . . . . 114

NRC's Package Performance Study

Milton N. Levenson . . . . . 154

Ken B. Sorenson . . . . . 155

Adjourn . . . . . 219

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

P-R-O-C-E-E-D-I-N-G-S

12:30 p.m.

1  
2  
3 CHAIRMAN HORNBERGER: The meeting will  
4 come to order. This is the first day of the 135th  
5 meeting of the Advisory Committee on Nuclear Waste.  
6 My name is George Hornberger, Chairman of the ACNW.  
7 The other members of the committee present are Raymond  
8 Wymer, Vice Chairman, John Garrick, and Milt Levenson.  
9 Drs. William Hinze and Bruce Marsh, ACNW invited  
10 experts are also participating in today's session.

11 During today's meeting the committee will  
12 (1) hear presentations by several nuclear waste  
13 technical review board consultants on their  
14 perceptions on igneous activity efforts. (2) Hear an  
15 update by representatives of the Spent Fuel Project  
16 Office in Sandia National Laboratories on the current  
17 and future transportation safety studies and potential  
18 confirmatory testing. (3) Discuss preparation of ACNW  
19 reports.

20 John Larkins is the designated -- John  
21 Larkins is not the designated federal official.  
22 Strike that. Howard Larson is the designated federal  
23 official for today's initial session.

24 This meeting is being conducted in  
25 accordance with the provisions of the Federal Advisory

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Committee Act. We have received no request for time  
2 to make oral statements from members of the public  
3 regarding today's sessions. Should anyone wish to  
4 address the committee, please make your wishes known  
5 to one of the committee staff.

6 It is requested that speakers use one of  
7 the microphones, identify themselves, and speak with  
8 sufficient clarity and volume so that they can be  
9 readily heard.

10 Before proceeding I would like to cover  
11 some brief items of current interest. Dr. Andy  
12 Campbell, Senior Staff Scientist, has returned to the  
13 committee staff. Dr. Latif Hamdan completed his  
14 rotational assignment and has returned to NMSS.

15 Phil Justus has returned from a stint in  
16 Nevada as the Yucca Mountain site representative and  
17 has relieved Dave Brooks as ACNW liaison. We thank  
18 Dave for his yeoman work and welcome Phil back.

19 Alabama, Florida, Tennessee, Virginia, and  
20 the Southeast Compact Commission filed suit June 3rd  
21 in the U.S. Supreme Court accusing North Carolina for  
22 failing to follow through on commitments to host the  
23 disposal facility. They seek \$90 million in  
24 penalties. President Bush has reappointed Commissioner  
25 Merrifield to the NRC.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           With that boiler plate out of the way, we  
2 will proceed to the important part of our meeting. We  
3 are very pleased to have with us today Drs. Melson,  
4 Elsworth, and Morrissey. We, the ACNW has been  
5 interested for some time in the issue of igneous  
6 activity with regard to Yucca Mountain.

7           In particular, the Commission had asked us  
8 to look into the consequence analysis, some of the  
9 preliminary consequence analysis that was done under  
10 NRC sponsorship. We knew that the Nuclear Waste  
11 Technical Review Board had several experts look at it  
12 for them and we appreciated reading the reports.

13           We are very happy that the same experts  
14 agreed to come and give us the benefit of their  
15 wisdom. We have three presentations and we'll go  
16 through those in order and then we will have ample  
17 time for questions and discussion. Dr. Bill Melson is  
18 going to go first.

19           DR. MELSON: Thank you, Dr. Hornberger.  
20 Can you all hear me? Can you hear me in the back?

21           CHAIRMAN HORNBERGER: Mike.

22           MR. LEE: We would just like to remind  
23 everyone listening that the views that are being  
24 expressed are those of the consultants and not  
25 necessarily reflect the views or positions of the TRB.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. MELSON: Okay. Thank you. I'm going  
2 to look at the CNWRA inputs into the program, but I'm  
3 also going to integrate that with what DOE has done  
4 and other groups have done in moving forward the  
5 volcanic consequence analysis. I'll also look at near  
6 the end what more can we expect and what more do we  
7 need to reach some kind of closure on the volcanic  
8 disruption issues.

9 In 1968 Arenal Volcano in Costa Rica had  
10 a large explosion. Actually, a series of explosions  
11 which destroyed about seven square kilometers. I'll  
12 show you how this connects to this in just a second.

13 About seven years later -- I had been  
14 studying the volcano at that time. About seven years  
15 later the power company in Costa Rica decided to build  
16 a large earth-filled dam in that region. The power  
17 company hired a board of consultants that included  
18 volcanologists and they went in and gave a report.

19 When the Inter-American Bank visited the  
20 site because they were going to fund it, they found  
21 out, in fact, that this large volcano was sitting  
22 within seven kilometers of the earth-filled dam site.

23 I was asked to serve on the board of  
24 consultants for the Inter-American Bank because they  
25 didn't believe the previous report was sufficiently

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 objective. On that panel also was a man named Bon  
2 Deere who became one of the first chairmen of the TRB.

3 I got involved there because of a similar  
4 incident. Around 1992 -- I believe it was around  
5 1992, a man named John Trapp, who is sitting here,  
6 stopped on Yucca Mountain, or something to that  
7 effect, and looked out and saw these cinder cones all  
8 around the site and became alarmed.

9 Thus began an intensification of the  
10 volcanic hazards studies and Don Deere asked me to  
11 start working with the board on the interpretation of  
12 DOE and other work done on volcanism.

13 This is a really large shockwave it  
14 involved and the volcano is still active. As a matter  
15 of fact, Leon Ryder could probably give you an update.  
16 He was down there recently. It does produce shock  
17 waves still. So-called flashing arcs.

18 Now, the kind of volcano we have in  
19 Central America is a subduction zone volcano. Very  
20 large and repeatedly active in the same place. If you  
21 look here, we are talking about scattered volcanos in  
22 the southwest.

23 Just incidentally, this is a wonderful  
24 program available on the web which allows you to call  
25 up any part of the regions of the earth and look at

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the earthquake and volcanic picture since 1960.

2 What we are dealing with, of course, at  
3 Yucca Mountain is not the kind of thing that happens  
4 at large. Water rich magnetic explosion eruptions  
5 like Mt. St. Helens. It's more like we do see in some  
6 subductions on volcanos. This is the Cerro Negro in  
7 Nicaragua where Chuck Connor of the CNWRA expressed  
8 some concerns that this was somewhat similar to some  
9 of the Yucca Mountain volcanos but much smaller  
10 activity, much lower volume.

11 This is an interesting one that we have a  
12 big gas magnum coming out the base whereas we are  
13 getting pyroclastic eruptions simultaneously from the  
14 summit cone.

15 Here is our picture at Lathrop Wells and  
16 the Crater Flat field. Here is a very small volcanic  
17 field. Very rare eruptions and very small. There is  
18 a more active one to the north of Lunar Crater which  
19 I'll come back to, a volcanic field.

20 Up here we have the trace of the Yellow  
21 Stone hot spot. Very large. The Snake River Plains  
22 are here. Very large and a lot of volcanic potential  
23 up here with much less in this particular region.

24 Here is the Yucca Mountain volcanic field.  
25 Here we have the duration, a million years of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 activity. The activity there is about 4.5. The  
2 volume is about as small as one can get. Here the  
3 lunar crater is larger. If we look at some of these  
4 other fields like the fields up here, we see  
5 tremendous amounts of activity compared to what we see  
6 in Yucca Mountain.

7 Let's go into what more is needed  
8 concerning the probability of disruption and the  
9 consequence of intrusion and disruption. This is a  
10 picture that many of you have seen before. Here is  
11 the footprint of the repository. Here is the Lathrop  
12 Wells cone. Here we see the Pliocene and a Quaternary  
13 volcano unit here in Crater Flat field. Some varied  
14 anomalies here.

15 This doesn't show topography but this  
16 activity here is mostly within rift-valley sequence.  
17 We have small volume basaltic eruptions and they are  
18 mostly monogenic cones. That is, a single episode  
19 eruption produces a cone and it's dead. It's gone.

20 Again, so far the activity is restricted  
21 to the rift-valley just west of Yucca Mountain. There  
22 are some cones scattered and far away from it but this  
23 is by far the most of them.

24 The probability of dike intersection were  
25 estimated many years ago by Bruce Crowe and his co-

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 workers at about  $10^{-8}$  per annum. Recent estimates are  
2 close to that with the NRC estimate slightly higher,  
3 about  $10^{-7}$ . Anyway, regardless of what we think about  
4 Yucca Mountain, the intersection of the repository by  
5 a dike, the probability is very low.

6 If we look at the activity through time,  
7 we have a thirsty mesa large volume activity and then  
8 dropping, dropping on down to the Lathrop Wells cone.  
9 Recurrence rates are very low,  $10^{-5}$  to  $10^{-6}$  per year.

10 In the simplest sense the recurrence rate  
11 in the region of interest, and this can be defined  
12 differently, and has been defined differently by  
13 different people. In other words, they drew different  
14 boundaries around it.

15 Plus the possibility that recurrence will,  
16 in fact, intersect the repository. That depends on  
17 dike length and dike abundance, a whole bunch of  
18 factors. There are a lot of possibilities here. The  
19 results normally range between  $10^{-6}$  and  $10^{-9}$  per year.

20 Real quickly some benchmarks in the  
21 probability of disruption. In 1980-1990 I mentioned  
22 this was DOE's work with Bruce Crowe. In 1995 the  
23 first higher estimates began to show up. Conner with  
24 the CNWRA and Ho and Smith came up with some higher  
25 values.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Chuck Conner's work was very important in  
2 that he introduced the concept of working with curl  
3 statistics where you have decrease in probability away  
4 from the center instead of uniform probability over  
5 the broad area.

6           The mid-90's there was a rather hot  
7 controversy was resolved between most of the USGS  
8 scientists and the Los Alamos group. The Los Alamos  
9 group believed that Lathrop Wells cone had formed by  
10 repeated eruptions, a polygenetic cone.

11           This was an unlikely hypothesis because  
12 normally we think of those things as monogenetic.  
13 They base it on topography and the very uneroded  
14 nature of the cone and other features suggested it had  
15 in fact been polygenetic. That was resolved, I think,  
16 to most people's satisfaction as being a monogenetic  
17 cone about 75,000 years old.

18           Because of lots of controversy and lots of  
19 spread, DOE convened this Probability of Volcanic  
20 Hazard Analysis in 1996. I'll go over that briefly.  
21 Now what still needs completion is the idea of buried  
22 magnetic anomalies because these can change the  
23 probability of interception, albeit I think quite  
24 small. A very small amount.

25           This was the PVHA expert panel. This was

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 a new approach to me at the time. Always it was one  
2 person had an idea and another person had an idea.  
3 What Coppersmith did in his company, they pulled  
4 together all these different folks, interviewed them  
5 independently after having them do the work and came  
6 up with a study of their statistics as well as the  
7 statistics they came up with.

8 They came up with an estimate that I'll  
9 come to in a minute but here is how they -- just to  
10 give you some idea of diversity, Dick Fisher defined  
11 his volcanic zone of interest by this one line,  
12 McBirney another line, and so on.

13 Each one had a different feeling or sense  
14 of how they wanted to do this work. No one drew their  
15 circle say from Lathrop Wells over Yucca Mountain as  
16 some of the other studies not done by these folks had  
17 done.

18 Anyway, this is the final analysis that  
19 came out in 1996. Here is the mean at about  $10^{-8}$  in  
20 here. These are some of the other values. The thing  
21 to notice is most of them are falling within the same  
22 cluster.

23 These things, most active fields and the  
24 Cima and Lunar Crater fields, they project what would  
25 have been true, a very high possibly intersection in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 these very active fields compared to the very low  
2 probabilities in the Yucca Mountain area.

3 Work that needs to be done. There's a lot  
4 of newly recognized magnetic anomalies. Here, by the  
5 way, is the repository. Here is the scale down here.  
6 You can probably see that better than I can. Anyway,  
7 this is a broad regional scale. That work is underway  
8 and will be completed.

9 Recently we had a little excitement come  
10 out because of this article by Gene Smith in GSA Today  
11 which indicated a tremendously higher risk to the  
12 site. What he noticed and drew a line between Yucca  
13 mountain and he drew this line here all the way up to  
14 the very active lunar crater. Because of this he felt  
15 this would be a more active region that we had  
16 anticipated. In fact, there would even be some  
17 coordination between these activities.

18 The problem with that is this line is, I  
19 think, a very artificial line. There are no major  
20 young volcanoes along that line. Furthermore, the  
21 chemistry of this system, particularly the neodymium  
22 isotopes and this system are totally different. There  
23 is, in fact, we feel -- at least, I feel, very little  
24 relationship between the low activity here and the  
25 high activity here.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Another thing that Gene came up with that  
2 was interesting was kind of a correlation between the  
3 level of activity through time. This is the age of  
4 the activity and he has some peaks and he puts them  
5 together and comes up with a total activity of this  
6 red. It shows a similar peak. Whether that is  
7 fortuitous or what that means is uncertain but it  
8 certainly doesn't mean that they are tightly connected  
9 in the future.

10 Let's move on very quickly to the  
11 consequences of disruption. In the early 1890s there  
12 was some looking at lithic contents of eruptives. The  
13 reason that is done is, of course, is to see.

14 This work was done under contract with the  
15 DOE by Bruce Crowe, Link, and others. In 1990 the  
16 release-based requirements were put into effect. DOE  
17 began examining factors governing dike and sill  
18 formation. They again looked at lithic contents of  
19 analog volcanoes, and they assumed back-filled drifts  
20 in their thinking.

21 They terminated this work about 1/3  
22 complete due to low probability and other programmatic  
23 factors. Mainly, I think, funding. They are  
24 proposing now, and this will be talked about more  
25 later, to resume those studies based on the fact.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1           1995 the transition to dose-based  
2 requirements in regard to assessing hazards. In 1998  
3 there is a new design, large packages and back-filled  
4 drifts. This is critical in back-filled drifts.

5           Volcanism was then recognized -- relied  
6 mainly on literature and idealized calculations. In  
7 2001 it was understood that DOE had to redo their  
8 work. The CNWRA had a real big role in pushing this  
9 and they came out with looking at shock processes that  
10 would be caused by a dike interrupting the drifts.

11           They came out with various papers, one of  
12 which may have been published by now by Wood and  
13 others. They used steady state, pseudo-fluid flow  
14 into and through drifts. Meghan Morrissey will talk  
15 more about that in pursuing it.

16           I would like to just say the NRWRA had a  
17 real and critical role as a catalyst in doing studies  
18 that probably would had to have been done anyway. DOE  
19 is now taking that ball and running with it.

20           DOE is a peer review process that started  
21 this year. They looked over all the work done and the  
22 plan work on consequences. What we are also seeing  
23 now is the ongoing resolution of DOE and NRC issues.  
24 So as I stand before you alot of work is going on that  
25 will be reported on. I think January of February the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 peer review group for the DOE will be reporting.  
2 Hopefully NRC and DOE will continue to resolve some  
3 issues they have. In a way we are on the court now as  
4 I talk to you. Things are happening and those things  
5 I think are good things.

6 This is the paper which included Doubik  
7 and Brit Hill looking at magmatic and hydromagmatic  
8 conduit development during the Tolbachik eruption in  
9 Kamchatka.

10 In this particular eruption what they  
11 showed was that the conduit can be cord at different  
12 points in the eruption. That process is important in  
13 Yucca Mountain. If this does happen, it would result  
14 in much greater emissions of potential radioactive  
15 material.

16 This is their stratigraphic sequence at  
17 Tolbachik. The earliest thing were fire fountains as  
18 we often see in these cinder cone and fissure  
19 eruptions. Then there are outbursts of lithic rich  
20 material from the conduit. They attribute this to the  
21 drying out of the conduit, water coming in, and having  
22 magmatic explosions eventually ending with another  
23 return to fire fountain activity.

24 This is simply their little cartoon  
25 showing the widening of the event and how deep it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 went. They knew the totigraphy here so they could  
2 reconstruct the depth of the coring of the conduit.  
3 Here we see a scale of five kilometers, this is some  
4 of the lithic rich action. An air pocket has been  
5 found, although one wonders how good it is, in an  
6 Iceland borehole. In 1977 an eruption came up the  
7 borehole. It was a very small eruption. There was an  
8 initial explosion and then within 15 or 20 minutes  
9 there was no activity. Then a series of closely  
10 spaced explosions.

11 The total volume or deposit was 26 m<sup>3</sup>.  
12 There is a question in my mind how analogous this is  
13 to anything that might happen at Yucca Mountain.

14 The problem with all analog studies of a  
15 complex process such as a consequence of intrusion  
16 into Yucca Mountain is that one analog is just not  
17 enough in a complex process. It would be -- if I make  
18 it the worse case, it would be like one medical case  
19 proving something about a major disease.

20 Instead we have a real problem in finding  
21 enough statistics to give a meaningful result. We're  
22 talking about anecdotal evidence. Therefore, not to  
23 put that evidence down but we must not think that one  
24 analog is going to give us the answers to Yucca  
25 Mountain, or even two.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           The peer review panel, which was  
2 mentioned, is now working. I think the report will be  
3 January or February of next year. In regard to the  
4 volcano things of my interest, these two are  
5 particularly important as is Larry Mastin. Allan  
6 Rubin is interested in dike placements. Frank Spera  
7 is an expert on magnetic properties.

8           In terms of some of the work done in the  
9 last few years on the intrusion, volatiles is a very  
10 important part of that work in that they control the  
11 explosivity of the magma.

12           I've got just a little cartoon here for  
13 those of you not familiar with how the water content  
14 affects eruptions. What we are going to look at is a  
15 cartoon of the system albite and aluminum silicate as  
16 a function of water.

17           Here is a phased diagram of albitic melt  
18 and this is the water content up to 8, almost 9  
19 percent water. This is the pressure in kilobars.  
20 That can be converted to an equivalent depth. Four  
21 kilobars we are down to about 12 kilometers.

22           In this region the load pressure is  
23 sufficient to stop any vapor forming. Now let's go  
24 into the cartoon part. Imagine we have a rising plume  
25 of water-rich magma. This is about 7 percent water.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 As long as this magma is rising within the zone of  
2 undersaturation water not much happens.

3 As it approaches the water absorption  
4 curve things start happening, the warning curve.  
5 Vapor now exceeds the low pressure. The ground starts  
6 expanding. This is about the time, for example, that  
7 Mt. St. Helens when the alarms start because at the  
8 surface there is a lot of activity.

9 I want to just insert here as someone who  
10 studied active volcanos, it is always -- I have always  
11 been the minority and say why doesn't DOE -- if we  
12 take volcanism seriously, why not simply keep a  
13 seismic net operating. I don't know why that isn't  
14 but there will be seismicity in the region before  
15 anything happens.

16 Then you have major deformation and  
17 eventually, of course, those figuring out what happens  
18 realize they were watching the rise of water-rich  
19 magma. Cerro Negro indicates more what happens when  
20 the degassed magmas reach the surface. You have low  
21 plumes and, of course, that lava fountain and lava  
22 flow field I showed you.

23 Typical Aa-flow. This is very much like  
24 the ones you see in the Crater Flat area in your Yucca  
25 Mountain, quietly moving Aa-flows. If something did

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 happen at Yucca Mountain, this is the picture it might  
2 follow. You have a dike intersecting repository  
3 possibly reaching the surface.

4 You have fissure eruptions at the service.  
5 You may have activity going on in the conduits if it  
6 doesn't. You will have some. Eventually after the  
7 fissure eruptions you have a central volcano forming  
8 and this is pretty much a universal pattern for the  
9 monogenetic volcanos.

10 Often as at Pericci Tin you'll have some  
11 days of quiet, but then you'll have a large eruption.  
12 You'll have violent Strombolian activity. This is the  
13 kind of thing that could disburse should it disrupt  
14 the repository and, in the worse cases, some of the  
15 high-level waste.

16 These kind of explosive volcanic activity  
17 alternates with effusive lava flow activity and  
18 Strombolian activity, the kind I showed you at Cerro  
19 Negro. Often this sort of cone-building phase is the  
20 longest phase of monogenetic volcanos. It involves  
21 small pyroclastic eruptions and lava flows.

22 The work by CNWRA on intrusive consequence  
23 has been helpful, including shock wave consequences,  
24 and will be commented on by Meghan. Again, I would  
25 like to repeat myself and say that the work done by

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the center has impelled studies. It's been helpful  
2 and constructive. I dare say we would be a little  
3 further behind at what we have to look at if it hadn't  
4 gone on.

5 There are three magnetic parameters,  
6 however, that didn't go, I feel, sufficiently into the  
7 early models done by both DOE and CNWRA on the  
8 consequence. One is the process of when you have a  
9 magma water-rich expanding you have adiabatic cooling.  
10 That causes a rapid fluidification in many cases.

11 The other thing is if you read some of  
12 these papers its almost as if magma can melt its way  
13 through anything. This is not true. Magma has a  
14 limited capacity to melt other materials without  
15 forming a solid glass or crystallizing themselves.  
16 The final point is the pressure that is likely to be  
17 generated is uncertain but this very high pressure of  
18 two kilobars would be at the very upper end. The  
19 lower one is far more likely.

20 Just a bit of data from Greg Valentine's  
21 work on the water contents. Just to show you the  
22 importance, here is a 4 percent magma. The saturation  
23 pressure here is very low and, of course, very high as  
24 you get into higher contents. Note also lots of other  
25 things happen. Water has a very powerful effect on

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the viscosity of magmas and lowers the density of  
2 liquidus temperature.

3 I wish we could get a magic number that  
4 would predict what happened or what the magma would be  
5 like that might rise beneath the Yucca Mountains in  
6 the future. There is a diverse spread of values and  
7 we have to, I think, deal with this kind of a spread.

8 Here are some features of supposedly  
9 erupted pumices that had high-water contents. You'll  
10 see even though they have the foam texture, they are  
11 solid. This is partly due to the adiabatic expansion.  
12 The same thing happens when you let air out of a tire.  
13 The cold you hear happens when you degass a magma  
14 violently.

15 The lack of excess heat in magmas. Most  
16 magmas have mixtures of solids and a liquid. They are  
17 below the liquidus. What that simply means is if you  
18 take heat out of them by any kind of interaction, you  
19 are going to cause more crystallization. They don't  
20 have a lot of capacity to do other things.

21 This is just one of the cartoons from the  
22 DOE analysis showing bombs plastered to the canisters,  
23 the dike intersecting and a shockwave moving out and  
24 a whole series of processes.

25 DOE tried to define different zones of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 interaction. In Zone 1 all the canisters would be  
2 destroyed. In Zone 2 they would be highly  
3 compromised. In Zone 3 they may escape unaltered.

4 One of the things that comes up again and  
5 again is what happens when the magma hits the  
6 canister. That is not yet subject to sufficient  
7 analysis. I think we are hoping that it will be in  
8 the future.

9 Summary: The probability estimates I  
10 don't believe are going to be greatly changed by the  
11 additional work. The magnetic anomalies may change it  
12 but it's also true that they enlarge the area we are  
13 considering. If we change the footprint of the  
14 repository, that will increase the probability.  
15 Remember we are talking about very small numbers.

16 The main missing analyses I think concern  
17 the consequences of intrusion. Past work by DOE and  
18 CNWRA has been helpful in moving process along but  
19 must now be extended by a broader approach to take  
20 into account parameters using long-tested code and  
21 will be done by Gaffney as proposed by DOE.

22 For example, he does include expansion  
23 cooling and a whole bunch of other parameters which in  
24 the initial studies were not able to handle by their  
25 approach.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           DOE is proposing to study the Lathrop cone  
2 a bit more closely in regard to the lithics in it.  
3 They propose this work. The code for ASHPLUME I,  
4 which was introduced by the center, is going to also  
5 be looked at to see if that can be improved in any  
6 way. It will simply be examined. At least, that is  
7 the proposal.

8           Another thing that is going on, of course,  
9 is the DOE peer review. That is very important. The  
10 DOE and NRC exchanges, which I have been lucky enough  
11 to attend, are very useful in moving toward resolution  
12 of certain items and they are still underway.

13           This is my perception. The work on  
14 volcanic hazards that needs to be done is either  
15 proposed or underway. We all see surprises in this  
16 program. We don't know what the next alarm will be.  
17 My perception -- and I've been involved with the  
18 program ever since John gazed across from the Yucca  
19 Mountain to the Cinder cones -- is that we've made  
20 tremendous progress. I'm excited about what's coming  
21 down the road.

22           That's about all I had to say.

23           CHAIRMAN HORNBERGER: Thanks very much,  
24 Bill. We'll take some questions for Bill as we go and  
25 he'll be available later as well.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Bruce.

2 DR. MARSH: Bruce Marsh from Johns  
3 Hopkins. I think Bill touched on very many good  
4 pertinent points. For example, a dike flowing along  
5 can only flow so far because the flow of magma is  
6 normal to the conduction of the walls so it can never  
7 erode back the walls thermally. In other words, they  
8 are thermal moving out from the cold wall rock  
9 continually going in and trying to chunk off the magma  
10 at all times.

11 What this does it reseals the system up so  
12 after you get magma flowing in these systems, it tends  
13 to make a chilled margin on the edges. Everything it  
14 touches it chills. I could bring in a piece of solid  
15 just like this, for example, that has a piece of  
16 crustal rock in it and you would see chilled glassy  
17 material around the outside of it, that piece of  
18 foreign rock.

19 Even mantle xenoliths that come from quite  
20 deep below the crust, they also have chilled magma  
21 around them. In other words, when Bill is mentioning  
22 about the interaction with the canisters it is an  
23 extremely pertinent point that anytime a magma touches  
24 anything like that, it will actually chill out around  
25 it and form a glass container basically around it.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           If the waste container can expand and  
2 explode, for example, it will break but will chill  
3 again right around it so it will basically make a  
4 glass container. This is very important to take into  
5 account the whole solidification process. I'll say a  
6 few things and I'll show a little bit about this later  
7 maybe.

8           The other thing I would like to say a few  
9 words about is the whole essence of the nature of the  
10 systems, as Bill also mentioned, about the size of the  
11 systems that we are using for analog models. Almost  
12 all the systems that are mentioned in all of these  
13 things as analogs are large ongoing volcanic systems  
14 that have a lot of mass behind them, especially in  
15 Iceland.

16           We have a system that's been going for 20  
17 million years, for example. They have a lot of magma  
18 behind it and there are lots of things that can go on.  
19 For example, you can have volatiles concentrating in  
20 various parts of the system. In other words, a small  
21 amount of magma can have an inordinately larger amount  
22 of volatiles with it that may collect in the system.

23           This is very important to get down. In  
24 other words, the small volume systems that we see here  
25 in Yucca Mountain area means that the amount of magma

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 available, the amount of thermal inertia in the system  
2 is really rather small. These examples that we see  
3 from Cerro Negro and Stromboli are so much more  
4 massive and ongoing.

5 There is also a compositional effect. In  
6 other words, the whole idea -- I think Meghan will  
7 probably talk about it later but the whole idea of  
8 shockwaves coming out of systems.

9 They are mostly large silicic systems and  
10 the conditions you need to set up the right kind of  
11 initial conditions for a shockwave to come out is much  
12 better developed in a long-term system, a system that  
13 is capped up and bottled up. These systems I'll talk  
14 about a little bit later. I'll show you some  
15 pictures.

16 They are leaky systems when you have  
17 systems that are propagating dikes out and systems  
18 like this that are just trying to reestablish  
19 themselves. The systems are very leaky and they tend  
20 to dissipate themselves rapidly. These are basically  
21 somewhat of an implication. Not a question of what  
22 Bill is saying but I thought it would be pertinent at  
23 this point.

24 DR. HINZE: Bill Hinze, Purdue University.  
25 Bill, you alluded to the need to have more than one

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 analog in our considerations. As geoscientists and  
2 engineers we like analogs, don't we? I assume that  
3 you are referring to the Icelandic drillhole  
4 explosions.

5 I can't think of anyone that has had more  
6 worldwide experience than you have with volcanos. Can  
7 we expect to find analogs on this topic? We've heard  
8 discussions about the Karst topography in China and so  
9 forth. I think it's important to put on the table  
10 your thoughts on the possibility of having analogs to  
11 support and compliment the modeling that is currently  
12 underway.

13 DR. MELSON: Well, we have talked about  
14 this. I work with a lot of folks interested in  
15 volcanoes. Dick Fisk, for example, we went after him  
16 about the possibility of lava tubes in Hawaii, that  
17 maybe we had a lava tube or something went into. His  
18 first comment was, "It will be degassed by the time it  
19 gets to the lava tube." He doesn't know, nor has he  
20 ever seen a lava tube.

21 As far as the caves are concerned, I don't  
22 know. I don't know of any analogy. The nature of the  
23 process fills up and disguises perhaps some of the  
24 tubes that may have been there. DOE is looking out in  
25 the southwest.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I know Frank Spera has been on the phone.  
2 Everybody who has ever done anything field work or  
3 worked on volcanoes just about trying to find an  
4 analogy. Whether he has found one, I don't know. I  
5 think the possibilities are slim. If one is found, we  
6 have to ask the question like the Icelandic case, how  
7 relevant it is.

8 DR. HINZE: Are the explosions at the  
9 Icelandic situation impacted at all by the presence of  
10 the water table in proximity to the surface?

11 DR. MELSON: To my knowledge, no. It was  
12 a hot zone and there was no water table involvement.  
13 It was mostly hot and dry with some water but not a  
14 water table interaction.

15 DR. HINZE: On another topic, you  
16 mentioned just fleetingly the impact of earthquakes.  
17 We know that earthquakes do occur associated with  
18 magnetic intrusion. Are you satisfied that there is  
19 sufficient work being done to consider the impact of  
20 earthquakes on the repository prior to its  
21 intersection by a dike?

22 DR. MELSON: I think there's enough work  
23 being done. My comment was somewhat different because  
24 when I go to a volcano, if I haven't done it and  
25 nobody has done it, the first thing we do is start

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 tilt measurements and put in seismographs when we're  
2 concerned. That's just an inexpensive way of  
3 beginning to monitor.

4 Now, I think Leon said or someone has told  
5 me the USGA has a tilt network. Otherwise, a ground  
6 deformation network at Yucca Mountain. A seismic  
7 monitor is low cost and it's an automated system so I  
8 was speaking more of that just to listen to it very  
9 closely. The regional seismic nets often don't pick  
10 up the high frequency signals of moving magma.

11 DR. HINZE: Do you think that these high  
12 frequency, low magnitude events could have an impact  
13 on the repository that might have a further impact  
14 upon the propagation of shockwaves or within the  
15 repository itself?

16 DR. MELSON: What do you think, Meghan?

17 DR. MORRISSEY: I'm sorry. My train of  
18 thought was somewhere else.

19 DR. HINZE: Presumably the seismic  
20 activity that accompanies a magmatic intrusion is  
21 going to be felt within the repository, the drifts  
22 themselves. I' just wondering if anyone is  
23 considering what is being done and what is a potential  
24 effect of these earthquakes on the repository causing  
25 mock faults, causing changes within the repository

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1       itself.

2                   DR. MORRISSEY: I'm not aware.

3                   DR. MELSON: Well, they are not doing that  
4 kind of study but these are low magnitude events, one,  
5 two, and three magnitude. I would not expect to have  
6 any negative effect.

7                   DR. HINZE: Except that they may be in  
8 very close proximity.

9                   DR. MELSON: Well, my interest is that,  
10 okay, we have this repository. It's full of nuclear  
11 waste and it's just prudent to listen to see if, in  
12 fact, something bothersome does happen in the region  
13 we'll have some ability to -- well, we'll know that  
14 and can act accordingly according to what those  
15 signals are.

16                   I mean, we're talking about a tremendously  
17 small probability of intersection and it would  
18 probably be a waste of seismic system if it's a high  
19 frequency one. It's a very low cost thing. I'm  
20 talking more about monitoring, not the impact on the  
21 depositor.

22                   DR. HINZE: But it isn't within that  $10^{-8}$   
23 envelope so it doesn't fall within the unlikely event.  
24 Finally, Bill, I was very pleased to hear you be  
25 somewhat laudatory, if I may put it in those terms, of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 what the NRC has done in their primitive, if I may,  
2 modeling which has led to this recent work by Ed  
3 Gaffney and George Barr and so forth.

4 Can you compare for us the technical basis  
5 for the destruction of the canisters, three on either  
6 side of the dike in Zone 1, the technical basis for  
7 that compared to the modeling work that was done by  
8 Woods, et al.?

9 DR. MELSON: I really can't. I mean, I  
10 was not sure how they did that. I think it is overly  
11 conservative. I think for a change the DOE overdid  
12 the cinder in terms of the worse case scenario. I  
13 mean, I don't know. Maybe somebody else can comment.  
14 Meghan maybe.

15 The attempt I saw by DOE has been to  
16 really look at the worse case on purpose. If that  
17 comes out as acceptable and the risk is still very low  
18 of that, then the work is finished. It seems to me  
19 that approach was part of what was going on. It was  
20 not a poor approach.

21 DR. HINZE: You could assume it was worse  
22 case but it is also the simplest one. If you model,  
23 that's the place to start. That's the back of the  
24 envelope type of modeling.

25 I, too, don't really understand the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 technical basis for the destruction of the canisters  
2 in Zone 1. I heard a few comments on that by the  
3 person that did those calculations, one of the tech  
4 exchanges that we were both at. It was pretty back of  
5 the envelope and that is being very kind, I think.  
6 Thanks very much.

7 DR. MELSON: You're welcome.

8 CHAIRMAN HORNBERGER: Other questions?

9 DR. LEVENSON: I have one. Were those  
10 actual analysis and calculations or were those not  
11 just assumptions as to how many canisters were  
12 involved at the stride?

13 DR. HINZE: Here we are going to have to  
14 rely on memory because I've not been able to find the  
15 hard copy on it. My memory tells me that this was  
16 based upon calculation of a series of canisters being  
17 pushed by the magma, colliding against each other  
18 sequentially much like as would happen after being hit  
19 by a train.

20 That was the reference that was made. I  
21 assume there were some calculations made in this. As  
22 I think both Bill and I are recalling, and perhaps  
23 others know better, is that they were based on some  
24 very back-of-the-envelope calculations.

25 DR. LEVENSON: But collision calculations

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 doesn't result in a finally dispersed and dissolved  
2 material.

3 DR. HINZE: No it was a matter of  
4 destruction of the canister. That may have been  
5 overly conservative.

6 CHAIRMAN HORNBERGER: Raymond, do you have  
7 anything?

8 VICE CHAIRMAN WYMER: Nothing.

9 CHAIRMAN HORNBERGER: John.

10 DR. GARRICK: I just wanted to ask one  
11 question. You mentioned the importance of design and  
12 noted the importance of back fill. Are there any  
13 other design concepts that would have a material  
14 impact on the intersection?

15 DR. MELSON: The whole idea of engineered  
16 barriers has come up. As far as a specific proposal  
17 except back fill being removed to deal with this  
18 issue, I know of none. Maybe, Leon, you do. Maybe  
19 somebody does know of a specific design intended to  
20 ameliorate volcanic consequences besides the back  
21 fill.

22 DR. MORRISSEY: What I'm going to talk  
23 about is kind of some ideas to consider. I don't  
24 think there is a set plan how to design it but I think  
25 people are discussing it. There is still a long way

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to go to the final design.

2 DR. ELSWORTH: It's not to ameliorate  
3 igneous consequences but the changes from circa 1997  
4 when the drift spacing was of the order of 20 meters.  
5 Since it now is 80, spreading the load out would have  
6 some lessening in terms of number of canisters you  
7 could possibly access.

8 DR. GARRICK: Okay. Thank you.

9 CHAIRMAN HORNBERGER: Thanks very much,  
10 Bill. Derek Elsworth is going to be our next  
11 presenter.

12 DR. ELSWORTH: I have handouts as well.

13 CHAIRMAN HORNBERGER: Oh, excellent.

14 DR. ELSWORTH: Okay. This is a  
15 representation with some additions of a presentation  
16 that was done for the Technical Review Board in  
17 November, specifically asking or asked to address  
18 issues regarding rock mechanics aspects of  
19 consequences of igneous intrusion with repository.  
20 And the first part deals primarily with an analysis or  
21 a review, basically a day and a half's review of some  
22 of the work that had been done to that stage, both by  
23 the Center and by DOE, in a variety of reports and  
24 some thoughts, conjectural thoughts about that, and  
25 the second part which we'll talk about is some

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 additional thoughts coming out of the beginning of the  
2 peer review meeting in May, May 21 and 22, just a few  
3 weeks ago.

4           What I'll do is I'll split my comments  
5 into looking at the mechanisms or the influence of  
6 mechanical behavior as a dike or conduit, primarily a  
7 dike, would rise through the system, would contact the  
8 repository horizon, would work its way through the  
9 repository horizon and then ultimately egress to the  
10 external biosphere. And we'll deal with each of those  
11 components in turn.

12           First, a brief review about dike mechanics  
13 and the points that were raised earlier about dikes  
14 not melting their ways through systems. They  
15 typically don't. Bruce Marsh's comments and Bill's  
16 before about the cooling. The minimum thickness of  
17 dikes is the reason that dikes are not often found  
18 below order of meter is because they'll get chilled.  
19 They get frozen and they can't propagate any further.

20           So typically, one of the controls on  
21 diking is that, first of all, they have to be large  
22 enough volume, enough energy in the system, to be able  
23 to get around the removal of conductive thermal energy  
24 from the margins. To propagate, the pressure in the  
25 dike has to be larger than the minimum horizontal

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 stress in situ, and the size of the dike, the  
2 thickness, if you like, of the dike, the length,  
3 width, and thickness of the dike, is controlled  
4 basically by elastic mechanics. It's controlled by  
5 positive ratio, shear modulus, the over pressure in  
6 the system, and the width of the system, and this is  
7 basically the equation for a penetrate crack. So in  
8 other words, if you know rough ideas of geometry, you  
9 can figure out what the thicknesses would be.

10 But the reality is that these cracks are  
11 relatively unstable because they generate large  
12 stresses at the tips and if that stress is large  
13 enough to overcome the stress intensity factor,  
14 they'll split. They'll fracture either sideways or  
15 vertically. And we can calculate the critical stress  
16 intensity factors which are generated, compare those  
17 with likely magnitudes in situ, and figure out whether  
18 these will actually form.

19 And it turns out -- I'll skip right to  
20 this diagram in the bottom which is using this here--  
21 is that if you get dikes of the order of 30 kilometers  
22 which is crustal depths in this location, five  
23 kilometers or even one kilometer, the magnitude of  
24 over pressure that you have to have to overcome a  
25 typical fracture toughness of the rock is trivial. So

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the basic conclusion is that dikes, when they form,  
2 will propagate if they truly do exceed the in situ  
3 stress and will propagate perpendicular to that  
4 direction.

5 The reason for the invitation to present  
6 in November at th TRB was to comment on the Woods, et  
7 al. work that was sponsored by the Center and the one  
8 comment that comes out of their work is that their  
9 assumptions for the dike moving up through the system  
10 were based on, predicated on assumptions of magnitudes  
11 of density in the magma and also a change in density  
12 from surface depths to crustal depths of these order  
13 magnitudes. If you change these relatively slightly,  
14 the force that's driving the dike, the excess pressure  
15 which is given by the density contrast, is actually  
16 roughly ameliorated. So it is something that's  
17 relatively sensitive to the magnitude of the density  
18 contrast, both of the curst and of the magma that's  
19 rising.

20 I mentioned before the behaviors of the  
21 tip process zone. Almost exclusively, fracture  
22 toughness magnitudes are trivial compared to the  
23 pressures that you develop otherwise and they're  
24 really not a concern in the propagation of these, so  
25 you can basically evaluate directions and abilities of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 dikes to propagate primarily based on the local or  
2 modified fuel stresses.

3           Yucca Mountain changed a lot. The last  
4 time I looked at Yucca Mountain before this was circa  
5 97-98 when the drift spacings were of the order of 20  
6 - 22 meters apart, and I was surprised to revisit  
7 again and find out that they changed so dramatically.  
8 But one effect which can condition, if you like, the  
9 propagation of dikes are the potential changes in  
10 thermal effects that will occur around a repository.

11           And if you look on this rough time line  
12 of the 100,000 year duration of the repository,  
13 moisture in place, there'll be some ventilation period  
14 -- I'm not sure exactly how long that period will be,  
15 but of the order of 65 years -- the repository will  
16 reach a thermal maximum, I think, under the current  
17 design for around the first 2,000 years and then begin  
18 to cool down and this has some effect, perhaps not so  
19 much effect as it did previously with the close drift  
20 spacing, but it has some effect to actually re-rotate  
21 the stresses, the stresses at Yucca Mountain of the  
22 order of the over-burden stress is lithostatic which  
23 is of the order of seven megaPascals at 300 meters  
24 depth. The horizontal stress is about half of that  
25 from in situ stress measurements completed by Zorbeck

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and others and, as it reaches the thermal maximum,  
2 you'll actually generate increases in horizontal  
3 stress and there'll be a reversal. There'll be a  
4 switch so that the maximum principal stress  
5 potentially becomes horizontal or certainly becomes  
6 increased. Whether it'll become horizontal or not as  
7 the maximum stress depends really on the magnitude of  
8 the thermal loading which is also conditioned by the  
9 density of the canisters and their spacing.

10 If we believe that dikes' propagation are  
11 controlled by the stress field, hardly at all by the  
12 properties of the material in terms of strength, then  
13 we can calculate stress fields relatively  
14 straightforwardly for a variety of repository  
15 geometries. And we can do a couple of things. There  
16 are two supplementary effects.

17 One is that within this band of the  
18 repository horizon, you'll generate relatively large  
19 thermal oriels which will coalesce between drifts and  
20 this will create a band if the drifts are close  
21 enough, of the heated zone in which you might expect  
22 thermal stresses to be of the order of five to 10,  
23 perhaps more, megaPascals increase and, in addition to  
24 that, superimposed on that is the very local effect of  
25 the radial conduction away from the drifts, the more

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 local thermal oriel effect will also generate stresses  
2 in the drift walls typically of the same order of  
3 magnitude. And if you look at just a ball park  
4 estimate in terms of the typical mechanical properties  
5 of these materials, the change in stresses account to  
6 something of the order of a tenth of a megaPascal per  
7 degree centigrade. Just ball park.

8 So those are the two mechanisms by which  
9 you can look at changes in stresses in a broad  
10 repository zone, radially outward from the drift with  
11 a maximum pressure or stress increase in the hoop  
12 stress of the drift and also conforming to the Woods  
13 and Bokhove paper for this pressure pulse was  
14 originally suggested might reach of the order of the  
15 40 megaPascals driving down the drift. You can  
16 calculate what the changes in hoop and radial stresses  
17 would be as a result of that. So these are all very  
18 calculable issues.

19 If you go through the calculations and  
20 look at these magnitudes, this is what the in situ  
21 stresses might look like within the site. Vertical  
22 stresses are defined by seven megaPascals at about  
23 just by the litostat. The initial minimum horizontal  
24 stress would be perturbed at a maximum peak thermal  
25 regime to get a little blip but this blip might be of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the order of 10 or 15 megaPascals depending on the  
2 density of the canisters, etcetera.

3 So the point is that mountain scale  
4 changes in temperature will cause changes in stresses.  
5 These stresses, for instance, could, depending on  
6 their very nature, deflect or perhaps encourage a dike  
7 to propagate towards the repository and that the  
8 intersection pressure, the magma, if it were to hit  
9 the repository, is in some case conditioned by the  
10 magnitudes of these locally determined in situ  
11 stresses or developing in situ stresses.

12 This comes from a previous DOE disruptive  
13 events report. Some of the issues. The over  
14 pressures are limited by failure of the host rock. By  
15 that I really mean failure due to the stress regime  
16 rather than actually the strength of the rock, as  
17 we've already mentioned. Depending on the thermal  
18 loading of the repository, these thermal stresses  
19 might be quite large. They'll be largest within the  
20 heat up period after the ventilation is turned off and  
21 before decay actually reduces the temperatures by  
22 conduction. The barriers are pretty thin so if you  
23 look at on a crustal scale of about 20 kilometers or  
24 30 kilometers, this zone is probably of the order of  
25 40 meters. So the question is whether that would

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 actually result to deflect or to impede this  
2 propagation in any way at all.

3 If you expand this zone within the  
4 horizon, potentially you'll develop an extensional  
5 zone below the repository where it's basically  
6 reacting against this by pulling this apart, and that  
7 might work to effect the motion of the dike in the  
8 general vicinity and also as you heat the repository  
9 and the minimum and intermediate stresses so the  
10 horizontal stresses, principal horizontal stress,  
11 maximum horizontal stress and the minimum horizontal  
12 stress become closer, then you'd expect perhaps  
13 structural controls to have more effect on the  
14 repository than they had in the past because now  
15 structural control migration pathways.

16 And also the effect that on the repository  
17 scale topography, if you look at the topography with  
18 most of the cinder cones located in Crater Flats,  
19 there's a question as to whether the topography  
20 controls some of these things. So that's kind of an  
21 overview on some of the processes affecting ascent as  
22 it moves toward the repository.

23 As it moves toward the drifts, then a  
24 couple of issues of interest. One is how the local  
25 stress state around the drifts will control what's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 going on and also how this might affect the magma  
2 over pressures as it intersects within the drift and  
3 how this then potentially conditions the shock wave or  
4 potential development of the shock wave.

5 As we saw previously, the current stress  
6 state at Yucca Mountain is of the order of seven  
7 megaPascals vertically, three megaPascals  
8 horizontally, two to one stress state. If you heat up  
9 this repository zone, what you potentially do is you  
10 rotate this by increasing the horizontal stresses.  
11 Vertical stress doesn't increase and, as a result of  
12 that, we can calculate what the magnitudes of the  
13 local drift wall stresses might be and -- that is that  
14 these local magnitudes and this ring -- I'm reluctant  
15 to use the word hardened but this compressive ring  
16 that might develop around the drift could act to  
17 deflect dike propagating into the drift perhaps, but  
18 it would also act to control the magnitudes of the  
19 stresses that can be sustained by any over pressure by  
20 pyroclastic cloud or shock wave before it breaks out  
21 and basically fractures the rock. So we can use some  
22 relatively straightforward precepts to be able to  
23 figure out exactly what those stresses are.

24 This is a cartoon to represent the fact  
25 that as time goes on, we'll go up from this initial

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 pool period, thermal maximum and then cool down  
2 towards 1,000 years and briefly look at two different  
3 conditions. One where we have a static condition with  
4 no over pressure in the drift for each of these stress  
5 regimes as we go through here and the second one to  
6 look at what happens when we get a dynamic over  
7 pressure or magma of, as suggested in some of the  
8 earlier versions of the Woods et al. paper where the  
9 shock wave was amplified to the order of 40  
10 megaPascals.

11           Again cartoon-wise, we can calculate what  
12 these stresses are, both due to the effects of  
13 excavation and also due to the effects of the thermal  
14 stresses that result, thermal stresses due to this  
15 band of heated material that's the oriels coalesce and  
16 also due to the local thermal regime where we have  
17 this conductive signature away from each drift with a  
18 radial stress which increases slightly as we get away  
19 from the drift and more dramatically with the hoop  
20 stress which increases to relatively large magnitudes  
21 as we get close to the drift wall and acts as a way,  
22 we mentioned before, to basically harden these  
23 conditions.

24           So the two conditions we looked at are  
25 without internal pressure and with internal pressure

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and we look at two different states. One is when it's  
2 warming up and cooling down, relatively low thermal  
3 effects, and if you look at the stresses that you will  
4 generate around this assumed drift geometry, then you  
5 can calculate their magnitudes and from the previous  
6 slide -- I won't go through that again -- but merely  
7 to note that we can calculate what the magnitudes are.

8 In the initial state where we have the  
9 principal stresses acting vertically, seven  
10 megaPascals and four horizontally, then what we get is  
11 the maximum hoop stress develops in the crown or in  
12 the invert -- springline -- sorry -- in springline, a  
13 smaller magnitude develops in the crown and also a  
14 longitudinal stress of the order of two megaPascals.

15 DR. HINZE: I think it would be helpful if  
16 you defined springline.

17 DR. ELSWORTHY: Springline is this line  
18 here along the side of the tunnel. This would be the  
19 crown, this would be the invert. I'll de-jargonize  
20 it. And the magnitudes for the cold opening, the  
21 stresses that develop, the minimum stresses  
22 longitudinally along the access to the tunnel in the  
23 crown and also by symmetry in the base suggesting that  
24 you have to overcome this stress to be able to get  
25 into the system.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1           So the question is when you get break into  
2 this, you would expect that the magnitudes of the  
3 magma stresses, the fluid stresses in the magma,  
4 should be of the order of either two or the field  
5 stress, principal field stress, of the order of four  
6 as it breaks in. So the assumptions in some of the  
7 Woods work that these would break in at 10 megaPascals  
8 is probably overly conservative. So you can use this  
9 to condition the magnitudes of the magma pressures as  
10 you move into the system, as you move into the drifts.

11           As drift wall warms, additional  
12 compressive hoop stresses build at about .1 of a  
13 megaPascal per degree Centigrade. Dike would ingress  
14 at invert if it's coming from up. It would egress at  
15 crown potentially and you can suggest that based on  
16 the geometry of the drifts and the magnitudes of  
17 stresses that you expect and, as it would move out, it  
18 would again move to be perpendicular to the minimal  
19 principal stresses.

20           If you developed, as a result of an  
21 intersection with this drift, very large gas pressures  
22 of the order of 40 megaPascals, again you can see this  
23 stress stays of the order of two megaPascals. So  
24 whether you can sustain that is a real issue. You'd  
25 expect basically that the drifts would unzip. They're

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 release those pressures, depending on how quickly they  
2 could bleed them as they fracture if you were to get  
3 this large over pressure developing as a result of the  
4 shock wave as we'll perhaps examine later.

5           If you have the over pressure of 40  
6 megaPascals, again you can calculate what the revised  
7 stresses would be. Basically, it changes the stress  
8 here from being zero megaPascals to being 40  
9 megaPascals compressive. It changes this stress from  
10 being four megaPascals to being four minus 40 which is  
11 36. So it's all done by super position and obviously  
12 you can't sustain this with the typical strengths of  
13 Yucca Mountain rocks.

14           If you heat up the system, you change it  
15 slightly be developing both stresses in this  
16 overlapping thermal oriel, this ribbon, if you like,  
17 that goes through the repository and also the drift  
18 local stresses. So here you see magnitudes of the  
19 average stress due to a heated coalescing strip of  
20 oriels if you like plus the local drift wall stresses  
21 and they get relatively large stress magnitudes. And  
22 this is only to illustrate the fact that as you get  
23 larger thermal loadings, you actually do in some way  
24 harden the drifts to incursion. Whether this is  
25 enough to resist it or not is perhaps an open

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 question.

2           Likewise again, if you over pressure it by  
3 large amounts, then again you have relatively low  
4 sustainable pressures of the order of -- well, in this  
5 case, it would unzip at the springline and you'd off-  
6 gas those pressures as they develop, depending on your  
7 capacity to get the relatively large volume of gas  
8 pressure here out of the system.

9           Again, the stresses that we might be able  
10 to sustain are controlled by really the mechanical  
11 properties around the drift and whether the drifts  
12 would be able to survive this, I would suggest that on  
13 a site where perhaps hundreds of detonations have been  
14 done underground, perhaps there should be some  
15 interesting data and very local data available to  
16 address that.

17           This is really a summary of perhaps what  
18 we've talked about for the last four or five slides  
19 and that is that depending on th thermal stresses that  
20 exist around the system, the influent magma pressure  
21 as you intersect the drift is in some way controlled  
22 by the stresses around the drift and the in situ  
23 stress conditions. And for a cold repository, those  
24 magma pressures would be relatively low. As you heat  
25 it, depending on how much you heat it and the initial

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 magnitudes or the properties, the mechanical  
2 properties of the rock, that incursion stress would  
3 change. We can calculate that relatively -- within  
4 reasonable bounds compared to some of the other  
5 unknowns in the system.

6           What happens within the drifts? Well,  
7 we've talked about stress magnitudes and how they  
8 affect perhaps ingress location, how they affect  
9 perhaps magma over pressure. Megan will talk more  
10 about the magnitude of the pressure wave and how that  
11 might be conditioned by the incursion pressure and  
12 what happens on some of these things as we go through  
13 there.

14           What might we expect within the drift?  
15 Well, waste package and drip shields. If you generate  
16 a pyroclastic flow down these things, perhaps the  
17 least of your worries are roof-falls if you've ripped  
18 off all the drip shields due to the movement of a high  
19 velocity pyroclastic pulse moving down it.

20           I guess open questions are whether the  
21 pressure wave moving down the system is large enough  
22 to be able to rip off and rupture drip shields,  
23 whether it's able to rupture the casks themselves as  
24 they're banged against each other. Questions about  
25 how much of the length of the drift would be affected

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 or whether the wave would -- the gas pulse would  
2 migrate out of the drift or run the full length of the  
3 drift and whether this thing running down the drift  
4 would have some dynamic effect on adjacent drifts but  
5 perhaps if you have a major incursion into the  
6 repository, perhaps this isn't really any particular  
7 worry compared to the other effects at all.

8 If the cross section is partially filled,  
9 then you get some benefit from that. People have  
10 raised the issue of backfilling drifts. Obviously,  
11 you decrease the volume that's available for  
12 expansion. You might get a surface of the backfill  
13 eroded if you have only a partial backfill. The  
14 question is whether when this dike coming into a drift  
15 would actually bulldoze a portion of the backfill down  
16 still and certainly providing backfill would provide  
17 prevention of roof-fall, would save perhaps the cost  
18 of adding the \$6 billion worth of titanium drift  
19 shields, etcetera. Some economies perhaps are  
20 available.

21 And some other alternatives exist in terms  
22 of whether you can actually use bulkheads to separate  
23 up portions of drifts and how you might separate those  
24 canisters with individual bulkheads. Perhaps using  
25 just the TSw2 material, crushed material removed from

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the tunnel-boring machine to basically as stemming to  
2 stop the expansion wave or pressurized magma going  
3 down the drift. I guess to be able to ensure that  
4 what you need to do is make sure that, first of all,  
5 any kind of stemming would be adequate to be able to  
6 stop it moving down the drift.

7 This is very quick back of the envelope  
8 calculations to figure out what kind of length of  
9 stemming you'd need to be able to stop a pressure wave  
10 moving down, whether it be magma or whether it be a  
11 gas wave, and basically looking at perhaps TSw2  
12 stemming within the place to fill a bulkhead or back-  
13 fill filling the complete section of the drift. You  
14 can size the plug based on either elastic analysis or  
15 a plastic analysis of the stemming material where this  
16 is a fraction angle and this is -- ratio to get a  
17 rough order of magnitude of what kind of size length  
18 of stemming you'd need to be able to resist a large  
19 longitudinal force. It turns out to be something of  
20 the order of one to one. And of course, if backfill  
21 was used, then perhaps this is a calculation you'd  
22 need because you'd be able to take care of -- you'd be  
23 doing this locally everywhere along the tunnel. So it  
24 wouldn't be an issue of local --

25 And finally, the issue of where you get

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 egress again is controlled by this understanding of  
2 mechanical processes and if you're able to pin down  
3 stress states as they might evolve within a system  
4 with any kind of reasonable certainty and for a cold  
5 repository you can make some conjectures how these  
6 might go out and these would actually be again  
7 controlled by the stresses that would develop, both  
8 globally within this heated zone and also locally  
9 around the drift due to the drift local stresses and  
10 you can make some inferences about how that might  
11 occur. At DOE we are currently moving in that  
12 direction.

13 So again, this is a summary for the TRB  
14 talk of last March. The main conclusions are that  
15 because of the low fracture toughness of these  
16 materials, these fractured rocks, strength is not a  
17 large consideration in looking at the propagation of  
18 a dike. Really it's controlled by stresses and over  
19 pressures. Strength, actually you'd expect to give  
20 perhaps less than one megaPascal over the in situ  
21 stresses in resisting the propagation of a dike.

22 The cold repository exists for the largest  
23 potential of time or the cool repository, perhaps we  
24 should say, and the magma pressures are controlled, if  
25 they go into the repository, are controlled by the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 minimum in situ stresses of the order of say two to  
2 five megaPascals. If you over pressure the drifts  
3 anything larger than that, you also expect them to  
4 unzip within the cold repository because of stress  
5 effects. Just like a hydrofract coming out of a  
6 drift rather than out of a bore hole.

7 Hot repositories for somewhat less of the  
8 time. Entry pressures are increased. Perhaps the  
9 drifts act to deflect propagation of dikes as they  
10 come close. The jury it out on that, I think. It's  
11 doubtful, I think, whether you could heat them up so  
12 much as a mechanism to actually keep dikes from  
13 intruding. It's an interesting idea but I think that  
14 would probably be a not very reliable way to deal with  
15 it. And a relatively straightforward way of dealing  
16 with it, of course, is to provide bulkheads or back-  
17 fill which I understand has some negative effects on  
18 reduction of cladding. Survivability, I guess.

19 And so I guess the issue is whether  
20 degrading the routine performance of the repository by  
21 allowing the cladding to fail is worse or better than  
22 the potential incursion of a dike into the repository.

23 The final comments really revolve around  
24 the presentations from the May 21 - 22 peer review  
25 committee meeting in Las Vegas and just a comment. I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 think Bill has already talked in some detail about  
2 some of the proposed studies. But my own feeling is  
3 that I don't think that the issue of dike intrusion  
4 and its consequences perhaps can be as tightly  
5 constrained as, for instance, the routine performance  
6 of the repository. And that's based on the  
7 observation that the routine performance of the  
8 repository has in, I think, a very logical way been  
9 based on increasingly larger and longer duration field  
10 tests. The large block test, single heater test, the  
11 drift scale test, have all been progressively larger  
12 tests, working for larger periods of time, accessing  
13 a progressively larger volume of rock and subjecting  
14 it to real processes that will go on within the life  
15 time of the repository.

16 The only feasibility of doing that in this  
17 case is using the analog geological studies locally  
18 perhaps within the Crater Flats region and the Yucca  
19 Mountain general region.

20 The studies that are proposed by DOE cover  
21 three main areas. The analog studies, if you like,  
22 magma/gas-drift interaction studies, and also rock  
23 mechanic studies. My own feel for these is that they  
24 are well posed by DOE. My hope is that they go to  
25 studying processes so that when the potential geometry

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 of the repository changes as perhaps it will from now  
2 into the future, then they can apply those studies  
3 based on process understanding to say, well, what  
4 happens when you put the drifts close together?  
5 Stresses go up. What happens when stresses go up and  
6 how does that affect the propagation of dikes and the  
7 likelihood of incursion, etcetera.

8 Geological studies -- Greg Valentine  
9 presented those in Vegas -- will focus on the last  
10 200,000 years worth of activity locally to try and  
11 predict the next 10,000 years. I think we'll try and  
12 address many of these anecdotally in understanding  
13 exactly what's going on at this particular field,  
14 volcanic field.

15 The magma gas drift interactions. We'll  
16 use a currently developed code, one that is, I would  
17 muse, has been used perhaps in some of the underground  
18 detonation tests and I think the biggest issue here,  
19 again in applying it to figure out processes rather  
20 than any one super geometry of the repository is to  
21 apply appropriate boundary initial conditions to give  
22 you the results that you like. I think it'll work  
23 towards figuring out exactly whether these drifts with  
24 all the obstructions in them can act as a shock tube  
25 and what kind of over pressures you might expect if

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you ingress at moderated intersection pressures, say  
2 of the order of two to five megaPascals as we've  
3 talked about already and define mechanisms by which  
4 magma will ultimately move along the system and  
5 potentially move out of them.

6 It would be also useful if they include  
7 some evaluation of the effects of barriers or changes  
8 in design that might retard incursion into a  
9 repository. I think that would be an intriguing study  
10 to add to the slate of studies already prescribed.

11 The magma drift mechanic studies I guess  
12 follow along somewhat, I guess are more complex  
13 versions of what we talked about today and it is a  
14 difficult problem and it's somewhat more difficult, I  
15 would say, than the magma gas interaction studies  
16 within the tunnel itself, just because there are so  
17 many unknowns. The geometries of structure within the  
18 rock mass is unknown. Properties are not well  
19 constrained. Stress regime is only based on a couple  
20 of independent measurements and so there are a lot of  
21 unknowns and again, I think it has to look at  
22 primarily processes rather than look at specific  
23 geometries.

24 I think it's hampered a little bit in that  
25 the code that's used is ANSI's code but it's not

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 really set primarily to look at dike intrusion or  
2 hydraulic fracturing. I think the scope of the rock  
3 mechanic study is quite large, quite optimistic in  
4 terms of what might be able to be derived from the  
5 code versus the time potentially available for it.

6 I think that also our understanding, the  
7 community's general understanding of either hydro  
8 fracturing in the presence of structures or rock  
9 structure is not very good and I think there needs to  
10 be some marriage between what'll be done with the  
11 proposed ANSI studies in terms of the rock mechanics  
12 and also looking at behavior of codes that perhaps  
13 were available in the petroleum industry, looking at  
14 the effects of barriers, looking at the effects of  
15 hydraulic fractures approaching well bores and trying  
16 to understand processes that might impact Yucca  
17 Mountain and again, to allow processes to be  
18 understood so that they might also be applied if the  
19 design were to change in the future.

20 That's all I have. Thank you very much.

21 CHAIRMAN HORNBERGER: Derek, is there any  
22 hope of using physical models for this last point you  
23 talked about?

24 DR. ELSWORTHY: I guess scaling is always  
25 an issue. Are you talking about physical laboratory

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 models or Nevada test site models?

2 CHAIRMAN HORNBERGER: No, no. Sorry.  
3 Physical lab scale.

4 DR. ELSWORTHY: You can but it's tough to  
5 be able to recreate stresses. A lot of work has been  
6 done on, for instance, gelatin, injecting into gelatin  
7 models. I think those are interesting in being able  
8 to give insights. I can remember some stuff by Steve  
9 Bartell looking at, for instance, in JGR recently,  
10 looking at the deviation of dikes as they propagate  
11 underneath a static cone, volcanial pile, and being  
12 deflected away from it by stress effects. But I think  
13 it's tough to be able to put in and be able to  
14 quantify the magnitudes of the stresses you're putting  
15 in. I think in terms of processes, yes, you can look  
16 at general so there is some. It's interesting.

17 DR. MARSH: Great presentation, Derek.  
18 Very interesting. One of the things that you talk  
19 about sort of generally is the state of stress in  
20 terms of directing the, maybe influencing the  
21 propagation direction of the dike, etcetera, and I can  
22 remember 10 years ago my suggestion to like this or  
23 maybe even further than that. Also, the topographic  
24 stress. You see around the world actually the  
25 topographic stress evidently has a big effect on where

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 we get these eruptions. You can see, for example, at  
2 Kilueaiki, for example, we had a big pit there next to  
3 it but the eruption didn't occur in the pit. It  
4 actually occurred up on the shelf. Very common in  
5 Hawaii to see this. In Antarctica, the dry valleys  
6 which you can see, each an area of 30 million years  
7 of no erosion basically, and you can see late stage  
8 little cinder cones like this, not in the valley  
9 floors but just up a little bit onto the shelf, just  
10 outside a little bit.

11 So one of the things I was wondering, if  
12 you couldn't actually show something where you  
13 actually take the topographic stress and take a  
14 projected model for the crust there for what we know  
15 for the alluvium fill and where the faults are and  
16 actually just show a stress field through the crust  
17 with and without the -- or in the upper crust, let's  
18 say it goes down three or four kilometers, with and  
19 without the repository in various configurations and  
20 then there are various people, like you mentioned,  
21 that have done this over the years with gelatin models  
22 and other ways actually of showing where in fact the  
23 dike will go given this field.

24 DR. ELSWORTHY: I think some of the DOE  
25 work will address that.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. MARSH: Because these have been done  
2 as far back as Nadai. I think Nadai even shows in his  
3 books the stresses, topographic stresses. It should  
4 be pretty straightforward.

5 DR. ELSWORTHY: It is straightforward but  
6 the fact --

7 DR. MARSH: Within uncertainty.

8 DR. ELSWORTHY: Well, I should back up my  
9 comments about the propagation path of these being  
10 completely controlled by the in situ stresses. That's  
11 true but also the fact that you're injecting these  
12 things changes that stress around it and, therefore,  
13 there's a feedback within the system which is perhaps  
14 more difficult to accommodate. So I think the issue  
15 of being able to figure out what stress trajectories  
16 numerically are or analytically, Bill Savage's work,  
17 for instance, in looking at topographic effects on  
18 stress distributions, could be used to define  
19 potential trajectories. I think that's a great kind  
20 of scoping analysis that gives you a good feel for  
21 exactly how these things must evolve, might evolve.

22 But also there's a secondary feedback in  
23 that when you put a 10 kilometer blade of magma which  
24 is pressurized at some other different pressure, you  
25 generate your own stresses regarding that as well.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 That's really my main comment regarding the rock  
2 mechanics stuff and the DOE work is that the addition  
3 of that which is what the attempt will be to do I  
4 think is something that has eluded the petroleum  
5 industry for a number of years. The comment was made  
6 by Manual Detournay at the peer review meeting, who's  
7 much more versed in hydraulic fracturing than I, and  
8 I think he made the point that the petroleum industry  
9 is still struggling with this issue of interaction of  
10 fractures, directions and changes in directions of  
11 fractures in stress fields and is not by any way  
12 resolved.

13 DR. MARSH: I'd like to just follow up a  
14 little bit. There's a separation of this problem, I  
15 think. One is in the details which you're talking  
16 about in many ways the hydrofract, when you actually  
17 have a hole, you're going to start a fracture, there  
18 is a significant uncertainty in essentially the local  
19 material property's granularity in the system that  
20 makes a little bit of uncertainty.

21 At the other extreme, at the regional  
22 extreme, we've had lots of studies over the years,  
23 principally, let's say for example, by Nakamura and  
24 people like this, that we can actually predict in some  
25 certainty where dikes and fissures will show up, what

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 direction they'll show up around volcanic systems or  
2 even in postmortem systems they follow very much the  
3 regional stress field.

4 So in other words, by knowing the regional  
5 stress field you basically kind of know where the dike  
6 is going to be. That actually then sets the stage in  
7 a kind of an in the background fashion for -- it  
8 lessens the probabilities then, for example, in terms  
9 of hydrofract. The hydrofract problem is you start  
10 initially from a drill hole and go. This says you  
11 have a dike propagating that's set up by regional  
12 fracture and then you've given that as an initial  
13 condition for the more detailed problem.

14 DR. ELSWORTHY: This would be the seed.  
15 This would be saying that the dike propagates from  
16 this bore hole and, once it gets away from the bore  
17 hold, then it's controlled by this direction from this  
18 seed location so you get an azimuth from that at which  
19 you would break surface.

20 DR. MARSH: Are these things being done?  
21 I mean these kind of studies being done? These seem  
22 to be absolutely critical.

23 DR. ELSWORTHY: I think they're being  
24 covered in two different areas. I think Greg  
25 Valentine's kind of paleo studies of these existing

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 volcanic system as it is have a portion of them  
2 because I would say that looking at relationships  
3 between tectonic structure and the direction of these  
4 dikes that link these cones is part of the puzzle and  
5 I think the other part of the puzzle which is being  
6 approached is to try doing some studies which DOE has  
7 proposed. I think George Barr is doing codes to  
8 represent the repository, to represent the stress  
9 fields and to try and get a dike propagating through  
10 that. Yes, those are under way.

11           Whether they will be realized within the  
12 time frame, six month time frame, is an issue. I mean  
13 that's my concern I think more than anything is that  
14 they -- they have a very ambitious program and that's  
15 very good. But I think it's because of the  
16 technology and the fact that they're working with  
17 developing a code rather than using an off the shelf  
18 code that that's going to have some more hurdles than  
19 perhaps they think.

20           DR. MARSH: And when you talk about  
21 enhancing the stress locally due to thermal effects,  
22 I assume you're just talking about expansion, mainly  
23 heating up. I know what's in some of the things --the  
24 thermal pulse from just putting the repository there  
25 at T equal 0, when is the maximum in the 10,000 year

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 period?

2 DR. ELSWORTHY: It's somewhere within that  
3 65 to -- it's a moving target from my review, it's  
4 somewhere between 65 and 2,000 years. I'm sure  
5 there's someone here who probably speaks about that  
6 better than I.

7 DR. MARSH: So what are the residual  
8 effects? That's the other interesting thing. Has  
9 anybody looked at the fact that you may actually get  
10 some kneeling of the rock and changing its strength  
11 properties? Would it stress for that long a time?

12 DR. ELSWORTHY: I don't know.

13 DR. MARSH: At this temperature? A lot of  
14 these things --

15 DR. ELSWORTHY: If you're getting fluids  
16 moving there, you get pressure solution fractures and  
17 kneeling, etcetera. Yes.

18 DR. MELSON: Just to add to what Derek  
19 said, I know in Barr's presentation -- you'll probably  
20 remember -- he does have a topographic stress term.  
21 His program will include the slope of the ground above  
22 the repository.

23 DR. ELSWORTHY: And multiple drifts  
24 perhaps. So I think there is a desire to do the whole  
25 repository system.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. MARSH: And on top of this then is  
2 that the history of the volcanism. It's interesting.  
3 How well do we know the history of the topography in  
4 the area? For example, we know what it is now. We  
5 have 75,000 years ago and we know what the faulting is  
6 a bit. Do we know -- it's curious to me that all  
7 this volcanism actually none of it's up on the  
8 mountains. How many dikes are up there on the  
9 mountains?

10 DR. HINZE: One.

11 DR. MARSH: One. See, it's very  
12 interesting that these -- I can see the bounding  
13 faults and things. It's very interesting to me to see  
14 that the volcanism in mainly bounded, is in the  
15 valleys. That's very interesting in terms of there  
16 may be stress barriers to actually keeping it in these  
17 areas.

18 DR. ELSWORTHY: I think there's also some  
19 underlying structure in that the three center cones  
20 that exist that are aligned on a feature are also kind  
21 of almost a conjugant pair. There's also interesting  
22 structures that you could conjecture that might be  
23 there. I don't know whether there is reality in the  
24 structures that might be there.

25 DR. MARSH: So what's the history for the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Yucca Mountain itself? When you're looking at three  
2 or four million years, five million years, do we know  
3 that?

4 DR. MELSON: Bruce, the geological survey  
5 folks did a wonderful job on geomorphology out in the  
6 rift valley on the slopes. Nobody is here to talk  
7 about that but they do have good ideas that need to  
8 be, I think, probably resurrected.

9 DR. MARSH: An evolutionary history of  
10 that. Yes. That's very important, I think, to get  
11 some evaluation of why the magmatism that we see there  
12 is the way it is.

13 DR. MELSON: Absolutely.

14 DR. MARSH: Then you can use that as a  
15 predictor in the future. I believe it's very, very  
16 important.

17 CHAIRMAN HORNBERGER: Bill.

18 DR. HINZE: In addition to topography, you  
19 also mention the structural controls. Could you  
20 expand a bit about that and what you mean by  
21 structural controls as pertains to the Yucca Mountain  
22 region.

23 DR. ELSWORTHY: It's valley and ridge  
24 province. Basin range. So my main comment with that  
25 is that these dikes will attempt to exploit easy

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 structures. Depending on the stress regime, they'll  
2 try and do that.

3 DR. HINZE: You're talking about  
4 fractures.

5 DR. ELSWORTHY: Yes. Fractures and  
6 faults. I think the effects of fractures on a small  
7 scale is that those just give you a very low fracture  
8 toughness. Basically there's no tensile strength.  
9 But at large scale, the faults will provide potential  
10 conduits to direct the propagation of these things.

11 DR. HINZE: And that's something that  
12 Connor in his papers has tried to do. I found it very  
13 interesting that you mentioned the analogs of dynamic  
14 waves. There certainly has been a lot of work done  
15 over the past half century on demolition of  
16 underground openings by the Department of Defense and  
17 its various facilities that involve shock waves in  
18 underground openings and multiple underground  
19 openings. Do you have any feeling for how much is  
20 available to the program here?

21 DR. ELSWORTHY: I have no idea. I'll let  
22 DOE people address that.

23 DR. HINZE: It would be interesting to see  
24 what Sandia and Los Alamos have on that.

25 Kind of tangential to your conversation

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 but it deals with the igneous activity KTI and that  
2 is your statement that you have to have this critical  
3 energy within the volcanic intrusion to have it  
4 propagate and reach through to the surface. That  
5 brings to mind the work on the aeromagnetic study of  
6 the potentially hidden events, volcanic events, that  
7 there must be a minimum size to these events in order  
8 to reach the surface. We can approach that problem in  
9 dealing with what is the possibility of us missing a  
10 hidden event in the aeromagnetic study. Is it  
11 possible for us, considering the regional regime, to  
12 calculate the minimum magma that one has to have to  
13 reach the surface?

14 DR. ELSWORTHY: That's all intended to be  
15 limited by a meter thickness. And that's because it's  
16 a balance between how much heat you lose by conduction  
17 versus how much you can invest there by moving into  
18 the system by moving it up. So it's a balance between  
19 how quickly you can supply heat byvection versus how  
20 quickly you can move it by conduction. So it depends  
21 a lot on a the geometry.

22 For instance, if you moved the same amount  
23 of volume up a circular conduit, a vent, certainly  
24 that's much more efficient. So I think it relates to  
25 geometry and how much surface area that you would --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 but I think you could some ideas from that kind of  
2 analysis.

3 DR. HINEZ: Some bounding calculations of  
4 what the minimums are -- it would have to be. And  
5 that would relate then to the smallest hidden event  
6 that one could be detect.

7 DR. ELSWORTH: But it would really have to  
8 be a discharge that you'd get rather than the --

9 DR. HINEZ: Right.

10 DR. MARSH: Bill, those calculations are  
11 available. I did those and published those 20 years  
12 ago.

13 DR. HINEZ: Great.

14 DR. MARSH: I'd like to share some of  
15 these, but it's exactly -- for discharge rate and what  
16 kind of conduit you want --

17 DR. HINEZ: Great.

18 DR. MARSH: One follow up, one question is  
19 that if I understand you right and from my  
20 understanding of propagation of dike intrusion is the  
21 dike actually, the propagation, stress, really atones  
22 itself to what it needs in the wall rod to sort of  
23 open up a track. In other words, they don't  
24 necessarily travel with a huge over pressure.

25 DR. ELSWORTH: No. Well, they can't.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 They can't because they're unstable.

2 DR. MARSH: Right.

3 DR. ELSWORTH: Because they're unstable.  
4 They'll build sideways or upwards.

5 DR. MARSH: Right. It'll form a sill or  
6 something.

7 DR. ELSWORTH: Yes.

8 DR. MARSH: That's another aspect that  
9 should be looked at is the whole -- I'll talk about  
10 this a little later maybe, but whether these things  
11 actually will, as they say, get an over pressure which  
12 is very important. I mean, if you get -- 2 percent  
13 water and they actually saturate -- they have a  
14 significant depth coming up, especially if they have  
15 some CO<sub>2</sub> in it. So if they saturate, the over  
16 pressure can be large and it can form a sill and just  
17 take away all that depth. That's significant. We see  
18 this all the time, actually, in systems. It'll keep  
19 tuning itself or reducing itself down to where the  
20 over pressure is minimized.

21 DR. HINEZ: So what you're suggesting is  
22 that we not only have to worry about a dike, but we  
23 have to worry about a sill that hits all of the drips?

24 DR. MARSH: You're already worrying about  
25 that.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN HORNBERGER: But the probability  
2 is long.

3 Any questions over here?

4 DR. LEVENSON: I've got a question in  
5 ignorance. In the natural cases where you have  
6 differences in stress, etcetera, do they tend to be  
7 vertical? Are there are any natural cases where you  
8 have discreet uniform isolated tubes of stress doing  
9 horizontally, which is the case here with the  
10 repository tunnels which have been preheated?

11 DR. ELSWORTH: Naturally occurring?

12 DR. LEVENSON: Yes. Yes.

13 DR. ELSWORTH: Not that I can think of.  
14 You mean in analog, this kind of behavior?

15 DR. LEVENSON: Yes. But would you expect  
16 that something is rising and there's a couple of hard  
17 tubes now fairly far apart that rather than whether it  
18 can build up enough energy to break through this  
19 crust, would you expect it to just move and go up  
20 between them taking the path of least resistance?

21 DR. ELSWORTH: Yes, maybe. Maybe.  
22 Mechanically you would expect that it would take the  
23 path of least resistance. These are the hardened --  
24 stress hardened areas that it would try and deflect  
25 away from. So, yes, I think you would.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. LEVENSON: Wouldn't that take a great  
2 deal to divert it from just a small local area?

3 DR. ELSWORTH: Well, I think you're helped  
4 as you spread out the drifts from 22 meters to 80  
5 meters. And as you go in that direction I think you're  
6 helping yourself.

7 DR. LEVENSON: Well, for two reasons, but  
8 you now have -- you've increased the soft area between  
9 those areas?

10 DR. ELSWORTH: Yes, for both reasons, yes.

11 DR. LEVENSON: Yes.

12 CHAIRMAN HORNBERGER: Raymond?

13 VICE CHAIRMAN WYMER: No.

14 CHAIRMAN HORNBERGER: John?

15 DR. GARRICK: No.

16 CHAIRMAN HORNBERGER: Thanks very much,  
17 Derek.

18 DR. ELSWORTH: Thank you.

19 CHAIRMAN HORNBERGER: And next we have  
20 Meghan Morrissey.

21 DR. MORRISSEY: Can everyone hear me fine?

22 CHAIRMAN HORNBERGER: Sounds good.

23 DR. MORRISSEY: Yes? All right.

24 Well, Leon asked me to join the project  
25 back in November. So I'm still in the catch up mode,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 but he asked me to, more or less, consider the shock  
2 wave dynamics involved with Bokhove and Woods model.  
3 So, today what I'm going to do is give you a little  
4 background information about shock waves in volcanic  
5 environments and then do a little review about shock  
6 tube mechanics and dynamics. And go over, review the  
7 Bokhove and Woods model, and then give some comments  
8 and recommendations how shock waves will -- their  
9 behavior in the tunnel and the drift and what one  
10 should do about engineering for it.

11 So shock waves are recurring volcanic  
12 environments where we have a high pressure magma fluid  
13 coming into a low atmosphere. And what happens is  
14 there's a shock front and a compression wave that  
15 moves into the atmosphere, and that's coupled to an  
16 expansion wave that moves down into the magma. So you  
17 have these two pressure waves; one that's compressing  
18 the low pressure air and one that's trying to lower  
19 the pressure of the high pressure magmatic gas.

20 And so what you see is this shock wave  
21 that moves out into the atmosphere and that's followed  
22 by the magnetic fluid.

23 Here's some examples of this actually  
24 happening. This is a classic one, it's in Ngauruhoe,  
25 the eruption in New Zealand in 1975. You can see this

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 is the onset of the eruption and the shock wave and it  
2 compresses the atmosphere behind it, and so it  
3 develops this cloud that's very apparent.

4 Down are some other examples of eruptions  
5 in New Zealand that have had these shock waves  
6 associated with the eruption.

7 Here are the records of these shock waves  
8 actually occurring from many volcanos during the onset  
9 of an eruption. And these are records on micro  
10 barographs some tens of kilometers away. So most of  
11 the energy is dissipated within the first kilometer.  
12 So these are small airways that move out, but they are  
13 recorded and they do exist. So these are examples of--  
14 one's from Mount St. Helens, Sakurajima, Mount  
15 Pinatubo, Ruapehu and Mount Tokachi. And they also  
16 are recorded during Strombolian eruptions, but that's  
17 -- they've only recently been recorded because people  
18 have put microphones very close to the vent. So these  
19 little shock waves, pressure waves do occur at lower  
20 pressure type, less energy, less energetic on the  
21 eruptions.

22 So the Bokhove and Woods model is  
23 essentially trapping saying that once you have this  
24 magmatic plug moving through and it intersects the  
25 drift, you're going to trap that compression wave and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 move it through this 200 meter tunnel instead of  
2 running it to expand outward.

3 So it's essentially acting like a shock  
4 tube. When a shock tube -- the shock wave that  
5 occurs, it's pressure is dependent on the driving  
6 force of the piston divided by the area. But in the  
7 case of the magma, it's the magmatic pressure that's  
8 moving in that dictates what that initial pressure of  
9 that compression wave is. And the speed of that shock  
10 wave is dependent on the difference between the air  
11 pressure and the driving pressure, and also the  
12 temperature of the atmosphere in which its propagating  
13 through and how much energy -- or it's magnitude, how  
14 much energy it's going to pass as it moves through,  
15 reflects off the end of the tunnel and the magmatic  
16 interface depends on how -- depends on the properties  
17 of the magma and the wall at the end. So its boundary  
18 conditions play a big factor in it.

19 So the Bokhove and Woods model, it's a one  
20 dimensional shock tube. It takes account for gravity  
21 by -- it takes in account -- it's more like a two  
22 dimension as it comes in and it intersects the  
23 horizontal tunnel, it takes into account that change in  
24 direction by gravity.

25 The magma enters the drift as a foam. In

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 their model the foam is defined by 70 to 90 percent  
2 voids or gas space, and it contains 1 to 2.5 wt%  
3 water. And the void fraction is less than the  
4 fragmentation level, so it's not a fragmented magma,  
5 it's a foam.

6 It neglects the presence of the waste  
7 packages, so it's an open system. It's open.

8 The dike geometry is fixed, it does not  
9 change. So once the magma enters the tunnel its  
10 geometry stayed the same. It's more like steady magma  
11 flowing in.

12 And the magma in the model enters at 20  
13 megaPascal and 1000 Kelvin.

14 And the effect of viscosity is a  
15 frictional term.

16 So here I'm just going to explain some of  
17 the pressure behavior in their model, and we're going  
18 to focus the middle -- it says pressure versus  
19 distance, so it's along the drift and dike. So this  
20 is the onset of when the magma enters the drift, it  
21 sends a compression wave or the shock wave into the  
22 drift and that shock wave is raising the pressure  
23 inside the tunnel. So you're seeing it just at time  
24 increasing to the left -- to the right. And to the  
25 left you'll see the rarefaction wave lowering the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 pressure in the magma in the drift.

2 Over here in phase 3 it's more or less  
3 showing you in a long term how that rarefaction wave  
4 is moving down into the magma, lowering the pressure  
5 of the magma. And to the right is the compression  
6 wave compressing the air and raising the pressure.

7 Phase 2 is showed -- the dotted line shows  
8 the flow front of the magma as it's moving down into  
9 the drift filling the drift. Okay. So it's at more  
10 like a steady state here, steady velocity.

11 These lines here show the shock front  
12 moving down the drift so it's raising the pressure  
13 inside the tunnel of the drift and it's reflecting off  
14 the wall, which in this case is a rigid reflector. So  
15 there's no energy dissipating. So it's taking all  
16 that momentum back into the system raising the  
17 pressure.

18 So that first reflection raises the  
19 pressure in the air even more. It intercepts the magma  
20 flow front and then it reflects back towards the end  
21 of the tunnel so these reflections allow the pressure  
22 ahead of the magma to build up. And this is where  
23 they're getting their ten to -- 15 to 50 percent  
24 increase in pressure by these reflections.

25 So there's a bit of energy being

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 dissipated into the magma, and this is where their  
2 parametric study comes in. They considered four  
3 different factors that can dissipate some of the  
4 energy from that shock wave as it reflects of the  
5 magma-air interface.

6 And they first considered the initial  
7 pressure of the magma as it enters the tunnel. Also  
8 how much water it contains, from 1 to 2.5 percent.  
9 Friction. And also increase in the void content of  
10 it.

11 So what we see here is the maximum  
12 pressure buildup inside the tunnel, and this is the  
13 shock amplification.

14 So as you increase the pressure of the  
15 magma coming into the tunnel, of course it's going to  
16 create higher magnitude reflections. So more energy  
17 more pressure inside the tunnel is going to build up.  
18 So there's very little dissipation from the magma.

19 As you increase the water content of the  
20 magma, again it's not going to absorb that much energy  
21 when the shock wave intersects it.

22 But the friction factor does absorb a lot  
23 of the energy, so it really reduces the application of  
24 that reflected shock.

25 Foam, again -- I mean, if you get the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 increase void content, it increases the overall  
2 pressure inside the system but very little and it  
3 reflects how much the shock amplification occurs.

4 So these are four parameters that they've  
5 discussed about how you could reduce the pressure  
6 build up inside the air tunnel from that shock wave.

7 So I'm going to go through and discuss the  
8 limitations of their assumptions.

9 The first assumption is a one dimensional  
10 shock tube. And if you consider the magma coming in  
11 at any angle, it's going to actually create  
12 reflections of the sides of the wall. And so it's  
13 going to make, probably, a series of oblique shock  
14 waves. And whether those are going to resonate and  
15 increase, you know, that may occur, that may not  
16 occur. So that pressure build up may not occur if you  
17 account for, you know, a two dimensional, three  
18 dimensional geometry with the dike coming in at a  
19 different angle than 90 degrees.

20 The second assumption is magma enters the  
21 drift as a foam containing 1 to 2.5 wt% water and it's  
22 below the fragmentation level, and it's steady state  
23 behavior.

24 Well, if the magma comes in in any other  
25 way, if it comes in as a fragment of gas mixture, well

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that's going to be coming in more turbulent, higher  
2 speed and it's going to fill up the tunnel totally  
3 different conditions for that shock wave to interact  
4 with that turbulent mixture. If it comes in and just  
5 stops at the plug, well then that shock wave can  
6 reflect back and forth and really build up more  
7 pressure than if this magma is slowly moving and  
8 filling up the tunnel.

9 They neglected the presence of water  
10 packages, but I'll discuss that in a minute.

11 The fourth one, the dike geometry is fixed  
12 or prescribed. Again, if they consider in reality  
13 that that dike geometry will change as the magma is  
14 entering, that's going to influence the flow behavior  
15 of the magma and so it may fill up the tunnel a lot  
16 quicker, therefore reducing the amount of time for  
17 those reflections, so the pressure build up from the  
18 reflected shock waves. So that's something to  
19 consider.

20 The magma enters as a very high pressure.  
21 And as Derek pointed out, it's probably much lower but  
22 still it's something to consider.

23 The rigid wall at the end of the tunnel  
24 will probably be fill material which would allow more  
25 of the energy to be absorbed from the reflected shock

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 wave.

2 The air in the tunnel remains clean. But  
3 if you consider if there's any amount of sand/silt on  
4 the bottom, the leading shock wave is going to pick  
5 that up and train it, and that's going to change the  
6 sound speed of the air. And I have some calculations  
7 I'll show you the effect of that.

8 And then the temperature inside the  
9 tunnel. At 25° C the sound speed is 340 meters per  
10 second. If you increase it to the highest temperature  
11 that Derek pointed out, 150°C, you're going to raise  
12 it up to 415. So it's going to allow the shock wave  
13 to -- more reflections and more build up. So it's  
14 something to consider, too.

15 Now here's a discussion about the presence  
16 of the packages in the tunnel. Well, the shock wave  
17 will propagate around the packages because the spacing  
18 is fairly close. The shock waves will pressurize the  
19 packages in the tunnel. They might be localized  
20 reflections off the walls that would probably produce  
21 a hammering effect on the packages. And also  
22 considering the abrasion from a dusty atmosphere as  
23 this shock wave is passing through collecting and  
24 training more dust, there's going to be very abrasive  
25 material moving up and down. So that's something that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 should be considered.

2 Here I'm just showing the effect of dust  
3 and temperature on the shock wave as it propagates  
4 through the tunnel. If you use normal shock relations  
5 for moving shock waves, these equation, 7.12 from  
6 Anderson, the textbook on Modern Compressible Fluid  
7 Flow, this equation here gives -- you can calculate  
8 the ratio of the leading shock as it moves into the  
9 pressure of the tunnel. And it's a function of gamma,  
10 which is the ration -- it's a heat capacity ratio, so  
11 it's heat capacity at constant pressure over heat  
12 capacity of constant volume. And it's also a function  
13 of the mach number. And the mach number is the ratio  
14 of the speed of the wave over the sound speed of the  
15 wave.

16 So if you rearrange this equation -- for  
17 the mach number and then define the mach number as the  
18 speed of the wave over the sound speed, the sound  
19 speed is a function of gamma as well as temperature.  
20 And gamma, if you consider -- well, first you consider  
21 the effective dust. If you add ten weight percent dust  
22 to the air, for pure air gamma is 1.5. And if you add  
23 ten weight percent, you reduce it by a tenth. So this  
24 graph shows the velocity of the wave as a function of  
25 gamma. So if you add ten weight percent dust, so it'd

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 be 90 percent, 80 percent, 70 percent; the wave speed  
2 is going to decrease which will slow down the number  
3 of reflections as the magna's entering the tunnel. So  
4 it's something to consider.

5 I didn't put the other equation. But you  
6 can calculate what the mach number would be for the  
7 reflected wave, the first reflected wave and then you  
8 could use this calculation here to calculate what the  
9 pressure would be for the reflected wave going back  
10 into the air after the first shock.

11 So this graph here shows you that if you  
12 add dust to the system, it's going to reduce the  
13 pressure of the reflected wave, you know, relative to  
14 a pure clean environment. So adding dust would slow  
15 down the wave, slow down the number of reflections,  
16 also reduce the pressure build up.

17 But temperature, if you go to the higher  
18 temperature, the reverse effects. You're going to  
19 have a faster wave moving through there and it's going  
20 to pressurize a lot higher and quicker.

21 So, how realistic is the model is the  
22 model that they propose? It's fairly realistic. If  
23 the magma intrudes into the tunnel, it's going to come  
24 up with a high pressure. That pressure from that  
25 magma is going to send in a shock into the tunnel.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 And they demonstrate the behavior of it.

2 The magnitude of the shock wave depends on  
3 the driving force of the magmatic fluid, and the  
4 mechanical properties of the magmatic fluid and the  
5 wall; so the boundary conditions. And the initial  
6 thermodynamic state of the air inside the tunnel,  
7 whether it's cold, hot, how much dust, etcetera.

8 And the uncertainties of the model. The  
9 behavior of the ascending magma; it could be rich in  
10 volatiles, it could be ready to expand explosively as  
11 it reaches the tunnel so it'll just move a dusty high  
12 turbulent mixture into the tunnel or it may behave  
13 very passively, move slowly as the model suggests,  
14 which will allow more shock waves to reflect and  
15 really fill up the pressure.

16 The boundary conditions at the end of the  
17 tunnel, they consider the ridge a reflector. If you  
18 consider more realistic material, more energy will be  
19 absorbed out of it. So they need to consider that in  
20 their model.

21 And then entrainment of sand and silt. As  
22 I demonstrated, that's a big factor, too.

23 So how to engineer the tunnel for shock  
24 waves. Enable walls to absorb and transmit some of  
25 the energy out of there.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Pressurize or cool tunnel.

2 Strengthen the packages and the mounts to  
3 withstand the pressurization and abrasion from the  
4 reflected shock waves.

5 So that is all I have to say on that  
6 topic. So, any questions?

7 CHAIRMAN HORNBERGER: Meghan, I'm curious.  
8 I'm trying to link some of the things up. You didn't  
9 mention any possible effects of cooling and  
10 solidification of the magma as it enters the drift.  
11 Does that have an effect or --

12 DR. MORRISSEY: Oh, yes. If it cools and  
13 solidifies, then that leading shock wave has a lot of  
14 room just to keep resonating if there's no area to --  
15 no means of dissipating that energy. So you'll get  
16 more pressure build up than they even say in the  
17 model.

18 So their model -- their 15 to 50 times the  
19 initial pressure build up is based on the number of  
20 reflections of shock waves as that magma fills the  
21 tunnel. So if you stop the magma half way through, it  
22 still has all that movement, you know, all that area  
23 to reflect and keep building up. So, yes, it does --

24 DR. MARSH: Well, I think maybe George is  
25 thinking also though that the magma may be self-

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 sealing. In other words, when it opens up into the  
2 cavity, let's say.

3 DR. MORRISSEY: Right. But once it opens  
4 up into the cavity, it's going to produce. Right.

5 DR. MARSH: Right. But it needs a volume,  
6 it needs something to work on. I mean, it will work  
7 back and forth, but --

8 DR. MORRISSEY: Right, it's going to have  
9 the volume of the whole tunnel.

10 DR. MARSH: Right, back and forth.

11 DR. MORRISSEY: Right. Right.

12 DR. MARSH: But I have a kind of a more  
13 fundamental question that maybe Bill would -- most of  
14 all the shock phenomena that we've ever seen on the  
15 earth involves, it seems to me, in volcanic situations  
16 involves two types of situations. One is that mainly  
17 from volcanic conduits which the analogy between the  
18 shock tube or the best way to produce a shock wave  
19 really is to pressurize the side of a diaphragm and  
20 then puncture the diaphragm and let it go. That's the  
21 standard way that shocks are produced in ballistics  
22 and everything else. And that is a perfectly ripe  
23 geometry for a volcano.

24 The other thing is that these are  
25 established, well establish, usually well established

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 volcanic systems where you can actually get a plug  
2 kind of in the system. And in many ways what volcanos  
3 are, they're basically nature's way of performing Red  
4 Adair's work, you know, run away eruption. They cap  
5 themselves. They just go up this thing and cap  
6 themselves.

7 DR. MORRISSEY: Right.

8 DR. MARSH: And -- all the pressures and  
9 then you get this perfectly good situation.

10 To my knowledge, we have never ever seen  
11 a shock produced from an initial break in a fissure or  
12 a dike hitting a surface. Because they're --

13 DR. MORRISSEY: I would like to differ.  
14 Because in that situation it's going to be a low  
15 pressure. You're going to produce a sound wave when  
16 that breaks through. But because no one's ever  
17 measured it, until now like at Stromboli, they're  
18 putting microphones very close and you can measure  
19 these. It's not going to be high energy, especially,  
20 you know, a kilometer or so away because it  
21 dissipates. But if you trap that into a 200 meter long  
22 tunnel that's only ten meters wide, you're going to  
23 trap that energy.

24 DR. MARSH: But the issue is a little  
25 different in that when a dike actually propagates

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 along, it actually show -- well Derek was showing a  
2 dike, and we all show dikes as being these kind of  
3 blunt tipped things. But if you actually look at  
4 them, the angle at the leading edge of the tip is  
5 actually zero. You know, so in other words we  
6 actually show the edge of a propagating dike, it's  
7 actually a little thin ribbon out there.

8 DR. MORRISSEY: That's right.

9 DR. MARSH: It maybe in fact be several  
10 hundred meters or a kilometer ahead of the major part  
11 of the dike. We see this very commonly in systems.  
12 And so, in other words, the initial break is actually  
13 something maybe an inch or two inches wide that  
14 dissipates the pressure immediately in the system and  
15 by material flowing out and then the dike opens up.

16 DR. MORRISSEY: Right. But so take that  
17 entrapment to that tunnel. If you're going to have  
18 that little -- you know, that little fracture --

19 DR. MARSH: Well, but it's a difference in  
20 opening up a large conduit of a given width into the  
21 conduit.

22 DR. MORRISSEY: Right. But you're  
23 relieving the pressure, though. You got to consider,  
24 too.

25 DR. MARSH: Or taking down a truck tire,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 puncturing a truck tire --

2 DR. MORRISSEY: Right.

3 DR. MARSH: -- and letting that go in the  
4 cavity.

5 DR. MORRISSEY: Yes.

6 DR. MARSH: In other words the magnitude  
7 of momentum across the shock front significantly  
8 different in these cases, just the mass of the driving  
9 force. Just the amount of driving force is  
10 significantly different.

11 So that is -- I mean I'm not --

12 DR. MORRISSEY: That fracture is opening  
13 up by the accumulation of the concentration of gas.

14 DR. MARSH: Well not necessarily. Not  
15 necessarily.

16 DR. MORRISSEY: So that gas is really  
17 expanding to a volume. So --

18 DR. MARSH: What I'm trying to get at here  
19 is that these are very, very delicate assumptions --

20 DR. MORRISSEY: Yes.

21 DR. MARSH: -- that are built into the  
22 model.

23 DR. MORRISSEY: Yes.

24 DR. MARSH: And that is the whole track --  
25 with gas.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. MORRISSEY: Right.

2 DR. MARSH: And, you know, we see -- I  
3 mean, how many dikes have we all seen and feel. We  
4 never see mirolitic cavities in dikes ever. We never  
5 see big -- all the -- sills in the world, maybe  
6 thousands of them, and at even high -- even to these  
7 region, Gettysburg all the way up through Hartford,  
8 Connecticut. We never see any gas at all in the roofs  
9 of these sills that have been -- propagated.

10 So, my question is is that these  
11 conditions are probably even more delicately  
12 prescribed than we can imagine. The geometry is  
13 special.

14 DR. MORRISSEY: Yes.

15 DR. MARSH: We don't have a ramping up.

16 DR. MORRISSEY: Right.

17 DR. MARSH: In other words, when you ramp  
18 up, all these things act to actually blunt the effect  
19 of it. If you ramp this thing up slowly in terms of  
20 opening its width --

21 DR. MORRISSEY: What do you give to a long  
22 period seismicity? That's a whole, you know, process  
23 behind understanding the initial idea of long period  
24 seismicity is, is it that opening of a fracture  
25 allowing that gas to move out, and that's omitting a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 lot of energy, seismic energy causing that crack to  
2 vibrate above it. And it's on an assumption that it's  
3 a lot of gas moving through a lot of mass, fast mass,  
4 moving through and a lot of energy moving through.

5 So, if you consider -- you know, the  
6 understanding of these processes in terms of opening  
7 a fracture and if that little fracture is opening into  
8 a tunnel, you know, you're still moving that mass into  
9 the tunnel, too. So those initial conditions are  
10 going to occur.

11 DR. MARSH: So it's extremely sensitive?

12 DR. MORRISSEY: Yes. Yes. Yes.

13 DR. MARSH: But we've never recorded any  
14 shock of a fissure, right?

15 DR. MORRISSEY: Well, not large scale  
16 shock because we don't have a -- because it doesn't  
17 have a lot of pressure build up.

18 DR. MARSH: Right, and that's my point  
19 exactly --

20 DR. MORRISSEY: Right. But if you went  
21 really close to it, you're going to see a low pressure  
22 wave moving out. You would see that. So all I'm  
23 saying is if you consider that and you're trapping it  
24 inside the tunnel, okay.

25 DR. MARSH: But it may not be a shock. It

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 may just be a --

2 DR. MORRISSEY: A sound wave. A sound  
3 wave that will propagate towards --

4 DR. MARSH: Right. But a sound wave is  
5 what we're using right now to communicate with.

6 DR. MORRISSEY: Right. Exactly. Right.

7 DR. MARSH: So in other words it may not  
8 be detrimental to the physical, just emotional?

9 DR. MORRISSEY: No. No. The whole thing  
10 is if you start reflecting it, okay. And the energy  
11 isn't -- in their case, in their scenario, there's no  
12 way to dissipate.

13 DR. MARSH: Right.

14 DR. MORRISSEY: Okay. They need to  
15 consider dissipation. But if you didn't put a sound  
16 wave in there, it could propagate to a shock wave and  
17 keep building up pressure. So it's something --

18 DR. MARSH: In a perfect acoustic -- we'd  
19 never hear the end of it.

20 DR. MORRISSEY: Right. Exactly. Exactly.

21 DR. MELSON: Meghan, can I make a comment  
22 on this?

23 DR. MORRISSEY: Sure.

24 DR. MELSON: Bill Melson.

25 I think Meghan and I, I feel you know that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I'm in communication about the shock wave and at the  
2 volcanos because there's it's not a dike process  
3 initially even. Sometimes it's a dike. As you know,  
4 coming in low hitting the water table and it gives  
5 this terribly explosive reatic magmatic phase. But  
6 then as Meghan was talking about a Strombolian  
7 eruption, you'll have these periods of repose, and  
8 you've probably seen these, where you'll form a plug.  
9 And you do get an overpressure and you do get that  
10 shock wave, but these are not related to dike  
11 propagation but to accumulation of pressure, you know  
12 a plug like pressure beneath the plug. And that's  
13 where I think the communication may be talking about  
14 slightly different kinds of mechanisms.

15 DR. MARSH: The thing that a dike is, that  
16 a dike since it has such a long aspect ratio, a huge  
17 aspect ratio, it has lots of opportunities to vent. In  
18 fact, what you see during an eruption usually is when  
19 the fissure opens up, it may open up like Hekla or  
20 even in Kilueiki, and they open up over a long  
21 distance and then it fountains up a bit and then they  
22 start localizing somewhere.

23 DR. MORRISSEY: Right.

24 DR. MARSH: So in other words, if it  
25 starts freezing up locally, in fact it's a runaway

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 process because where it's thinnest, it goes back to  
2 Bill's question, where it actually is thinnest and  
3 cooling fastest the magma is not viable so it  
4 undergoes thermal death. And where it's a little  
5 wider, the magma's actually then concentrated there  
6 and so it keeps it alive a little longer.

7 So if you run into an area in one place,  
8 which is really intriguing when you put derricks and  
9 stuff into it, if you run into an area locally that  
10 sort of holds back the magma for any reason, it'll  
11 find another area and it'll vent out somewhere else,  
12 especially in the geometry of this where you're on the  
13 edge of a large topographic expression.

14 So the dike, unlike a volcano where  
15 everything is concentrated more or less, it's going to  
16 happen there and everything is focused towards that.  
17 With a dike it's dissipative, it's like a crack in  
18 your windshield. It's worse and propagates out. So  
19 that's a very, very different circumstance in many  
20 ways than the volcanic circumstance -- other than the  
21 volcano.

22 DR. MORRISSEY: Right. But if it still  
23 intersects the drift and move that magma in --

24 DR. MARSH: But it's not -- it isn't  
25 clear, though, that it'll actually form a shock.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN HORNBERGER: In terms of  
2 dissipation, I mean Yucca Mountain breaths so that at  
3 some level it's not going to be trapped forever in a  
4 drift.

5 DR. MORRISSEY: Right. Exactly. Yes.

6 CHAIRMAN HORNBERGER: But I guess that all  
7 depends upon how large a fracture. I mean, clearly,  
8 you are going to have a shock if you --

9 DR. MORRISSEY: Right, yes. There are  
10 going to be circumstances when it will occur, it could  
11 occur. And then I was, more or less, explaining their  
12 model and their limitations to it.

13 CHAIRMAN HORNBERGER: Yes.

14 DR. MORRISSEY: They need to consider more  
15 of --

16 CHAIRMAN HORNBERGER: I mean I guess my  
17 question is, is it -- does the dissipation have to be  
18 taken into account just on the basis of some  
19 parametric approach or do we have a decent theoretical  
20 way to do it.

21 DR. MORRISSEY: In their --

22 CHAIRMAN HORNBERGER: They don't have it,  
23 I know.

24 DR. MORRISSEY: They didn't have it in  
25 their model.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN HORNBERGER: No, I know they  
2 don't have it.

3 DR. MORRISSEY: But I think what's this --

4 CHAIRMAN HORNBERGER: Gaffney.

5 DR. MORRISSEY: Gaffney. Thank you.  
6 Gaffney, I think their model will account for  
7 different material properties along the wall or energy  
8 dissipation. So, you know, they're going to probably  
9 show that you're not going to get such high pressure  
10 build up.

11 CHAIRMAN HORNBERGER: Okay. Bill?

12 DR. HINEZ: Well, in the Woods model we  
13 see the horizontal transmission.

14 DR. MORRISSEY: Yes.

15 DR. HINEZ: The way it appears to me is  
16 this temp that's at right angled -- at right angles to  
17 the repository is going to produce a hemispherical  
18 shock front.

19 DR. MORRISSEY: Right.

20 DR. HINEZ: And the net result is that  
21 you're going to have revibrations --

22 DR. MORRISSEY: Absolutely.

23 DR. HINEZ: -- that go back and forth.  
24 Will this lead to an enhancement of the pressure or to  
25 a dissipation?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. MORRISSEY: I would say more of a  
2 dissipation.

3 DR. HINEZ: Dissipation?

4 DR. MORRISSEY: Yes. It is something  
5 that, again --

6 CHAIRMAN HORNBERGER: Unless it's just  
7 right.

8 DR. MORRISSEY: Right.

9 DR. HINEZ: It'll be more than just one  
10 thing that's just right.

11 DR. MORRISSEY: Yes.

12 DR. HINEZ: You know, an observation in  
13 listening to these three presentations, which have  
14 been very good I think, is the -- obviously they're  
15 all -- each of these speakers has their area of  
16 expertise and we're hearing the results of that. But  
17 in the -- when we reach the conclusion on this, we're  
18 going to have to integrate all of this and all of  
19 these different factors, the rock mechanics, the  
20 shock, the volcanology, if you will, into a single  
21 model. And this worries me greatly in terms of the  
22 fact that the ACNW should keep track that this  
23 integration is being done and also can be done in a  
24 manner that is appropriate to the time frames that the  
25 waste program has in front of it.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           But we've heard these separate,  
2 essentially separate radar screens. We need to have  
3 this multi-dimensional radar screen, and there are  
4 more than just what we're hearing here, obviously.

5           CHAIRMAN HORNBERGER: Milt?

6           DR. LEVENSON: I've got two questions, I  
7 guess. One is did the model assume that the end wall  
8 was plainer and perpendicular to the tunnel?

9           DR. MORRISSEY: Yes.

10          DR. LEVENSON: Well, since it's neither,  
11 how big of an effect is going to have on dissipating?  
12 I mean, you've got a three dimensional end wall --

13          DR. MORRISSEY: Right. Right.

14          DR. LEVENSON: -- which is not  
15 perpendicular to the tunnel.

16          DR. MORRISSEY: Right, with a lot of  
17 irregularities, yes.

18          DR. LEVENSON: How does that reflect in  
19 any way that gives you a build up?

20          DR. MORRISSEY: Well, it's not going to be  
21 this perfectly, you know, one dimensional back and  
22 forth, no. So it's going to dissipate.

23          DR. LEVENSON: It's the way you would  
24 design a damper, isn't it?

25          DR. MORRISSEY: Right. Yes, it would

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 definitely dissipate a lot more than in their model.

2 DR. LEVENSON: Yes. The second question,  
3 you've discussed the matter of whether the wall  
4 dissipates or energy. But one of the factors is  
5 compressing the gas. The USGS has actually measured  
6 what a leaky sieve this mountain is. How important is  
7 the fact that the gas buildup, pressure buildup is not  
8 going to be -- has anywhere near as great as what it  
9 would it be with a solid wall tube?

10 DR. MORRISSEY: Well, right. That's the  
11 point, is the model is -- it's realistic in the sense  
12 of the physics, but it's not realistic in the sense of  
13 the boundary conditions. So --

14 DR. LEVENSON: But it's more energy  
15 absorption by the wall, it's leakage also.

16 DR. MORRISSEY: Leakage, right. Yes. Yes.  
17 Right.

18 DR. GARRICK: But do these very short  
19 sense of time offset any advantages that you'd have  
20 from a leaky model?

21 DR. MORRISSEY: You mean the time -- the  
22 travel time of the reflection --

23 DR. GARRICK: Right.

24 DR. MORRISSEY: -- versus how the --

25 DR. ELSWORTH: Can I say, I think that the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 speed and the volume that's coming into this would  
2 preclude large amounts of Darcian type leak-off. I  
3 think you will unzip -- potentially unzip the drift,  
4 which might fracture it which might change the  
5 permeable from whatever it is, what -- Darcy scale, 10  
6 to the minus 12 -- so much larger values. So I think  
7 you get leak-off by other mechanisms, but I think this  
8 would happen so fast is my gut feel.

9 DR. MORRISSEY: It can enhance the -- yes,  
10 the ability of bleed-off to the walls.

11 DR. GARRICK: This brings me back to my  
12 question of mechanisms for shock suppression or energy  
13 dissipation.

14 You identify that these ought to be  
15 considered.

16 DR. MORRISSEY: Yes.

17 DR. GARRICK: Have you thought about what  
18 they ought to be?

19 DR. MORRISSEY: What other --

20 DR. GARRICK: What mechanisms other than,  
21 say, backfill.

22 DR. MORRISSEY: Backfill?

23 DR. GARRICK: Yes.

24 DR. MORRISSEY: You need to consider how  
25 the tunnel's going to respond and open up and increase

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 permeability and leak out a lot of the gas or the air,  
2 that's a big factor.

3           How -- yes, it's going to be a big factor,  
4 too, on how the temperature inside is going to build  
5 up, too, with these pressure waves and all. So, yes,  
6 you have to consider the backfill material, the wall  
7 properties and this is all, you know, it's very  
8 idealistic in their model. And so, yes, when you  
9 consider the reality of the whole tunnel and its  
10 properties, it becomes a very complex numerical model.

11           CHAIRMAN HORNBERGER: Derek, if the tunnel  
12 does unzip, does the pressure just keep going to  
13 dissipate? That is would the crack keep propagating  
14 until the pressure dissipated --

15           DR. ELSWORTH: Yes, I think the crack  
16 would be driven by that gas pressure --

17           CHAIRMAN HORNBERGER: It'll just keep  
18 going.

19           DR. MARSH: And Derek's early point is  
20 that the gas pressure is going to be a lot -- if there  
21 is a -- pressure, it's going to be much smaller.

22           DR. MORRISSEY: Correct.

23           DR. MARSH: If I could kind of summarize  
24 a little bit from your interesting presentation,  
25 Meghan, is that that the Woods model, the physics for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 the problem they set up, this idealized problem of  
2 basic things going down a cylinder, the homework  
3 problem that they did, they did it correctly.

4 DR. MORRISSEY: Correct.

5 DR. MARSH: But the problem may not relate  
6 very closely at all to the problem at hand.

7 DR. MORRISSEY: Yes. Yes.

8 CHAIRMAN HORNBERGER: Raymond?

9 VICE CHAIRMAN WYMER: Well, there comes  
10 a time in each meeting when I have to expose my  
11 ignorance about a subject, and the time has come for  
12 me to do that.

13 I have a couple of pictures in my mind of  
14 how these things occur, and I'd like to see whether or  
15 not they correspond in any way to reality to you  
16 people who really understand these things. And for  
17 the purposes of discussing, I want to distinguish  
18 between tunnel and drift. To me the tunnel is that  
19 main passageway that goes through the model and the  
20 drift are the things that run off to the side?

21 DR. MORRISSEY: Yes. I apologize. I was  
22 calling it a drift, the tunnel, but it is the drift.

23 VICE CHAIRMAN WYMER: Okay. So that's  
24 what you mean by tunnel?

25 DR. MORRISSEY: Yes. Yes.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 VICE CHAIRMAN WYMER: Now, my simple  
2 picture is that when you get a volcanic eruption of  
3 some kind, it'll either come up into the tunnel or  
4 into some of the drifts. If it goes up to the tunnel,  
5 that's open ended so the magma just runs out.

6 DR. MORRISSEY: Right.

7 VICE CHAIRMAN WYMER: You don't have any  
8 reflection, any pressure, it just runs out.

9 CHAIRMAN HORNBERGER: No, not once it's  
10 closed.

11 VICE CHAIRMAN WYMER: Well, what closes  
12 it.

13 DR. HINEZ: But they're talking about  
14 backfilling the tunnel.

15 VICE CHAIRMAN WYMER: The entire tunnel?

16 DR. HINEZ: Yes.

17 VICE CHAIRMAN WYMER: After you have all  
18 the drifts filled you mean, yes.

19 DR. HINEZ: Yes.

20 VICE CHAIRMAN WYMER: Okay. So up until  
21 that time -- well, what I'm about to say applies up  
22 until that time then.

23 CHAIRMAN HORNBERGER: You want to talk  
24 about preclosure volcanism.

25 VICE CHAIRMAN WYMER: It's what? If it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 come up inside the tunnel and the tunnel is not closed  
2 off or is not -- or you got ends on it somehow and  
3 those ends blow out, then you don't build up much  
4 pressure.

5 DR. MORRISSEY: That's right.

6 VICE CHAIRMAN WYMER: And so if it's not  
7 that, it's just blocked, then the ends blow out. If  
8 it comes up under the drifts, then it -- and one end  
9 is the end of the drift the other end goes back into  
10 the tunnel.

11 DR. MORRISSEY: Right. So it's going to  
12 follow --

13 VICE CHAIRMAN WYMER: In which case it's  
14 going to go toward the tunnel.

15 DR. MORRISSEY: Yes.

16 VICE CHAIRMAN WYMER: So it seems to me  
17 that somehow or other the modeling has to take into  
18 account the fact that you really don't have, at least  
19 under some circumstances, a closed drift that you're  
20 going down --

21 DR. MORRISSEY: Well, correct. That's  
22 where the boundary conditions really play into it,  
23 whether it's open, closed

24 CHAIRMAN HORNBERGER: You'd still pressure  
25 the closed end.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. MORRISSEY: Pardon?

2 CHAIRMAN HORNBERGER: If you had a dike  
3 intersect the drift, you'd still pressurize the closed  
4 end, even if --

5 DR. MORRISSEY: If it's closed. If it's  
6 closed, you're going to start pressurizing it, yes.

7 VICE CHAIRMAN WYMER: But you'd probably  
8 blow it out. If you have a rifle and you plug up the  
9 end of it, the breech blows up.

10 DR. MORRISSEY: Are you concerned that you  
11 could push that wall out that is closed into the  
12 tunnel and open it up?

13 VICE CHAIRMAN WYMER:: Sure, more easily  
14 than you could blast out the other end of the drift.

15 DR. MARSH: The point is, though, is the  
16 safety, basically --

17 DR. MORRISSEY: Right.

18 DR. MARSH: -- built into the system.

19 DR. MORRISSEY: Right.

20 DR. MARSH: It may always just release  
21 itself easily.

22 VICE CHAIRMAN WYMER:: So why isn't that  
23 being considered in all of this? Everything I hear  
24 doesn't assume that you can blow things out the  
25 tunnel. It's all --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. MORRISSEY: Because everyone is under  
2 the --

3 DR. MARSH: To get this to work, you  
4 really need a closed container that you actually go  
5 into and you can make this work.

6 DR. MORRISSEY: Yes. They're considering  
7 the scenario that you're having a closed drift. If  
8 it's open, if it is a weak wall --

9 DR. MARSH: Yes.

10 DR. MORRISSEY: Yes.

11 DR. MARSH: That may save the system from  
12 being unzipped also, but you can't get any pressure  
13 buildup.

14 VICE CHAIRMAN WYMER:: So why isn't that  
15 given more play, more discussion? Everybody discusses  
16 these extreme --

17 CHAIRMAN HORNBERGER: This isn't her  
18 model.

19 DR. MORRISSEY: It's not my model.

20 (Laughter.)

21 VICE CHAIRMAN WYMER:: Everybody seems to  
22 be saying that.

23 DR. ELSWORTH: I think the work that DOE  
24 is about to do will incorporate that. The Ed Gaffney,  
25 McGaffney, Gaffney model, will allow for release of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 pressure.

2 VICE CHAIRMAN WYMER:: Will blow down the  
3 tunnel.

4 DR. MORRISSEY: Yes, there's the  
5 recommendations to --

6 DR. ELSWORTH: The Woods model I think is  
7 a scoping analysis --

8 DR. MORRISSEY: Yes.

9 DR. ELSWORTH: -- which brings up some  
10 valid issues, but it is simplified.

11 VICE CHAIRMAN WYMER:: So they are  
12 planning to consider blowing out the tunnel?

13 DR. ELSWORTH: DOE. Well, I'm not sure  
14 whether they're looking at the ends blowing up. I  
15 think they are looking at whether it will unzip, and  
16 the release due to that effect.

17 DR. MORRISSEY: Yes, because everyone  
18 associated with this model has a feeling that that  
19 tunnel is going to be filled, and then the ends of the  
20 drift are going to be filled with that same material.  
21 So there is really going to be no room --

22 VICE CHAIRMAN WYMER:: That is not  
23 currently the design.

24 DR. MORRISSEY: Well, then they have to  
25 consider the dynamics of, if this scenario does occur,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 they have to consider that in the engineering process.  
2 So that's the whole -- reviewing the Bokhove and Woods  
3 model is more or less, you know, if this occurs, you  
4 really need to consider the ramifications of it and  
5 bring in more realistic boundary conditions, wall  
6 conditions, leakage, all that.

7 VICE CHAIRMAN WYMER:: I talked to Paul  
8 Harrington, the lead engineer on the Yucca Mountain  
9 design, about a week ago. The current design is just  
10 empty everything. There is no backfill.

11 DR. MORRISSEY: And now it is open?

12 VICE CHAIRMAN WYMER:: As far as I know,  
13 yes.

14 DR. MORRISSEY: Okay. Last time in  
15 November it was closed.

16 MR. McCARTIN: You may be talking past one  
17 another. I mean, our understanding is the tunnel, the  
18 access tunnel, will be backfilled. I think the only  
19 thing is, if you're filling up that access tunnel, the  
20 drift goes into it and somewhere where it meets it  
21 would be, there would be --

22 DR. MORRISSEY: That is where it is closed  
23 off.

24 MR. McCARTIN: Yes, right, exactly. But  
25 at least I'm not aware of any design--

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 VICE CHAIRMAN WYMER:: Well, I may have  
2 misunderstood; he may just have been talking about the  
3 drifts.

4 MR. McCARTIN: Yes, but the access tunnel,  
5 current plans have it, as we understand it, to be  
6 backfilled.

7 DR. MELSON: May I ask a question?

8 CHAIRMAN HORNBERGER: Bill.

9 DR. MELSON: How long is that drift and  
10 how many canisters are in it, the one that you may  
11 actually partially close?

12 If we don't have this open system you are  
13 talking about and envisioning, what are the dimensions  
14 of a potentially quasi-closed system?

15 MR. TRAPP: Take a look at your drawing.  
16 The drawing that you presented is probably the best  
17 scale you have.

18 DR. MELSON: I don't really have it up  
19 here. Do you have the answer, John?

20 MR. TRAPP: No, the --

21 CHAIRMAN HORNBERGER: John, if you're  
22 going to talk, you have to come to the microphone.

23 (Laughter.)

24 MR. TRAPP: This is John Trapp.

25 All I'm saying is that the drawing that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 was presented by Bill when he was showing the three  
2 different zones is probably a good scale to give you  
3 the distance that you need to consider. The exact  
4 distance, I would guess somewhere on the order of 400  
5 or 500 meters, but I would need to take a look at  
6 that.

7 DR. LEVENSON: Yes, I have kind of a  
8 generic question for maybe the three presenters. You  
9 commented on the model and things that you think might  
10 lead to lower consequences. Did any of you, in  
11 reviewing that model, find anything of significance  
12 that was overlooked that might have led to greater  
13 consequences?

14 DR. MELSON: Bill Melson.

15 Let's go back to this earlier point of  
16 view. I think it was the most conservative. I mean,  
17 I tried to think of worse things that could happen,  
18 but I hadn't found any, quite frankly. I think your  
19 kind of thinking is kind of appropriate in some of the  
20 models. It has been an attempt, I think, to make the  
21 worst-case scenario. That is not a bad place to  
22 start, except it taints the issues.

23 DR. LEVENSON: No. We want to be sure.

24 DR. HINZE: But didn't I understand Meghan  
25 to say that the increase in temperature would lead

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to --

2 DR. MORRISSEY: Yes, yes, but --

3 DR. HINZE: So that is one place where  
4 they were --

5 DR. MORRISSEY: But they're modeling on  
6 it. They also are considering this fairly high  
7 pressure, too, in their model.

8 DR. HINZE: Sure, I understand.

9 DR. MORRISSEY: Their model is a very  
10 worst-case scenario because it is very idealistic in  
11 terms of it's trapping all that energy, where in  
12 reality a lot of the energy is going to be dissipated.  
13 So it is a worst-case scenario.

14 DR. LEVENSON: They don't need  
15 conservation of energy in their model because they  
16 don't let any out.

17 DR. MORRISSEY: That's right.

18 (Laughter.)

19 Right, only through the magma, right,  
20 right.

21 CHAIRMAN HORNBERGER: Okay, thanks very  
22 much, Meghan.

23 Bruce, I know you have some overheads over  
24 there. Would you like to tell us what is on your  
25 mind?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. MARSH: Well, I thought, just as a  
2 little background, to give a little background into a  
3 little magma dynamics and what we see out there in the  
4 world and the kinds of things.

5 We have been working on magma physics for  
6 30 years. We are process-oriented. We do all the  
7 fluid mechanics, thermal stuff, and everything, and  
8 crystal growth. I will just give you a little bit of  
9 background, just to show you kind of an area that  
10 might knit this together a little bit and some natural  
11 examples.

12 DR. HINZE: By "little," do you mean an  
13 hour or two? Fifteen minutes?

14 (Laughter.)

15 CHAIRMAN HORNBERGER: I guess you're going  
16 to have to get wired up (referring to microphone).

17 DR. MARSH: Magma is a weird material.  
18 The deeper it goes into the earth, magma is more at  
19 home. I am going to just give you a little bit of  
20 background in what people have thought over the years  
21 for magma.

22 A little bit of background, in that we  
23 touched on the business of Bill was talking about  
24 superheat or magma's lacking superheat. That is true.  
25 In other words, superheat means that a system is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 heated beyond its last appearance of a crystal. We  
2 never see this on the earth. Every volcanic eruption,  
3 every magma we have ever seen is always at or below  
4 its liquidus, which means that it can have various  
5 molten crystals in it, which is another area that is  
6 not at all talked about in that model that Meghan  
7 talked about, for example, or other things. We will  
8 see crystals are extremely important.

9 Now from the one time I visited the area,  
10 the volcanic area nearby, and I had a student that  
11 worked on some of the Dell molten lavas and things, is  
12 that the crystallinity is very low out there. It  
13 actually is low in most alkaline basalts in general,  
14 but, nevertheless, we will talk about that in general.

15 So we have no superheated -- the only  
16 superheated magmas on earth are from meteorite  
17 impacts. For example, the Sudbury melt sheet in  
18 Canada, the 1.85 billion-year-old melt sheet, 3  
19 kilometers thick, probably was 200 kilometers in  
20 diameter, that thing was heated to about 1800 degrees  
21 Centigrade. It destroyed everything in the system.  
22 So it was superheated. Its liquidus temperature is  
23 about 1200.

24 But other than that, any ontogenetic  
25 system that is produced in the earth, it is all at or

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 below liquidus. Systems, when they are propagating --  
2 you can turn this on the side really and look at  
3 propagation of dikes or other kinds of systems -- they  
4 have a thermal regime. This is in terms of  
5 temperature. These are isotherms as a function of  
6 temperature. This is nondimensional distance.

7           Initially, when they are moving, if they  
8 are moving very fast, of course, the leading edge will  
9 have basically a step function distribution of  
10 temperature, but back in the system what happens is,  
11 because all the flow is going this way, all the heat  
12 is being everted along this way, conduction is this  
13 way out of the system. Since these two vectors are  
14 normal to each other, they can't influence each other,  
15 except for the fact that solidification fronts start  
16 going in immediately.

17           So in terms of worrying about a dike  
18 coming up from 30 kilometers into the crust, it is  
19 extremely difficult to do that of any dimension. You  
20 would have to have a dike that is really, really  
21 large; for example, the Great Rhodesian Dike that may  
22 be kilometers wide, you could propagate off the base  
23 of the crust. But we can actually show, and I will  
24 show a little bit here, the tradeoff between the  
25 width, the flow of it, and how far it can go.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           There's actually been many calculations of  
2 this by other folks. Paul Delaney and the Survey have  
3 done these kinds of calculations.

4           So if you are going to have a dike that is  
5 a few meters wide or even 10 meters wide, it really  
6 can't have come from very far in the system, which  
7 says something about what its initial conditions were  
8 like in the system where it came from and degassing,  
9 et cetera.

10           Now in terms of how these things act, if  
11 you would look at a dike or a sheet of magma of any  
12 kind, this is really what you would see at one point.  
13 In other words, the edges of it are solid, and they  
14 form a chill. So if you go out and look in the earth  
15 anywhere around even here in Virginia, up at  
16 Gettysburg, all through, you will see that every dike  
17 and every sill has a chill margin, an extremely fine-  
18 grain chill margin, almost like a ceramic.

19           In other words, no matter how big this is  
20 and how fast it is coming in, we always have a chill  
21 margin. It is because you actually can work out the  
22 simple temperature of this, 1200 degrees, and the  
23 temperature in the upper crust being basically zero,  
24 the contact, you can show, is always at the average of  
25 those two temperatures. So if you average out 1200

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and zero, temperature at the walls can be 600 degrees.  
2 It is going to be held there forever, basically. That  
3 is the highest it can absolutely get. Six hundred  
4 degrees is a long ways, it is 400 or 500 degrees below  
5 the solidus. So you are always going to chill out on  
6 the edges.

7 Then you are going to have a  
8 solidification front. The thickness of this front  
9 depends on the age of the system. In the middle of it  
10 there will be very few crystals. I show no crystals  
11 at all, but these systems are always laced with  
12 nuclei. They are all "dirty" systems in terms of the  
13 engineering sense. So they have nuclei, superclusters  
14 of crystals and things in them.

15 So these fronts then, the thickness of  
16 these fronts will reflect the age of the system or how  
17 long it has been flowing. So in a system like this,  
18 you would look at this as being quite a ways from its  
19 source down there, and these fronts are moving in on  
20 it. The further it moves away, the fronts go in, and  
21 they basically choke it off, the system.

22 What happens, then, is that only the very  
23 fluid magma is the stuff that is moving. So the stuff  
24 that has the least crystals in it, the lowest  
25 viscosity material will actually move. This material

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 has very -- it is a mushy system going from 100  
2 percent solids out here to almost no solids, and it  
3 has very interesting properties as a mush. That  
4 really determines how the magma moves.

5 So we want to worry about the  
6 crystallinity in the system. This is a crystallinity  
7 across that. So this is 100 percent crystals up at  
8 the wall. We can look at it sideways to keep it  
9 oriented sort of for you, as we had it a minute ago.

10 So this would be on the wall of a dike,  
11 for example, and this would be moving out in it. It  
12 would be near the liquidus out here in the middle.  
13 What we know actually is that most all these systems,  
14 they get an interlocking set of crystals. For  
15 example, if you drill into a Hawaiian lava lake, you  
16 can drill down until you get to -- it acts just like  
17 it is drilling through solid rock.

18 Even though you can drill down to about 50  
19 percent crystals, beyond that point you can actually  
20 push the drill stem in by hand, but all crystallinity  
21 is higher than that 50 percent. It is a interlocking  
22 mesh; it has strength, in other words. It has great  
23 strength. It can't be deformed. These things then  
24 freeze out on the walls and it has strength. I will  
25 show you a little bit about the strength now.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1                   Now we know actually that under magmatic  
2 regimes it looks like this strength goes out even to  
3 about 25 percent crystals. In other words, it starts  
4 freezing out the magma. The magma is confined to an  
5 ever-decreasing region of flow out in here.

6                   This shows a couple of things in here.  
7 One is the strength of this crystalline matrix. You  
8 can see it is almost like a series of trusses built up  
9 between the crystals, depending on what the crystals  
10 are. Feldspar, for example, forms the major amount of  
11 many of these basaltic and silicic systems. They form  
12 a great interlocking meshwork like this.

13                   The interstitial melt has a viscosity I  
14 show on here. That is also a fact that the viscosity  
15 is the lowest, of course, out here where it has the  
16 lowest crystallinity, but overall the viscosity of  
17 this material goes up dramatically. It goes from the  
18 magmatic point -- I don't show it on here, but the  
19 viscosity would go from a very low point out here,  
20 where it is very fluid, up as it approaches 50 percent  
21 crystals, it actually goes up to about 10 to the 18 or  
22 16. So it becomes extremely immobile.

23                   We know very little about the strength of  
24 magma when it is partially molten, but these are some  
25 work that will be published this month and some stuff

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 by me and other folks. We have one experiment up here  
2 by Mike Ryant at the USGS on glassy Hawaiian basalt.  
3 So it had partial crystals, and here is estimates of  
4 strength here. This is in bars here. You can divide  
5 by 10 for molten magma Pascals.

6 Down here you can actually take a cube of  
7 molten basalt when it has about 25 percent crystals in  
8 it. You can actually put it in a furnace and you can  
9 drain the melt from it and leave the crystals standing  
10 up there as a meshwork, kind of like an artistic  
11 thing. It will sit there and drain.

12 So from that, you can calculate the  
13 strengths get very low down in here. Our work shows  
14 that in situations where you have 50 percent crystals,  
15 60, 65, 70 percent crystals, it is around a bar, the  
16 strength of it is. So this is useful to know how the  
17 flow is confined then from using these strengths.

18 This has big effects, of course, in terms  
19 of what happens in the flow of a magma. So in the  
20 walls of a system, for example, if you look at even  
21 Darcian flow of magma through this meshwork, the  
22 permeability, of course, is decreasing dramatically.  
23 The viscosity is going up of the melt because the melt  
24 is becoming more silicious. This parameter here,  
25 which is very important, of course, the permeability

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 is decreasing, and the viscosity is increasing. So it  
2 chops down the velocity. So the effective velocity is  
3 zero in here.

4           There's some region out here where you  
5 have some, and you have a slight return flow for this.  
6 But if it is a dike, it is flowing upward, for  
7 example. In this, you will have this flow coupled to  
8 the flow out here a little bit, but it will be an  
9 interstitial flow. It will be very weak compared to  
10 the other flow.

11           Now that is in detail about magmatic  
12 systems. Mostly, we see these systems at the surface  
13 of the earth, and we think of these as a dike, as some  
14 kind of a conduit, but they are integrated systems.  
15 They have great depth to many magmatic systems, and  
16 this is a simple working model that you can see in  
17 most magmatic systems like Hawaii and Yan May and  
18 other places in the world, Reunion Island and other  
19 places.

20           That is, it is an integrated system of all  
21 kinds of complex structure, but usually it is a system  
22 that is a series of horizontal structures, sill-like  
23 structures, interconnected with conduits of all kinds  
24 and possibly dikes, all kinds of detail coming off  
25 these things, dikes and things. I'm going to show you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 some field examples here in a minute.

2 But this is a very common kind of  
3 structure. We see this at all levels, even high up in  
4 the crust. So we think about an eruption or a dike  
5 coming off of a system. It is related really to  
6 something at depth that is more integrated through the  
7 system.

8 DR. HINZE: What is the relative timing  
9 between the vertical and horizontal?

10 DR. MARSH: Well, that is interesting.  
11 See, in a system like this, there are all kinds of  
12 different timescales in this. For example, there are  
13 thermal timescales associated with these conduits.  
14 So, in other words, if we have a system like most  
15 volcanic systems are on and then they are off, and  
16 they're on and they're off, these systems can become  
17 choked.

18 So in terms of the development I think  
19 you're talking about, Bill, these things will develop  
20 maybe from the bottom up, but when they get  
21 sufficiently close to the surface, they will send a  
22 whole school of dikes to the surface. I mean major  
23 schools of dikes come up to the surface, which is one  
24 of the things that is curious in this location we are  
25 looking at.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           We don't see any really dike swarms, which  
2 means that there is not much magma depth. There is  
3 nothing -- a big body like this at depth, it looks  
4 like it's a starved system. There is no real regional  
5 dike swarms in the mountains.

6           DR. HINZE:   Supposedly, I think Frank  
7 Perry has come up with that there are three dikes  
8 feeding Lathrop Wells.

9           DR. MARSH: Well, the important thing also  
10 to look at regionally is what's out there in terms of  
11 dikes in the mountains and seeing everything that is  
12 out there. It is a real sign, then, of the vigor of  
13 the system at depth and how close it is actually if  
14 there is more magma.

15           Now if you are going to keep a system  
16 alive, one of the things that is curious about, as  
17 Bill showed a figure earlier, if you are going to keep  
18 a system alive for millions of years, and assume that  
19 the volcanism in the area nearby is interrelated over  
20 a period of 4 to 5 million years, it means that the  
21 thermal relaxation time of something at depth has to  
22 be that long, which translates into a body that is  
23 really large, which probably means it is not realistic  
24 to think of it that way.

25           It means to think about a system that has

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 been alive for 4 or 5 million years, it is not one  
2 system. It is a system that has had an eruption in  
3 this locality over individual, perhaps uncorrelated,  
4 thermally-uncorrelated eruptions over a period of 4 or  
5 5 million years. That is a long period of time to  
6 have things viable at depth here and no other signs of  
7 activity on the surface, except sporadically over that  
8 time.

9 So, for example, I just copied this  
10 yesterday. This is a common model. This is out of a  
11 book on laccoliths and things. This is a very common  
12 Christmas tree -- "laccoliths" they call it. This is  
13 a very common kind of system.

14 You can see in many volcanic systems that  
15 have been deeply eroded you will get eruptions at the  
16 surface. We see this in Antarctica. I will show you  
17 one sort of example, but we see exactly this kind of  
18 thing in Antarctica, sills that go out for 150  
19 kilometers and small conduits that interconnect these  
20 things almost over top of each other like this.

21 This is kind of interesting in the point  
22 of view of going into the repository because, in terms  
23 of thinking that a magma will enter a zone and come  
24 down here and then come out here, we don't see that  
25 very often actually. We see that where it comes in,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 it goes out in these systems. It is very symmetrical  
2 in many ways of where they come in and they go back  
3 out. We can see these interrelated in great detail in  
4 terms of, I call them, fir trees and things like this.

5 One of the most extensive magmatic systems  
6 that you can look at is in the dry valleys of  
7 Antarctica, for example. We have been working on it  
8 for the last 10 years. This is a very unusual,  
9 perhaps some of you know about it, part of the earth.  
10 The polar ice cap is over here. McMurtle Sound is  
11 over here, and these are regions. This region in  
12 here, this is the McMurtle dry valley. This has been  
13 permanently free of ice and snow forever.

14 So, in other words, it was put down there,  
15 Antarctica was down there maybe 60 million years ago.  
16 The ice cap built up 30 million years ago. These areas  
17 in here have never had ice and snow on them, just  
18 maybe little bits of touches of a little Alpine  
19 glacier and things, but just like going into the Four  
20 Corners Area of Arizona, northern Arizona, looking at  
21 buttes and things like this, it is a spectacular  
22 region.

23 What you see in these things like this,  
24 these are sills. This is one sill, for example, a  
25 basement sill. You can trace it all the way through

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the system, and we will be able to trace it for like  
2 150 kilometers, and then there's one on top of it  
3 called the Penneplain Sill. We've been able to trace  
4 that one, and there are more on top of that, all the  
5 way up until the Polar Plateau, a whole series of  
6 these sills you can see with interconnected conduits.

7 Now it is very interesting in the system.  
8 How they establish is you can actually see small dikes  
9 coming up, 1- and 2-meter dikes. It reflects before  
10 anything happened. These are kind of the fillers,  
11 kind of the scouts and skirmishers come ahead, open up  
12 the system a little bit, and then some of these things  
13 develop.

14 As Derek was saying earlier, really any  
15 kind of overpressure will actually allow this stuff to  
16 go horizontally, especially when it gets near the  
17 surface. In other words, when it can actually feel  
18 the surface or has an overpressure that's more than  
19 basically the pressure of the overburden, some of the  
20 relations that Derek was talking about, it will  
21 actually go horizontally, and you can see areas, you  
22 can see across here that this crust has been elevated  
23 up through these sills -- these sills are about 350-  
24 meters thick -- for hundreds of kilometers. This is  
25 a system, then, that built up that way, but the dikes

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 are very tiny, although the feeding conduits that  
2 developed later aren't.

3 So here's one example, for example, of the  
4 peneplain, of the basement sill. We can even see how  
5 these develop. We can actually trace the magma and  
6 see how they develop. There's no dikes coming off  
7 these whatsoever. These things come up as sills.  
8 They propagate horizontally. The leading edge of this  
9 thing is perfectly free of crystals, by and large, and  
10 it goes to form a chill margin all along this thing.

11 Following behind is a great slug of  
12 crystals coming up. These things are in the middle  
13 because that is where you can transport them. They  
14 can roll towards the middle, just like transporting  
15 sewage really. This is what chemical engineers use,  
16 civil engineers, the same principle. These things  
17 roll towards the middle and roll down. The leading  
18 edge is perfectly free.

19 At any time it can actually go  
20 horizontally, whether it is in granite, whether it is  
21 in sediments, or whatever. The basement sill here is  
22 in a granite. It actually came up and propagated  
23 horizontally for this granite, split this granite for  
24 10,000 square kilometers. The one above it, it is in  
25 sandstone, and above that you see a whole series of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1       them in sandstones and things.

2                   So it is very interesting to see, they  
3       establish themselves very easily. There are no dikes  
4       coming off it whatsoever, nothing off it. These are  
5       very clean systems.

6                   One of the things that is very interesting  
7       is, because the exposure in the dry valleys is so  
8       spectacular, you can look out on the propagating tips  
9       of these things and see things that we never are able  
10      to see. It is very rare for us to ever see a dike,  
11      the propagating tip. There is a dike out in Montana  
12      called the Headed Dike. It is a dike that actually  
13      stopped and was an erosional cut there. You can see  
14      it. It is a bulbous tip. It stopped and became a  
15      bulbous tip, and a guy by the name of Bue worked on it  
16      about 100 years ago.

17                  This thing, the basement sill, I just had  
18      this made this morning. It is a helicopter shot. I  
19      am sorry it isn't better, but this is the basement  
20      sill. When I was mentioning the geometry, over a  
21      distance of 7 kilometers it goes from 300-meters thick  
22      down to -- you see the leading edges out here. There  
23      are actually a series of dikes coming out, little  
24      dikes. You follow it out, and the most part, the  
25      leading 250 meters or 300 meters is about a 1-

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 centimeter or 2-centimeter tiny, little fracture, just  
2 kind of worming its way along, undulating out in front  
3 of it.

4 As you can see here, it gets wider. This  
5 is about just a meter or so wide here, but this is the  
6 aspect ratio we're talking about. We are talking  
7 about something that is in a system where the system  
8 is basically a dissipative system. In other words,  
9 there are lots of fractures in the system, lots of  
10 places this thing could go, and the leading tip on it  
11 tries out all these things. It is going all over. It  
12 is dissipating itself. It is moving out. It is  
13 taking anything overpressure in this and it is  
14 actually dissipating it at the tip. That is primarily  
15 probably what stopped this thing; it was dissipating  
16 in so many directions.

17 So the leading edge is not a conduit that  
18 is blunted off. It is a really fine tip out there,  
19 way out there. So the model that we would really like  
20 to do for the shock II model is a ramping-up, a slow  
21 opening and a ramping-up in this thing, a very, very  
22 tiny crack to begin with.

23 CHAIRMAN HORNBERGER: Bruce, why doesn't  
24 a 1-centimeter thick dike freeze immediately?

25 DR. MARSH: It does. That is exactly what

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 happens. This magma behind it then keeps coming,  
2 breaks that open, keeps coming right behind it. The  
3 leading tip just moves out like this and then it fills  
4 right in behind it. That is exactly -- they are  
5 frozen immediately, yes.

6 DR. HAMDAN: Why are all these sills, you  
7 don't consider them to be as analogs for a drift --

8 DR. MARSH: As what?

9 DR. HAMDAN: Analogs, natural analogs.

10 DR. MARSH: They possibly could be.  
11 They're not open to begin with. That is the big  
12 difference. The big difference is there is nothing  
13 there to begin with, and they actually split the earth  
14 apart and fill horizontally.

15 Bill?

16 DR. MELSON: Bruce, yes, I mean the point  
17 he is making is that you were saying they actually are  
18 open for a short amount of time.

19 DR. MARSH: Well, they are not open as  
20 a --

21 DR. MELSON: They have to be because your  
22 magma is clinching almost immediately, and yet you are  
23 moving it. So isn't there some time when it is in  
24 fact open due to the fracturing process? And then --

25 DR. MARSH: Probably not. I mean, it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 moves along, and it moves along -- it is always filled  
2 with a fluid-filled crack and it has no open vacuum in  
3 it, for example, unless it has some gas or something  
4 at the leading edge.

5 But that is the other point in it. We see  
6 no signs of any gases in these things whatsoever. We  
7 see no open -- the term "myoral" cavity is a term  
8 where you can actually see there was a cavity open and  
9 the crystals have been growing into a free space. We  
10 see nothing of this. We see no vesicles. We see  
11 nothing whatsoever like this. In fact, the freezing  
12 of vesicles is very rare in any kinds of these kinds  
13 or even in alkalic intrusions that we see -- the  
14 Shonkin Laccolith in Montana, for example, which is an  
15 alkaline system, precious little of that kind of  
16 thing. So, in other words, it has been degassed  
17 somehow in the system.

18 Well, in terms of how these things move a  
19 little bit, this is how we also see these things  
20 moving, and that is, these things don't come in -- we  
21 don't see them in Antarctica. Because there are so  
22 many crystals in them, we can actually track the  
23 process of the opening. We can see where it has  
24 stopped, crystals have been sorted a little bit, and  
25 it is reopened a bit or been reactivated.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           In other words, most volcanic systems  
2 don't just erupt continuously. They have some kind of  
3 a pulse to the system that is built in, shock-absorber  
4 kind of system. These dikes, as I mentioned before,  
5 will flow through the center region. They will be  
6 trapped on the edges, and it depends on, of course,  
7 how long they have been down before they start up  
8 again.

9           Now this doesn't mean I am talking about  
10 the time when it breaks into the repository. I am  
11 talking about the time when it is coming up through  
12 the earth's crust or coming from its parent body. It  
13 is not just a shot necessarily that brings up really  
14 crystal-free magma. This thing is a process that  
15 starts and stops.

16           The most continuous ones we see are ones  
17 that are on the surface when we actually get, like in  
18 Iceland, when we get a central area that is erupting,  
19 and in Hawaii, too, and then it is fed horizontally in  
20 sheets, blades, and plains horizontally. Those can  
21 travel actually quite fast at times. The magma comes  
22 up kind of from the bottom and the fan travels out.  
23 But in the ones coming up from depth, it looks like  
24 they are much more sluggish and more periodic.

25           DR. MELSON: Bruce, one quick question.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. MARSH: Yes.

2 DR. MELSON: You never see any brushation  
3 within the dikes anywhere?

4 DR. MARSH: No, no. We occasionally see  
5 a little limb off to the -- that is the other thing  
6 that is very interesting. It is a good question,  
7 Bill. The contacts are remarkably clean. You can see  
8 these things for, like I say, thousands of square  
9 kilometers. They are absolutely clean, beautiful  
10 contacts.

11 Occasionally, you will see a little  
12 feeder, not a feeder, but a little dikelet, sill-let  
13 trying to go off the edge. It might go off for 5  
14 meters. It will be frozen off. So they contain  
15 themselves. This is exactly what we are talking about  
16 in thermal viability. It will actually go off a  
17 little bit and be quenched, and the whole system then  
18 maintains itself.

19 Now in our work in Iceland, in terms of we  
20 are looking at a major volcanic system, the  
21 Torfajokull area, that produced a lot of silicic in  
22 Iceland. One of the things we realize is that, as  
23 fissures propagate down from the central area,  
24 encrapala area, we get explosion craters, we get  
25 center cones developed well on the surface. These are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 fed horizontally in this.

2 In other words, I was talking about the  
3 massive system and what is behind it in terms of the  
4 magmatic energy behind this. This is a big system.  
5 It has been a system that has been alive for on the  
6 order of 25 million years in general in Iceland. They  
7 start propagating horizontally. If we propagated  
8 these dikes down horizontally and they froze, that  
9 would be the end of it. But they're not. They are  
10 used over and over again.

11 What happens in this case, then, when they  
12 are used over and over, is that the systems become  
13 pro-grade. In other words, they actually start  
14 melting the crust. A dike by itself, propagating out  
15 by itself, can't melt anything, as we have said. The  
16 contacts are at basically 600 degrees, and they just  
17 move in on it.

18 The only way you can do this is by keep  
19 flushing the system, by new magma taking out the cold  
20 stuff and keep flushing it through all the time.  
21 Eventually, you can actually have the whole crust  
22 break down, and it reprocesses the crust.

23 We see calderas forming. We see silicic  
24 magmas coming right up in the basaltic material, et  
25 cetera. If you drill into the Icelandic crust, what

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 you find really is you find a horizontal structure  
2 that is made from sills and lavas that have come  
3 beforehand.

4 This is a drilling section through the  
5 Icelandic crust. You see a lot of horizontal  
6 structure in it, wherever you see. Lava is in the  
7 top. You see intrusives at the bottom. They are  
8 sheetlike and sill-like.

9 Then the other structure you get, of  
10 course, are these propagating fissures in the system.  
11 They are fed from very strong magmatic systems, and  
12 they can reprocess the whole system. In terms of  
13 melting the wall rock, that is really the only way to  
14 do it, is to have a system where you are actually  
15 flowing the magma a lot, and you can propagate them  
16 out from the crust.

17 I just want to touch on, I just had one  
18 thing to touch on Bill's question of thermal  
19 viability. This is for the wrong kind of geometry,  
20 but the curves are very similar, what I will show  
21 here.

22 This is non-dimensional depth. In other  
23 words, you could say this is 30 kilometers or 10  
24 kilometers, based on the exact problem. This is the  
25 solidification front regime; in other words, solidus

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to liquidus for a magma. The magma is all solid here.  
2 It is all liquid here.

3 Starting out from this point down in the  
4 crust or down somewhere in the earth, this is just a  
5 schematic for you, and here is a geotherm geometry,  
6 just the geothermal geometry. If the magma comes up  
7 very rapidly, adiabatically, it actually could arrive  
8 superheated in the earth's surface.

9 In other words, if it started out at its  
10 liquidus, it could actually come out superheated.  
11 This is basically -- adiabat means that it loses about  
12 6 or 8 degrees per 10 kilometers, something like this.  
13 It doesn't lose that much. So it comes up almost  
14 isothermal.

15 What we see, of course, is the general  
16 geometry, and this is a system with 2 percent water in  
17 it, by the way. It has a little dog-leg here in terms  
18 of the liquidus going down. This depression is due to  
19 a little bit of water in the solidus also.

20 What this means is that, if we see magmas  
21 arriving at the surface with crystals in it, it means  
22 that they have intersected the liquidus somewhere. So  
23 you get a set of curves then, cooling curves,  
24 trajectories of magmas coming up under constant  
25 velocity. This is a dike here. If we change it to a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 dike, these velocities all change. They would have to  
2 come faster because the surface area to volume for  
3 cooling is so different.

4 So I also have all those. I just didn't  
5 happen to have these. These are some class notes I  
6 just brought today because I didn't know exactly where  
7 we would want to fit in.

8 But what this shows, then, and we can  
9 solve these things, and we can give the eruption rates  
10 over the geometries and you can see how big things  
11 have to be.

12 Now if you look at dikes, one thing that  
13 is very important in this area to look at, how big are  
14 the dikes. Bill was saying there was one dike, seeing  
15 how big is it, in Yucca Mountain itself.

16 DR. MELSON: A meter.

17 DR. MARSH: A meter. So, I mean, this  
18 thing is not very robust. That thing has to travel.  
19 Under normal speeds, it can't have come very far. Its  
20 thermal relaxation time, its thermal death time is  
21 very short, maybe only hours, for example.

22 So if a system, for example, vented,  
23 starting venting into the repository, it may seal  
24 itself rather quickly, unless you had a larger volume  
25 eruption Now the point Bill was making today, most of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the systems we look at for analogs are systems that  
2 are large-volume systems. We are talking about a  
3 system here that is a very tiny-volume system. So to  
4 think that you take all the magma in one these  
5 eruptions and put it into the repository is worst than  
6 a very conservative estimate of what's going on.

7 (Laughter.)

8 But these things can be evaluated quite  
9 easily, most of these things, using the  
10 characteristics at hand.

11 So all I meant with this is to give a  
12 little bit of background and to kind of tie some of  
13 these things together, and to show a little bit about  
14 how magma really behaves.

15 Now another thing I didn't show, but I  
16 have in operation at Hopkins, and John has seen some  
17 of the -- is that we built a mush column, an  
18 experimental system of a mush column with horizontal  
19 tanks and interconnected conduits and things. We  
20 built a system to understand the eruption or the  
21 propagation of magma, the transport of magma, in one  
22 of these mush columns with a slug of crystals in it to  
23 see what the crystal load coming out the top tells us  
24 about the geometry down below.

25 Now the system is interesting. People

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 have brought up here about building an analog system.  
2 There's a lot of realization that comes from when you  
3 build one of these systems right off the start. For  
4 example, this is a series of plexiglas tanks with  
5 conduits that we can turn on and off and change the  
6 geometry in the whole system. It is about 6-feet  
7 tall.

8 If you want to look at this, you can go  
9 out to my website. We actually show the system with  
10 movies and everything in it.

11 But one of the things that is interesting  
12 is that, if you want to keep the system loaded, of  
13 course, with fluid in the lab, you have to have a  
14 series of check valves in these conduits. Otherwise,  
15 all the fluid just drains out all the time.

16 So magmatic systems are charged, and there  
17 is a series of check valves. As you know, any good  
18 plumber, any weekend plumber like me would know or  
19 you, is that you can have valves that have a flat  
20 valve, like in the back of your toilet tank basically,  
21 or we could have little ball valves that have a little  
22 reed in them that goes up.

23 But when we set this system up and charged  
24 it and started it in the first run, what we found out  
25 is that it went into harmonic tremor. The whole room

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 started vibrating. I mean, you could hear this  
2 vibrating system through the whole room. Of course,  
3 shortly thereafter they had to crack one of the tanks,  
4 but that was the first time.

5 (Laughter.)

6 But why I mention this is that just to see  
7 one of these systems operate gives you a real feeling  
8 for the dynamics in the system. So, for example, if  
9 you wanted to have a flow like this invading an open  
10 reservoir with a series of waste containers set up of  
11 the right densities, the right mass and things, scaled  
12 dynamically, you can do it. You can't produce in our  
13 system a shock wave at all, but you can certainly see  
14 what the magma is going to do when it enters this  
15 thing under various scaled overpressures, driving  
16 pressures, driving heads. In fact, we have a problem  
17 keeping the heads low enough because our system has  
18 strength, plexiglas and things.

19 So these are things that possibly can be  
20 done, but one of the things that it is apparent from  
21 what I can see is that we have a granularity of  
22 research going on in this topic, and what you need is  
23 a continuum of it. In other words, you need to get  
24 these folks and other folks in the same room in real  
25 time doing the real problem, not doing a homework

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 problem that we say is applicable here. But you  
2 really should do that. You should have a mini, mini-  
3 Manhattan Project here, where you actually solve the  
4 real problem with people who can actually address it  
5 in real time.

6 CHAIRMAN HORNBERGER: Thanks a lot, Bruce.  
7 That was very useful.

8 Questions for the group? John, you've  
9 been quiet.

10 DR. GARRICK: Oh, yes.

11 C H A I R M A N H O R N B E R G E R :  
12 Uncharacteristically.

13 (Laughter.)

14 DR. GARRICK: Yes. Well, as you know, the  
15 way the NRC has been looking at this problem is in  
16 terms of the two components of risk; namely, the  
17 probabilities and the consequences. The more I listen  
18 to the experts, the more I am convinced that my  
19 original anxiety about that approach is correct. And  
20 that is that it seems that when you attempt to analyze  
21 what the consequences of these events are, it is very  
22 much dependent upon the assumption set that you  
23 employ.

24 If one avenue of putting this issue to  
25 rest is to be convinced that the likelihood or the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 probability is less than some number, then it seems to  
2 me that a very efficient approach to this would be to  
3 focus on those assumptions having to do with  
4 calculating the consequences that have the greatest  
5 impact.

6 As you soon as you start calculating  
7 consequences and start talking about assumptions on  
8 cooling and solidification, excess heat, and the  
9 moderation of pressure and the eruption sequencing,  
10 and what have you, you're now talking about the  
11 probability of the event in a very direct way.

12 So I think that there is considerable risk  
13 in separating these two issues too much. Maybe the  
14 coupling has always been there that I am concerned  
15 about, but I would like to hear you comment on this a  
16 little bit.

17 For example, if we were able to pick out  
18 two or three of the assumptions and drive them much  
19 more to an evidence-based position rather than an  
20 assumption-based position, and in the process pick up  
21 two or three orders of magnitude of probability one  
22 way or another, that might be a very efficient way to  
23 put this in context with respect to the kinds of risks  
24 that we are working about for Yucca Mountain.

25 Can somebody talk about that a little bit?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 DR. MARSH: Well, I mean, I think that's  
2 really the essence of the problem here, is that what  
3 is happening really is that we are only able  
4 individually to solve certain kinds of problems. I  
5 mean, we can set them up, and we hope that we can over  
6 time get incrementally more realistic things.

7 So the situation you are in now is that we  
8 have problems, for example, the Woods, et al., which  
9 is a very, very nice -- and these guys are very, very  
10 competent and great workers and things, but the  
11 problem may have very limited relevance to what we are  
12 talking about here. But, nevertheless, it is out  
13 there as a signpost. There it is out there. They  
14 say, well, the word -- you know, Yucca Mountain is  
15 used in the paper, et cetera, and things like this.  
16 So it is a scenario where you have to kind of react to  
17 it.

18 Well, more realistically, it would be good  
19 to actually sit down with these fellows ahead of time  
20 and say, if we relax this thing -- this thing isn't  
21 very realistic and this one isn't, and that one could  
22 be changed a little bit. It changes the entire  
23 perspective of the impact of it.

24 So you're absolutely correct that there  
25 are issues that are based in assumption in all of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 these aspects, and those are the things that have to  
2 be revealed. In many of these processes the  
3 assumptions that are made aren't even known, even by  
4 the person putting the model forward. In other words,  
5 there are subconscious assumptions based in these.

6 In magmatic processes, for example, all  
7 people think of normally for 100 years all magmas are  
8 injected instantaneously into these sills and big  
9 bodies, instantaneously carry no crystals, which means  
10 the system is superheated and no system can ever  
11 deliver like that. But it is basically a system --  
12 with those assumptions, then, if you want to explain  
13 the end product, you have to have the magma go through  
14 all kinds of gyrations to get the end product because  
15 the initial conditions are all incorrect.

16 Mostly what you see in magmatic systems is  
17 what it starts out to be is what it ends up to be. In  
18 other words, it isn't far from its -- you know, humans  
19 produce humans; they don't produce caterpillars. This  
20 is basically the way it is.

21 But even to reveal the assumptions and to  
22 kind of interrogate yourself, when you are putting  
23 these forward, sometimes isn't easy. So you actually  
24 need a group of people together coming from different  
25 perspectives and saying, "How about this right here?"

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Is that important?" "Yes, very important."

2 DR. GARRICK: But if we do that in the  
3 context of being deliberate and systematic about  
4 expressing the uncertainties, that gives us something  
5 to work with.

6 DR. MARSH: Absolutely. That's really a  
7 good way to proceed.

8 DR. GARRICK: And if those uncertainties  
9 involve a range of 10 to the minus 12 to 10 to the  
10 minus 9, then chances are we don't need to do anything  
11 else because the issue is it may be 10 to the minus 7  
12 being driven by other considerations. That way of  
13 thinking, it would seem to me, would give us a  
14 benchmark against which to contextualize this whole  
15 issue.

16 DR. MARSH: I agree, and I think that that  
17 is really an interesting way to proceed. In other  
18 words, if we had enough expertise to say, let's take  
19 the shock model, for example, and say, okay, let's  
20 relax this assumption. What's that do to the  
21 probability? Where is the probability range? Then  
22 let's relax this one and look at this more  
23 realistically in real time.

24 What we have now is that we could have  
25 actually a whole series of models coming out from

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 people, from any of us, dynamic models, and no  
2 probabilities attached to any of it, and then somebody  
3 has to go and not only understand what we are doing,  
4 but then put some realistic probability on it.

5 So there is this gulf. I think there is  
6 a gulf, there is a time lag here. There is a  
7 hysteresis effect between someone doing a piece of  
8 work and other people evaluating and ricocheting back  
9 and forth and getting down then eventually to a  
10 realistic probability. It is a long series, and the  
11 series is not converging very rapidly.

12 What you can do is you can make the series  
13 converge rapidly by getting the pertinent people right  
14 together and doing a real-time --

15 DR. GARRICK: And my point is the  
16 probability is not a point value. Probability is a  
17 distribution.

18 DR. MARSH: Right.

19 DR. GARRICK: If we know those  
20 distributions, very often we don't need to increase  
21 the precision of any particular parameter.

22 DR. MARSH: That's right. In other words,  
23 once you get to a certain level, you would say, "Well,  
24 we're not going to know these now, but they are  
25 sufficiently boxed in that we don't need to worry

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 about them. That is the issue. The issue is whether  
2 or not you want to worry about these things and carry  
3 on with it.

4 CHAIRMAN HORNBERGER: Thank you.

5 Milt? Raymond?

6 VICE CHAIRMAN WYMER:: I've said enough.

7 CHAIRMAN HORNBERGER: Bill?

8 DR. HINZE: Well, I wanted to ask Bruce if  
9 he thought that one should be concerned about this  
10 horizontal flow associated with sills in the  
11 repository. You've talked about these. Everything we  
12 discussed regarding the repository are vertical dike  
13 intersections. What about the sills?

14 DR. MARSH: Yes. Sill formation,  
15 interestingly enough, usually takes place at some  
16 depth. In other words, the system we are looking at  
17 in Antarctica, for example, that is about a 5-  
18 kilometer, that was originally about a 5 kilometers  
19 deep to begin with, and we are looking at a whole  
20 series up through it.

21 We can actually see the venting in  
22 Antarctica. We actually can see these upper sills  
23 actually form feeders and they vent out into shallow  
24 lakes that look like and form phreatic eruptions. It  
25 didn't look particularly violent. You can actually

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 see the material coming right down magma, actually  
2 transitioning from solid materials, from liquids into  
3 kind of ashy-type material.

4 But sills normally will form far from or  
5 significant differences from the last horizontal  
6 surface. In other words, you won't find a sill  
7 forming up in a mountain, for example. You will find  
8 it forming at depth.

9 It really comes down to, what I was asking  
10 really the questions of Derek in terms of the stress  
11 field in the crust, knowing what it is like. This  
12 really depends on what is going on out in that valley.

13 Now we are in the basin range. We always  
14 think of these "Horse-and-Gravin-type" structure with  
15 alluvium filling up a lot of the material in the  
16 valleys and things. But, I mean, we know, I think,  
17 seismically what those valleys are like. We know from  
18 the aeromags a little bit how much overburden we have.

19 DR. HINZE: And gravity.

20 DR. MARSH: And gravity. Great. Super.

21 So I think this would be a very realistic  
22 way to proceed. Then you can actually address some of  
23 these things quantitatively.

24 DR. HINZE: I would like to respond a bit  
25 too, John. I think all of us have these concerns. I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 am somewhat heartened by the work that is being done  
2 by the DOE at Los Alamos these days. We have, I  
3 suspect, just a small window into what is being done,  
4 but one of the things that is encouraging is that the  
5 peer review process is taking place not just at the  
6 end of the study, but during the progress of the  
7 study. So that we have these five experts, five-six  
8 experts who are there to tweak the system and to put  
9 some realism into the calculation, so that we will be  
10 able to understand the uncertainties.

11 Now at this point that is just a hope. I  
12 think we are going to have to see this play out.

13 CHAIRMAN HORNBERGER: Mike, you had a  
14 question you wanted to throw to Leon Reiter?

15 MR. LEE: Yes.

16 CHAIRMAN HORNBERGER: I'm warning you,  
17 Leon.

18 (Laughter.)

19 MR. LEE: Yes, and this is kind of a  
20 follow-on to I think a comment that Bill just had. I  
21 am focusing a little bit on the TRB report. First of  
22 all, many thanks to the TRB consultants for showing up  
23 today and the TRB staff for facilitating their  
24 appearance.

25 What has kind of cued my focus of inquiry

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 here is the TRB in its 2002 Annual Report made a  
2 statement on page 10 that their concern has lessened  
3 regarding the differences in the NRC and the DOE  
4 modeling approaches. I am trying to go back to our  
5 role in advising the Commission.

6 I guess the question I have is, am I  
7 correct to assume that the DOE has the apparatus in  
8 place now to try to improve the maturity of the  
9 science for consequence modeling at Yucca Mountain?  
10 I guess that is the question I have for Leon or Dan.  
11 I see Dan Fehringer here, too. I'm not trying to put  
12 them on the spot, but I know you can't speak for the  
13 Board, but you could try to help us interpret --

14 MR. REITER: Yes, I can't speak for the  
15 Board. As you know, today the President appointed  
16 five new members and a new Chairman of the Board.

17 But, anyway, I think what the Board has  
18 said you have read; namely, in a previous letter we  
19 had a meeting last September 10th and 11th -- it was  
20 a terrible day to have a meeting -- and our  
21 consultants could not make it to the meeting. But at  
22 that meeting we felt there was a lot of unresolved  
23 issues between the NRC models and DOE models, and we  
24 were concerned about this. We raised our concerns  
25 about how can we proceed without resolving some of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 these concerns.

2 Then we met with our consultants, and the  
3 consultants gave the report. I think you got the gist  
4 of that.

5 MR. LEE: Yes.

6 MR. REITER: Being essentially that the  
7 models proposed are really more like end-member models  
8 rather than mean kind of models. There are lots of  
9 things you could do, look at, that you would probably  
10 relax some of these things. As a result, our concerns  
11 have lessened. We still think it is an important  
12 thing to work on because it is the largest contributor  
13 to dose in the first 10,000 years, and work is being  
14 continued on this. We are anxious to see the peer  
15 review model and we are following that process.

16 CHAIRMAN HORNBERGER: Thanks, Leon.

17 MR. LEE: Thank you.

18 CHAIRMAN HORNBERGER: I want to  
19 particularly thank, for the ACNW, Derek and Bill and  
20 Meghan for being here, their excellent presentations,  
21 and thanks for trying to educate us and answering our  
22 questions.

23 MS. HANLON: Dr. Hornberger, I just wanted  
24 to make one point to add a little information to our  
25 discussion here. That is, earlier Dr. Melson had

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 mentioned the advantages and the usefulness of having  
2 a seismic network. I just wanted to let us all  
3 reconsider the fact that we have had a seismic network  
4 at Yucca Mountain since 1978, as well as since 1994 we  
5 have been updating that and digitizing it.

6 So we have a strong motion as well as a  
7 weak motion, that is, micro-seismic as well as  
8 regional monitors. We have more than 25 of the  
9 digitized weak motion networked and between 10 and 19,  
10 depending on how you count it, of the strong motion.  
11 Those are connected with the University of Nevada at  
12 Reno. If anyone were interested in a website, they  
13 have a website on the Nevada-Reno home page. I will  
14 just give that to you. It is [www.seismo.unr.edu](http://www.seismo.unr.edu),  
15 E-D-U. That is under Research Projects, and it takes  
16 you into all of our seismic monitoring efforts. So I  
17 thought that would be useful for the audience to know.

18 CHAIRMAN HORNBERGER: Yes. Bill, do you  
19 want to get her to sign on for a --

20 DR. MELSON: Thank you very much. Are  
21 these broadband instruments that you are using? Will  
22 they pick up the higher frequency vibrations as well?

23 MS. HANLON: Yes. Yes.

24 CHAIRMAN HORNBERGER: Do you want to get  
25 her to sign on for 300 years of monitoring?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 (Laughter.)

2 DR. MELSON: That really is the issue,  
3 isn't it?

4 (Laughter.)

5 CHAIRMAN HORNBERGER: Again, thanks again  
6 to everybody. We are now going to take a 15-minute  
7 break.

8 (Whereupon, the foregoing matter went off  
9 the record at 3:37 p.m. and went back on the record at  
10 3:52 p.m.)

11 CHAIRMAN HORNBERGER: Okay, we will  
12 reconvene.

13 We are going to talk now about the Package  
14 Performance Study, and the lead Committee member for  
15 this is Milt Levenson. So he will run the meeting.

16 DR. LEVENSON: Our general topic is spent  
17 fuel transportation, and internal to that a fairly  
18 important factor is the matter of identifying the  
19 nature of the risks that arise from performance of the  
20 package. This is independent of whether the truck  
21 drivers run over somebody or other types of accidents,  
22 and getting information, bringing ourselves up to  
23 speed.

24 Package Performance, of course, has a long  
25 history. There have been a lot of tests done going

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 back several decades. The Package Performance Study,  
2 as we understand it, is an attempt to bring up-to-  
3 date, due to changing conditions and criteria from  
4 what we know in the past. So the Committee is quite  
5 interested in hearing what the plans are for the  
6 Package Performance Study, how it will help us address  
7 the question of plans for shipping.

8 MR. SORENSON: Can you all hear me okay?  
9 Okay, thanks, Mr. Levenson.

10 Good afternoon, everybody. My name is Ken  
11 Sorenson. I am the Manager of the Transportation  
12 Packaging and Risk Department at Sandia National  
13 Laboratories. We are the prime contractor for the NRC  
14 to conduct the Package Performance Study.

15 I would like to introduce my colleague Dr.  
16 Jeremy Sprung here. He is the principal lead for the  
17 Package Performance Study as well. So I may ask him  
18 during the course of the comments to comment on some  
19 of the technical matters as they arise.

20 What I would like to do today is talk,  
21 give you a status of the early part of the Package  
22 Performance Study and where we are with what we call  
23 the test protocols, which are a preliminary snapshot  
24 of some testing that is being considered for the  
25 Package Performance Study to further help in the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 understanding of cask and spent fuel behavior in  
2 severe accident environments, both mechanical and  
3 thermal environments.

4 This is the talk as I have outlaid it  
5 today. Just to give you a little bit of context with  
6 the protocols and Package Performance Study, I would  
7 like to talk a little bit about the history of some of  
8 the more seminal NRC transportation studies that have  
9 occurred and then talk about NUREG 6672, Contractor  
10 Report 6672, in a little bit more detail, because that  
11 was the most recent reexamination of transportation  
12 risk assessments that has been done for the NRC. That  
13 was published in the spring of 2000.

14 Then from that, we will talk more in  
15 detail on the Package Performance Study: first, the  
16 Issues Report, which is really Phase I of the Package  
17 Performance Study, and then the test protocols.

18 So to start just a little bit of history  
19 on major transportation studies sponsored by the NRC,  
20 the first one was NUREG-0170. That was done in 1977.  
21 That was an Environmental Impact Statement on the  
22 risks of transporting all types of nuclear materials  
23 over all types of conveyances. I think there's like  
24 26 different categories in the nuclear materials that  
25 were looked at. Spent fuel was one of those, as for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 transportation on road, rail, barges, airplanes, and  
2 those sorts of things. What that study did is it  
3 confirmed the appropriateness of the regulations as  
4 they were to provide safe transport of these materials  
5 to public health and safety as well as to the  
6 environment.

7 The second report that I show here is  
8 NUREG Contractor Report 0743. That is referred to as  
9 the Urban Study. That looked at transporting spent  
10 fuel through a highly dense urban area. In this case,  
11 it was downtown Manhattan. Again, it affirmed the  
12 appropriateness of the regulations to provide safety  
13 to the public and the environment during transport of  
14 spent fuel. This was also the first study that looked  
15 at a sabotage-type event on these type of transports  
16 as well.

17 The third report is Contractor Report  
18 4829. It is referred to as the Modal Study. That was  
19 done in 1987. That looked at analytically shipping  
20 container response to severe mechanical and thermal  
21 environments.

22 That was a big step in the ability to do  
23 risk analysis. This is the first case where they  
24 actually quantified an event tree that looked at  
25 specific scenarios and severity fractions, and then

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 also assigning probabilities to these scenarios of  
2 likelihood of occurrence. So that was a big step.

3 Then, finally, the fourth report shown  
4 here is 6672. That was published in the spring of  
5 2000, and that was, again, a further step forward in  
6 the ability to better estimate the risks of  
7 transporting spent nuclear fuel both by highway and by  
8 rail.

9 What you see here I think is an evolution  
10 of assessing and estimating transportation risks over  
11 a period of about, right now we've got about 23 years.  
12 It is part of the charter of the NRC to continually  
13 look at the state of transportation and its operations  
14 and the way these materials are shipped, to again  
15 assess the safety of these shipments both to the  
16 public and to the environment, and also as a way to  
17 look at the appropriateness of the regulations.

18 Let me talk a little more specifically on  
19 NUREG 5572. Again, that was published in the spring  
20 of 2000. I'm going to give you the conclusions first.

21 Basically, the conclusions are that the  
22 transportation risks to the public in this document  
23 are better estimates than either in NUREG 0170 or in  
24 the Modal Study or in the Urban Study for three main  
25 reasons:

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           First, there's more advanced analysis  
2 techniques in terms of finite element analyses and  
3 those sorts of things that we do, get quantitative  
4 estimates, both the mechanical response of the cask  
5 and thermal response of the cask. There is more  
6 detailed evaluation of transportation routes, and I  
7 think the third bullet, new and better data, has been  
8 significant as well, especially in doing route  
9 analyses.

10           The first two bullets, a lot that is  
11 wrapped up in that is computer power. With the advent  
12 of high-speed computers, parallel processing, and  
13 those sorts of things, we have been able to make  
14 quantum leaps in the ability to analyze cask response  
15 in these mechanical-thermal environments, but also to  
16 do some very detailed route analyses as well, to  
17 provide these better quantitative estimates of risk.

18           Now this last bullet, what we show in  
19 terms of results in 6672 is that non-accident and  
20 accident transport risks are estimated in 6672 lower  
21 than those in 0170. Again, they continue to support  
22 the appropriateness of the regulations. Again, this  
23 is an evolution that the NRC has been going through  
24 periodically looking at analysis techniques and the  
25 data, and being able to take advantage of these

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 advances, and to provide better estimates of risk of  
2 transporting nuclear materials.

3 CHAIRMAN HORNBERGER: The non-accident  
4 risks are the radiation, using linear no threshold?

5 MR. SORENSON: Yes.

6 CHAIRMAN HORNBERGER: I mean, what are  
7 they?

8 MR. SORENSON: Yes, right. Incident-free  
9 risk we call that, just if you are driving alongside  
10 a cask on the highway and that sort of thing.

11 The accident risk results, this is just to  
12 give you an idea of perspective here. Please don't  
13 strain your eyes trying to read that, but for the  
14 accident conditions the risks that are estimated are  
15 two to three orders of magnitude lower than those  
16 estimated in 0170.

17 For incident-free, the difference is  
18 smaller, but it is still lower, because for non-  
19 accident sorts of conditions, even back 20 years ago,  
20 it was much easier to estimate dose because you had  
21 known conditions of transport as opposed to accident  
22 conditions. But what this shows is that for  
23 quantifying the risks and comparing them to 0170, the  
24 estimates are much lower than what were previously  
25 estimated.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Given that, we still identify some  
2 conservativisms that were in 6672. Part of that is  
3 constraints of budget and schedule, also constraints  
4 of analytic capabilities and things like that. But,  
5 for example, I've got three main bullets here that  
6 show what some of the conservativisms are in the 6672  
7 analyses.

8           For the impact analyses, response of the  
9 cask to these severe mechanical loads that we looked  
10 at, we assume that all end and corner impacts were on  
11 the closure end of the cask, where you get more  
12 likelihood of lid deformation and potential failure of  
13 the seal area.

14           We assumed all impact energy goes into  
15 cask deformation. So the velocity of the cask was at  
16 normal right angles to the impact surface. So all  
17 that kinetic energy was absorbed by deformation of the  
18 cask. It wasn't transferred into momentum sorts of  
19 transfers and those sorts of things.

20           Thirdly, we did not look at the canistered  
21 fuel, which I think we see a lot now of the industry  
22 going to canistered fuel as opposed to air fuel  
23 shipments. That was not analyzed.

24           For the thermal analyses, we assumed all  
25 fires are optically dense and completely surround the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 cask for the entire duration of the fire, and we  
2 assumed for these analyses that the fire temperature  
3 was 1000 degrees C. The regulations state 800 degrees  
4 C.

5 Then the source terms, we assumed a three-  
6 year, cooled, high-burnup fuel for source terms. That  
7 is really a pretty large conservative in the analysis  
8 of the actual dose.

9 So those are the sorts of conservativisms  
10 that were still in 6672, but we still had lower  
11 estimates than what we had in 0170.

12 So let's leave the history and go to the  
13 Package Performance Study, which really came right at  
14 the heels of 6672. The Package Performance Study, the  
15 purpose is to, was to, well, still is to, identify and  
16 implement near-term -- this is a five-year timeframe  
17 -- R&D transportation work for the NRC.

18 We really used a lot of the work that went  
19 into these previous risk studies, not only 6672, but  
20 0172 and the Modal Study and all those, as a  
21 springboard to look at where we needed to go next in  
22 terms of advancing the technical abilities and the  
23 public confidence and the programmatic goals of the  
24 NRC in the Package Performance Study.

25 So I've listed three goals here for the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 PPS. One is to validate the assumptions and  
2 methodologies used to assess the appropriateness of  
3 the NRC regulations. A lot of this is in the computer  
4 code analyses that are used.

5 A lot of the public comments, we got a lot  
6 of comments from people that they didn't really trust  
7 the analyses that were presented. So one of the  
8 reasons for this is to be able to better demonstrate  
9 the ability of these analyses to properly capture cask  
10 response.

11 Secondly, demonstrate the safety of land  
12 transport to stakeholders and the public, and, lastly,  
13 advance the knowledge base of cask and spent fuel  
14 behavior, not just the cask, but also the behavior of  
15 the spent fuel in these severe accident environments  
16 during transport accidents.

17 As I said earlier, the PPS uses 6672 and  
18 the other earlier risk studies as a springboard to  
19 start the work. It is important to note -- and I will  
20 probably repeat this several times during the  
21 discussion -- in terms of the protocols, these are  
22 preliminary analyses and preliminary recommendations.  
23 We are presenting these to the ACNW. They will be out  
24 for public comment. The NES will have a chance to  
25 look at these. So this is a first-cut preliminary

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 look at where we think we need to go for the Package  
2 Performance Study to better meet our objectives, but  
3 certainly these aren't the final recommendations that  
4 are being made. This is a preliminary look at where  
5 we are headed.

6 The first part, Phase I of the Package  
7 Performance Study, is what we call the Issues Report.  
8 After 6672 was published, we had some technical review  
9 on 6672, and we also had public meetings where we went  
10 out and we presented the results to the public.  
11 During those meetings we got a lot of feedback on the  
12 results of 6672.

13 We used the Issues Report in the third  
14 bullet here, what the Issues Report does is translate  
15 these stakeholder public inputs from these meetings  
16 into proposals for the Package Performance Study. So  
17 we had a long, long list of comments of things, maybe  
18 shortcomings from 6672 or things that weren't covered  
19 that needed to be covered. We simulated these  
20 comments into basic categories like mechanical events,  
21 fire events, entries, spent fuel behavior, things like  
22 that, and then prioritized the comments based on, if  
23 we addressed these particular comments and worked on  
24 them, how much of an impact would it have in terms of  
25 advancing the demonstration of safe transport.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           That was begun in 1999, and the report was  
2 issued in June 2000. We also put the results of the  
3 report on a web page to get further public input. We  
4 had a total of eight public meetings, and four were in  
5 1999, I believe, and four in 2000. We had them in  
6 Pahrump, Nevada and Las Vegas and here in White Flint,  
7 to get as broad a cross-section of comments from the  
8 stakeholders as possible. Then also we got direct  
9 comments on the website.

10           This is a list of stakeholders that we  
11 would include as people who have interest in this  
12 particular area, but certainly nuclear industry  
13 groups, transportation groups, DOE, DOT, state and  
14 local and tribal governments, public interest groups,  
15 and then just other members of the public as well. We  
16 got comments from all of them on 6672.

17           The results of Phase I of the Issues  
18 Report really formed a basis for the work scope as  
19 identified in the Package Performance Study. It  
20 really focused on five main areas that needed to be  
21 addressed to better define and fill some of the gaps  
22 were in 6672.

23           The first work scope item there is perform  
24 3-D finite element analyses to capture the cask and  
25 fuel behavior in severe mechanical loadings. One of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the constraints in 6672 was in the bolt area, in the  
2 closure area, because of computer limitations, we had  
3 to do a fairly coarse meshing of the bolts. We feel  
4 that to properly capture bolt behavior that needs to  
5 be much better, the meshing needs to be much better  
6 refined. But that has a tradeoff because it really  
7 increases geometrically the amount of computer time  
8 that you need as well.

9 One of the big comments from the public  
10 is, how does the fuel really behave in these severe  
11 mechanical environments? There's not a lot of data  
12 out there in terms of how this fuel behaves. So this  
13 is one area that we have put in test protocols as one  
14 of the main things, principal things that need to be  
15 looked at.

16 The second bullet here is perform 3-D  
17 finite element analyses to capture cask and fuel  
18 behavior in thermal environments. We did a 1-D finite  
19 element analysis in the thermal environments. Because  
20 of that, we were not able to very accurately determine  
21 the seal performance and temperatures around the  
22 seals. We need to do a 3-D finite element analysis to  
23 make sure that we properly capture that performance.

24 Conduct impact tests on fuel elements to  
25 characterize rod and fuel behavior in dynamic loading

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 environments. Not only do we need to do the analysis  
2 up here, but we also have to have some empirical data,  
3 so that we can benchmark the analysis behavior results  
4 that we get to actual test results. Again, there is  
5 not a lot of data out there on fuel behavior from the  
6 pellet to the pellet inside the rod, to the  
7 assemblies.

8 Then, finally, reconstruct the accident  
9 event trees and accident speed and fire distributions.  
10 We used basically the event trees that were in the  
11 Modal Study in 1987. There was a lot of comment  
12 during the public meetings that there is a lot of new  
13 data out there. We went from 55 miles an hour on the  
14 highways to 75 miles an hour on the highways, and we  
15 needed to update the accident event trees and  
16 associated probabilities in those as well.

17 So we are working that as part of the  
18 Package Performance Study, but you will not see that  
19 in the protocol document because that doesn't involve  
20 testing. That is strictly looking, evaluating  
21 databases and doing the analysis on the databases.

22 Okay, so let's talk about -- that's the  
23 Issues Report, and that's what kind of got us to  
24 identify and define the five main areas in the Package  
25 Performance Study. Looking at the preliminary

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 analyses and test recommendations is the  
2 responsibility of the test protocols.

3 Again, this is a document that we have  
4 done over the past six months or so that includes  
5 preliminary structural and thermal finite element  
6 analyses on a cask to determine appropriate  
7 orientations for a test, appropriate speeds for a  
8 test, to again demonstrate the safety of this cask, to  
9 be able to demonstrate that we can properly capture  
10 the response analytically of these casks during these  
11 very severe environments.

12 So here I define what's in the protocols.  
13 Again, a conceptual level for impact fire and fuel  
14 tests is defined in the protocols, and for the impact  
15 and the fire they are supported by preliminary  
16 analyses. These protocols will be published very  
17 soon. I think sometime in July they will be available  
18 for public distribution and then review and comment.

19 Then we will use these protocols, along  
20 with comments we get from the ACNW, the NAS, and the  
21 public, to define the test plans, the actual test  
22 plans that will be used to conduct whatever tests that  
23 are decided on that need to be conducted. Again, as  
24 I said earlier in the last viewgraph, the non-test  
25 issues in the Package Performance Study are not

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 handled in the test protocols. They are handled  
2 separately, but are still part of the Package  
3 Performance Study. That is basically the  
4 reconstruction of the event trees, as we have  
5 described.

6 Okay, let's talk a little bit about the  
7 testing analyses that have been done and associated  
8 proposed tests. We picked a cask to do the initial  
9 analyses, and the cask that was picked was the HOLTEC  
10 Hi-Star 100. Again, in the public meetings we had a  
11 fair number of comments from people who raised their  
12 hand and said, "Show us a test. We want to see a cask  
13 that is currently certified by the NRC that is going  
14 to be rolling down the road at Yucca Mountain, and it  
15 needs to be big. It should probably a real cask."

16 So using that as part of the criteria --  
17 we had other criteria as well, but we chose the HOLTEC  
18 Hi-Star cask as the cask to look at for these  
19 protocols in our preliminary analysis. Again, I want  
20 to stress that no decision has been made on what  
21 actual cask will be used for these tests, but this is  
22 what is used in the protocol document.

23 This just gives a axis symmetric view of  
24 the cask, and here a bolt detail. Again, the bolt  
25 details for these preliminary analyses is the meshing

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 is rather crude. For the final test analyses, we will  
2 do a much more detailed job on the bolt and closure  
3 area.

4 For the protocols, we looked at analysis  
5 on three different orientations, kind of classic  
6 orientations: end-on, CG-over-corner, and the side-  
7 on. Again, this is CG-over-corner with the closure  
8 end at the down position.

9 We did those three analyses for two  
10 different impact speeds, one at 60 miles an hour, one  
11 at 90 miles an hour. This is with impact limiters on  
12 an unyielding target.

13 For a point of comparison, the regulatory  
14 environment is a 30-mile-an-hour impact onto an  
15 unyielding target. So you can see that this is really  
16 a much more severe impact or insult to the cask than  
17 what's in the regulatory environment.

18 I might also point out that in the  
19 regulatory environment that 9-meter drop test onto an  
20 unyielding surface captures about 99-plus percent of  
21 all real accidents. So what we are looking at here in  
22 this 60-to-90-mile-an-hour regime is really the tail-  
23 end of the accident distributions in terms of severity  
24 for mechanical and thermal impacts. It is an  
25 important point.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN HORNBERGER: But it is credible?

2 MR. SORENSON: We have looked at the  
3 databases, and we have seen impacts or, excuse me, we  
4 have seen accidents up to 90-100 miles an hour. Now  
5 you could argue whether it is done yielding surface or  
6 not, probably not. So I guess the point is, what is  
7 credible, what is incredible in terms of how far you  
8 take this?

9 DR. LEVENSON: But in translating the  
10 vehicle speed, which is where the database is, I  
11 think, to this impact, you are ignoring any energy  
12 absorption in this thing tearing itself loose from the  
13 truck?

14 MR. SORENSON: You are ignoring that, and  
15 you are ignoring soft targets as well.

16 DR. LEVENSON: Right. Well, you're  
17 ignoring most hard targets because the hard target you  
18 have is significantly harder, I think, than any --  
19 what is it, 25-foot-thick concrete slab?

20 MR. SORENSON: Yes.

21 DR. LEVENSON: Not many roads like that.

22 MR. SORENSON: Okay. This just gives a  
23 couple basic results.

24 DR. LEVENSON: Not to belabor this, but  
25 you say you're out at the tail-end of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 distribution. Can you give me some feel how far out?  
2 Are you --

3 MR. SORENSON: Like how many sigma?

4 DR. LEVENSON: Yes.

5 MR. SORENSON: No, I really didn't --  
6 Jerry, do you care to comment on that?

7 MR. SPRUNG: Probably four nines or so.

8 DR. LEVENSON: Four nines?

9 MR. SPRUNG: There aren't many accidents  
10 up there, and it is probably further out, if you take  
11 the accident speed and ask what's the chance of there  
12 really being something like an unfractured assault on  
13 igneous rock to hit, of all there is out there that is  
14 really close to an unusual target.

15 MR. SORENSON: Thank you.

16 This shows a finite element analysis  
17 result of the 60-mile-an-hour CG-over-corner center  
18 gravity over corner onto an unyielding target. You  
19 see a lot of damage to the impact limiter, but really  
20 no damage at all to the cask. Again, the important  
21 thing to look at here is the closure area with the  
22 bolts and basically there's no problem here. It  
23 maintains its integrity.

24 This shows accelerations. This is up  
25 about 50-55 Gs are so is the load on that. So it is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 not real huge. But, again, the regulatory accident,  
2 hypothetical accident condition is about a 30-mile-  
3 per-hour impact.

4 By the way, just to let you know for this  
5 particular cask design, this is a very complicated  
6 impact limiter and a very, say, conservative design.  
7 There's three different impact crush materials in  
8 here, a honeycomb with different compressive  
9 strengths. There's internal piping and gussets in  
10 here as well to provide additional structural strength  
11 in it.

12 CHAIRMAN HORNBERGER: Am I correct in  
13 assuming, if we look at this versus the 30-mile-per-  
14 hour, this would be more than a linear extrapolation?  
15 This is more than twice as bad as the 30-mile-an-hour  
16 test?

17 MR. SORENSON: Yes. If you look at it in  
18 terms of kinetic energy --

19 CHAIRMAN HORNBERGER: Yes, it's squared,  
20 right?

21 MR. SORENSON: Yes, it's V-squared.  
22 That's correct.

23 This is the 90-mile-per-hour impact. One  
24 of the things, I will touch on this in a couple of  
25 slides. We had an expert panel review. Some

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 structural experts from around the country looked at  
2 the protocols, and also the public said that, you  
3 know, we would like -- if you say you can really  
4 capture the response of these casks, to do a  
5 regulatory drop, the cask remains in a linear elastic  
6 regime and you really don't measure anything. What  
7 they really said, what we would like to see is some  
8 plastic deformation of the cask itself, the cask by  
9 itself.

10 You will see here right around the flange  
11 shoulder of the cask body you do get some actual  
12 plastic deformation in this area. This is the closure  
13 lid, and then this is part of the cask body, where you  
14 actually do get some plastic deformation.

15 CHAIRMAN HORNBERGER: Who is it who wants  
16 to see plastic deformation?

17 MR. SORENSON: Well, some people in the  
18 public made that comment, not from the standpoint of,  
19 can you really capture cask response, and it's a "No,  
20 never mind" to capture cask response if it remains  
21 linear elastic, but if you can show plastic  
22 deformation and capture that appropriately with your  
23 analysis, that is what they want to see. The expert  
24 structural panel also mentioned that as well.

25 This shows a G loading here. Again, this

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 answers your question that we go from about 55 Gs up  
2 to 140 Gs, and it's 50 percent higher impact velocity  
3 and about three times the G force.

4 MR. KOBETZ: Do you know what's happening  
5 to the bolts up there?

6 MR. SORENSON: Yes. Boy, you have a great  
7 segue. That's the next viewgraph actually.

8 The bolts, this is at -- let me  
9 superimpose this real quick here. The highly-strained  
10 bolts are on this part of the impact, the upper part  
11 of the impact. You can think of the cask impacting  
12 this way and the bolts up here are the ones that are  
13 highly strained.

14 This shows there's 54 bolts; they are an  
15 inch and five-eighths diameter bolts around the cask  
16 lid, but this shows a strain plot of individual bolts  
17 in the highly-strained area and this shows a plot  
18 going around the circumference of the enclosure, where  
19 the bolts are, in terms of opening. That shows, I  
20 think, about a .2-inch opening at the worst highest  
21 spot.

22 What we are looking for here is, these are  
23 metallic seals in this cask. So if you take that  
24 opening and you subtract out the compliance of that  
25 seal, that's how much of a gap you are going to have

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 in that closure area. You can integrate those  
2 specific gaps between each bolt and get a total  
3 opening around that.

4 So we have a case for these preliminary  
5 analyses, 60-miles-an-hour, where we have no opening  
6 of the cask lid, and 90-miles-an-hour, where we have  
7 a small opening of the cask lid.

8 MR. KOBETZ: Ken, can I also ask, how come  
9 you didn't look at slapdowns? Because I know I have  
10 seen one test at Sandia where that was the worst drop  
11 for a cask.

12 MR. SORENSON: It is very difficult to  
13 analyze properly, for one thing. In terms of the  
14 objectives of the test, we felt this was a good  
15 orientation for doing the actual testing.

16 It depends really on the cask design,  
17 particularly like the LD over R ratio, the length  
18 versus the diameter of the cask, which is the worst  
19 orientation, the slapdown and CG-over-corner, and so  
20 forth.

21 So the recommendations from the structural  
22 part of the protocols are to conduct detailed finite  
23 element analyses on the HOLTEC Hi-Star cask with  
24 impact limiters for the final procedures. Again, if  
25 we decide on the cask orientation of CG-over-corner,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 we will only do detailed analyses for that particular  
2 orientation.

3 Right now the recommendation is to do the  
4 impact speed of somewhere between 60 and 90 miles per  
5 hour, and, again, as I said, to have increased  
6 attention on the modeling of the closure lid and the  
7 bolts and the impact limiters. The other thing I need  
8 to put in here that I missed is the recommendation to  
9 actually do the test of that cask as well, based on  
10 these analyses.

11 For the thermal analyses, we looked at  
12 really three cases. Regulatory cases, let's say it's  
13 just 1 meter above. We looked at 1.3 meters. This is  
14 a nuance of the meshing that we did in our particular  
15 program. It was either 1.3 or less than 1. So we  
16 wanted to put it at 1.3.

17 But we looked at three different locations  
18 in the pool fire and what the effect of that fire  
19 would have on the cask itself 1.3 meters above the  
20 pool, .3 meters above the pool. You think about it,  
21 in most accidents the cask is probably on the ground  
22 in the fully engulfing fire. So we thought it was  
23 important to look at this case in particular.

24 Then Case 3 was 3.3 meters above the pool.  
25 I will show you some pictures of the actual fire

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 envelope. You have a vapor dome underneath the cask  
2 that does not have enough oxygen to combust the fuel  
3 mixture there. So you have a relatively cool spot  
4 right underneath the cask, which is called the vapor  
5 dome. So to put this a little bit higher, it gets you  
6 above that vapor dome and it gives you a more uniform  
7 heat load on the cask itself.

8 This is the regulatory case. Here you can  
9 see the vapor dome, where you have a relatively cool  
10 area on the lower surface of that cask. This actually  
11 looks at temperatures of the cask, and part of the  
12 vapor dome actually extends up the side of the cask  
13 and the middle part of the cask as well.

14 This is the cask on the ground, and you  
15 can see relatively, if you remember the last picture,  
16 you have the relatively cool bottom area of that cask,  
17 as you would expect.

18 DR. GARRICK: Ken, I remember reading that  
19 you are going to, among other things, determine gas  
20 flow velocities and heat fluxes, and that the gas flow  
21 velocity measurements are going to be partly based on  
22 pressure differentials.

23 Are you actually going to measure the  
24 pressure inside the simulated fuel rods?

25 MR. SORENSON: Oh, in the fuel rods?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. GARRICK: Yes.

2 MR. SORENSON: That's not the plan right  
3 now, John, but there is some pretty good data on there  
4 on burst rod temperatures. What we are really looking  
5 at right now is internal surface cask temperatures and  
6 time to reach those temperatures, because burst rod  
7 temperatures are about 750 degrees C. So once we get  
8 to that point, you can make the leap to say you are  
9 vulnerable to burst rod temperatures, but we don't  
10 have any plans at this point on measuring internal  
11 pressures of the pins, and so on.

12 DR. GARRICK: Okay, thank you.

13 MR. SORENSON: Then this is the cask  
14 located 3.3 meters above the pool, and here you can  
15 see the vapor dome is much less of an effect on the  
16 cask itself. Okay, you still get vapor dome issues on  
17 the ends here as well, but you get a more uniform  
18 temperature gradient over the cask surface.

19 DR. LEVENSON: Ken, is your thermal model  
20 for fuel temperature a fairly sophisticated one,  
21 element by element, et cetera, or are you going by the  
22 temperature on the inside surface of the cask?

23 MR. SORENSON: Well, we are doing both,  
24 Milt. We're looking at doing traditional fire  
25 modeling, which provides heat fluxes to the cask

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 surface and then heat transport from the cask surface  
2 to the inside cask wall. We are also using an inverse  
3 heat conduction code which takes the response of the  
4 cask and backs out what the surface fluxes should be,  
5 so that we can tie those two together, so that we are  
6 confident that the fluxes that we are getting on the  
7 surface and the surface temperatures are right, so  
8 that we can properly model how this --

9 DR. LEVENSON: Because when you are going  
10 the other direction, and you've got fuel that is  
11 generating heat --

12 MR. SORENSON: Right.

13 DR. LEVENSON: -- it's damned hard to get  
14 the heat from the inner elements out to the cask.

15 MR. SORENSON: Right.

16 DR. LEVENSON: So the reverse process must  
17 also be true --

18 MR. SORENSON: Right.

19 DR. LEVENSON: -- that elements won't heat  
20 very fast.

21 MR. SORENSON: Right. As you know, we are  
22 not going to have the fuel elements --

23 DR. LEVENSON: You're not going to have it  
24 full of elements, we know.

25 MR. SORENSON: That's right.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. LEVENSON: But, I mean, just using the  
2 internal cask temperature, it is not really  
3 representative of what would be fuel temperature.

4 MR. SORENSON: I agree. Yes, I agree.

5 Okay, then recommendations for the thermal  
6 analyses, based on these preliminary -- the thermal  
7 analyses and testing, based on these preliminary  
8 analyses are, again, conduct more detailed modeling  
9 analyses. We are recommending in these protocols to  
10 do calorimeter tests, so that we can properly get the  
11 heat flux on the cask surface as well as initial heat  
12 temperatures, so we can make sure we get the proper  
13 boundary conditions in these fire environments.

14 We are recommending doing two full-scale  
15 calorimeter tests, one above the vapor dome -- we  
16 don't specify an actual height at this point, but  
17 somewhere above the vapor dome -- then one on or near  
18 the ground, and then conduct detailed modeling  
19 analysis for full-scale casks based on these  
20 calorimeter tests. Finally, do two full-scale casks  
21 full-fire tests. Well, one on the ground is  
22 recommended and then one above the vapor dome.

23 Okay, I am going to talk a little bit  
24 about the fuel test program that we have. Again, in  
25 6672 and all the earlier reports they talked about

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 there was lots of assumptions and inference made in  
2 terms of how spent fuel is going to behave in these  
3 very severe mechanical and thermal environments. As  
4 I said earlier, there's just not a lot of data out  
5 there.

6 So when you do finite element analysis,  
7 mechanical response and thermal response, and then you  
8 take the leap and look at how, if you breach the fuel,  
9 how that fuel deposits on the inside of the cask  
10 perhaps or how it becomes aerosolized and gets outside  
11 into the environment, you have to make a fair amount  
12 of inferences and assumptions on how that is done.

13 So this part of the Package Performance  
14 Study is to get some data, so that we can have a much  
15 better basis to tire our analysis to in terms of how  
16 this fuel behaves during these very extreme  
17 environments.

18 So here the objective: Given a particle  
19 release from the failed spent fuel rod, the goal of  
20 the rod, pellet, and CRUD impact test is to develop  
21 data that can show -- and then think about there's the  
22 spent fuel pellet, the centered pellet inside the  
23 Zircalloy tubing, and then all those tubes make up  
24 the assembly.

25 Also, on the outside of the assembly there

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 is a CRUD that is formed. This is an acronym that  
2 stands for Chalk River Unidentified Deposits. It is  
3 basically in the BWR. It is a nickel-iron spinel that  
4 that precipitates out of the spent fuel pool and  
5 attaches itself to the outside of the zircalloy  
6 tubing, and it turns into cobalt-60, radioactive  
7 cobalt-60.

8 So how that CRUD behaves and performs on  
9 those assemblies is important to know because right  
10 now a lot of people say you need to assume 100 percent  
11 of that becomes aerosolized and gets out and  
12 contributes to dose. So we are looking at doing some  
13 experiments to better quantify what really happens  
14 with that CRUD.

15 So the first objective we show here is to  
16 determine whether fuel fines -- and these are the  
17 actual centered pellets -- form particle beds inside  
18 the spent fuel rods as a result of a mechanical  
19 impact. Then if these particle beds form, whether  
20 they efficiently filter other particles that pass  
21 through them, so that some of these crushed particles  
22 then cannot escape out into the environment; whether  
23 CRUD particles will spall off spent fuel rod surfaces,  
24 and if the rods are subjected to mechanical impacts or  
25 thermal stresses, and then what is the size

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 distribution of these released particles? Are they  
2 respirable particles or not? Will they settle out  
3 quickly? What is the size distribution of these  
4 particles that get out?

5 We have quite a few tests planned for  
6 this. This shows one of the testing aerosol chamber.  
7 Actually, there's a very good company in Germany that  
8 is very good at aerosol physics and testing, to get  
9 this kind of data, particle size distribution and  
10 those sorts of things. We are actually going to use  
11 them to do these types of tests, so that we don't have  
12 to replicate them.

13 This just shows a schematic of one of the  
14 test apparatus that will be used to get that data.

15 MR. KOBETZ: Ken, are you going to use  
16 high-burnup fuel or medium-burnup fuel, or does it  
17 matter?

18 MR. SORENSON: Right now we are going to  
19 use, the plan is to use regular and high-burnup both  
20 and see if there is a difference between those in  
21 terms of how they behave.

22 That, frankly, is one of the issues. In  
23 doing the testing, the plan is to do the spent fuel  
24 testing at Sandia. One of the ES&H issues is, what  
25 happens to that fuel after you do the testing? Can we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 ship it back to Germany from whence it came? Will  
2 they accept it or not? If we keep it here in the  
3 United States, who becomes the proprietor of that  
4 spent fuel? So those are some of the detail issues  
5 that we are working out right now.

6 Okay, that is the spent fuel testing. I  
7 did want to take a little bit of time to cover the  
8 expert panel. At NRC's guidance, we formed two expert  
9 panels for review of the work that we are doing, and  
10 specifically the protocols. One was a structural  
11 panel and the other as a thermal panel. We got  
12 experts from academia and industry. Well, we had one  
13 from the underwriters' company, and we tried to get a  
14 very broad cross-section of people. One is the ex-  
15 president of ASME International. So we thought we got  
16 a very good cross-section of experts. EPRI was  
17 another source that we went. We got a very good  
18 cross-section of people to look at this and give it a  
19 critical review.

20 The composition: five members on each  
21 panel. We vetted this with the NRC. Then on April  
22 10th and 11th, we actually had a review or we actually  
23 had some international participation as well. There  
24 was a person from Ontario Hydro and then a person from  
25 the BAM in Germany who were on the Committee.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           We sent the protocols out ahead of time  
2 for them to review, and then we had a two-day meeting  
3 where they came in and gave us their critical comments  
4 on the protocols.

5           These show the principal results of these  
6 reviews. The structural review panel agreed with the  
7 basic approach, as was developed in the protocols.  
8 One of their recommendations is not only should we  
9 conduct an extra-regulatory test, but we should also  
10 conduct one regulatory test. This is to tie the  
11 testing and analysis and make a hard link from the  
12 regulatory regime to the extra-regulatory regimes.

13           They said the extra-regulatory tests  
14 should focus on closure damage, and the drop height  
15 should be such that we bottom out the impact limiter.  
16 Again, it is specifically for the HOLTEC Hi-Star; it  
17 was a very robust limiter. Even for the 60-mile-an-  
18 hour impact loading, we did not use the full stroke of  
19 that limiter.

20           So their recommendation was, regardless of  
21 what cask you choose, you should configure the design,  
22 the test design, such that you bottom out the impact  
23 limiter and you achieve closure deformation. What  
24 they mean by that is actual plastic deformation of the  
25 closure, again, so we can show or demonstrate that we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 can properly capture cask response under these  
2 environments analytically.

3 DR. LEVENSON: Ken, what was the charge to  
4 these panels? Because what kind of recommendations  
5 and review, having been on a number of such things  
6 over the years, makes a big difference in what kind of  
7 recommendations you get, as to what their charge was.  
8 How was their charge worded?

9 MR. SORENSON: Well, let's see --

10 DR. LEVENSON: Was it to test what really  
11 happens or was it to maximize the technical  
12 information you would obtain, whether it is directly  
13 related or not to safety? I mean, what was the charge  
14 to them?

15 MR. SORENSON: I understand the question.  
16 I'm trying to think back, how we worded the actual  
17 call letter.

18 We tied it to the objectives of the  
19 Package Performance Study, which was to advance the  
20 technology --

21 DR. LEVENSON: These three that you have  
22 here?

23 MR. SORENSON: Yes, we tied it to that,  
24 and I think with special emphasis on the technical  
25 aspect, to make sure that the technical aspect was

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 sound, the approach was sound, to do this.

2 Does that answer your question, Milt?  
3 That is basically what we did. Again, the objectives  
4 in the Package Performance Study and gave them pretty  
5 free reign in terms of -- and we had a lot of  
6 discussion in terms of, you know, well, what is the  
7 extra-regulatory test? Because the 60-miles-an-hour  
8 impact, for example, you get an elastic response onto  
9 an unyielding surface? Is that really something that  
10 needed to be tested at this point, if you don't show  
11 any plastic deformation?

12 DR. LEVENSON: Well, you know, I could  
13 interpret extra-regulatory to say anything from 10  
14 percent more than what's required by the regulations  
15 to two orders or three orders of magnitude more than  
16 required by the regulations. So I'm not sure I know  
17 what this means.

18 MR. SORENSON: Well, I think if I can  
19 bound that a little bit, from the recommendation here,  
20 it is that they wanted it to be severe enough that we  
21 would actually show closure deformation, plastic  
22 deformation.

23 DR. LEVENSON: That's not what it says.  
24 It just says, go beyond what the regulations are.

25 CHAIRMAN HORNBERGER: But the qualifying

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 phrase suggests that it is going to have to be five  
2 times what the regulatory thing is, because you are  
3 not going to get closure deformation unless you go to  
4 something like 65- or 70-miles-an-hour.

5 MR. SORENSON: May I go on?

6 CHAIRMAN HORNBERGER: Yes, go ahead.

7 MR. SORENSON: Okay. The fourth bullet  
8 is, you know, there was also a lot of discussion on  
9 what's a successful test, what's your metric? We  
10 haven't completely closed that loop yet, but one of  
11 the strong emphases is for the mechanical regime to  
12 focus more on deformations as opposed to accelerations  
13 and the strains, because of the uncertainties that are  
14 involved in some of these measurements for these very  
15 severe environments.

16 For the Thermal Review Panel, again, they  
17 agreed on the basic approach. They recommended that  
18 we add three additional calorimeter tests because of  
19 the wind concerns. You actually go out there and you  
20 do the test. If you have a breeze or a wind, it is  
21 going to significantly affect the fire environment  
22 and, subsequently, the boundary conditions on the cask  
23 during these fire tests. So they recommended that we  
24 do additional testing under wind conditions with the  
25 calorimeters.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Yes?

2 CHAIRMAN HORNBERGER: Is it likely that  
3 having a wind would somehow make the fire worse?

4 MR. SORENSON: Less worse.

5 CHAIRMAN HORNBERGER: Yes, that's what I  
6 was just saying --

7 MR. SORENSON: We assume fully engulfing.

8 CHAIRMAN HORNBERGER: Right.

9 MR. SORENSON: So it would be less.

10 CHAIRMAN HORNBERGER: So I am not sure  
11 that I see, if you are going to these extreme tests,  
12 why do you want to have a wind to make them slightly  
13 less extreme?

14 MR. SORENSON: Well, the point is, we want  
15 to demonstrate that we can capture the response  
16 analytically. If we have a test where we have a wind  
17 condition and we have an analytical condition where it  
18 is fully engulfing, they are not going to match. So  
19 we want to be able to bound that condition.

20 Jerry, did you have a comment?

21 MR. SPRUNG: An engulfing pool of fire is  
22 not a well-mixed fire. So the wind may cause more  
23 oxygen to enter the flame; it burns hotter, but if it  
24 blows the flame away from the cask, then it is less  
25 severe. But if it is offset fire and you engulf the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 cask and it tipped over, wind-driven flame, it could  
2 be worse.

3 MR. SORENSON: Okay. Some of the  
4 outstanding issues that are still unresolved: final  
5 configuration of the calorimeter and the cask thermal  
6 tests; the configuration of the impact tests, but also  
7 the cask. Again, as I said at the outset, there's not  
8 been a final decision made as to which cask will be  
9 used for the test, and with that, what the scale of  
10 the cask will be.

11 There is, I think, some good suggestions  
12 that we also do some pre-test predictions on  
13 commercially-available codes. To the extent that that  
14 is possible, I think that is probably a good idea, and  
15 then also possibly do some round-robin analyses as  
16 well, to have other analysts analyze these test  
17 configurations and see how well we can match the  
18 analyses, and give us, again, confidence in the  
19 ability to properly capture cask response for these  
20 types of environments.

21 VICE CHAIRMAN WYMER:: Who is qualified to  
22 participate in round-robin analyses?

23 MR. SORENSON: Well, that is something I  
24 think we would have to look at and see how we set up  
25 that criteria. We haven't done a lot of thinking

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 about that, to be honest with you, but to do this  
2 properly we would have to make sure that whatever  
3 organization or laboratory did those analyses had the  
4 proper experience and educational background to do it  
5 properly. We certainly couldn't just give it to  
6 anyone out there who volunteered to do it.

7 CHAIRMAN HORNBERGER: So I noticed on this  
8 slide you have scale model tests possible. So are  
9 some of the more extreme tests, like 90-mile-an-hour  
10 impacts, would you envision doing those with scale  
11 models?

12 MR. SORENSON: No, actually, we envision  
13 doing them full-scale. I just put this up here as a  
14 caveat, just to make sure that it's stressed that no  
15 final decision has been made.

16 CHAIRMAN HORNBERGER: Wouldn't a scale  
17 model test for some of these extreme things make a lot  
18 of sense? Wouldn't it save you a lot of money?

19 MR. SORENSON: Well, yes. We have done a  
20 fair amount of scale model testing actually. Again,  
21 from public comments we've gotten, there has been a  
22 strong indication that people want to see full-scale  
23 testing because we really haven't done full-scale  
24 testing of rail-sized casks.

25 CHAIRMAN HORNBERGER: Do you have any

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 doubts that your scaling laws don't work?

2 MR. SORENSON: No, I don't personally.

3 DR. LEVENSON: Is "full-scale" a truck  
4 cask or a railroad cask?

5 MR. SORENSON: Well, Milt, for this  
6 particular protocol, the preliminary analysis, it is  
7 the rail cask. It is the Hi-Star 100 cask that we are  
8 looking at.

9 Then the final viewgraph here gives some  
10 approximate dates that we are looking at in the near-  
11 term for the Package Performance Study. For the field  
12 testing, we actually have made some good progress in  
13 getting started on that, and we plan on doing these  
14 testings in the fall of this year.

15 Thermal testing, the calorimeter test,  
16 that is to be determined yet, but we are looking at  
17 the cask fire test in the fall of 2004. Then for the  
18 impact test, we are looking for that test in the  
19 summer of 2004. So the intent is to do the impact  
20 test with the cask, and then take that cask, after  
21 that impact test, and do the fire test with it.

22 VICE CHAIRMAN WYMER:: You talk about  
23 surrogate pellet impact test. What are your  
24 surrogates?

25 MR. SORENSON: Well, we will use glass,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Pyrex, and also an irradiated UO2 -- or DU, is it DU,  
2 Jerry?

3 MR. SPRUNG: Yes.

4 MR. SORENSON: I'm sorry, DU.

5 VICE CHAIRMAN WYMER:: Spent fuel is sort  
6 of, it has been irradiated and it is kind of  
7 fragmented, and it is not a whole lot like glass.

8 MR. SORENSON: Go ahead, Jerry.

9 MR. SPRUNG: The impact facility doesn't  
10 like radiation too well, so the impact test will be  
11 done with surrogates and then we will go to a facility  
12 that can handle radioactive materials and do so bare  
13 pellet impact tests where we look at both some low-  
14 and high-burnup pellets and compare them to the way  
15 the surrogate behave, so that we get some feeling for  
16 the differences, if any, between surrogate brittle  
17 materials and pellets that have been degraded by  
18 radiation.

19 The available data suggests that most  
20 brittle materials fracture fairly similarly, at least  
21 in terms of the size distribution you get for impact  
22 at any particular speed.

23 VICE CHAIRMAN WYMER:: It would be 30,000-  
24 40,000-megawatt-a-day-per-ton burnup?

25 MR. SPRUNG: That and some high-burnup,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 too, up at 55 to 60.

2 VICE CHAIRMAN WYMER:: Oh, that high?

3 MR. SORENSON: That's the plan.

4 MR. SPRUNG: That's the plan.

5 VICE CHAIRMAN WYMER:: You will have a  
6 hard time finding it.

7 DR. LEVENSON: Would those tests be done  
8 before you use the surrogates in all of the other  
9 tests? The context of the question is, do you  
10 validate the surrogates before you use them?

11 MR. SPRUNG: The surrogates are fairly  
12 well-validated in a sense already, in that there is  
13 some data on fracturing of DUO2, and it fractures  
14 quite similarly to -- the centered DUO2 pellets  
15 fracture quite similarly to glass. The German  
16 scientists who conduct this think that's already, in  
17 terms of the precision of risk assessment, well inside  
18 the ball park, but we would like to confirm that with  
19 the tests on the real stuff.

20 The order at the moment is conducting  
21 tests with highly radioactive materials is never  
22 simple, and particularly when we are trying to get  
23 some German support for the funding of those tests.

24 DR. LEVENSON: Was there any consideration  
25 to just using unirradiated UO2 pellets?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. SORENSON: Was it just DU we looked at  
2 or did we consider --

3 MR. SPRUNG: Fresh -- no, we will use DUO2  
4 pellets in the German tests. When we go to a  
5 radiation facility, we will use DUO2 glass and then  
6 actual spent fuel pellets.

7 MR. SORENSON: But, Milt, your question  
8 was fresh pellets?

9 DR. LEVENSON: No, no. My question was,  
10 I thought you were using the glass pellets or  
11 irradiated UO2.

12 MR. SPRUNG: No, glass or depleted uranium  
13 dioxide in the facility that doesn't handle high  
14 radiation. In hot cell tests we will look at a Plene  
15 Hammer that is drop-weight tests for fracturing of  
16 glass pellets, depleted uranium pellets and high-  
17 burnup spent fuel pellets.

18 DR. LEVENSON: I guess we follow up on  
19 Ray's question. We need to ask the same question  
20 about the surrogate CRUD. How does it get qualified?

21 MR. SPRUNG: Do you want me to try that?

22 MR. SORENSON: Yes, go ahead. This is his  
23 specialty.

24 MR. SPRUNG: The hard part there is the  
25 adherence question. We know the chemical formula or

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 range of formulas of surrogate CRUD. We know what its  
2 structure is, and it is an inverse spinel. We know  
3 how to synthesize this and deposit it onto a zircalloy  
4 surface so we get deposits that look like the scanning  
5 electron micrographs of real stuff.

6 What we don't know about the real stuff is  
7 actually, how hard is it in some measured way to scrap  
8 it off or make it come off a surface? So we have to  
9 assume that, if we make something with the right  
10 chemical composition and make it form deposits on the  
11 surface of zircalloy that has the right morphology,  
12 that it will have something like the right adherence.

13 DR. GARRICK: Where are you going to get  
14 your data for the CRUD synthesis exercise? In other  
15 words, that's very much dependent upon burnup and a  
16 lot of other things.

17 DR. LEVENSON: The water chemistry.

18 DR. GARRICK: Yes.

19 MR. SPRUNG: There were a number of  
20 reports that gave the characteristics of CRUD on real  
21 fuel rods that were looked at. So we have -- it is  
22 all over the map, of course, the surface coverages,  
23 but in order of magnitude the variations in the  
24 chemical composition, the average is about a nickel  
25 point six iron, 2.404 is sort of the average

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 composition of PWR CRUD, and we have figured out how  
2 to synthesize that and make it look like the real  
3 surface deposits. Whether that is an exact surrogate  
4 is problematic.

5 DR. GARRICK: So you've got a problem of  
6 the precursor information being all over the map and  
7 then, after the impact tests, the distribution is  
8 going to be all the map.

9 MR. SPRUNG: But, remember, what we are  
10 dealing with is trying to answer, does 100 percent  
11 come off, 10 percent, or 1 percent?

12 VICE CHAIRMAN WYMER:: This is all PWR, no  
13 BWR?

14 MR. SPRUNG: Yes, the BWR is usually  
15 softer and not quite as -- sometimes not as  
16 radioactive because there's not so much nickel in it.

17 DR. GARRICK: Let me ask a couple of  
18 questions about the data. You said, in going from the  
19 Modal Study to 6672, you got better estimates for a  
20 number of reasons, among which was newer and better  
21 data, and you noted, Ken, that you especially got  
22 better data in the area of routes. A couple of  
23 questions there.

24 What did 6672 tell you about the  
25 sensitivity of risk to different routes, LNT

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1       notwithstanding?

2                   MR. SORENSON:    The way we looked at the  
3       routes was we looked at about 400 total routes between  
4       truck and rail and broke those into rural, suburban,  
5       and urban segments, and out of that, came up with the  
6       representative routes that we used for the risk  
7       assessment.

8                   I think what we can say about that is  
9       there is not a lot of sensitivity with respect to the  
10      final risk estimate.  There may be higher accident  
11      rates along one specific route, but in terms of the  
12      effect of, if you have an accident and release a  
13      source term, there's not much sensitivity in the  
14      actual route that anybody could select.

15                  I mean, a lot of people raise their hand  
16      and say, "Well, what about going down, you know,  
17      Highway 287?  You're going over a bridge and a chasm,  
18      and it goes off the edge and rolls down the hill?"  
19      Well, it may be a relatively dangerous route, but from  
20      the standpoint of if you have an accident and you have  
21      release of material from the cask, it is still a  
22      pretty remote possibility that will happen.  So you  
23      really don't have much effect on the --

24                  DR. GARRICK:    So you think you have  
25      substantial evidence that it is pretty much route-

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 insensitive?

2 MR. SORENSON: Yes.

3 DR. GARRICK: Route-independent?

4 VICE CHAIRMAN WYMER:: As far as accidents  
5 are concerned, not as fa as radiation is concerned.

6 MR. SORENSON: Well, as far as -- now you  
7 may have higher accident rates on specific routes,  
8 but --

9 DR. GARRICK: No, I think it is the other  
10 way around.

11 MR. SORENSON: Yes.

12 VICE CHAIRMAN WYMER:: No, it's not.

13 MR. SORENSON: But what I am trying to say  
14 is that, if you do have an accident, it is a higher  
15 accident rate route and you have an accident, chances  
16 are you are not going to have a release. As I  
17 mentioned earlier, the Modal Study said that, looking  
18 at all the accidents that have occurred in what we  
19 have records in the database, 99.4 percent of them are  
20 captured by the regulatory environment, which says  
21 that the cask will maintain its integrity.

22 VICE CHAIRMAN WYMER:: The does to people  
23 is much more likely to be from passing by it than it  
24 is from releases.

25 MR. SORENSON: That's right.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 VICE CHAIRMAN WYMER:: That would be  
2 route-dependent.

3 MR. SORENSON: That is correct.

4 DR. GARRICK: That's the chronic dose,  
5 yes.

6 DR. LEVENSON: Was there any measurable or  
7 any significant difference between truck and rail,  
8 aggregating all of the routes in two different  
9 categories?

10 MR. SORENSON: Jerry did that work; I'll  
11 let him respond to that.

12 MR. SPRUNG: Let me go back, first, to  
13 your question. We looked at actually about almost 800  
14 real routes, point-to-point routes, and aggregated the  
15 properties of those routes into distributions, and  
16 then sampled the distributions to run 200  
17 representative routes. So that the results of the  
18 risk calculations give you 200 complementary  
19 cumulative distributions. If you've ever seen what  
20 Sandia calls a "horsetail plot," if you plot them all,  
21 you get a black band.

22 Now if you look at the X axis down here,  
23 the risks are ranging over eight orders of magnitude.  
24 I mean, excuse me, the doses, population doses are  
25 ranging over eight orders of magnitude, and the risks

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 are going over something like twelve orders of  
2 magnitude. The band is about an order of magnitude  
3 thick from bottom to top.

4 Okay, so that in a sense, I mean, if you  
5 say an order of magnitude sounds big, compared to how  
6 the variation to everything else, the route is not  
7 having a big effect.

8 DR. GARRICK: That's right.

9 MR. SPRUNG: Now can I have your question  
10 again, Milt?

11 DR. LEVENSON: Yes. If you split that  
12 aggregation and aggregated truck versus rail, would  
13 the horsetails fall on top of each other or would  
14 there be significant displacement?

15 MR. SPRUNG: My recollection is that the  
16 Y intercepts of the CCDF and the band started about  
17 the same place, but, of course, the rail cask has much  
18 more fuel in it. Therefore, it comes down further off  
19 to the right in the plot. Of course, there's far  
20 fewer shipments because there's more stuff per  
21 shipment, and I don't right off the top of my head  
22 know how those two tradeoffs --

23 DR. LEVENSON: You didn't specifically  
24 look at that?

25 MR. SPRUNG: No. No.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. GARRICK: I wanted to ask another data  
2 question because I was always struck by the absence in  
3 these documents of much reference to the crash tests  
4 of 1975 through 1977, or whatever it was. What can  
5 you say about the use of the crash test in, say, 6672  
6 or even the modal analysis, the crash test data?

7 MR. SORENSON: We can use those I think in  
8 a qualitative sense. We didn't do a lot of  
9 instrumentation on those tests. We had some basic  
10 accelerometer data, photometrics, and those sorts of  
11 things, but the main purpose of those tests was to get  
12 some global behavior of the cask, to help benchmark  
13 some early code work that was being done back in the  
14 late seventies, and also to look for just gross  
15 behavior of the cask, and particularly if there is  
16 going to be any gross failure of the cask.

17 So from that standpoint, how that relates  
18 to the Modal Study and 6672, I think we, as engineers,  
19 had a good sense that these packages would perform in  
20 a robust and sound way, but we weren't able to really  
21 take data that we got from those tests and benchmark  
22 them to the analysis that we did in 6672 for those  
23 early rail tests and those sorts of things.

24 Jerry, would you agree with that?

25 MR. SPRUNG: This is a personal opinion.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I think those tests provide a visual demonstration  
2 that the cask is hard and the things that are likely  
3 to strike it are soft, and if you remember the rail  
4 locomotive test, the locomotive just deforms around  
5 the cask. Similarly, with the test, I think it was  
6 BNFL ran, where they slammed a train into a cask.

7 If you were trying to use those as a  
8 technical basis for a pre-test prediction, we didn't  
9 do it back then, and after the fact there wasn't  
10 instrumentation available to try it after the fact.  
11 So my sense was they generally gave us a sense that  
12 real accident environments that are within the  
13 credible range, not often these tiny tails that we  
14 address in a risk assessment, suggest that the casks  
15 are going to survive pretty much unscathed.

16 DR. LEVENSON: I guess, Ken, I've got to  
17 ask you one of your "stop beating your wife"-type  
18 questions.

19 (Laughter.)

20 You made the comment that in the area of  
21 fuel you have very little data and, therefore, you  
22 need the tests, but 6672 uses test data. I'm not  
23 vouching for how good that data is. I personally  
24 think it probably came from studies of reactor  
25 accidents. It may not be directly relevant.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   But why do you exclude that data? I mean,  
2 do you think, like I do, that maybe it isn't the best  
3 data?

4                   MR. SORENSON: Well, no, I wouldn't say we  
5 exclude it, but we're adding onto it. I think that is  
6 the Lorenz data, is that right, Jerry?

7                   MR. SPRUNG: Yes. The --

8                   DR. LEVENSON: I was talking about your  
9 comment that there's essentially no data on fuel.

10                  MR. SORENSON: I should say little data.

11                  MR. SPRUNG: There is a lot of data on how  
12 brittle materials fracture, and there's a lot of  
13 models on how a particle bed filters. None of it,  
14 though, applies to spent fuel or to depleted uranium  
15 dioxide.

16                  So the question of whether it is obvious  
17 that the particles that are present, the fuel fines  
18 that are normally in the rod, and the additional ones  
19 produced by impact or maybe thermal loads, whether  
20 they will form particle beds that will filter, it  
21 seemed to us it would be wise to do some tests that  
22 showed that the standard and traditional aerosol  
23 mechanics that everyone believes actually is  
24 applicable to spent fuel rods with spent fuel pellets  
25 in them, subject to severe impact loads. We expect,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 of course, to find that this quite true.

2 DR. LEVENSON: I understand that, but  
3 isn't the material referenced in 6672 based on  
4 experimental work at Oak Ridge with real fuel?

5 MR. SPRUNG: The Oak Ridge Lorenz  
6 experiments are all thermal. There is no impact  
7 fracturing. Therefore, it is not clear to what degree  
8 the release is inhibited by particle bed formation in  
9 filtering. So that we wanted to do something that  
10 would produce the amounts of particles you would see  
11 under a severe accident and then see whether they did  
12 do as much filtering as we claimed it did in 6672.

13 VICE CHAIRMAN WYMER:: Most of those were  
14 through pinholes that they deliberately drilled into  
15 the cladding, and many of them --

16 MR. SPRUNG: Or burst rupture under  
17 thermal load.

18 VICE CHAIRMAN WYMER:: And many of them  
19 were in steam environments as well.

20 DR. GARRICK: Have you taken whatever data  
21 you can find on particle fines and particle  
22 distribution and performed a parametric analysis of  
23 what this means in terms of dose calculations? In  
24 other words, how sensitive is a dose calculation going  
25 to be to these kinds of changes that are going to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 affect the source term?

2 MR. SPRUNG: In 6672, using traditional  
3 aerosol physics, we assumed that 99 percent of the  
4 particles at 10 microns or just below would be  
5 filtered out by passage through the particle beds. So  
6 that is a one hundred-fold reduction in the source  
7 term. That is significant.

8 Whether the change in the size  
9 distribution of the released particles below 10  
10 microns, you know, the respirable range, would have a  
11 significant effect we did look at.

12 DR. GARRICK: Yes. See, what I am getting  
13 at is, so what? If you do get a considerable  
14 distribution of fines and particle sizes, what does  
15 that really mean in terms of what we are concerned  
16 about; namely, the doses?

17 MR. SPRUNG: The thing we are trying to  
18 confirm is that hundred-fold reduction that we  
19 assumed, based on bed filtration. We believe that is  
20 real, but is it really a hundred-fold? Is it tenfold?  
21 Is it a thousand-fold? Without some real data for a  
22 spent fuel rod with its shrunken gap and crack  
23 network, without knowing something about maybe how  
24 real pellets fracture for the real pellet tests, we  
25 are really trying to confirm that traditional aerosol

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 physics gets us well in the ball park for the  
2 reductions in what gets out of the rod due to the bed  
3 formation and filtering, not trying to confirm with  
4 great precision the size distribution.

5 DR. GARRICK: Yes, and I think it is  
6 pretty clear, the more I read and study this, that  
7 what you are talking about here is not going to  
8 contribute much to a better calculation of the risk;  
9 that you are going to learn something about the  
10 thresholds at which these things fail, and at which  
11 you might get a rupture of the cask, and at which you  
12 might get some redistribution of material within the  
13 fuel elements, but as far as a risk calculation, a  
14 transportation risk, I am not very optimistic about  
15 this program helping you very much.

16 MR. SPRUNG: Let me try one more. I think  
17 we don't know for sure very cleanly. We have a  
18 computational result for the strains at which the rods  
19 would fail with small tears. If, for example, we  
20 would discover that, due to rod flexing, you know, the  
21 ability to bend, that the failure speed for tears and  
22 cracks was substantially higher than we assumed, we  
23 might actually decrease things quite substantially  
24 based on what we would learn from the impact test.

25 I mean, at the moment right now we really

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 don't know, other than by computation and by judgment,  
2 again, the speed at which a rod might fail and what  
3 the failure might look like.

4 DR. GARRICK: Yes, but my point is very  
5 simple: that the risk is not dependent upon the kind  
6 of events you are testing. That is my point. Because  
7 those events are going to be so rare and so much in  
8 the 10 to the minus 11, 10 to the minus 12, 10 to the  
9 minus 10 category, that they are not even going to be  
10 a visible contributor to the risk.

11 So, as we discussed in Sandia, from the  
12 science standpoint you are going to learn something,  
13 but from the risk of transportation I don't think  
14 you're going to learn much of anything. I suspect  
15 that if we did a real comprehensive risk assessment  
16 with uncertainties, that you would barely see anything  
17 in the distribution curves, if anything. That is my  
18 suspicion because you're outside the envelope. You're  
19 outside of the risk domain.

20 MR. SORENSON: Except that one point to  
21 add to that, though, is you may get fuel failure at  
22 lower speeds. Now you won't necessarily get closure  
23 opening and source term release, but --

24 DR. LEVENSON: But fuel failure does not  
25 generate any risk or --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. SORENSON: I agree.

2 DR. LEVENSON: You have to get canister  
3 failure, which you're completely ignoring, and you  
4 have to get --

5 MR. SORENSON: If the containment is  
6 sound, you won't --

7 DR. LEVENSON: You have to have an  
8 expelling mechanism to distribute it and, unlike  
9 reactor accidents, there's not much in the way of  
10 stored energy inside a cask for a dispersal mechanism.  
11 So the release from the fuel pin per se would not lead  
12 to dose.

13 MR. SORENSON: I agree. It has to have a  
14 way to get out.

15 DR. LEVENSON: Well, the canister, out  
16 through the cask, and there has to be a mechanism to  
17 disperse it. A hole isn't enough.

18 CHAIRMAN HORNBERGER: Another way to look  
19 at it is, suppose your filtration factor were 10  
20 instead of 100, would it affect your risk? Our  
21 suspicion is no. So doing the experiments to learn  
22 whether it's 10, 100, or 1,000 doesn't make any  
23 difference to risk.

24 MR. SPRUNG: If I go back to 6672,  
25 increase all my source terms by a factor of 10, then

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 my risks will all go up by a factor of 10. If I add  
2 a canister in there, then I suspect my risks go to  
3 zero because I suspect -- you know, we didn't have a  
4 canister in that study, and we don't see a very good  
5 way to fail a canister. That's one of the reasons, of  
6 course, that the NRC thinks we should be looking at  
7 canisterized casks in the Package Performance Study.

8 CHAIRMAN HORNBERGER: Right.

9 MR. SPRUNG: Whether it's obvious in  
10 advance of doing any testing that you can't fail a  
11 canister --

12 CHAIRMAN HORNBERGER: But suppose your  
13 risk does go up by -- suppose it is linear. Suppose  
14 it goes up by a factor of 10. Does that tell you that  
15 it is unsafe? I mean, you went down, what, two orders  
16 of magnitude or three orders of magnitude from your  
17 Modal Study, but the Modal Study didn't suggest that  
18 it was unsafe. Now you're saying, "Oh, now we'll go  
19 back up by a factor," and who cares?

20 MR. SPRUNG: I think the question of  
21 whether you try to show it is that your best current  
22 ability to analyze shows that it is still lower,  
23 whether that is worth doing is a choice I think NRC  
24 has to make, not the technical person.

25 CHAIRMAN HORNBERGER: But it's not based

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 on risk.

2 DR. GARRICK: Yes. See, it's another  
3 example of where the risk-informed perspective is not  
4 dominating the decisionmaking process.

5 DR. LEVENSON: Okay, Ray, questions?

6 VICE CHAIRMAN WYMER:: I wouldn't touch  
7 any of this.

8 (Laughter.)

9 DR. LEVENSON: John?

10 DR. GARRICK: No, I think I'm finished.

11 DR. LEVENSON: John?

12 DR. GARRICK: No, fine.

13 DR. LEVENSON: Okay. Well, I want to  
14 thank both you guys for coming, and getting from  
15 Albuquerque to here is no easier than getting from  
16 here to Albuquerque. We've done that.

17 MR. SORENSON: You did it last week.

18 (Laughter.)

19 DR. LEVENSON: So thank you very much.

20 MR. SORENSON: Thank you for your  
21 attention.

22 MR. SPRUNG: Yes.

23 DR. LEVENSON: I turn this back over to  
24 you, George.

25 CHAIRMAN HORNBERGER: Yes, my thanks as

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 well. That was very good.

2 MR. SORENSON: Thank you.

3 CHAIRMAN HORNBERGER: Excellent.

4 MR. MAYFIELD: Mr. Chairman, if I might?

5 CHAIRMAN HORNBERGER: Oh, I'm sorry.

6 MR. MAYFIELD: I'm the Director of the  
7 Division of Engineering Technology and Research, and  
8 the Package Performance Study is being managed out of  
9 my Division. There were a couple of points we wanted  
10 to make sure didn't get lost with the Committee or in  
11 the record.

12 We wanted to re-stress the point that Ken  
13 had made that the protocols are going to be published  
14 for public comment. They are going to be out late  
15 this month, and will be out through September. It is  
16 a 90-day public comment period.

17 We are looking specifically for input on  
18 things like choice of cask to be tested, impact  
19 speeds, the fire test parameters. We are then going  
20 to hold some public meetings in both Nevada and here  
21 to seek public comment on this.

22 As Ken pointed out, the test protocols are  
23 an initial proposal. We are keenly interested in  
24 stakeholder input on the nature of the tests and the  
25 specifics and the protocols. Once we get that public

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 comment, then we will finalize the test plan and move  
2 forward, but we did want to make sure that everyone  
3 understood that this is an initial proposal that is  
4 going to be put out for public comment.

5 DR. GARRICK: Yes, one of the concerns  
6 that the Committee has, I know, about this is that we  
7 don't want to find ourselves engaged in a program that  
8 results in a high likelihood of a ratcheting  
9 phenomena. In other words, it would be unfortunate if  
10 out of this came a requirement for changing the  
11 regulations, increasing the tests, and doing something  
12 that made transportation risk and outlier from a risk-  
13 informed regulatory point of view from other  
14 activities that you regulate.

15 MR. MAYFIELD: I understand.

16 DR. GARRICK: And you know, when you're  
17 dealing with the public and you talk enough about  
18 something, there's a tendency to think that that  
19 something should be the basis for the rules. I think  
20 we have to be very careful about that. I think that  
21 if we are going to do that, it has to be appropriately  
22 characterized. That's why we made the distinction in  
23 our discussion between something for the purpose of  
24 better understanding the risk and something for the  
25 purpose of better understanding the science.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           MR. MAYFIELD: I think that is an  
2 important point, and it was the second thing I wanted  
3 to emphasize. There was a lot of interesting dialog  
4 about the fuel piece of this and the risk  
5 considerations. The test we have asked Sandia, the  
6 primary focus for the structural interest, the  
7 structural test goes to being able to provide some  
8 validation for the computer codes that are used in  
9 analyzing the casks and to take that beyond the linear  
10 elastic regime, where I think everyone is convinced  
11 the computer codes work just fine.

12           There are a lot of us convinced the  
13 computer codes will work just fine beyond that, but  
14 the fact is we don't have the large-scale  
15 demonstration tests using modern-sized casks to  
16 demonstrate that fact. That was the driving interest  
17 in going into these tests, as opposed to evaluating  
18 any specific cask design or any particular beyond-  
19 design-basis, or they call it extra-regulatory  
20 conditions. It is to get enough velocity, enough  
21 energy into the cask so that you do, in fact, take it  
22 beyond the linear elastic regime.

23           DR. LEVENSON: The question I have is, if  
24 in the real world no accident, no case is going to  
25 take it there, why do we need to increase our

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 understanding of it?

2 MR. MAYFIELD: Well, I think that Ken  
3 pointed out you begin to be out in the tails of the  
4 distributions, and I'm not sure you can say with  
5 absolute certainty that no accident will take you  
6 beyond those --

7 DR. LEVENSON: No, but we have a basic  
8 philosophy that says, somewhere out on the tail  
9 there's a cutoff and we'll quit worrying about it.

10 MR. MAYFIELD: And the issue is to  
11 evaluate the computer codes, to make sure that as  
12 we're evaluating other designs and other conditions,  
13 that those computer codes have an experimental basis,  
14 that we can demonstrate our ability to do those  
15 calculations.

16 DR. LEVENSON: Why don't we do a cask test  
17 at 250 miles an hour?

18 CHAIRMAN HORNBERGER: It's too far out on  
19 the tail.

20 (Laughter.)

21 MR. MAYFIELD: It's too far out on the  
22 tail.

23 DR. LEVENSON: No, but that's my whole  
24 point: How far out on the tail? It seems to me  
25 that --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN HORNBERGER: I knew that was your  
2 point.

3 DR. LEVENSON: -- this is kind of an  
4 arbitrary --

5 CHAIRMAN HORNBERGER: I knew that was your  
6 point. You made your point very well.

7 (Laughter.)

8 MR. MAYFIELD: Well, again, I think that's  
9 part of your point, is why we're seeking public  
10 comment on the test protocols and stakeholder input,  
11 and, obviously, input from this Committee will be of  
12 interest to us.

13 MR. SORENSON: If I may interject real  
14 briefly, one example, Milt, to answer your question,  
15 is there's been some discussion about looking at  
16 accidents that do not involve the limiters, a back-  
17 breaker accident, if you will, where the cask is  
18 impacted in the middle of the cask, and a non-limiters  
19 example is a bridge abutment. If we can go to the  
20 point where we do this test and we can demonstrate  
21 that we can capture the response in the elastic-  
22 plastic regime for one case, we can say, you know, we  
23 can analyze that and we're confident that we can get  
24 the response of that cask analytically; we don't have  
25 to do a test for every scenario that you can think of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that might cause plastic deformation of the cask body.

2 DR. LEVENSON: But I guess, with the  
3 matter of how sensitive is this as a public issue, it  
4 seems to me that you could do the same thing by making  
5 a test vehicle that would be substantially cheaper  
6 than a commercial cask and one that you can design  
7 specifically to maximize the data you're going to get  
8 to validate a code. My guess is that an actual cask  
9 is not your first choice for a test vehicle, if  
10 primarily what you want to do is validate the code.

11 MR. MAYFIELD: If I could, coming from a  
12 research and large-scale experimental background, I  
13 can assure you I could design a test vehicle that  
14 would answer the question. However, the public  
15 interest is not being addressed by that kind of test  
16 vehicle, and that becomes a very important  
17 consideration.

18 DR. LEVENSON: But the public issue is  
19 answered by testing up to maximum probable conditions.  
20 When you go way beyond, that is not answering the  
21 public question.

22 MR. MAYFIELD: Well, I think the  
23 characterization of "way beyond" is what we're looking  
24 for some feedback on, and I think there is a range of  
25 views about how far is too far.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. LEVENSON: Well, you know, some of the  
2 tests, preliminary test protocols for fuel go up to  
3 150 miles per hour, and that's pretty far beyond.

4 MR. MAYFIELD: Again, that is why we are  
5 seeking some stakeholder input.

6 (Laughter.)

7 CHAIRMAN HORNBERGER: I said, tongue-in-  
8 cheek, to my colleagues, I guess over lunch, that I  
9 really am glad that you folks weren't in charge of  
10 designing the Verrazano-Narrows Bridge.

11 (Laughter.)

12 Any other comments?

13 (No response.)

14 Okay, we're going to break here. We'll go  
15 off. We don't need to be on the record any longer.  
16 Let's take a 10-minute break and reconvene. We'll  
17 talk about some letters.

18 (Whereupon, the foregoing matter went off  
19 the record at 5:20 p.m.)

20

21

22

23

24

25

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701