

Official Transcript of Proceedings

NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Nuclear Waste
138th Meeting

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Wednesday, November 20, 2002

Work Order No.: NRC-656

Pages 296-560

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON NUCLEAR WASTE

(ACNW)

138th MEETING

+ + + + +

WEDNESDAY,

NOVEMBER 20, 2002

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

The Advisory Committee met at the Nuclear
Regulatory Commission, Two White Flint North, Room
T2B3, 11545 Rockville Pike, at 10:00 a.m., George M.
Hornberger, Chairman, presiding.

COMMITTEE MEMBERS:

GEORGE M. HORNBERGER, Chairman

RAYMOND G. WYMER, Vice Chairman

B. JOHN GARRICK, Member

MILTON N. LEVENSON, Member

MICHAEL T. RYAN, Member

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ACNW STAFF PRESENT:

2 JOHN T. LARKINS, Executive Director, ACRS/ACNW

3 SHER BAHADUR, Associate Director, ACRS/ACNW

4 HOWARD J. LARSON, Special Assistant, ACRS/ACNW

5 MICHAEL LEE

6 RICHARD K. MAJOR

7 RICHARD P. SAVIO

8

9 ALSO PRESENT:

10 BRITTAIN HILL, Center for Nuclear Waste

11 Regulatory Analyses

12 JOHN TRAPP, NMSS, NRC

13

14

15

16

17

18

19

20

21

22

23

24

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

C-O-N-T-E-N-T-S

<u>Agenda Item</u>	<u>Page</u>
Scientific Update on the Igneous	
Activity Issue at Yucca Mountain	
John Trapp	302
Britt Hill	327
<u>Transportation Working Group Workshop</u>	
Introduction, Milton N. Levenson	369
Transportation Safety in the U.S. and Worldwide	
Presentation of Rick Boyle	371
Presentation of Kevin R. Blackwell	383
Summary of DOE Shipping Experience	
WIPP Shipping Experience	418
Alton Harris	
Foreign Fuel Shipment Experience	429
Maureen Clapper	
Navy Fuel Shipment Experience	444
Don Doherty, DOE	
Summary of Utility Experience	
Progress Energy, Robert Kunita	486
Public Comments	540
Workshop Summary and Discussion	546

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

P-R-O-C-E-E-D-I-N-G-S

(10:00 a.m.)

1
2
3 CHAIRMAN HORNBERGER: The meeting will
4 come to order. This is the second day of the 138th
5 meeting of the Advisory Committee on Nuclear Waste.
6 My name is George Hornberger, Chairman of the ACNW.
7 The other members of the committee present are Raymond
8 Wymer, who is vice chairman, John Garrick, Milton
9 Levenson and Michael Ryan.

10 Today the committee will, one, hear a
11 scientific update from the NRC staff on the igneous
12 activity issue at Yucca Mountain and two, after
13 completion of that presentation and discuss, the
14 committee will adjourn for lunch, an important item,
15 and then at 12:30 this afternoon, we will continue our
16 workshop on the transportation of spent fuel in the
17 Two White Flint Auditorium, which is downstairs.

18 Mike Lee is the designated federal
19 official for today's initial session and I hear from
20 Mike that he took three days of training to learn how
21 to be a DFO. I think he'll be good at it. This
22 meeting is being conducted in accordance with the
23 provisions of the Federal Advisory Committee Act. We
24 have received no written comments or requests for time
25 to make oral statements from members of the public

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 regarding today's sessions. Should anyone wish to
2 address the committee, please make your wishes known
3 to one of the committee staff.

4 It is requested that the speakers use one
5 of the microphones, identify themselves and speak with
6 sufficient clarity and volume so that they can be
7 readily heard. Before proceeding, I would like to
8 cover some brief items of interest. Andy Campbell
9 left the ACNW staff in October to become a Section
10 Leader in the Division of Waste Management. Andy will
11 be leading the Environmental and Performance
12 Assessment efforts we wish him well.

13 We welcome Neil Coleman, Neil's around
14 somewhere, there he is, okay. We welcome Neil Coleman
15 who joined the ACNW staff for a two-year temporary
16 term as an ACNW Senior Staff Scientist. Neil has been
17 with the NRC since 1983. He comes from NMSS where he
18 served as staff hydro-geologist and program element
19 manager for USFIC. Neil is a well-known hydro-
20 geologist and geo-morphologist. He received his MS in
21 geology from the University of South Florida.

22 Congratulations are due Jenny Gallow, who
23 was selected in September as Chief Operations Support
24 Branch, ACRS/ACNW. We also welcome Dr. Hussein
25 Norbash (phonetic) who has been appointed Senior

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Fellow for ACRS/ACNW. His Ph.D. is in chemical
2 engineering from the University of Minnesota. He
3 formerly worked at the Brookhaven National Laboratory
4 in Upton, New York. For those of you who need a
5 geography lesson, that's on Long Island.

6 Recently the ACRS welcomed Michael
7 Snodderly (phonetic) and Ramin Assa as Senior Staff
8 Engineers. Mike has been with the NRC since 1989.
9 Before coming to the NRC, he worked at the Calvert
10 Cliff Nuclear Power Plant for three years. Mike has
11 a BS in nuclear engineering from the University of
12 Maryland.

13 Ramin has been with the NRC since 1991.
14 Before joining NRC he worked with Consolidated Edison
15 for seven years. He has a BS in nuclear engineering
16 and an MS in mechanical engineering from the New
17 Jersey Institute of Technology and a Masters degree in
18 international management from the University of
19 Maryland.

20 DOE announced that in early December W.
21 John Arthur will replace J. Russell Dyer (phonetic) as
22 Deputy Director for Repository Development. His
23 offices will be in Las Vegas and he will have prime
24 responsibility for building and licensing the Yucca
25 Mountain Nuclear Waste Repository Project. I presume

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that should be licensing and then building. Mr. Dyer
2 will stay on the project as Senior Project Advisor.
3 A \$230 million contract extension for clean-up of the
4 West Valley Demonstration Project has been awarded to
5 West Valley Nuclear Services Company. During the 27-
6 month extension period activities will focus on
7 decontaminating the former reprocessing facility in
8 New York State and completing the construction of a
9 facility that will be used to remotely process and
10 package waste for offsite shipment.

11 Okay, so we now go to our regular meeting
12 and our one item on the agenda for this morning is an
13 igneous activity update. The committee has been
14 interested in the issue of igneous activity and
15 potential consequences for the proposed Yucca Mountain
16 Repository. And this is an update. We've heard I
17 think extensive presentations. We had a pretty long
18 meeting, was that in June, Mike? I think it was in
19 June. And so this is going to be an update and we
20 have with us John Trapp and Britt Hill, who will do
21 the presentations, and because we have only until
22 11:30, without further ado, here's John Trapp.

23 MR. TRAPP: Good morning. Can you hear?
24 Is this mike okay? I can be heard okay. Okay, good.
25 Can you hear me? Yeah, there will be two

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 presentations this morning. In preparing for this and
2 in discussions with Mike Lee, you wanted to hear those
3 things which are significant and because of the time
4 frame, we picked these two items; one which is a
5 discussion of the interim report of the DOE sponsored
6 peer review and the other which is a discussion of a
7 combination of the aeromag data and its effect on
8 probabilities. We feel these are the most risk
9 significant items that we can be talking about this
10 morning.

11 I want to point out that what I'll be
12 presenting is my take on the most significant points
13 of the presentation. There may be some people that
14 would go through and pick out one or two other things
15 but we can discuss any of these as we go. If we go
16 into the background, the panel was formed initially in
17 the spring of 2002, basically under Bechtel SAIC
18 working at the request of DOE.

19 The basic task was to review the technical
20 basis used to analyze the consequences of igneous
21 events and to recommend any additional tasks that
22 would significantly strengthen the program. They had
23 a kickoff meeting in May. We attended that meeting.
24 The interim report was issued in August and in
25 September they had a panel meeting on it. I believe

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the committee has been given copies of this report.
2 Okay, well, if need be the report can be found at the
3 DOE website. I've got the web address at the bottom.

4 DR. BAHADUR: We got copies.

5 MR. LEE: It was in Dr. Hinze's trip
6 report. We had that whole package.

7 CHAIRMAN HORNBERGER: I'm sorry, I have
8 seen it.

9 MR. LEE: Yes, we have it.

10 CHAIRMAN HORNBERGER: That was the
11 appendix to Bill's.

12 MR. LEE: Yes.

13 CHAIRMAN HORNBERGER: The appendix
14 actually didn't come through but I knew it was there.

15 MR. LEE: We have it.

16 MR. TRAPP: If I can kind of cut to the
17 chase, what really is the bottom line of the report.
18 The main emphasis of the report was on magma-
19 repository interactions. I'd like to point out that
20 this is one of the agreement items that we've got with
21 DOE, Agreement 2.18. And it really goes into the
22 Woods, et al paper and the various ramifications of
23 this. If you take a look at Woods et al, one of the
24 things that everybody gets totally hung up with is the
25 initial transient, the shock wave, whatever we want to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 call it. But if you go through the paper, one of the
2 things that comes out is the initial transient does
3 not cause significant damage to the canisters.
4 Therefore, the initial transient, and you can argue
5 about the values, parameters that were put in. If you
6 say that ours were too conservative, even with those
7 values, they do not cause damage but the other points
8 that come out of this is the follow-through, the flow
9 through the repository can cause significant effects
10 and the possibility of openings being raised at other
11 spots.

12 If you take a look, the panel recognized
13 this and I think page 49 kind of summarizes it, this
14 is a so-called dog-leg scenario which needs further
15 careful study. So they recognized that this is a real
16 concern and I'll be going through and I'll be
17 discussing some of the things they are suggesting.
18 They do suggest additional modeling, for instance, a
19 more comprehensive calculation of magma flow after
20 intersecting a drip is required. And if you do take
21 a look at this report, you'll find that there's about
22 30 pages of very extensive mathematical formulas in
23 the appendix which goes through these various
24 problems, how you can formulate the problem, how you
25 can take care of some of these things, which I'll

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 discuss a little bit later.

2 So there is quite a bit of extensive
3 material in there, even if it is an interim report.

4 One of the things the panel recognized was
5 the importance of the dose. Now some of the
6 discussion you've heard before was suggesting
7 volatiles below half a percent. If you take a look,
8 for instance, at our RRSR, our number has always been
9 it has to be greater than two percent, something like
10 two to five. Well, the panel basically said two and
11 a half to four percent was their best estimate as to
12 the volatiles that they'd got. However the effect of
13 CO2 hasn't been considered and it's something they
14 feel should be added in here.

15 They're worried about the timing and the
16 amount of the vapor phase as it effects the transport
17 processes. Timing really here is mainly looking at
18 the relationship of any possible event to the thermal
19 cycle that the repository goes through. The effect of
20 the thermal cycle will effect how the dike would
21 interact with the repository. I note that this is
22 really a complex mixture. You're not looking at a
23 standard fluid, you're looking at a multi-phase fluid.
24 And one of the real problems in trying to analyze this
25 is the thing evolves passively.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 As it moves, as it gets closer to the
2 surface, you've got bubbles absolving, et cetera. As
3 they absolve, it moves faster, changes its properties.
4 As it changes its properties more bubbles will
5 absolve. So you are not looking at something that is
6 a easy item model. Other suggestions they talked
7 about, well, in addition to the CO2 you should take a
8 look as some of the sulfur bearing species, hydrogen
9 sulfide, sulfur dioxide and metsopick (phonetic).

10 And some effort they recommended taking a
11 look at the amphibole-bearing species because this
12 will give you a better handle as to how the actual
13 amount of how the water is in the system. There was
14 a tremendous amount of discussion on dike propagation
15 and a tremendous amount of concern with the properties
16 of the dike tip. One of the problems here is that the
17 theory in this really doesn't fit observations. If
18 you go through the theory, you should be talking about
19 dikes in the Yucca Region of about 20 kilometers or
20 so. You don't have dikes like that. You've got dikes
21 a couple kilometers, maybe up to five.

22 One of the things I will point out again
23 in the appendices they recognize this and they talk
24 about different modeling that can be done to
25 compensate for this non-juxtaposition between theory

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and practice. They point out that the property of the
2 magma tip is important. What is it you really got in
3 that area? Do you have a vapor phase, do you have a
4 degassed fluid, the magma itself or most likely do you
5 have a bubbly mushy mixture, et cetera?

6 It should be noted that the state of the
7 models, and this is my way of stating it, are really
8 1.5-D. What they do is they take a 1-D flow model and
9 couple it with a 2-D rock mechanics model to do these
10 type of calculations. So you are trying to get a
11 better understanding of these things but the full 2-D
12 and 3-D really are not state of the art. We don't
13 have the parameters, properties, et cetera, to get
14 into it. The 3-D models that they sometimes talk
15 about are really two of these 1.5-D, one in a vertical
16 and one in a horizontal and this is what they call a
17 pseudo-3-D model.

18 Again, look at the appendix. There's a
19 tremendous amount of math in there and they do
20 recommend that you don't go to these 3-D models. Take
21 a look at what they call 2-D models, use these in
22 volume conditions to get a better idea of exactly how
23 material will move and interact.

24 One of the differences, and it's been
25 brought out before, the conditions of the dike tip.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The panel believes it's less active than we do. One
2 of our concerns here really is if you take a look at
3 the dike tip, the actual size and volume
4 considerations of the dike tip is extremely small
5 compared to the mass of material which is moving
6 through the repository. They recommend more modeling
7 and I will note here that they had seen during the
8 initial presentation a -- some work by Gaffney from
9 DOE. They think that this may be a good first pass at
10 understanding and computing mass flow through the
11 system. I would assume in the final model or final
12 report they will have looked at this in much more
13 detail and give much more detailed recommendations on
14 this.

15 They also recognize the complex state of
16 rock stream, effect of faults and topography, and the
17 possible effects that these could have on the magma
18 flow processes. If you go back to the presentation
19 similar to the ones Britt Hill has made previously to
20 the committee, you'll remember these different
21 diagrams where he's showing the location of the
22 repository in relationship to the topography of Yucca
23 Mountain and discussing this. This is basically the
24 same concept that's being brought through. So their
25 recommendation really is that you have to consider the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 effect of surface topography, the strain or response
2 and all this during the thermal period.

3 One of the interesting things that they
4 brought up is the possibility of sill formation or
5 actually having the dike spreading out in a horizontal
6 manner in this area.

7 If you get into some of the other
8 activities or recommendations, they have concerns
9 listed with redistribution, magma waste package
10 interactions and magma waste form interactions. I'll
11 point out that these three items are also part of our
12 agreements with DOE for things that have to be
13 studied. They did recommend also more modeling, but
14 the panel recognized their shortcomings in their
15 mixture of the panel. They didn't have people that
16 really were specialists in this area.

17 So you end up with very general
18 recommendations. Further review by qualified expert
19 worth considering.

20 CHAIRMAN HORNBERGER: John, are there
21 experts in this?

22 MR. TRAPP: Yes.

23 CHAIRMAN HORNBERGER: Experts in how
24 packages behave in contact with magma?

25 MR. TRAPP: Well, not really magma, but

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 experts in mechanics of package response.

2 CHAIRMAN HORNBERGER: Mechanics of
3 packages, so that's what you mean, okay.

4 MR. TRAPP: I guess I got ahead of myself.
5 And they also agree of fragmentation of the waste,
6 this was a concern.

7 Scheduled activities; well, one actually
8 which is in the past and I believe you also were
9 getting copies of this, but there is an interim review
10 of this by consultants for NWTRB, the same ones that
11 you had when you were giving your presentations and if
12 you don't have it, again, here's the web address that
13 you can pull these up. While there may be a slight
14 difference in emphasis in there, I think what you'll
15 find in those reports agrees with what I've presented
16 today.

17 The peer review report was scheduled
18 initially in December and then January, but it looks
19 like it's going to be February right now. One of the
20 problems that DOE had is Bob Budnitz, who was chairman
21 of the panel, received an offer from DOE that he had
22 to accept. It was just too good to turn down, and so
23 this reformatting of the panel and putting a different
24 chairman in charge has caused a little bit of a delay.

25 PARTICIPANT: Did they select a new

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 chairman?

2 MR. TRAPP: Pearson, I believe is the --
3 is that right, Britt? I think Pearson, yes.

4 The one report that we're interested in is
5 actually, while we want to see the final panel report,
6 we're more interested in a follow-up DOE report
7 because that report, which is scheduled for about two
8 months after the panel report comes in will list what
9 DOE is going to be doing in response to the panel
10 recommendations and this will figure out how the
11 program evolves and we plan on briefing you following
12 this review.

13 I was asked to give also my thoughts on
14 how it effects our program. Well, I pointed out and
15 I'll point out in this bullet -- I'm not used to
16 giving it this way. I'm usually standing up wandering
17 around to see what's going on. But basically the
18 report supports the concerns that we've raised and the
19 basis for these various agreement items. They're
20 areas that have to be worked at, looked at, et cetera.

21 Then if you'll take a look at the NRC
22 sponsored investigations, they really form the basis
23 for a lot of these concerns. One of the things I was
24 pleased to see throughout this report was many
25 references to the igneous activity IRSO (phonetic).

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And I think very honestly that if you take a look at
2 this review, you couple it with what's coming out of
3 the risk insights, what we'll show is that we have
4 been and are continuing to work on those things which
5 are appropriate. That's my presentation for today and
6 I'm open to any or all questions.

7 CHAIRMAN HORNBERGER: Okay, good. Thank
8 you, John. That was a good summary of the interim
9 report and you do think that -- I mean, your
10 anticipation is that the delay will be slight and it
11 will be February?

12 MR. TRAPP: My discussions which was last
13 week, was that February should be a real number.

14 CHAIRMAN HORNBERGER: Okay. Questions
15 from members, Mike, John?

16 MEMBER GARRICK: I just wanted to make
17 sure I understood what you were saying, John. You
18 said the issue is not so much the shock wave analysis
19 and the impact on the waste packages in terms of
20 violating their integrity as it was on flow-through.

21 MR. TRAPP: Long-term flow-through.

22 MEMBER GARRICK: Long-term flow-through,
23 but that you mean pathways, creation of pathways?

24 MR. TRAPP: Pathway creation, the amount
25 of time that the packages will be sitting in this type

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of environment. The -- if you do a thermal response
2 or a shock response under the initial conditions, the
3 package is sufficiently robust that there's really no
4 effect. You put it under these conditions, the
5 temperature that you've got, the magma -- the package
6 really cannot stand this type of thing. This shows up
7 in NRC calculations, it shows up in DOE. The only
8 question really is the amount of damage that's going
9 to be happening to the package. The over-pressure in
10 the package alone is considered sufficient from the
11 heating to rupture the end caps, this type of thing.

12 Again, if you go back to the presentation
13 that Britt had a couple months ago, he discussed some
14 of these things the fact that actually after you get
15 a waste package of C-22 heated up to these
16 temperatures, you really don't have C-22 any more,
17 you've got something else and the package is extremely
18 brittle and has lost most of its strength.

19 MEMBER GARRICK: So it would just
20 accelerate the whole waste mobilization process but it
21 wouldn't necessarily be a short-term or it is.

22 MR. TRAPP: It depends on what you mean
23 short-term. It's short in the lifetime of the
24 repository.

25 MEMBER GARRICK: Well, it's short in terms

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of with respect to the current time constants being
2 used for establishing doses, but not short in terms of
3 it happening immediately at the time of the event.

4 MR. TRAPP: No, the thing is, it won't --
5 we're not concerned with the first few seconds. Now
6 the flow of the volcano is going to be days to weeks.
7 In that time frame, the thermal effects on the package
8 are sufficient to cause package failure. The package
9 failure at that time can cause, if you're talking
10 groundwater, opening up for groundwater, but if you're
11 talking these multiple pathways or the dog-leg
12 scenario, et cetera, there you're talking about
13 bringing more canisters that are now damaged into the
14 path of the magma and possibly incorporating more
15 material.

16 If you go through that, then this flow
17 really becomes important because you're talking about
18 possibly segregating the flow so you've got magma in
19 certain spots, you've got gas in the others. You're
20 trying to figure out the total amount of damage of the
21 package and the velocities and carrying capacities of
22 this material to determine if you can incorporate
23 waste and how much waste you can incorporate.

24 MEMBER GARRICK: And with these new
25 analyses, you're still talking about the same order of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 likelihood in terms of the frequency with which such
2 events might occur?

3 MR. TRAPP: Frequency of which the initial
4 event occurs. Britt will actually go into more detail
5 on that later but we haven't gotten to the point, and
6 DOE has not gotten to the point where you could sit
7 there and put a number on is it more likely to go up
8 or is it more likely to follow one of these dog-legs.
9 That's what some of the ongoing research has to
10 determine.

11 MEMBER GARRICK: Okay, thank you.

12 CHAIRMAN HORNBERGER: Raymond?

13 VICE-CHAIRMAN WYMER: I certainly do not
14 have a comfortable feeling that there's a very good
15 understanding of the modeling activities at this
16 point. Practically everything that you presented that
17 was looked at during this panel and in the report was
18 more modeling needed, more modeling needed. And it's
19 a very complex situation, almost unbelievably complex.
20 Is there any reason for optimism that any realistic
21 useful modeling will be done in the time frame of the
22 licensing process?

23 MR. TRAPP: I really would have to defer
24 to DOE on that. They've got a tight schedule. I know
25 they have started some of the modeling already. For

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 instance, I did mention the work of Gaffney. So there
2 are some things ongoing but the total program, the DOE
3 and others responding to this, I really cannot tell
4 you until I get their report following the final
5 report.

6 VICE-CHAIRMAN WYMER: I bet you have a
7 feeling.

8 MR. TRAPP: They've got a lot of work to
9 do is the way I'll phrase it.

10 VICE-CHAIRMAN WYMER: Okay. Thanks,
11 that's all.

12 CHAIRMAN HORNBERGER: Milt?

13 MR. HILL: I'd like to add just a point,
14 if I may. This is Britt Hill from the CNWRA. While
15 I don't think we're going to get to a good process
16 level model where we are going to have a realistic
17 representation of magma flow, I think we're going to
18 have some good constraints on the real important
19 processes that will allow us to evaluate the canister
20 response and also the potential for waste
21 incorporation.

22 If we'd just take a step back from the
23 initial modeling and look and say we're not getting an
24 over-pressure that caused instantaneous failure of a
25 waste package. So a lot of the argument about the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 initial couple of seconds really doesn't have a high
2 risk significance to it right now. Some of the
3 discussion is whether the magma flow following that
4 initial decompression will be on the order of 100
5 meters a second of it there's low volatiles maybe 10
6 meters a second, about 20 miles an hour, but we're
7 still talking about a pressure gradient that has magma
8 flowing relatively rapidly, a lot faster than somebody
9 could walk, into a drip and so there's going to be
10 minimal thermal effects because the mass of the waste
11 packages versus the tunnel diameter versus that mass
12 of magma relative to a 20-mile an hour emplacement
13 rate is going to be pretty small. So we're talking
14 about heating and thermal effects.

15 We've constrained some of this to say that
16 yes, we're going to have flow, there's going to be
17 within some range of uncertainty that flow, and we're
18 going to have to consider waste package response. And
19 we can narrow it down to two alternatives; is that
20 magma going to go straight up from where it
21 intersected or is it going to have some sort of a dog-
22 leg and effect the source term? We can develop
23 alternative conceptual models for both of those
24 scenarios and evaluate the risk significance.

25 VICE-CHAIRMAN WYMER: So you're saying or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 at least suggesting that you think there will be
2 enough information available at the time of the
3 license application review to make a judgment about
4 the DOE's presentation?

5 MR. HILL: I think we'll have enough from
6 alternative conceptual models to evaluate the risk
7 significance of these distinct possibilities. I don't
8 know if we'll be able to get a robust estimate of the
9 likelihood of each scenario occurring. That may not
10 be a tractable sort of problem, but I think we can
11 evaluate to a first order, the fundamental physics and
12 chemistry and mechanics of what's going to be going on
13 in this very complex process. The challenge is trying
14 to come up with a process level model that says we
15 don't have to worry about it. It's a little bit
16 easier to say, well, assuming first order
17 relationships, could this be a concern, yes or no.

18 VICE-CHAIRMAN WYMER: So you think at the
19 proper time you will be able to evaluate the risk.

20 MR. HILL: Yes, I think we'll have enough
21 information to consider a do range (phonetic) of
22 alternatives.

23 VICE-CHAIRMAN WYMER: Thanks.

24 MR. TRAPP: The uncertainty, as Britt's
25 pointed out, will be quite large.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 VICE-CHAIRMAN WYMER: Yeah.

2 CHAIRMAN HORNBERGER: Milt?

3 MEMBER LEVENSON: Yeah, I have a little
4 more specific question. The modeling that was done
5 that led you to the conclusion that the containers
6 waste packages were likely to disintegrate rather
7 rapidly following the initial, did that analysis --
8 was that a good thermal analysis in the sense that the
9 -- I think it's a safe assumption that the magma is
10 not super-heated and the waste packages have a large
11 amount of heat capacity. They almost certainly are
12 going to almost instantly be covered with a shell of
13 frozen material. Is that level of detail in your
14 model or are you assuming constant temperature
15 exposure of the waste package independent of things
16 like heat capacity? I mean, I think that's a type of
17 analysis that's much simpler to do than things like
18 magma flow.

19 MR. HILL: This is Britt Hill again. In
20 the IRSR Revision 2, 1999, we did a simplified
21 conductive cooling model using the heat capacity of
22 the waste package considering the heat capacity of the
23 magma. We did not go into secondary quench effects
24 but even if you have a quench of magma, that quench is
25 probably at about 900 degrees C, so the magma is solid

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 at about 950 degrees centigrade. So even though it is
2 quenched, it is still awfully hot relative to the sort
3 of temperatures that we see grain boundary effects in
4 C-22.

5 MEMBER LEVENSON: Well, it's hot but it
6 doesn't have a great deal of heat capacity to transmit
7 when it's solid. Was this an actual heat transfer-
8 based calculation?

9 MR. HILL: It assumed -- I'm trying to
10 remember from the analysis. I don't think it looked
11 at the change in conductivity between the magma itself
12 and the waste package.

13 MEMBER LEVENSON: Okay.

14 MR. HILL: We have been asking the
15 Department of Energy for a more detailed analysis of
16 what would happen to a waste package that's in the
17 flow path because we're not dealing with a static
18 magma. This magma is flowing in the order of tens of
19 meters per second past the waste package, so it's not
20 a simple stagnation and cooling relationship. We have
21 melt-back phenomena on dikes, for example, where you
22 may have an initial quench but as the material
23 underneath the quench deforms, the quench would be on
24 the order of centimeters and would likely degrade and
25 fall back.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So it's a very complex phenomena on the
2 scale of hours that we're going to be trying to model.

3 MR. McCARTIN: This is Tim McCartin. If
4 I could add one thing and I guess I want to make sure
5 this is clear, that there are at least two levels that
6 I think are being discussed here. From a performance
7 assessment standpoint, there is an assumption in the
8 Code that both ourselves and DOE make that the waste
9 packages that are contacted by magma offer no
10 protection whatsoever and so -- and all the waste is
11 incorporated and taken up. Some of this detailed
12 modeling is direct -- how conservative is that and
13 part of what's being looked at is the -- are there --
14 is there a technical basis for assuming less than that
15 but right now, the performance assessment analysis you
16 see both ourselves and the Department undertake assume
17 no protection and so that -- you know, be aware that
18 this is being investigated sort of what might call an
19 off-line analysis more detail to see how appropriate
20 the assumptions in the PA, how bounding are they, how
21 conservative. Maybe they're right on the money but
22 there is two levels of analysis going on here.

23 MEMBER LEVENSON: I appreciate that, Tim,
24 and I understand. I have no question and no problem
25 about making certain conservative assumptions in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 connection with licensing. But I start to get a
2 little bit hung up when the analysis which is supposed
3 to be risk informed, starts including such assumptions
4 that are rather extreme, might be appropriate for
5 licensing but I don't think they're appropriate when
6 we're trying to do best estimate analysis.

7 MR. TRAPP: We have discussed this with
8 the waste package people and I can't get any waste
9 package person in the eruptive phase to tell me that
10 the package is going to last. If I could get somebody
11 to say that, maybe I'd feel that this was not a
12 correct assumption, but --

13 MEMBER LEVENSON: Well, I'm just trying to
14 sort out whether this is an assumed situation or is
15 really a result of calculation.

16 MEMBER GARRICK: I think what Milt's
17 really saying, is there an engineering mechanistic
18 model associated with the degradation of the waste
19 package?

20 MR. TRAPP: Aside from the impact end cap
21 failure, not really.

22 MEMBER GARRICK: Yeah, okay.

23 MR. McCARTIN: Yeah, and from a
24 performance standpoint, we took what might be a
25 conservative assumption and what you're seeing is that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 was our first step, let's assume this and now analyses
2 are being done looking at this very complex problem,
3 as John and Britt have talked about many times and is
4 there a technical basis for backing off that and it's
5 not an easy path. That's the hard part of it.

6 MR. TRAPP: Again, I'll point out that the
7 panel recognized it. They also said that they didn't
8 have the right people but it needs to be looked at.
9 So it is a problem that is being looked at and it's
10 one of our agreement items.

11 MEMBER LEVENSON: Part of the background,
12 John, is yesterday in our workshop on transportation
13 information was presented that indicated that for a
14 waste package in transit, not this waste package but
15 a CAS (phonetic), that something like 30 hours in a
16 1400-degree fire, the internals fuel inside hadn't
17 come anywhere near failure rate even. So --

18 MR. TRAPP: Well, first off, it is a
19 different material.

20 MEMBER LEVENSON: It's a different
21 material but they also did not have any incipient
22 insulating phenomena like solidification of magma.
23 This was a live flame and this is just because of the
24 very large heat capacity, which as to be taken into
25 account. If you omit taking that into account, you're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 not doing best estimate. I don't want to get into a
2 detailed discussion. It's just that we would like to
3 see best estimate analysis.

4 MR. TRAPP: The analysis in the IRSR
5 basically took a look at two different cases; one
6 which we thought was a high transfer function, one
7 which we thought was a very low transfer function.
8 What it amounts to in both cases you end up with these
9 temperatures above the 800, 900-degree C well within
10 the time frame of volcanic activity.

11 MR. HILL: This is Britt Hill. Again,
12 those were scoping calculations. They were not a
13 detailed engineering analysis but they were sufficient
14 and coupled with what we see for volcanic eruptions
15 that we could come up with no technical basis, nor has
16 the Department of Energy come up with a technical
17 basis that would indicate a waste package in the
18 throat of an eruptive assaultive volcano would remain
19 intact given the duration of activity would be on the
20 order of hundreds of hours of exposure to these
21 temperatures and neglecting all components of
22 mechanical force.

23 CHAIRMAN HORNBERGER: And I think what
24 both of you are saying is that they analysis would
25 have to take into account that the dog-leg scenario

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 would, in fact, be different than being caught in the
2 throat of an erupting volcano. And these heat
3 transfer mechanisms really would be different in the
4 two cases, right?

5 MR. HILL: I'm not sure that would really
6 be the case though, because the pathway to the surface
7 would be along that dog-leg and so we're looking at
8 there would be some potentially different effects from
9 the volatiles, just we'd have to consider bubble
10 ascent in that conduit, but what we're really saying
11 is the throat of the volcano, that conduit, would go
12 horizontal for a bit and that's really the only
13 mechanical difference in the dog-leg versus a standard
14 vertical conduit in a typical volcano.

15 MR. TRAPP: There is a difference in the
16 type of fluid. The segregation of bubbles could cause
17 a difference in the analysis.

18 CHAIRMAN HORNBERGER: John, did you have
19 something else?

20 MEMBER GARRICK: No, I was just going to
21 make the off-hand remark that maybe there needs to be
22 more of an engineering analysis presence in the
23 effort. I don't know who you have on that peer review
24 committee and whether there's any real engineering
25 modelers on it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. TRAPP: No, not for this type of thing
2 and they recognize it and they say that they should
3 have a qualified expert take a look at this problem.
4 It's up to DOE to decide if they want to augment the
5 panel and bring in other people but they recognize the
6 problem and say, "Look, it's got to be responded to".

7 CHAIRMAN HORNBERGER: Okay, well, I just
8 want to congratulate Ray Wymer for using the word
9 optimism in a question to John Trapp.

10 (Laughter)

11 MR. TRAPP: That's something that normally
12 does not happen.

13 CHAIRMAN HORNBERGER: And I think now
14 we'll move on to Britt Hill, who will update us on
15 probability.

16 MR. HILL: Okay, well, do I need to shout
17 or is everybody hearing okay?

18 CHAIRMAN HORNBERGER: Need to just check
19 with the reporter. You can hear him, okay.

20 MR. HILL: Well, I think I'll stand up
21 because sitting down just feels a little too much like
22 testimony to be comfortable. I'm going to talk today
23 on some of the recent developments in the area of
24 probability that are arising from uncertainties about
25 the number and age of volcanos current buried within

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 about 30 kilometers of the proposed repository site.

2 I'll just jump right into it and set the
3 stage. Back in 1995, the Department of Energy
4 conducted an elicitation for the probability of
5 volcanic hazards in the Yucca Mountain Region. There
6 had been some aeromagnetic surveys, these geo-physical
7 surveys that were conducted as part of regional
8 surveys or investigations for the Nevada Test Site, as
9 far back as the early 1960's. At the time of the 1995
10 elicitation, there were seven anomalies located south
11 of the repository in the Amargosa Desert area that
12 experts reasonably interpreted as buried basalt. A
13 couple of them had some ground magnetic surveying done
14 and there was different degrees of confidence.

15 So using the available information in
16 1995, the PVHA panel assigned likelihoods of anywhere
17 of maybe 20 percent to 90 percent certainty that each
18 of these seven anomalies were caused by buried basalt
19 at volcanos. One of these anomalies found around the
20 junction of -- or right around the Town of Lathrop
21 Wells, has been intersected by drilling 50 meters
22 worth of basalt and it's dated at about 4 million
23 years. So know one of those seven is actually buried
24 basalt.

25 Since the PVHA elicitation in `95, there's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 been some high resolution magnetic surveys, both
2 ground magnetic and aero-magnetic, conducted in this
3 region and various interpretations of those surveys
4 show that there could be at least 17 more anomalies
5 that could represent varied basaltic volcanos within
6 about 30 kilometers of the proposed site. Now, in
7 addition to the possibility of 17, we've got more
8 uncertainty than did before, because we're seeing
9 that geo-physical anomalies, these magnetic anomalies,
10 are present in areas where know there's no basalt and
11 also the real troubling part is there's basalt present
12 in the sub-surface in areas where there are no geo-
13 physical anomalies.

14 So how can our probability models be
15 effected by this kind of uncertainty and the location
16 and age of basaltic volcanos, including this problem
17 of present but under-protected events. So I don't
18 want to belabor the aero-magnetic data. You've got
19 Bill Hinze totell you more about that. But this is
20 one simple way of looking at it. It's what's called a
21 residual anomaly map. We're using the U.S. Geological
22 Survey data from Rick Blakely, et al's report in 2000.

23 Simply, take the magnetic data and
24 subtract out the long wave length background function.
25 This helps identify the anomalies a little bit

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 clearer. Back in 1995, this area south of what would
2 be Highway 95 was pretty easy to find some volcanos.
3 And so Anomalies A through G, down around here,
4 Anomaly A is right up here, had been identified and
5 those are the ones that were given 20 percent, 90
6 percent weight by the panel.

7 Now, based on these new data that
8 integrate across the Yucca Mountain Region, we've got
9 seven additional high to medium confidence magnetic
10 anomalies that a wide range of experts, U.S.
11 Geological Survey Center, Bill Hinze and others have
12 taken a look at and agree, yeah, it's a reasonable
13 interpretation, can have buried basalt at Anomaly I,
14 Anomaly H, essentially all of our black to white
15 triangles, Anomaly Q and L, M, N and O as well, right
16 up in there.

17 There's six other anomalies that are also
18 identified as well, maybe there's basalt there but
19 it's a fairly low confidence interpretation. These
20 are generally subdued and broad anomalies but there
21 are some challenges in the data. For example, Anomaly
22 K the survey was up at a very high altitude when it
23 got down to here because the pilot didn't want to run
24 into black mountains, sort of an understandable
25 consideration. So if you had buried basalt and you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 were up really high, it might look like a very subdued
2 anomaly but low confidence.

3 For the rest of the discussion, I'm just
4 going to be focusing on the high to medium confidence
5 anomalies and ignore the low confidence ones for now.
6 In addition to the aero-magnetic data, we've got for
7 other anomalies that are labeled 1 through 4 for
8 clarity, that are identified from ground magnetic
9 surveys. These are surveys that we've conducted at
10 the Center to try to get a better understanding of
11 what these aero-magnetic anomalies mean. Are they
12 buried basalt, are they faulted bedrock or whatnot.
13 This is just an example of the ground magnetic survey
14 from the Steve's Pass area that's just south of Bear
15 Mountain.

16 What see are blocks of faulted welded
17 tufts and buried basalt, buried basalt in Anomaly 1
18 and Anomaly 2 beneath anywhere from a couple tens of
19 meters, to perhaps 300 meters of alluvium south of
20 Highway 95. You walk over this area and it's nothing
21 but dirt, a little outcrop of tuft right there but by
22 and large, just looks like dirt. We've continued the
23 survey this year down south to this area to take a
24 look at the aero-magnetic anomalies, L, M, N and O.

25 Now, the interesting thing with these

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 anomalies is it's not just a couple of guys sitting
2 there looking it and going, "Yeah, looks like basalt
3 to me". Actually Dennis O'Leary and others at the
4 U.S. Geological Survey constructed 2-D models across
5 these data and you can model buried basalt as a
6 reasonable fit to these data with the welded basement
7 tuft sitting down there as well. So you're not just
8 guessing. You're doing a mathematical robust analysis
9 that gives you a non-unique solution that shows, yeah,
10 you could have a couple hundred meters of dirt,
11 alluvium, basalt and then welded tuft.

12 MEMBER RYAN: A quick question, are any of
13 these -- I'm sorry, are any of these identifications
14 confirmed by cores?

15 MR. HILL: No, it would be a fairly
16 straightforward thing to do but none of these
17 anomalies with the exception of B on the initial map
18 have been drilled.

19 MEMBER RYAN: That would be kind of a good
20 way to test your mapping skills.

21 MR. HILL: Right, I'll get to reducible
22 uncertainties towards the end of the presentation.

23 So here are the ones that we've
24 identified, but we've got some serious concerns about
25 other ones that may remain there that haven't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 identified yet. Here's the proposed depository site.
2 Highway 95 will be coming through right about here.
3 And have these alluvial basins to the southwest and
4 southeast of Yucca Mountain. They're nice and flat.
5 Occasionally, you've got basalted volcanos on the top
6 of them, but they're underlaying by very noisy
7 bedrock. And when you have this magnetically noisy
8 bedrock, it can mask the signals of the overlying
9 basalt.

10 Here have in Crater Flat about a 4
11 million-year old basalt center. This is the young
12 Lathrop Wells cone and you can see the anomalies from
13 these are very indistinct relative to the white
14 outlines of the basalt itself compared to some other
15 areas that are very similar looking by the welded
16 tuft. So even in areas that was know have basalt
17 sitting at the surface, that signal doesn't come
18 through on a number of the recognized centers. So
19 there's uncertainty in the data right now to identify
20 all the features that know are there. So it's kind
21 of hard to have confidence that others might remain
22 undetected.

23 In addition, the reason for Nye County
24 drilling, out here at Well 23-P intersected basalt
25 about 400 meters below the surface in an area that has

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 no distinct magnetic anomaly. Now, you can see kind
2 of a pink high coming through there but if this
3 represents a basalt anomaly, you can see very similar
4 other magnetic anomalies throughout this basin that
5 would contain a 40-mile wash, a lot of other anomalies
6 out there that could potential represent buried basalt
7 that haven't identified and the survey hasn't
8 identified as buried basaltic centers.

9 And for example, that same character is
10 well repeated throughout the Crater Flat Basin as
11 well. So what this is coming down to is have limited
12 ability to see all the features that can -- that
13 know are at the surface, have clear evidence that
14 other basalts remain buried in areas where have no
15 distinctive magnetic anomaly and so this question of
16 could there be present but undetected volcanos clearly
17 is yes. don't have reasonable confidence that all
18 the potential features out there are characterized
19 beneath the sub-surface in the Yucca Mountain Region.
20 And we're going to need, and the
21 Department, more importantly is going to need to
22 develop some sort of a technical basis to quantify
23 that uncertainty.

24 So to sum up the mag data, have got high
25 confidence, because you can walk up and touch them,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that we've got 12 volcanos for sure sitting there in
2 the Yucca Mountain Region that are ranging anywhere
3 from about 80,000 years old to about 11 million years
4 old. These are the ones that have either been sampled
5 at the surface or drilled and intersected in, for
6 example, the VH-2 core or the Felnerhoff Federal Wells
7 (phonetic) down south around Highway 95. These are
8 the known ones, 12 known events. In 1995 seven
9 additional anomalies were considered, so in addition
10 to 12, we've got the seven more with 20 to 90 percent
11 confidence that those anomalies represent basalt.

12 Now, increase that from the aero-magnetic
13 data, the seven additional, additional anomalies with
14 high to medium confidence interpretation as
15 representing basalt and add in four more from the
16 ground magnetic surveys. So in other words, we've got
17 at least 11 magnetic anomalies that can be reasonably
18 interpreted as basalt identified after the DOE PVHA.

19 also have to consider that about half of our known
20 volcanos don't produce distinct anomalies and that
21 varied basalt exists in areas that don't give us
22 distinct anomalies as well.

23 So that's what we're dealing with, with
24 the first task on uncertainty, 11 additional volcanos
25 and some consideration that may not know where all of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 them are. To identify location -- if you find that
2 it's hard to identify location, wait till you try to
3 put an age on what you think these anomalies could be.
4 The USGS, O'Leary and others have modeled about half
5 of these high to medium confidence anomalies and they
6 come up with burial depths anywhere from a 500 to 300
7 meters below the surface. Now, perhaps could take
8 the burial rate and constrain that burial rate well
9 enough to say, well, if had uniform burial, maybe
10 could estimate the age. Burial rates are controlled
11 by two processes, the rate that the sediment comes to
12 that area and also how fast that area may be
13 subsiding. Well, unfortunately in this Yucca Mountain
14 Region, those two terms, the amount of sediment, the
15 sediment production rate and the sediment transport
16 rate as well as the subsidence rate can vary quite a
17 bit, so you can't just take an average sedimentation
18 rate of about .03 millimeters per year and apply it
19 with any real confidence to these anomalies and say,
20 "Ah, well, they range with that depth maybe a couple
21 of million to maybe 10 million at 300 meters".

22 You can make that estimate but the
23 uncertainty on that estimate is very, very large. And
24 when you consider the uncertainty because of
25 differences in sediment rate and differences in base

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and subsidence rate, the best you can do is say,
2 "Well, these anomalies are somewhere between two and
3 11 million years", but you can't get better resolution
4 from this sort of a burial rate between .01 and .1
5 millimeters per year.

6 So given that sort of uncertainty, have
7 to constrain it somehow because that doesn't give us
8 any information on recurrence rate.

9 MEMBER GARRICK: Now what kind of
10 distributions to you put on those uncertainties? In
11 other words, do you have enough data to construct a
12 probability density function for these events?

13 MR. HILL: Well, the --

14 MEMBER GARRICK: Do you have enough
15 information?

16 MR. HILL: No, I think you'd be looking at
17 something --

18 MEMBER GARRICK: So when you talk about
19 uncertainty, what are you then talking about if you're
20 not talking about something like a probability
21 distribution?

22 MR. HILL: Maybe I'm using the term
23 incorrectly but the uncertainty would be what you
24 would say if you used an average rate, get an age of
25 about -- an estimated age of five million years, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 uncertainty on that would be plus or minus 5 million
2 years. Perhaps it would be plus or minus 6 million
3 years once you considered the range of sedimentation
4 or the range of burial rates that you would use out
5 there.

6 MEMBER GARRICK: Yeah, well --

7 MR. HILL: The thing that would constrain
8 it is, know it's not older than the rock it lies on
9 which is about 11 million years.

10 MEMBER GARRICK: Yeah, the much preferred
11 approach would be to have the mean be the direct
12 result of the probability distribution and the mean be
13 your probability.

14 MR. HILL: That's not a mean.

15 MEMBER GARRICK: Yeah.

16 MR. HILL: That's the average of two
17 numbers and the population that know of burial rates
18 out there is at least on this order of magnitude. So
19 have no idea really what the average burial rate means
20 for the central tendency of the burial rates. If did
21 then, yes, could use a more -- the estimated age with
22 the plus or minus would mean something to it but
23 don't.

24 CHAIRMAN HORNBERGER: Well, to a certain
25 extent your next bullet is going to address some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 hypothetical probability densities for the
2 observations.

3 MR. HILL: We're going to apply different
4 hypotheses to -- well, don't have enough information
5 to estimate the age of each one of these anomalies
6 directly, but have to go forward. have to evaluate
7 the significance. So what do is look at the
8 characteristics of other Western Great Basin volcanic
9 fields. make that assumption that Yucca Mountain is
10 not unique in the west. Well, clearly that's a
11 possibility but have no information that says Yucca
12 Mountain is unlike the rest of the volcanic fields out
13 west.

14 So say what are the hypothesis, what can
15 reasonably expect to see for unknown events of this
16 age range where could be having uniform recurrence
17 anywhere between 2 and 11 million years. So those 11
18 anomalies could be uniformly distributed throughout
19 this interval of time. Conversely, we're just going
20 to arbitrarily pick 2 to 5, 5 million years because,
21 well, that's the age cut-off that the Department of
22 Energy used in the PVHA, so this gives is another
23 measure of evaluating the significance of this
24 uncertainty by assuming these 11 anomalies are
25 distributed uniformly between 2 million and 5 million

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 years ago.

2 But the troubling thing is that what see
3 in other basaltic volcanic fields is its non-uniform
4 recurrence rates. These things will bloom in activity
5 for a period of a million years and then settle back
6 down to a low level of occurrence rate. The for about
7 another million years or so nothing much happens, you
8 maybe get one or two volcanos popping off and then
9 another bloom in activity. We've already seen from
10 the available data that four million year ago there
11 was a real bloom in activity in the Yucca Mountain
12 system. The data are limited but it's very clear.
13 Four million years ago something happened in this
14 system that caused a large number of volcanos to cork
15 off.

16 Could it be that these very volcanos also
17 represent events that occurred during that period of
18 activity 4 million years ago? In other words, could
19 the recurrence rate be appropriate for one million
20 years of activity where had intense volcanism in the
21 Yucca Mountain Region because that's what see in the
22 available data. don't know whether the last event,
23 the Lathrop Wells Volcano, that comes one million
24 years after the preceding event in Crater Flat, does
25 that event at Lathrop Wells 80,000 years ago,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 represent the end of one period of activity, the start
2 of a new period of activity or a continuum of long
3 range recurrence? With available information have to
4 evaluate all of those alternative hypotheses and their
5 effects on probability.

6 I'd like to emphasize right off the bat
7 that have not analyzed all the probability models
8 that have developed. This is just the first pass.
9 They're a good analyses. They're not scoping.
10 They're rigorous analysis but it's with a single class
11 of probability model, where identify volcanic events
12 as point events. The reason we're doing this is
13 there's no secondary interpretation that I have to
14 make about how many events line up to make up an
15 alignment, what's the age of an alignment, what's the
16 sub-surface term for the dikes. Those are important
17 issues but it adds a letter of complexity. So we're
18 scoping the first effect of this new aero-magnetic
19 data with these alternative hypotheses for probability
20 models where define a volcanic event as a point
21 source event.

22 This is not a full range of uncertainty or
23 potential alternatives to the probability. started
24 off this with a base set of what are our known events
25 out here. have four that are about 10 million years

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ago, nine that are 4 million years old and five that
2 are less than about a million years. You can again
3 see, four million years ago is where have the peak of
4 past activity and that activity has tended to cluster
5 rather than be uniform.

6 So we'd start off saying, well, let's just
7 assume it's uniform. Ignore that clustering, we'll
8 leave that to other people. We've got 18 events over
9 11 million years. Let's not quibble the decimal
10 place. We'll call it two volcanos per million years.
11 This is the recurrence rate. put that recurrence
12 rate into this probability model where take a
13 Gaussian curve and fold in the gravity data. This is
14 the Connor et al. 2000 approach where weigh the
15 probability distribution with the gravity.

16 Areas that have low gravity are probably
17 more extended and favor volcanism. Areas that would
18 have a high gravity value are less extended and have
19 less tendency for volcanism. give that a 90 percent
20 weight and this is the resulting map of recurrence
21 rate throughout the region. High recurrence rate
22 remains in Crater Flat. have the probability
23 gradient and essentially the boundaries of the
24 probability -- excuse me, the boundaries of the
25 recurrence rate are defined by the Crater Flat Basin

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 itself.

2 There's our starting point. We'd say
3 about 1.1 times 10^{-8} for the probability. Add in the
4 anomalies, the high confidence, the medium confidence,
5 aero-magnetic anomalies and ground magnetic anomalies,
6 so take our 19 pre-existing volcanos, add in the 11
7 anomalies and say those anomalies represent basalt
8 anywhere from 2 to 11 million years old, of uniform
9 recurrence. So that would round up to a recurrence
10 rate of three volcanos per million years a opposed to
11 two volcanos per million years. There are some small
12 changes that are important in some but not really as
13 obvious when you take a first look at it.

14 There's some small changes in the spatial
15 recurrence rate when you throw in these additional
16 anomalies into the mix, and end up with a probability
17 that's 1.4 times 10^{-8} . So the addition of these
18 anomalies into the data set has a very small effect on
19 the spatial recurrence rates and that's what you can
20 see by comparing the contours between these two.

21 The thing that's driving that effect or in
22 probability is what is the change in recurrence rate?
23 If say the anomalies are in the same locations as
24 before, our basalt two to five million years ago, we'd
25 consider only the volcanos of course, that are younger

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 than 5 million years, so we'd end up with 14. Get out
2 the old volcanos, leave them out of the data set, add
3 in our 11 anomalies and say over the past five million
4 years we've ended up with 25 volcanos giving us a
5 recurrence of five volcanos per million years. The
6 probability has essentially doubled. We're up to two
7 times 10^{-8} and again, some variation in spatial
8 occurrence rate.

9 The problem is, what about that pesky one
10 million year episode of activity? All those related
11 to a period of activity four million years ago, and
12 that duration of activity was a million years. don't
13 know what Lathrop Wells represents but use an average
14 long-term recurrence or something that represents a
15 potential increase in activity based on a past
16 increase in activity. So if say we're just going to
17 use that four-million year recurrence rate. already
18 know we've got nine volcanos at four million years.
19 add in our 11 anomalies and say they're also four
20 million years old. So had 20 volcanos that occurred
21 within what we're presuming to be a million years of
22 activity. It may even be less than that but for
23 convenience, we're just going to call it a million
24 years.

25 Get a recurrence rate that could be 20

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 volcanos per million year and the resulting
2 probability would 8.6 times 10^{-8} . I want to emphasize
3 that that does not represent the upper bound or the
4 potential upper bound on probability. We've got a
5 number of other models that have to consider how these
6 may cause changes in the number of alignments, changes
7 in dike length, dike orientation but that has to go
8 through some more steps before can talk about it.
9 But will have to evaluate whether that range of
10 models, the uncertainty that have on that range of
11 models would change the current range that we're using
12 for probability between 10^{-8} and 10^{-7} or a
13 consideration that 10^{-7} represents a reasonably
14 conservative upper boundary.

15 MEMBER RYAN: Maybe I could ask you a
16 question before you go on. You know, in looking at
17 these four different cases that you have here, I
18 guess, it's four, it seems to me based on what you
19 said about what you know, certainly or uncertainly,
20 that the coefficient really doesn't mean much, if it's
21 1.2 or 8.6. I mean, it's 10^{-8} and it's fairly
22 insensitive to the number of volcanos you assume in
23 some period of time.

24 MR. HILL: Uh-huh.

25 MEMBER RYAN: Is that a fair statement?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN HORNBERGER: The 8.6 is really
2 10^{-7} is your point; is that correct?

3 MR. HILL: That's correct.

4 MEMBER RYAN: Okay, so it ranges from 10^{-7}
5 to -- that's fine, I accept that.

6 MR. HILL: I'm getting ahead of myself
7 just on where I'm going.

8 MEMBER RYAN: Okay, well, maybe I'll wait
9 till the end and ask a question then.

10 MR. HILL: I think some of this will come
11 forward.

12 MEMBER RYAN: Okay, go ahead.

13 MR. HILL: But the range 10^{-8} / 10^{-7} range
14 was based on recurrence rates that went up to about 11
15 volcanos per million years but there wasn't much
16 weight given to them and generally were using
17 recurrence rates on the order of five events per
18 million years. So we're seeing a factor of -- up to
19 about a factor of 8 change with the simple point
20 source models given some of the uncertainties in the
21 recurrence rate.

22 MEMBER RYAN: That helps. A factor of
23 about five in recurrence rate gives you about a
24 factor of eight in probability; is that what the end
25 of the story is, if I heard the numbers right. You

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 said them pretty quick, I might not have them right.

2 MR. HILL: No, that was comparing the
3 previous models -- I'm trying to think with the
4 information here were showing a change in recurrence
5 rate for the point models of two volcanos per million
6 years up to 20 volcanos, so an order --

7 MEMBER RYAN: So an order of magnitude
8 change in recurrence rate gives you an order of
9 magnitude change in probability?

10 MR. HILL: Yeah, about an order of
11 magnitude change, a little bit less --

12 MEMBER RYAN: A little bit less.

13 MR. HILL: -- because the spatial term
14 decreases it.

15 MEMBER RYAN: That makes sense.

16 MR. HILL: So how are going to go
17 forward? It's important to know how we're going to go
18 forward from here. have an agreement with the
19 Department that the DOE will examine the new aero-
20 magnetic data for potential buried igneous features
21 and evaluate the effect on their -- I should say their
22 probability models or probability estimates.
23 received a letter report the end of September from the
24 DOE that does that evaluation. That report is
25 currently under review. It's been submitted to the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 NRC and we'll be able to talk more about that after
2 the report has been commented on by NRC staff.

3 We're considering a number of effects in
4 our review of the report. Of course, the easiest and
5 most straightforward one to think about is uncertainty
6 in the number and age of potential volcanos, some of
7 the things that we've been talking about here for
8 recurrence rate and location but also there's a lot of
9 parameters that can change when you bring in this ne
10 information such as lengths of alignment, numbers of
11 alignments, how you would define a volcanic event. Is
12 it a point source, does it include a subsurface term,
13 because in the DOE's elicitation, those were different
14 interpretations depending on who you talked to. There
15 wasn't a uniform definition of a volcanic event.

16 Also would conceptual models change? You
17 know, here we're essentially doubling the number of
18 potential events out there. Would an expert coming in
19 now, looking at these information say, "Well, there's
20 more of a tendency for clustering"? Should I have to
21 consider temporal nonhomogeneities in recurrence rate
22 as well as spatial nonhomogeneities? I don't but I
23 think it's a legitimate question to be asking when
24 see a doubling in the amount of available information.

25 Of course, the effects of present but

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 undetected volcanos is something we're going to need
2 to talk about because just can't demonstrate that
3 know where all the volcanos are in the sub-surface out
4 there. And finally, does this information present a
5 need to update the 1995 elicitation or are there other
6 approaches that might be equally viable for supporting
7 a license application such as numerical models that
8 can be validated in the peer review literature.

9 And these are just some of the questions
10 that we're considering when review the DOE's response
11 to Igneous Activity Agreement 1.02. And in addition
12 to our review, we're going to continue to model and
13 interpret the aero-magnetic and ground magnetic data.
14 I think can get a better estimate of confidence on
15 some of these anomalies when do a more robust
16 modeling to say whether can create a reasonable model
17 to represent buried basalt and give us that kind of a
18 geophysical signal? haven't had the opportunity to
19 do that yet.

20 We've been relying on some of the USGS
21 personnel who are let's face it, world renowned
22 experts in doing this sort of thing and they're coming
23 up with models that will fit buried basalt for a lot
24 of these anomalies, but we're going to continue to do
25 our own independent work to try to get an independent

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 estimate of confidence on this and, of course, like I
2 said, evaluate the effects of new information on the
3 full range of probability models that have at our
4 disposal, not just point source events.

5 There are a couple of considerations
6 though that don't fall under our path forward, but
7 need to keep in mind. First, Dr. Gene Smith and Dr. Ho
8 at the University of Nevada, Las Vegas, are continuing
9 to develop and publish process level models for
10 spatio-temporal recurrence rates and probabilities of
11 volcanic disruption. Their work, some of the process
12 level work, has been reported in GSA Today, ties into
13 papers in the Journal of Geophysical Research and I
14 understand from conversations last month with Dr.
15 Smith at the Geological Society of America meeting in
16 Denver, that that work is continuing to go on and he
17 and Dr. Ho are looking at potential ways of
18 incorporating this uncertainty in recurrence rate into
19 a temporal recurrence rate model, but I don't know how
20 this is going to effect their view of recurrence but
21 in the GSA Today, paper, Dr. Smith says recurrence
22 rates of 11 to 15 volcanos per million years seems to
23 be more appropriate based on his interpretation of the
24 origins of basalt in the Yucca Mountain Region. That
25 was not considering the effect of this new information

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 from the interpretations of the magnetic data.

2 CHAIRMAN HORNBERGER: Did you say, Britt,
3 that there's a GGR paper that post-dates the GSA
4 Today?

5 MR. HILL: This is the Wang and others
6 paper that's looking at the origins of basalt
7 throughout the Death Valley, Reveille Range, Crater
8 Flat. It's sort of the technical basis behind the GSA
9 Today paper. I know it was submitted and accepted
10 prior to GSA Today but I'm not sure of its exact
11 publication date. I believe it was earlier than the
12 GSA Today paper. And when talked about the
13 uncertainty to pardon me in the loose use of the term
14 "uncertainty", these are reducible uncertainties.
15 These are not philosophical or conceptual models that
16 can't be addressed.

17 These are anomalies that exist for
18 features that exist in the geologic record. can have
19 a very good interpretation of what's down there with
20 a very simple drilling program, for example. You model
21 the data, you come up with where is the peak intensity
22 of this anomaly, you drill that anomaly, because these
23 anomalies are only a couple of hundred meters below
24 ground. They're existing through an unconsolidated,
25 a poorly consolidated alluvial section, essentially

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it's dirt, and generally above the water table. So
2 rotary drilling down to this sort of depth and seeing,
3 well, did hit bedrock tough or did hit basalt, is
4 one fairly ambiguous way to resolve the uncertainty.

5 If it's basalt, bring up the chips and date it. That
6 reduces all of this silliness on recurrence rate and
7 alternatives on recurrence rate to a much more robust
8 analysis where have constrainable dates. can treat
9 it like data rather than alternative hypotheses.

10 Of course, the aero-magnetic survey itself
11 was not designed to find buried basalt. It was
12 designed to look at regional groundwater, regional
13 basins, so it wasn't optimized to find buried basaltic
14 volcanos out here. There are ways, though, that you
15 can conduct a low altitude survey and find with better
16 confidence, signals that would represent buried basalt
17 or eliminate the possibility of buried basalt based on
18 the patterns that you see in those data.

19 Of course, additional ground magnetic
20 surveys can help resolve the uncertainty on some of
21 these anomalies but they're fairly labor intensive to
22 do. That's just another way you can think of to gain
23 confidence in interpretations or come up with
24 alternative interpretations. And of course, detailed
25 modeling can help resolve things as well, but in terms

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of ability to reduce uncertainty, these are ranked in
2 priority. This is a real great way of reducing
3 uncertainty, drill the anomaly. This is going to be
4 very ambiguous and probably is going to leave you with
5 a lot of residual uncertainty in your interpretation,
6 the modeling.

7 So to wrap it up and leave a little time
8 for discussion, we've got 11 basaltic volcanos that
9 can reasonably be interpreted from the existing
10 magnetic survey data and these post-date the 1995
11 elicitation. So for the Yucca Mountain Region in
12 general, for the area that we're concerned about for
13 probability models, we've got 13 known basaltic
14 volcanos with dates on them, 17 likely buried volcanos
15 that do not have good age constraints. They're not
16 dated. We're doing indirect sort of estimates on how
17 old they are. Now, using alternative interpretations
18 of the potential ages for these 11 new events, get
19 anywhere from a factor of 1 to a factor of 8 increase
20 in the spatial temporal probability models that we're
21 using. That doesn't represent the full range of
22 models. That's just the models where used point-
23 source events.

24 I'd like to close with keeping in mind
25 that that analysis has no consideration of how many

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 additional basaltic volcanos could remain present and
2 undetected in alluvial basins west and east of Yucca
3 Mountain.

4 CHAIRMAN HORNBERGER: Thanks, Britt. A
5 quick question before I go to the committee; can you
6 -- well, just are there points that you've made in
7 this presentation that are not in the Center Report,
8 I think Stamatakos, et al?

9 MR. HILL: Yes, the effect on probability
10 is quantified here where did an estimate in the
11 Center Report. The interpretations have not changed
12 with one exception, Anomaly 4, did ground magnetic
13 surveys after the report. It went from medium
14 confidence to higher -- or excuse me, low confidence
15 to medium confidence based on the ground magnetic
16 survey. And I'm not sure if Anomaly 3 increased in
17 confidence as well. That's the one under Big Bear.
18 So there's some subtle changes, but the main effect is
19 probability.\

20 CHAIRMAN HORNBERGER: The main, okay.
21 Mike.

22 MEMBER RYAN: I'm coming at this as a
23 geologically challenged member, so be patient.

24 PARTICIPANT: You've got to get in line to
25 get that right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER RYAN: Well, I'm thinking about
2 this just from kind of thinking about error and
3 uncertainty analysis. You know and a couple of things
4 catch my eye. You say there are 17 likely buried
5 volcanos not dated. You also said that defining
6 something as an event is a professional judgment, it's
7 not something you've verified by some criteria.
8 You've also said in the bottom that there's undetected
9 volcanos. My question is, it's probably true that
10 some of those 17 won't be buried volcanos because you
11 just don't know until you drill them.

12 MR. HILL: That's certainly a possibility.

13 MEMBER RYAN: So, you know, it's probably
14 not a sum of 30 or -- yeah, 30 volcanos that are
15 there. It could be less than that, it could be more
16 or whatever. I guess what I'm trying to get at is a
17 lot of what you're characterizing as uncertainty and
18 variability really is qualitative and judgmental
19 rather than quantitative in the sense of take out your
20 statistics book and do hypothesis testing.

21 MR. HILL: Well, certainly for the
22 variability, the data are very poor to get any
23 rigorous measure of variability.

24 MEMBER RYAN: Right.

25 MR. HILL: The uncertainty a little bit

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 looser and how much of this is really epistemic
2 uncertainty and versus for that 17 how much of that
3 would really represent buried volcanos. I think the
4 point make is that guessing on whether a volcano is
5 there or not there based on somebody looking at the
6 data is a really poor way of going forward.

7 MEMBER RYAN: Sure.

8 MR. HILL: I would cite the 1995
9 elicitation where when you weigh the probability that
10 these were buried volcanos, or that there were
11 additional buried volcanos out there, that each expert
12 was asked how many additional volcanos are out there.
13 They give such low likelihoods to it and the effect is
14 there might be one additional buried volcano at the
15 1995 elicitation.

16 And so while others might have been
17 considered, changes in recurrence rate that might have
18 been larger, there was such low weight given to that,
19 that the uncertainty that really is propagated through
20 the DOE calculations is plus or minus one additional
21 volcano for present but undetected. And you can see
22 here we're talking about an order of magnitude more
23 uncertainty to that.

24 MEMBER RYAN: But what is not clear,
25 though, coming forward is what analytical information

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you used to have improved that estimate. You're doing
2 the same kind of interpretation of -- and by the way,
3 I agree with your comment, drill it. You know, I've
4 never met geologists that don't want to drill one more
5 hole or at least one more hole. And then that's fine
6 because that is proof positive and the analytical
7 information you can hang your hat on. But I'm
8 struggling a little bit and it's probably my own
9 ignorance to see how we've come off of judgment and
10 gone into -- well, we've refined the judgment and
11 have other qualitative information and the mapping to
12 refine the judgment but it's still very much a
13 judgment rather than a measurement.

14 MR. HILL: Oh, absolutely.

15 MEMBER RYAN: Okay.

16 MR. HILL: You know, it's a matter of a
17 discussion relevant to licensing is, does the new
18 information effect an existing elicitation or increase
19 the uncertainty that would have, and if so, how much.
20 Is it risk significant and that is what have had to
21 try to do. have to use judgment because have no
22 data. have to try to constrain these in a
23 responsible and transparent way. That's why we're
24 evaluating alternative interpretations because don't
25 know what the data are. don't know what the ages

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 are. have to try to say these are three
2 alternatives. There may be others. These are the
3 models have. There may be others but have to give
4 that quantitative information about what's the effect,
5 are quibbling about a decimal place? And I think
6 this analysis clearly shows that we're not quibbling
7 a decimal place, we're talking about alternatives that
8 are effecting roughly an order of magnitude variations
9 in probability. Ultimately what that means in terms
10 of risk, we've got to consider the full range of
11 models and more rigorously the data. The analyses
12 demonstrate we've got to do it.

13 MEMBER RYAN: It seems at some point,
14 though, you have to prioritize that range of models
15 and focus on more likely than not models.

16 MR. HILL: Uh-huh, I agree.

17 CHAIRMAN HORNBERGER: John.

18 MEMBER GARRICK: Speaking of drilling, in
19 one of our tours visited a room at Yucca Mountain
20 that had what appeared to be miles and miles of cores
21 of material. Is there any possibility that existing
22 cores, if they're appropriately cataloged can be used
23 to reduce some of the uncertainties you're talking
24 about rather than a new drilling program?

25 MR. HILL: did a real quick analysis

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 using the well site location information that have
2 from the Department of Energy just to see if there
3 were any drill core or drill holes over areas that
4 thought were anomalies and the answer is no.

5 MEMBER GARRICK: I see.

6 MR. HILL: So don't have existing drill
7 hole data nor did see any evidence of drill holes at
8 or near the places that did ground magnetic surveys.
9 That's why the intersection for Nye County 23P is so
10 important, because it's just a random hit.

11 MEMBER GARRICK: Yes, yeah.

12 MR. HILL: I think can use that
13 information for the shallow wells to get a better idea
14 in these basins what's the depth for alluvium, where
15 do have drilling information, constraining that
16 spatial uncertainty term a little bit more for present
17 but undetected but I don't think we're sitting on any
18 information that shows well, found basalt in this
19 well. A lot of those wells were at or near the
20 mountain, generally on bedrock or areas that we're not
21 considering as alluvial basins of buried basalt.

22 MEMBER GARRICK: Okay, thank you.

23 CHAIRMAN HORNBERGER: When talk about the
24 interpretation of disruption under the mountain,
25 though, why are constrained to just be in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 alluvial basins? Why can't you use the information on
2 the wells drilled in rock?

3 MR. HILL: This is for basaltic volcanos
4 that erupt at the surface but were buried.

5 CHAIRMAN HORNBERGER: I understand what
6 the aeromag survey is. I'm just trying to get a
7 handle on why you would rule out the wells drilled
8 near the mountain if what you were trying to do is
9 figure out what might be there that is undetected. I
10 mean, I know you're not going to detect it with
11 aeromag. That's clear.

12 MR. HILL: Well, the mountain is made up
13 of rock.

14 CHAIRMAN HORNBERGER: I know.

15 MR. HILL: I'm not sure why would look at
16 drill holes in places that know there's no buried --
17 there's no alluvium or buried volcanos. We're not
18 considering those --

19 CHAIRMAN HORNBERGER: But how do you know
20 there aren't any buried volcanos? How do you know
21 there aren't dikes?

22 MR. HILL: Well, if they're buried,
23 they're older than 11 million years and they're not
24 related to this episode of activity. They're not
25 younger than 11 MA if they're covered by 11.45 and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 older at the top.

2 CHAIRMAN HORNBERGER: Okay.

3 MR. HILL: So --

4 CHAIRMAN HORNBERGER: Yeah, that makes
5 sense.

6 MR. HILL: And there's -- by the way, you
7 can't see the dike in Solatario (phonetic) Canyon in
8 the aeromagnetic survey nor do you expect to be able
9 to see it. It's too small a feature.

10 CHAIRMAN HORNBERGER: Small a feature,
11 right.

12 MR. HILL: And have to consider, could
13 there be additional volcanos in the sub-surface that
14 had been eroded and buried recently.

15 CHAIRMAN HORNBERGER: Yeah, okay.
16 Raymond?

17 VICE-CHAIRMAN WYMER: Nothing.

18 INTERVIEWER: Milt?

19 MEMBER LEVENSON: Yeah, I have -- as
20 usual, I have a question based on ignorance. How do
21 you get from the -- assuming you could accurately know
22 the number of volcanos and you know the accurate ages,
23 how does that -- what's the uncertainty in going from
24 there to recurrence rates?

25 MR. HILL: You make an assumption of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 whether you want a uniform temporally homogeneous
2 recurrence rate or some sort of a process level model
3 that would use non-hemophoric recurrence rate. It's
4 a judgment because are going to deal with sparse
5 data, even if had 30 events.

6 MEMBER LEVENSON: Okay, I understand that.

7 But then I don't understand why all of the emphasis
8 on how important the age is since the total range is
9 only plus or minus a factor of two. You say it's five
10 plus or minus five is the total range of age, that's
11 a factor of two. There's got to be a much bigger
12 uncertainty in your going to recurrence rates than
13 factors of two. It's got to be like orders of
14 magnitude and you convinced me of that when you
15 discussed how irregular and how variable are the
16 various recurrent rates.

17 MR. HILL: Well, first, I wouldn't -- I
18 was trying to explain for uncertainty if that average
19 rate was really a mean sedimentation rate, that had
20 a central tendency, could say five, but the
21 uncertainty here that would assign to the age, given
22 the uncertainty, the range of sedimentation rates
23 would be much larger than the age that you guess
24 itself. So plus or minus five really is not quite
25 correct, because --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER LEVENSON: Well, I'm looking at
2 your list which says there's somewhere between two and
3 11 and that's --

4 MR. HILL: The age is constrained between
5 two and 11 million years, but you can't say the mid-
6 point of that age plus or minus the uncertainty
7 represents the range because that mid-point doesn't
8 have any statistical meaning. It's just a mid-point.
9 It's not a central tendency of a population
10 distributed --

11 MEMBER LEVENSON: But your calculation of
12 a recurrence rate is just an assumption. It's not a
13 statistically based thing.

14 MR. HILL: Well, of course, that's why I
15 say we're evaluating alternative hypotheses.

16 MEMBER LEVENSON: I don't understand why
17 you reject one because it isn't statistical but then
18 you go on to base the whole thing on something that is
19 statistically no sounder. I'm just trying to -- what
20 I'm getting at, I understand all the uncertainties et
21 cetera, but what I'm trying to say is, if you spend a
22 lot of money and done a lot of drilling and knew all
23 of the ages very accurately, would that really enable
24 you to calculate the recurrence rates any more
25 accurately? And I think maybe not.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. HILL: I think you would have a better
2 basis to look for patterns or assume --

3 MEMBER LEVENSON: Yeah, but from an -- you
4 know, I'm not -- I don't understand geology and I
5 don't understand statistics. I'm an engineer and I'm
6 trying to get to a bottom line, how do I figure out
7 what the number means, and getting more background and
8 more data doesn't necessarily help me. How do I use
9 it?

10 MEMBER GARRICK: It sounds like a rock
11 song, I don't understand nothing, but --

12 MEMBER LEVENSON: How do I use it? What
13 does it mean?

14 MR. HILL: Well, it means that you can't
15 get a rigorous engineering sort of approach that says
16 here's what we're going to do because --

17 MEMBER LEVENSON: Oh, I know that. I know
18 that.

19 MR. HILL: -- because there's ambiguities
20 in interpretations. This is one interpretation. I'm
21 sure you're going to read in the next year another
22 interpretation that's going to have much higher
23 numbers than that and it's going to be in the peer
24 review literature and it's not going to be from us.

25 MEMBER RYAN: One of the things that I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 think is important is that you know, things like these
2 probabilities you've calculated are typically viewed
3 as Poisson statistics and you're never going to have,
4 as you pointed out, enough events to really apply any
5 numerical statistics. You're in non-parametric
6 arenas. So the point Milt, that I think you're making
7 is a good one, is that you never -- you know, you
8 can't really come up with an analytical distributed
9 statistical analysis like think about, you know,
10 sampling or engineering or any other kind of testing
11 of variables, but we're very much in an interpretive
12 qualitative non-parametric arena of assessment. So
13 always think about these rates per year as a mean
14 value or some kind of a statistic of a distribution
15 when, in fact, they're not.

16 MEMBER GARRICK: Britt, have you
17 considered doing a Bayesian analysis of this because
18 this strikes me as a perfect application for a
19 Bayesian analysis. You start out with a prior that
20 could just be a flat distribution and you go from
21 there and you -- and I think you'd be surprised at
22 what would happen as you infer from your additional
23 pieces of information to the distributions. I really
24 would encourage you to consider that.

25 MR. HILL: I appreciate that suggestion on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 other things that can try exploring. I don't know if
2 it's going to give us a better or more robust answer
3 but it's certainly something I haven't thought very
4 much about doing.

5 MEMBER RYAN: It will certainly give you
6 one that three analysts do the Bayesian analysis and
7 they'll come up with the same answer.

8 MR. HILL: That's true.

9 CHAIRMAN HORNBERGER: How many Bayesians
10 does it take to change a light bulb?

11 MEMBER GARRICK: Especially if they're a
12 Bayesian.

13 MR. HILL: With this sort of uncertainty
14 in the data, there is a lot of different
15 interpretations that can be placed on it. That's what
16 it really is going to come down to.

17 MEMBER GARRICK: The great thing about a
18 Bayesian analysis, it would tell you exactly what the
19 data is telling you and I suspect that you would be
20 getting PDFs that would have between the fifth and
21 95th percentile uncertainties of the order of two or
22 three orders of magnitude. And I think that would be
23 an important piece of information to have.

24 MR. HILL: I'm comfortable thinking that
25 we'd get that kind of order of magnitude uncertainty

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 given the gross uncertainty in the fundamental data.

2 CHAIRMAN HORNBERGER: Mike, did you have
3 a question? I'm sorry, the other Mike.

4 MR. LEE: The lesser Mike.

5 CHAIRMAN HORNBERGER: No, not lesser, just
6 the other Mike. You can't even say the bigger Mike.

7 MR. LEE: I think it's pretty clear from
8 your presentation today, as well as what the state has
9 done and others in terms of probability development.
10 It's possible to develop estimates of probability for
11 volcanism at Yucca Mountain.

12 MR. HILL: That's correct.

13 MR. LEE: But nevertheless, the technical
14 basis for the DOE program continues to be the PVHA.

15 MR. HILL: Yes.

16 MR. LEE: And as a formal expert
17 elicitation that's been conducted generally in
18 accordance with NRC guidance, they have a -- it's
19 incumbent on them to consider new information when it
20 becomes available. I'm not saying that they have to
21 reconvene the elicitation but DOE has to examine new
22 information.

23 MR. HILL: Yes.

24 MR. LEE: Can get a sense of how DOE is
25 going to -- is handling this new information or is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that in that letter report that you've made reference
2 to?

3 MR. HILL: That's in the letter report and
4 that's under review by NRC staff right now.

5 MR. LEE: Okay. So in many respects the
6 strength of that elicitation or how well it stands the
7 test of time will depend in large measure on how DOE
8 reacts to new information when it does become
9 available based on our judgment.

10 MR. HILL: I think in terms of our
11 judgment, did outline concerns in the aeromagnetic
12 report last year that talked not just about the
13 magnetic data but the range of new information and our
14 view on how that would likely effect an understanding
15 of how basalt keeps coming to this specific area and
16 the letter report that's under review will expand on
17 that.

18 MR. LEE: Okay, I have one question for
19 John when we're done.

20 CHAIRMAN HORNBERGER: are very close to
21 being done so make it quick.

22 MR. LEE: Real quick, John, to what extent
23 have the staff vectored its -- or considering
24 revectoring its consequence modeling work based on the
25 preliminary results coming out of the peer review

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 report?

2 MR. TRAPP: Basically, we'd see very
3 little revectoring. The work that are doing I think
4 addresses exactly that they're talking about.

5 MR. LEE: Thank you.

6 CHAIRMAN HORNBERGER: I want to thank both
7 John and Britt for this good update. need to keep
8 tabs on these things and we're always interested in
9 hearing new information. So thanks very much.

10 MR. HILL: Thank you.

11 CHAIRMAN HORNBERGER: We're going to
12 adjourn and remember we're going to reconvene the
13 transportation working group. That will be in the
14 auditorium at the P1 level in this building.
15 Adjourned at 11:30.

16 (Whereupon at 11:32 a.m. a luncheon recess
17 was taken.)

18 CHAIRMAN HORNBERGER: All right. The
19 meeting will come to order, and I will turn this over
20 to Milt Levenson, who is in charge of this workshop on
21 transportation.

22 MEMBER LEVENSON: Good afternoon. This is
23 a continuation of the workshop for the Transportation
24 Working Group.

25 I'm Milt Levenson, Chairman of the working

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 group. The working group actually consists of all
2 five ACNW committee members.

3 The objective of the workshop is to
4 examine the technical aspects of spent fuel
5 transportation package design, analysis, and testing
6 methods to determine whether sufficient evidence
7 exists or if additional information needs to be
8 obtained to substantiate that spent fuel can be
9 transported safely. Included with that, of course, is
10 the experience.

11 The ACNW will use this information to make
12 recommendations to the Commission as necessary on the
13 transportation of spent fuel.

14 In addition, it is our intent to publish
15 the proceedings of this workshop in an NRC NUREG.

16 Yesterday the working group heard
17 presentations regarding research, development,
18 analysis, and testing of spent fuel transportation
19 packages.

20 Today presentations will be made to the
21 working group regarding spent fuel and high level
22 waste transportation safety experience in the U.S. and
23 abroad. For these discussions the presenters include
24 various federal agencies and industry representatives
25 that have been directly involved in the regulation and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 shipment of spent fuel and high level waste.

2 It is requested that all speakers, whether
3 they're presenters or questioners, use a microphone,
4 identify yourself, speak clearly so that not only can
5 the audience hear you, but so our reporter can hear
6 you.

7 I would like to point out that for today's
8 meeting there is one all inclusive package of
9 viewgraphs in the back of the room. We have received
10 on request for time to make oral statements, although
11 we will allow time for questions from the audience
12 later.

13 I would like to thank all of today's
14 participants for taking the time and making the effort
15 to participate in the workshop.

16 For those of you who are participants, you
17 know that while I'm chairing it, someone other than I
18 did the bulk of the work putting this meeting
19 together. That's Tim Kobetz, and I'd like to
20 acknowledge all of the work that he did in putting
21 this together.

22 We will now proceed with the workshop. I
23 call upon Mr. Rick Boyle from the Department of
24 Transportation to begin the first presentation.

25 MR. BOYLE: Thank you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Thank you for the opportunity to speak and
2 come forward as part of the Department of
3 Transportation's Spent Fuel Projects Team.

4 As he said, my name is Rick Boyle. I work
5 in the Research and Special Programs Administration,
6 which houses the Office of Hazardous Materials Safety,
7 and I head up the Radioactive Materials Team there.

8 If I can give you an overview of my
9 presentation today, I'll do a very, very quick
10 regulatory overview so you can see a little bit more
11 where I sit within the department; tell you some of
12 the regulatory issues we have or the department is
13 working on concerning the transport of spent fuel.

14 Tim gave me a list to say we must talk
15 about history and incidence. So I have a slide each
16 on that.

17 And then a couple of programs of interest
18 to show you some of the ongoing programs we're working
19 on at the department both with the NRC and with our
20 modal authorities.

21 I'll jump a little bit ahead in the
22 agenda. Kevin Blackwell is also here from Federal
23 Rail. So he'll be giving a follow-on presentation.
24 It might be best if you let me go through my
25 presentation, Kevin go through his, and then we'll

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 both kind of stand up and share the microphone for
2 questions, but if you want to ask questions as we go
3 along, that's fine with me as well.

4 Briefly, as an overview, it's my office in
5 the Research and Special Programs Administration that
6 works with the NRC Spent Fuel Project Office in
7 developing the radioactive materials packaging and
8 development and transport standards, and you see those
9 two logos at the top.

10 That doesn't include IAEA, but that's also
11 the international realm where both of us sit on that
12 committee.

13 The next level down or equal to us really
14 is the modal authorities within the Department of
15 Transportation that develop the operational standards
16 for the conveyances and conduct the compliance
17 assurance programs.

18 And what you would see there is the
19 Federal Railroad Administration, the United States
20 Coast Guard, the Federal Aviation Administration, and
21 the Federal Motor Carrier Safety Administration.

22 This slide was real good until yesterday
23 afternoon when Homeland Security comes into it and
24 Coast Guard slides out from the Department of
25 Transportation and into Homeland Security, and I think

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Kevin could continue on as the modal perspective, but
2 the Federal Aviation Administration has also sent
3 their HAZMAT program to TSA, which is Transport
4 Security Administration.

5 So HAZMAT in the modal authorities is a
6 bit in flux right now, and sitting there in my desk,
7 we're not sure if the HAZMAT program is going
8 someplace either. So this slide is certainly as it
9 appears I'd say noon yesterday before they created the
10 Office of Homeland Security.

11 If I could then go into just a few issues
12 that we're working on now, it is security and
13 safeguards requirements. I think homeland security
14 and its formation would highlight some of the issues
15 that we're working on, but we also see the effort
16 starting.

17 There's a conference in July at the IAEA
18 where we certainly believe the IAEA is going to start
19 a transport security program, be it within their
20 Transport Division or separate, and that would be our
21 responsibility as the competent authority for the U.S.
22 to participate in that.

23 Again, your homeland security, as well as
24 our internal TSA, the Transport Security
25 Administration. The NRC and their safety program and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 SFPO, as well as their Security Division working on
2 their interim compulsory measures.

3 We're working on counterpart regulations
4 at the Department of Transportation for that, and then
5 certainly within DOT it's not unusual to see my
6 Federal Rail and Highway and Motor Carrier
7 counterparts coming into our office to discuss that.

8 Certainly there's always the turf battle
9 going on as to who's really leading the show here, as
10 well as what standards should be put in place.

11 The second issue surrounding much more of
12 the Yucca Mountain hearings is the mode and route
13 selection criteria. Hopefully many of you are
14 familiar with the guidelines that the department
15 published in '92 for selecting preferred highway
16 routes for highway route controlled shipments, which
17 would be spent fuel.

18 You can certainly see that those were
19 published in '92. So they're very old. We're working
20 -- Federal Motor Carrier is working. So I would have
21 to say "we," and that would be the department -- is
22 working on updating those and defining better what
23 preferred routes, alternate routes, state approvals,
24 and things like that would be.

25 And also, if we look at some of the bills

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and some of the comments that are coming out, a good
2 question for Kevin later on is will there be some sort
3 of rail complement to this as we start looking at
4 approving routing, routes for rail.

5 Next, and I think this meeting does a good
6 job in helping this, is the public participation in
7 the process. We're often told that our regulation
8 process, it's almost a fait accompli once the
9 international organizations, which would be the IAEA
10 or the ICAO, the Civil Aviation Administration or
11 Organization -- excuse me -- or the IMO, once they
12 pass this that, you know, there's very little we can
13 do.

14 So we're looking at increased public
15 participation; of course, training from the operator
16 and the shippers, emergency responders and the
17 governments right now, governments being the first
18 responders as well as the people that will be
19 conducting the inspections and providing escorts as
20 necessary.

21 Some of the technical issues we're working
22 on is radiation protection, again, particularly in
23 light of the inspectors and the escorts, which the
24 regulations really weren't developed around those.

25 Proper contamination limits, and air and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 sea transport requirements.

2 Moving into what I think the meat of the
3 presentation is and what the information you really
4 wanted to see was a bit of the transportation history,
5 and I will focus on highway only and let Kevin
6 Blackwell deal with the rail aspect and answer those
7 questions.

8 Our data from the mode and route study
9 that we published a few years ago listed from '79 to
10 '80 that 89 percent of the shipments made in the U.S.,
11 that is, outside of the Department of Energy, of spent
12 nuclear fuel or high level waste were made by highway,
13 although the high percentage of shipments, certainly
14 more is carried by rail. So only 27 percent of the
15 tonnage is carried by highway.

16 So if you want to do the math, it also
17 found that would be 1,600 total shipments were
18 identified. Just doing the math of 89 percent, that
19 would be just over 1,400 highway shipments for 427,000
20 kilograms of spent nuclear fuel or high level waste
21 transported by highway.

22 It has been conducted in legal weight
23 trucks. Approximately 300 kilograms of spent fuel is
24 the average load. The security and safeguard
25 requirements were as defined in the NRC regulations,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and the route selection is as defined by Federal Motor
2 Carrier Safety Administration, although I'd have to go
3 back to that. It would be Federal Highway
4 Administration because motor carriers didn't exist ten
5 years ago when this book was put out. So it will be
6 a combination Research and Special Programs
7 Administration, Federal Highway Administration that
8 put out the original route selection guidelines.
9 Those are now overseen by Federal Motor Carrier Safety
10 Administration.

11 A bit of the incident history. We've
12 logged 1.6 million miles traveled, and we've had eight
13 accidents and no releases. I'll be stepping on
14 Kevin's toes a little bit here because in the eight
15 accidents that also includes rail.

16 Summarizing those, December 8th of 1971,
17 in Tennessee the driver of a truck carrying nuclear
18 waste swerved off the road in a rain storm. The truck
19 rolled over into a ditch, and the driver was killed.
20 The cask carrying the waste was thrown off the truck,
21 but the cask was not damaged and no material leaked.

22 March 29th of '74, in a North Carolina
23 rail yard, a trail derailed and struck another train
24 that was carrying an empty cask designed to carry
25 spent fuel. The damage to the task was superficial.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 February 9th, in Illinois, the trailer of
2 a truck hauling nuclear waste collapsed while the
3 truck was crossing a railroad track. The cask was not
4 damaged, and no material leaked.

5 August 13th, '78, in New Jersey, an empty
6 nuclear fuel cask was being placed on a trailer when
7 the trailer deck failed because of a broken weld. The
8 cask was not damaged.

9 December 9th, '83, on the Indiana-
10 Illinois-Tennessee border a waste hauling truck
11 separated from its trailer which was carrying a
12 nuclear spent fuel cask. The cask was not damaged and
13 there were no leaks.

14 March 24th of '87 in St. Louis, a train
15 carrying nuclear waste collided with a car at a road
16 crossing the cask was not damaged, and there were no
17 leaks.

18 January 9th of '88 in Nebraska, a train
19 carrying an empty cask derailed. The ask was not
20 damaged.

21 December 14th, '95, in North Carolina, a
22 train carrying empty casks derailed, and the casks
23 were not damaged.

24 This is public information that we got
25 when we were putting together hearing notes. So I'll

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 just pass a copy of that to Tim. I have enough words
2 on this slide already without going into those short
3 descriptions.

4 But that's a history of the accidents
5 we've seen, and again, that would be for non-DOE
6 shipments.

7 A couple of programs of interest that
8 we've been working on. Maureen Clapper from the
9 Department of Energy will cover the research reactor
10 fuel shipments in much more detail, but we have
11 coordinated with the Department of Energy on the
12 return of that fuel, and that's a little misleading.

13 That's a picture of the BNFL ships, but
14 they didn't really use those, but it's the only ship
15 picture I had at the moment. I don't want to mislead
16 anybody with that, that they used the purpose built
17 ships.

18 The next program started off probably five
19 or six years ago as the Spent Fuel Project Office and
20 DOT were working on the new surface contaminated
21 object standards and putting those into the
22 regulations, and we realized we had a problem with
23 very large outage equipment, as well as large
24 components, and we struck an agreement for the
25 transport of large components.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And what you see there is a steam
2 generator, and the steam generators are taken to
3 either Barnwell or Envirocare. This one is the heavy
4 haul. Usually it's a short heavy haul to a multimodal
5 point where they would be loaded onto a train or a
6 barge as shown in the picture, and the steam
7 generators that we've taken were from Connecticut
8 Yankee, Maine Yankee, Kewaunee, Big Rock Point, San
9 Onofre, St. Lucie, Haddam Neck, D.C. Cook, and we also
10 issued an exemption to DuraTech because they moved
11 many to their Memphis facility and then found out they
12 couldn't keep them there and took them to Envirocare.
13 So we offered another exemption for them to move those
14 large components.

15 So we feel we're prepared for dealing with
16 both heavy haul on the highway, as well as a barge or
17 rail shipment of something this size.

18 Other components that we've moved. I
19 wanted to show you the multimodal aspect of this.
20 This is the Waltz Mill reactor tank, and as you see,
21 it was taken to the railhead in the top left by
22 highway that's heavy haul. It was then loaded onto a
23 rail car and taken by rail the rest of the way. So we
24 are looking at multimodal transfers both to water and
25 to rail.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And if I go to the last slide for heavy
2 haul, this is the San Onofre reactor pressure vessel
3 head that would move from San Onofre to the Envirocare
4 facility, heavy haul the entire way. That's basically
5 a 150 foot hauler with a -- my black and white doesn't
6 show up as well. Reactor pressure vessel head is in
7 blue there, and you can see it as it was loaded, and
8 I believe that's leaving the facility in the top left.
9 In the bottom right is on the highway.

10 It just moved at night with police escort,
11 and that would be a San Onofre to Utah. So we would
12 be prepared for heavy haul over longer distances as
13 well.

14 And then finally a last program of
15 interest probably more to myself than to you, the
16 transport of front end material. Again, you can see
17 that by vessel, and that's a vessel that's chartered
18 out of Seattle to go to Japan and continue with that.

19 And then the front end material, bottom
20 left, would be front end material coming in from
21 Canada to be enriched, and then the bottom right would
22 be the enriched material going out of the United
23 States Enrichment onto its customers, but domestically
24 and internationally.

25 And then finally the last page is just

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 contact information for myself. I apologize that
2 federal motor carriers couldn't be here to give you a
3 more in depth analysis of what their escort provisions
4 and inspection criteria would be, but I'd certainly be
5 willing to pass on any questions you had for motor
6 carrier or for the Coast Guard. I guess they'll be at
7 DOT for a little while longer. They won't break right
8 off to Homeland Security too soon.

9 So with that, that's the end of my
10 presentation, and I will give the incident summary to
11 Tim before I leave.

12 MEMBER LEVENSON: Okay. Before you do
13 that, I'd ask whether any of the committee members
14 have a question of fact or something they'd like to do
15 at this point.

16 (No response.)

17 MEMBER LEVENSON: If not, go ahead, Kevin.

18 MR. BLACKWELL: Good morning or good
19 afternoon, I should say. I'm Kevin Blackwell with the
20 Federal Railroad Administration of the Department of
21 Transportation in the Hazardous Materials Division
22 here in Washington, D.C.

23 I want to thank you for the invitation to
24 be here today and to discuss a little bit about FRA's
25 experience and history with transport of spent fuel by

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 rail.

2 Hopefully, bear with me a little bit if
3 you can. My daughter saw fit last week to pass on to
4 her father her cold she had. I've been fighting it
5 since last Friday, and I may have to take frequent
6 stops to hydrate myself. So hopefully everyone will
7 be able to hear me and understand me well enough.

8 There have been approximately -- and this
9 is based upon information I've been able to put
10 together -- 1,300 spent nuclear fuel shipments
11 transported by rail over the past 40-plus years, and
12 it's important to note here that you'll see throughout
13 the presentation here I make a distinction in the
14 numbers between shipments and movements because, while
15 it's easy to count a shipment by highway, it's usually
16 a single package. Rail movements can sometimes
17 encompass multiple packages and singular movement.

18 And in looking at numbers from various
19 sources, the numbers do change between shipments and
20 rail moves, and I'll make that distinction as I go
21 along in some of the numbers.

22 And the 40-plus years, that goes back, I
23 guess, to the early '60s.

24 There have been approximately, and I think
25 Rick covered just about all of them, five incidents or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 accidents that have occurred involving spent nuclear
2 fuel packages by rail. Rick, I think you had four of
3 them that were by rail up there, one of which was a
4 grade crossing accident. I'm not going to re-cover
5 what you did.

6 However, I also counted. There are some
7 incidents that occurred, and it depends on how you
8 define an incident. Take, for example, the Three Mile
9 Island train with the spent fuel from Three Mile
10 Island. We had an incident where a hitchhiker
11 actually climbed on board the train that was carrying
12 the spent fuel cask to catch a ride, and that was
13 classified as an incident. So it all depends on how
14 you want to classify the words "accident" versus
15 "incident" in regards to how you count the numbers.

16 Needless to say, there has not been a lot
17 of incidents or accidents. As Rick stated, they have
18 all been minor in severity in nature, and none of
19 which have resulted in any loss of package integrity.

20 The history to date of the rail
21 transportation strongly indicates that the packages
22 can be transported safely and have been to date. I
23 understand that there are concerns about the ramp-up
24 of a number of shipments in regards to the rail
25 transportation environment, and that's one of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 reasons you'll probably hear today and in many other
2 meetings recently.

3 But the history has shown that it is a
4 safe method, and the railroads have and can transport
5 this material safely.

6 Some of the past spent nuclear fuel
7 shipments that have occurred -- and I'll try to
8 outline them here a little bit. Can everyone see the
9 black okay? Is that visually all right? I don't know
10 why I went to back here from white, but I did.

11 Pacific Gas & Electric was a cross-country
12 move from California to New York from '69 to '71, and
13 this is where I'm making the distinction between
14 shipments and moves. There were 15 rail movements, 15
15 trains. I do not have unfortunately -- I can find
16 that if anyone wants to know -- how many packages may
17 have been in each movement, but for purposes of the
18 presentation time limit, I just went to how many moves
19 there were. So there were 15 cross-country moves from
20 '69 to '71.

21 Monticello was from Minnesota to Illinois
22 from '84 to '87, a total of 29 rail moves.

23 Cooper Station, Nebraska to Illinois, '84
24 to '89, 30 movements.

25 TMI, Pennsylvania to Idaho, '86 to '90, 23

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 movements.

2 And the Shoreham facility, which I guess
3 is classified as slightly spent fuel, it wasn't really
4 completely spent. It was just about fresh fuel. That
5 had only been using it as a test mode, a start-up mode
6 at the Shoreham reactor. That was from New York to
7 Pennsylvania, and that was an intermodal shipment of
8 rail-barge down to Philadelphia where it was
9 transferred from barge to train, to the Limerick plant
10 in Pennsylvania, and that was 20 -- I'm sorry -- 33
11 moves.

12 Carolina Power & Light, the current ones
13 we have going on right now -- and I guess I should
14 defer and say it's Progress Energy. I'm used to
15 referring to it as Carolina Power & Light since back
16 in '89 -- we've had shipments of spent fuel going on
17 between their operating facilities in North and South
18 Carolina by rail, solely by rail, from '89 to the
19 present, and they're still going on, and there have
20 been 130 moves.

21 And, again, in the numbers we keep we
22 don't make a distinction as to how many actual
23 packages may be in any one move. A train movement of
24 spent fuel is a train movement of spent fuel from a
25 safety standpoint in how we count some of our numbers,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and these numbers are not counted by adding
2 regulation. We do this in house. So it's what we
3 have as far as our records go.

4 The Foreign Research Reactor Fuel, which
5 is the DOE moves from South Carolina, we've had one in
6 California, from California to INEEL. There have been
7 19 moves to date. Most of those, all but one, East
8 Coast by rail from Charleston, South Carolina, to
9 Savannah River site.

10 And of course, we have the Department of
11 Defense, the naval nuclear shipments, shipments of
12 naval spent fuel, which are ongoing, and while you'll
13 hear them say there have been over I believe it's
14 close to 800 shipments they make reference to now, it
15 breaks down in my understanding to about --

16 MR. DOHERTY: Don Doherty.

17 Seven hundred and forty-two.

18 MR. BLACKWELL: Thank you, thank you.

19 MR. DOHERTY: But those are individual
20 cask shipments.

21 MR. BLACKWELL: Thank you.

22 And I put approximately 400 up there train
23 route-wise because they can vary from anywhere from
24 one to four casks per shipment. So I try to keep
25 synonymous with the train movements.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Of course, in the future, we may have the
2 West Valley at some point. That's still waiting to
3 go. That will basically be the first cross-country
4 rail shipment of commercial spent fuel since Three
5 Mile Island by rail, and we still don't know or are
6 not sure when that may go, but it's going to be one
7 move of a spent fuel cask from West Valley New York to
8 Idaho.

9 The potential movements of commercial
10 spent fuel to the Private Fuel Storage Facility in
11 Utah, which they intend to use by rail just about 100
12 percent to the ability they can. That is a potential
13 which their time frame has them still on their time
14 line in my talks with representatives of that
15 initiative for late 2004 or early 2005.

16 A lot can happen in that time frame. We
17 understand that, but we still consider that as being
18 on the books as a potential railroad case.

19 And of course, we have Yucca Mountain.

20 The private fuel storage initiative
21 estimates about 50 train moves per year once their
22 geared up, and of course, I think Yucca Mountain
23 according to EIS was about 130 rail movements per
24 year.

25 Obviously there are universal concerns

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that everyone seems to have both from the regulatory
2 safety standpoint and the public being safe and secure
3 transport. Safe transport goes directly to package
4 integrity as a first line of defense.

5 The Federal Railroad Administration being
6 a modal administration of the DOT, we do not have
7 directly regulatory authority in issuance or
8 development of any of the hazardous material
9 regulations. That's by statute.

10 RSPA is the one who issues the hazardous
11 material regulations. We work very closely with RSPA
12 on matters of regulation that will affect the rail
13 industry from the HAZMAT standpoint.

14 The rail operational side of the house is
15 Federal Railroad Administration's under the Federal
16 Rail Safety Act, and that's in a different set of the
17 regulations, the 49 CFR 200 series, where it deals
18 with mechanical requirements and operational
19 requirements, signals and train controls, track
20 requirements, that kind of thing, the rail environment
21 infrastructure.

22 Obviously from the standpoint of safe
23 transportation, it's package integrity and radiation
24 levels and rail carrier operational control.

25 Secure transportation obviously has always

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 been on the radar screen for those concerns and FRAs.
2 Obviously in post 9/11 times, it is higher on the
3 radar screen than in the past.

4 And measures to address secure transport
5 of actually any kind of material in the rail
6 environment had become an issue. The FRA has been
7 working very closely with many different entities,
8 including the rail industry, AAR, different modal
9 administrations, and addressing and trying to work
10 through security concerns and security issues to deal
11 with a potential security threat to the rail operating
12 environment.

13 FRA as an agency does have a very high
14 confidence level in the integrity of spent fuel
15 packaging, especially when you look at it in relation
16 to other types of packaging that is used to transport
17 hazardous material.

18 However, we do recognize that risk
19 management principles in general dictate that you have
20 to look at the transportation environment as a whole
21 in regards to the safe and secure transport of spent
22 nuclear fuel by rail.

23 And to that end, aside from conducting our
24 mandated mission of safety oversight of the nation's
25 rail system, we instituted a policy back in the late

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 '80s actually as a result of Three Mile Island, which
2 was basically a one page policy back then, and as a
3 result of the Foreign Research Reactor Fuel shipments,
4 it grew into what is now known as the SCOP, Safety
5 Compliance Oversight Plan.

6 And, again, I want to stress this is a
7 policy. This is not a regulatory requirement. It is
8 something the FRA developed in an effort to focus
9 safety inspections for spent nuclear fuel and high
10 level reactive waste because of the recognized high
11 profile and high concern politically and from the
12 public and from the rail transportation industry
13 perspective.

14 That's what it basically does, is it does
15 focus what resources we have. Keep in mind that the
16 Safety Compliance Oversight Plan is not meant to
17 supplant the regulatory safety compliance
18 requirements. It is meant as an additional level.

19 The railroad industry does conduct
20 inspections of their equipment and their
21 infrastructure. As a matter of course, the Federal
22 Railroad Administration does conduct inspections of
23 the operation of the nation's railroads.

24 I knew this was going to happen. Excuse
25 me. I was hoping to get through without a coughing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 fit. I had one this morning.

2 This is intended to focus inspections on
3 spent fuel and high level waste shipments and add a
4 third tier to where we can focus our resources on
5 equipment that is used to transport this material, the
6 infrastructure along the routes that may be traveled
7 as far as track inspections, to insure that the
8 regulations that are in place that dictate the levels
9 of compliance and safety that need to be maintained on
10 the infrastructure are, in fact, there and will
11 address any problems.

12 It is not necessarily meant as extra
13 regulatory requirements. There are requirements in
14 there that are not necessarily based in regulation,
15 but if you look at the SCOP, the plan, 90 percent of
16 it puts an onus, a responsibility on the Federal
17 Railroad Administration to do certain things.

18 It's a living document. It's going to
19 undergo periodic review. It's meant to be able to be
20 updated, evaluated, taken into account new
21 regulations, new technologies that may come about and
22 be utilized in the rail industry. It's not meant to
23 be a hard and fast document. It's meant to have
24 flexibility.

25 And for anyone wishing to see what it is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in its current state, it is available on Federal
2 Railroad Administration's Web site at the Web site
3 that's stated up there, and it can be downloaded in a
4 pdf format.

5 It is currently undergoing a review and
6 possible update because it is four years old right
7 now, originally drawn up back in '98.

8 From the security standpoint, I guess the
9 DOT -- and Rick touched on this -- is addressing
10 security concerns as they relate to transportation of
11 all hazardous materials. All spent nuclear fuel,
12 granted, is a particular concern, a particular high
13 profile. The security of matters affect the
14 transportation of all hazardous materials and need to
15 be addressed on that level, not just for spent nuclear
16 fuel and high level waste. That's just one particular
17 subcategory.

18 The FRA itself as a modal agency is
19 working very closely with the AAR and with the rail
20 industry on addressing matters of security, and I
21 can't speak too much as to what's going on with it.
22 I know there is a plan. I think, Bob, did you address
23 this at all yesterday when you were talking? Okay.
24 I'm not going to cover what you covered then.

25 And, of course, there's the DOT

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 rulemaking, HM-232, which currently as a proposed
2 rulemaking came out May 2nd. I know the comment
3 period is closed, and my understanding is that it's
4 anticipated to be out in a final rule probably in the
5 next two to three months, some time in that time
6 frame, as a final rule. And it is intended to address
7 security requirements for all transports.

8 Lastly, this is probably of interest to a
9 lot of people. The dedicated train study that was
10 mandated be done by HMTUSA '90, by Congress in HMTUSA
11 '90. I see some people smiling in the back.

12 A lot of people like to say it's late.
13 I'll put a Washington spin on it and say it's not
14 late. It's timely. If it had come out back in '94
15 when it was supposed to, would it have the same effect
16 or be as timely now? I don't think so personally.

17 And we anticipate that the final study
18 will be ready to be provided to Congress and,
19 therefore, available some time in early 2003, and that
20 Congress will have the study provided to them.

21 Based on the results of that study which
22 I cannot specifically comment to right now because it
23 is not out in the public realm, the second step that
24 was mandated is that the DOT actually take the results
25 of the study and determine whether or not any

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 rulemaking is required for dedicated trains.

2 The study also mandated that the study
3 itself not take in to account cost-benefit analysis;
4 only safety versus dedicated versus regular freight
5 transport of spent fuel and high level waste.

6 The last thing I have is a couple of
7 information Web sites that could help provide
8 additional information. In the interest of time, I
9 didn't want to put in here information that may be of
10 interest to people on rail safety statistics, accident
11 rates. That can entail quite a lengthy presentation.

12 But there is a Web site that will give you
13 those tables and information like that, which is the
14 safetydata.fra Web site. A lot of the information
15 that the FRA collects on accident and incident rates
16 and that kind of thing is now on line and available to
17 the general public.

18 That's all I have, folks, unless there's
19 any questions.

20 MEMBER LEVENSON: Okay. Mike, a question
21 for either of our DOT speakers?

22 MEMBER RYAN: No, thanks.

23 MEMBER LEVENSON: John?

24 MEMBER GARRICK: Yes. On the dedicated
25 train study, who specifically is performing that study

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and is it a technical study?

2 MR. BLACKWELL: The study actually was
3 being performed by Volpe, the Volpe Center up in
4 Massachusetts, in Cambridge, and it's a study. The
5 study mandated that -- Congress mandated that the
6 study look at only the safety parameters between
7 shipping spent nuclear fuel and high level waste in a
8 dedicated freight consist versus a regular freight
9 train consist, and that's what this study will be
10 looking at, comparing one against the other from the
11 aspect of safety parameters.

12 MEMBER GARRICK: You and the previous
13 speaker gave us some information on history of
14 accidents and incidents. One of the other things
15 that's of great interest to this committee and the
16 safety of transport is the emergency response.

17 Can you comment at all about the response
18 experience, since these for the most part were rather
19 incident events and nothing serious in the way of
20 having releases or what have you? But nevertheless,
21 there must have been implemented some sort of
22 emergency activity.

23 And who was in charge and how was it
24 manifested, et cetera, et cetera?

25 MR. BLACKWELL: From the aspect of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 emergency response, first let me preface the answer
2 with the fact that the DOT, with the exception of the
3 Coast Guard, who may not be DOT -- none of the
4 agencies have any responsibility to perform emergency
5 response measures from that regulation. We don't do
6 emergency response. We're not mandated to do that.
7 Therefore, we don't have the ability or the training
8 to do that as an agency.

9 With that said, the rail industry does
10 have an emergency response mechanism set up. Every
11 railroad has emergency response plans, emergency
12 responders that are trained to respond to hazardous
13 material incidents.

14 And while they don't specifically tailor
15 their training to radioactive materials, they tailor
16 it to response to hazardous material incidents
17 covering the nine kinds of hazardous material classes
18 that are transported, of which radioactive materials
19 is one.

20 The incidence that Rick was referencing,
21 I'll be honest, I did not dig into each particular
22 incident to see what the response was. I know that
23 two of the responses I can tell you that I saw he
24 stated from the date, were derailments. When you say
25 derailments, were derailments of the nature that were

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 misleading in the term "derailment." They were in a
2 railroad yard.

3 The derailment consisted of the
4 cars/trucks hopping off the track at yard speeds,
5 which is anywhere from five to eight miles an hour.
6 So it was not a derailment in the sense that people
7 may get the idea of a trail derailment of a
8 catastrophic nature that you're used to seeing on the
9 news.

10 In fact, 90 percent of the derailments
11 that are reported that meet the derailment criteria
12 are in railroad yards at very slow speeds. I think
13 I'm right on that number.

14 Ninety-five percent, Bob, 90 percent?

15 That's the number I was last told by our
16 statistical people.

17 But from the response standpoint, the
18 railroads have a response mechanism. In their
19 response plans, they are familiar with their local
20 response chain, the contacts and chain in the local
21 areas. They know who to contact. They're bound by
22 federal law to contact certain federal entities.

23 The EPA and, I guess, the Coast Guard have
24 mandated responsibilities at the federal level for
25 response, as does FEMA. I guess I can't really get

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 too in depth from a standpoint of working for Federal
2 Railroad as to what requirements there are for a
3 response.

4 MEMBER GARRICK: Could either of you
5 address the question of whether any of them require
6 invoking any radiological teams and response?

7 MR. BLACKWELL: Not that I'm aware. I
8 mean, all I can tell you is from some plans I have
9 seen, they do address that based upon the nature of
10 the incident and the course of action that's decided
11 between the rail responders and the local response
12 community who responds and they coordinate with
13 whether they decide to implement the course of action
14 on a radioactive materials incident and call
15 appropriate personnel based upon the nature of the
16 hazard and nature of the incident.

17 MEMBER GARRICK: Okay.

18 MR. BLACKWELL: I'm not sure if that
19 answers your question or not.

20 MEMBER GARRICK: Well --

21 MR. KUNITA: Perhaps I can address that
22 issue.

23 We have coordinated with communities along
24 our shipping route, provided a coordinated tabletop
25 exercise and field exercises. So since the inception

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of the Incident Command Center, all of these
2 organizations can respond to a radiological event.

3 Improvements in the emergency response
4 guide that address radioactive materials, they do have
5 teams that can be dispatched usually at the state
6 level to help the local community, and they're well
7 versed in radiological aspects.

8 MEMBER GARRICK: Yeah, one of the things
9 I was trying to get at is what is our experience base.

10 MEMBER LEVENSON: Have they ever been
11 called out in the 2,900 shipments we've had to date
12 that have been necessary to call out radiological
13 response team?

14 MR. BLACKWELL: Not that I'm aware of. I
15 don't know.

16 MR. KUNITA: Some of the folks that did
17 end up working for Progress Energy in prior history
18 worked for the state, and they have advised me of
19 incidents where they did respond usually to a minor
20 event where they thought there was a problem, and it
21 turned out --

22 MR. BLACKWELL: A precautionary measure.

23 MR. KUNITA: Yes.

24 MR. BLACKWELL: I can say this. There
25 have been some rail incidents involving shipments of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 low level radioactive waste where responders have had
2 to respond to transported radioactive material
3 incidents, usually contaminated soil or contaminated
4 material, but of a low level nature, and they have
5 gathered experience in those incidents from responding
6 to a radiological type incident by rail, but nothing
7 on the aspect from a high level spent fuel or high
8 level waste situation that I'm aware of.

9 MEMBER GARRICK: Thank you.

10 MEMBER RYAN: Let me offer a comment that
11 might help, Dr. Garrick, but you know, these are all
12 route controlled shipments, and that process alerts
13 all of the state and local response units all along
14 the line. So I think that's part of the coordination,
15 is you usually get response state by state, and part
16 of the route control process -- and correct me if I'm
17 wrong -- is to make sure that that's well established
18 and well understood so when shipments are coming
19 through, whatever states and local folks want to do to
20 be alert or aware, they certainly have that
21 opportunity.

22 MEMBER GARRICK: Thanks. Thanks, Mike.

23 I have a couple more questions on
24 transportation, but I think I'm going to wait until we
25 hear from the DOE folks because it affects them as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 well.

2 Thank you.

3 MEMBER LEVENSON: Ray?

4 VICE-CHAIRMAN WYMER: Yes. Were all of
5 these transportation tests that you've been expressing
6 here today by dedicated rail?

7 MR. BLACKWELL: Most, but not all.

8 Can you still hear me okay?

9 There is currently no regulatory
10 requirement to transport spent fuel high level waste
11 by dedicated train at this point in time. That does
12 not mean that has not been done.

13 The Progress Energy shipments are
14 dedicated consists. The Foreign Research Reactor Fuel
15 shipments, dedicated consists.

16 Many, I'm not going to say all, but many
17 of the naval nuclear shipments have been dedicated
18 consists. The fire shipments, most of those, a large
19 portion of those were in dedicated consists by choice,
20 not necessarily by any requirement.

21 VICE-CHAIRMAN WYMER: The small experience
22 base in non-dedicated train transport of these high
23 level radioactive material.

24 MR. BLACKWELL: The transport of dedicated
25 consists, material in dedicated freight is not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 something that would be new to the rail industry, no.
2 Then, again, transporting in a regular freight service
3 is not something new to them either.

4 VICE-CHAIRMAN WYMER: Thank you.

5 CHAIRMAN HORNBERGER: I noticed when you
6 were talking about the rulemaking, HM-232, that's for
7 all hazardous material. So is this typical in your
8 regulations that high level radioactive waste
9 shipments fall under all of your regulations for
10 hazardous materials?

11 MR. BLACKWELL: When a regulation is
12 usually developed -- and, Rick, you can back me up on
13 this or chime in -- we address the transport of
14 hazardous materials of which Class VII radioactive
15 materials is one of nine hazard classes. There may be
16 some culling out of certain hazard classes in regards
17 to the type of rulemaking it may be, in regards to
18 packaging or something, but you don't necessarily
19 address a particular hazard commodity in a rulemaking,
20 no.

21 Is that correct, Rick?

22 MR. BOYLE: That's correct.

23 MEMBER LEVENSON: Just speak into the mic.

24 MR. BOYLE: Yes, that's one of nine hazard
25 classes, and as a broad based initiative, it is a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 function specific or a case specific basis. So as
2 you're required to put in security provisions, I don't
3 think anybody should be confused at treating Class IX
4 miscellaneous HAZMAT as getting the same security as
5 any radioactive, in particular, spent fuel that is
6 developed to address the hazard that the material
7 presents.

8 So it's done generically but is
9 implemented specifically to the hazardous material.

10 MR. BLACKWELL: I can speak to the NPRM
11 since that was put out. The NPRM which, if anyone
12 here is familiar with rulemaking knows that it may not
13 necessarily be exactly the same in the final rule
14 after comments are received, but the NPRM tied the
15 requirements in this rule to anyone who was required
16 to register under 107.

17 Now, anyone who ships spent nuclear fuel
18 or high level reactive waste is required to register
19 under that part. So the rule would apply to anyone
20 who offers or transports these types of materials.

21 It's in the proposed rulemaking. That's
22 how it was proposed to come out.

23 I really am not privy to know what kind of
24 comments they received or what kind of changes may
25 have been made or not made on the comment period to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 know how it will come out with the final rule at this
2 time. I guess we'll know when we see the advanced
3 copy of the final rule. The FRA hasn't seen it yet
4 either.

5 MEMBER LEVENSON: I have a couple of
6 questions. One, on this rulemaking on security, is
7 that something relatively new? What's the
8 responsibility for security division between the
9 Nuclear Regulatory Commission and DOT on these
10 shipments?

11 MR. BOYLE: I would say that's to be
12 determined. You see the NRC putting forward interim
13 compensatory measures. They've already put out their
14 spent fuel measures, and then they're looking at other
15 ones.

16 The Department of Transportation has
17 reviewed those. I think there was no comment or
18 support for the spent fuel case based on the need or
19 the uniqueness of the material. I don't believe the
20 department is supporting the NRC expanding those
21 measures any farther than they are right now.

22 I don't want to say it's a turf battle,
23 but as you can see, with our security rulemakings
24 going on and new departments being formed, it's a
25 little up in the air exactly who has that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 But in the point of this meeting, if you
2 were talking about spent fuel, I think NRC would be
3 the lead. I don't think anybody is here to step in
4 and replace them as far as spent fuel goes. If you
5 broaden it to all hazardous material or all
6 radioactive material, I think that's where there
7 becomes more of a battle as to what's going on.

8 MR. BOYLE: In the context of this
9 meeting, there is an existing MOU between DOT and the
10 NRC on who has what participation matters.

11 MR. BLACKWELL: But it doesn't cover
12 security.

13 MR. BOYLE: But it doesn't cover security,
14 at least not yet.

15 MEMBER LEVENSON: The next question I
16 have: do you have any guesstimate as to the accident
17 rate between spent nuclear fuel and generic hazardous
18 material shipments?

19 MR. BLACKWELL: From the rail transport
20 side, I'd have to ask how would you define an accident
21 rate. From other hazardous materials, there are
22 accidents that can occur because a package fails and
23 leaks material.

24 But there's also derailments; there's also
25 -- there's just different accident criteria that is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 collected in the rail standpoint, and it has to be
2 quantified a little bit differently.

3 That's kind of a very broad question to
4 try to answer, I guess.

5 MR. BOYLE: I think that the general rate
6 is -- and I'll be very conservative with this -- if
7 there are three million shipments of radioactive
8 materials a year, there's probably going to be less
9 than 50 accidents a year, incidents/accidents,
10 anything that goes wrong with that. There would be
11 your annual rate, and put these over 40 years to see
12 data.

13 You know, there's no study that says,
14 "Here's the accident rate when it's spent fuel.
15 Here's the accident rate when it's a Type B package.
16 Here's what it is for all radioactive materials."

17 MR. BLACKWELL: There is data that can be
18 looked at from how many regulated radioactive material
19 shipments have been --

20 MEMBER LEVENSON: Yeah, I was going beyond
21 the radioactive material. We ship a lot of other very
22 hazardous materials, and I just wondered whether the
23 accident rate for radioactive materials no matter how
24 you define it is any different than the accident for
25 other hazardous material.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I guess this is somewhat in the context
2 that unless the accident rate for radioactive
3 materials is significantly higher than the average,
4 why would you go to dedicated trains for spent fuel
5 and not to other hazardous materials unless there's a
6 significant difference in the consequence and risk.

7 MR. BOYLE: Well, I don't know of any
8 study that puts that out, but you have to be very
9 careful that with almost a million shipments daily of
10 hazardous material, the criteria to define what's an
11 accident and how it gets reported is very different
12 than spent fuel.

13 I think even in the low level waste
14 scenario for radioactive material, when a truck
15 incident, a separation or even a flat tire or an
16 equipment problem, it doesn't even register. It's not
17 even in the picture as far as an incident with non-
18 spent fuel or low level waste. It certainly isn't in
19 the picture with hazardous material.

20 But if that vehicle is carrying spent
21 fuel, we'll have a summary of it 30 years later. So
22 I think the first thing we have to do is say what
23 incidents or accidents do you want to count, and you
24 would probably get into a range that if you held all
25 of HAZMAT to this reporting scenario, it would be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 difficult to know what the rate would be, but we don't
2 collect that amount of paper.

3 MEMBER LEVENSON: You sort of indirectly
4 answered my question in that you do have a double
5 standard in your reporting and data collection.

6 MR. BOYLE: Yes.

7 MR. BLACKWELL: That's one of the things
8 we're trying to look at. If you were to take that to
9 the rail side, and we've had people try to look at our
10 Web site and actually take rail accident data and
11 correlate it to the number of HAZMAT accidents and
12 make a correlation, and it's two different reporting
13 criteria because rail accidents could be anything from
14 a highway grade crossing accident to, like I say,
15 trucks jumping off a track in a rail yard or a
16 locomotive.

17 So the accident criteria is different, and
18 you really have to look at what -- you have to
19 quantify the data you're looking at in relation to
20 comparing it with other data.

21 MEMBER LEVENSON: Do you have one
22 significant figure, an estimate for the ratio of
23 radioactive shipments to hazardous material shipments
24 in total up to the railroad?

25 MR. BOYLE: Radioactive would be about

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 three percent of the total.

2 MR. BLACKWELL: That's total. Of the
3 railroad, it's, I believe, less than one tenth of one
4 percent of HAZMAT the railroad -- we're talking all
5 regulated radioactive materials. Less than one tenth
6 of one percent is radioactive.

7 MR. BOYLE: And three percent is all
8 radioactive materials, any quantity, as small as a
9 limited quantity all the way up to spent fuel. Three
10 percent of the total.

11 MR. BOYLE: Now, there is another factor
12 there by rail, is that you have to look at this number
13 of shipments compared to tonnage or train miles even
14 for that matter.

15 MEMBER LEVENSON: So if Yucca Mountain
16 leads to tripling the number of shipments per year
17 compared to what it has been in the last couple of
18 years for spent fuel, generically that really makes no
19 impact on the total hazard material problem at all.

20 MR. BLACKWELL: Yucca Mountain is spending
21 130 rail moves a year.

22 MR. BOYLE: That would be correct.

23 MR. BLACKWELL: That's nothing in relation
24 to the number of train movements done a year
25 nationwide. That would be nothing.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BOYLE: I just wanted to say how many
2 more shipments it wouldn't really appear in the
3 statistics, but again, I'll go back to a comment that
4 was made earlier. Spent fuel is held to a different
5 standard. It's not just going to run into the generic
6 million shipments a day number.

7 MEMBER LEVENSON: Yeah, we understand
8 that, but we're trying to focus on the risk and the
9 technical aspect of the risk and the double standard
10 doesn't make it less safe.

11 Any questions from the ACNW staff? Any of
12 the other presenters care to? This is a workshop. So
13 you're all free to question and challenge the
14 speakers.

15 MR. BLACKWELL: Be nice, Bob.

16 MR. FRONCZAK: Bob Fronczak with AAR.

17 I just wanted to point out that in 2001
18 there were 51 percent or 51 percent of the rail
19 accidents were at greater than ten miles an hour.
20 That doesn't answer your question, but it gives you
21 some relative idea that it's probably not 90 percent
22 that happened in yards, but it doesn't really answer
23 that question.

24 MR. BLACKWELL: I was going by a number
25 that may be a couple of years ago.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER LEVENSON: But I think you defined
2 two different accidents. You had said "derailment,"
3 and you said "accidents," and those could be quite
4 different.

5 MR. BLACKWELL: Yes. I was actually
6 referring to the number of derailments that were
7 reported. The number I was referring to from a couple
8 of years ago was the number of derailments, that 89
9 percent actually occur in a yard situation.

10 MR. FRONCZAK: And a lot of the accidents
11 that I'm referring to are grade crossing accidents
12 where there's not a derailment. So that's possible.

13 I guess, you know, one other
14 clarification. You know, I suppose the data is there
15 to do a study on derailment rates of dedicated or
16 radioactive material shipments. It would probably be
17 very difficult to do.

18 The implication that I heard was that the
19 derailment rate or the accident rate would be less
20 than other hazardous material shipments. That's kind
21 of the -- no? That wasn't what you guys said?

22 MR. BLACKWELL: Well, I guess I was asking
23 -- that's why I was trying to say quantify the data.
24 Like we know we have about what, 1,100 non-accident
25 releases a year? That doesn't mean we have 1,100

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 derailments a year. It depends on what you mean by an
2 accident involving HAZMAT.

3 Are we talking about an accident involving
4 the release of the material from the package that's
5 intended to hold it, or are we talking a
6 transportation type movement accident?

7 MR. BOYLE: I would say until you define
8 your criteria I'm making no comment on it, the
9 accident rate, better or worse until we sat down and
10 defined what accidents we want to talk about, what we
11 consider a shipment to be, and once we set those
12 parameters, we'll let somebody then give us a lot of
13 money to run the number up with --

14 MR. BLACKWELL: You've got to have
15 bounding criteria.

16 MR. BOYLE: But I apologize if somebody
17 thought I said it was better, worse, or the same, but
18 I think until all of the criteria are developed and we
19 all agree that's what we're counting, then we'll go
20 off and start counting.

21 MR. FRONCZAK: And then you would have to
22 factor in the fact that most of the shipments have
23 been by dedicated train into that.

24 MR. BLACKWELL: It would be an interesting
25 process to see somebody go through.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER LEVENSON: And I think that your
2 latest comment, Rick, is an important one for general
3 information because let me ask you a question of what
4 I interpret it to mean, and that is that if I go to
5 the various Web sites and get some numbers, I'd better
6 be very careful in how I use them and what I attribute
7 it to because there is not good, clean, crisp
8 definitions that are all widely accepted; is that
9 right?

10 MR. BOYLE: That's correct. That's
11 correct.

12 MEMBER LEVENSON: That's a fairly
13 important point. A lot of people go to a Web site,
14 get a number, and think they know what it means.

15 MR. BLACKWELL: In fact, I brought that
16 point up when the data from the FRA's safety Web site
17 was first put on there, and their data was used in
18 certain ports involving spent fuel, and one of the
19 points I brought up to our people was that it would
20 certainly help if we put the defining criteria on the
21 Web site so people would know what the numbers may
22 actually mean.

23 MEMBER RYAN: You know, as a follow-up,
24 when I think about accidents, I started thinking about
25 car accidents, and that can be anything up from a 200

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 car pile-up like we saw in the fog a couple of weeks
2 ago to I backed into a bumper in a parking lot and
3 scratched my fender. You know, they're both
4 accidents. There is both some impact, you know, small
5 versus huge.

6 Is there any document or reference that we
7 can go to and look for, you know, how accidents get
8 categorized? Sometimes it's on a financial criterion.
9 Sometimes it's on an impact criterion.

10 MR. BOYLE: Yes. DOT has reporting
11 requirements that would list what needs to be reported
12 to the department, and that would be what we would
13 consider our accident or incident database. So those
14 criteria would be in the regulation.

15 But certainly, as you point out, what is
16 reported to the Department of Transportation different
17 to what's reported to the NRC, different to what's
18 reported, say, to your home office, so DOT does have
19 criteria. They're printed in the regulations, and
20 keep a database of those incidences.

21 MR. BLACKWELL: And the FRA also has
22 separate accident reporting criteria that the nation's
23 railroads have to report in the 49 CFR 200 series
24 different from the HAZMAT criteria.

25 MEMBER LEVENSON: Yeah, I was going to say

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 let me guess: they don't match.

2 (Laughter.)

3 MR. BLACKWELL: No.

4 MEMBER LEVENSON: And, again, I think
5 that's coupled with the fact that, you know, as I
6 think everybody sort of agreed, there's a double
7 standard for spent nuclear fuel shipments. So that
8 makes it real tough to --

9 MR. BOYLE: Correct. With radioactive
10 materials as a whole, we have more stricter reporting
11 requirements. Basically whenever the package fails,
12 you'd report it, and that would be on whatever package
13 is involved. That would be our standard because
14 that's what we developed.

15 The FRA standards would be different
16 because they're, if I can say, they're running the
17 railroad. So they are concerned about derailment and
18 grade crossings, where my office, we don't care what
19 happened to the package. We just want to know did it
20 survive or not. You know, is it still intact?

21 So that would be why there's two different
22 reporting criteria in the same department.

23 MEMBER LEVENSON: That leads to a
24 question. When you say for radioactive material, are
25 you using the technical scientific definition, is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 something radioactive, versus the legal definition?
2 And what I mean by that is, you know, Congress has
3 declared radioactive materials whose origin is coal or
4 oil or, in many cases, accelerators as not radioactive
5 for some regulations.

6 MR. BOYLE: Our definition is 70
7 bacquerels per gram or greater as --

8 MEMBER LEVENSON: Regardless of source.

9 MR. BOYLE: Regardless of source.

10 MEMBER LEVENSON: Any questions? We have
11 a couple of minutes for questions.

12 (No response.)

13 MEMBER LEVENSON: Okay. I want to thank
14 both of you, and we'll move on to the summary of DOE
15 shipping experience, and our first speaker will be
16 Alton Harris.

17 MR. HARRIS: I'm ready to go when the
18 committee is ready.

19 MEMBER LEVENSON: Go ahead.

20 MR. HARRIS: Good afternoon. My name is
21 Alton Harris. I'm with the U.S. Department of Energy
22 out of Washington, D.C. I work for the Office of
23 Environmental Management, specifically the Office of
24 Waste Isolation Pilot Plant.

25 In the introduction, it was mentioned that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 this workshop is specifically looking at spent nuclear
2 fuel and the packaging associated with the waste form.
3 I'm going to be speaking to you about the Department
4 of Energy's experience with transuranic waste
5 shipments. There's a slight difference.

6 Transuranic waste is radioactive waste
7 contaminated with alpha emitting radionuclides with
8 half-lives greater than 20 years and concentrations
9 greater than 100 nanocuries per gram.

10 What I'm going to basically go over first
11 is just a snippet of what our mission is in case
12 you're not familiar with that; the packagings that we
13 are currently using and plan to use in the future; and
14 our shipping experience since 1999 when we began
15 shipping.

16 Congress authorized the waste isolation
17 pilot plant to permanently isolate up to 6.2 million
18 cubic feet of defense generated transuranic waste in
19 a deep geologic repository. This is actually nearly
20 Carlsbad, New Mexico.

21 This isometric is just a representation of
22 the facility out in Carlsbad. The repository is
23 actually 2,150 feet below the surface.

24 Here's what transuranic waste looks like
25 in 55 gallon drums that have been cut away. To the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 lower left there is a picture of what would be metal
2 pipe, metal pieces of laboratory equipment. The one
3 above it is de-watered sludges. The one to the right
4 of it, the upper right, is just a mixture of different
5 kinds of things you would find in laboratory work when
6 we were processing and developing nuclear weapons.
7 And in the lower right is another waste form that
8 comes in it's basically contaminated gloves, booties,
9 laboratory wear, glassware. That would also be
10 characterized as waste.

11 Again, I stated if you didn't hear before
12 transuranic waste is alpha emitting radionuclide with
13 half-lives greater than 20 years and concentrations
14 greater than 100 nanocuries per gram.

15 In terms of our mission for shipping the
16 waste to WIPP, we project that we'll be shipping
17 between 17,000 and 20,000 shipments over the project's
18 estimated life to be 2034 right at this particular
19 time.

20 We're considering alternatives in how we
21 might accelerate those shipments and actually making
22 34 shipments a week and actually closing the facility
23 by 2013, and actually when I say "close the facility,"
24 I mean to carry the bulk of the waste that's presently
25 stored around the nation, what we call the legacy

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 transuranic waste, and bring that to WIPP and place it
2 in the repository.

3 To date, we have made over 1,300
4 shipments. As of this morning, we had around 1,374
5 shipments.

6 We make shipments, as you see, from sites
7 across the United States: the Hanford site, Idaho
8 National Engineering Laboratory, Rocky Flats facility
9 in Colorado, Las Alamos National Laboratories in New
10 Mexico, and the Savannah River site.

11 And so we've moved approximately over
12 36,000 drums to WIPP.

13 MEMBER LEVENSON: Are these shipments all
14 by truck?

15 MR. HARRIS: Yes, to date they are. We
16 are considering a rail option, and if we were to
17 pursue this, we expect to maybe start that in the year
18 2005.

19 This next slide here shows the proposed
20 routes. The previous slide showed what routes we've
21 actually used to date, but as you can see, the sites
22 where we have transuranic waste is stored across the
23 country, and we expect over the life of the project to
24 be making shipments from these various sites down to
25 Carlsbad, New Mexico.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 From a routing standpoint, just to answer
2 a question that I might anticipate you asking, we
3 consider our shipments as though they were highway
4 route controlled shipments. Of the 1,300 shipments
5 that we've actually had, only some 400 actually have
6 been highway route controlled shipments.

7 We've entered into agreements with the
8 Western Governors Association, the Southern States
9 Energy Board, and on transportation protocols that we
10 use for our shipments, and as part of those
11 discussions and with the State of New Mexico, we have
12 told them we would route our shipments as though they
13 were highway route controlled shipments to the extent
14 practicable.

15 The packagings that we have are broken
16 down into two different classes for different wastes
17 that we have. I gave you the definition for
18 transuranic waste. There's actually a subdefinition.
19 If you were to stand at the outside of the packaging
20 and if you were able to get a reading less than 200
21 millirem per hour, that's what we call contact handled
22 transuranic waste.

23 And the packagings we use for this are the
24 TRUPACT-II, the HalfPACT, and our proposed packaging
25 that we hope to have designed and built, the TRUPACT-

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 III.

2 The TRUPACT-II is a -- and I'll show you
3 some pictures in just a second, and I'll give you the
4 definition of those characteristics -- but right now
5 we have 67 TRUPACT-IIs, which form the bulk of our
6 transportation fleet, and we hope to increase that to
7 81.

8 We're in the process of fabricating
9 HalfPACTs right at this time. When we're done, we
10 expect to have 15.

11 The size for the TRUPACT-III packaging
12 actually hasn't been defined as of yet.

13 Now, for our remote handled transuranic
14 waste, this would be waste that's too hot for a waste
15 handler to get next to. The exposure at the surface
16 of a waste container would be in excess of 200
17 millirem per hour.

18 We have the RH-72B cask, which is a scaled
19 down version of the shipping cask used for the Three
20 Mile Island shipments, and this particular packaging,
21 we have four that we actually have in our inventory
22 right now, and we expect a fleet size of 12 when we're
23 done.

24 And we're also using another packaging for
25 remote handled transuranic waste, the CNS 10-160B

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 cask. The one interesting thing about this particular
2 packaging is that it's single containment, and so
3 we'll be only able to carry less than 20 curies of
4 plutonium per that shipping container.

5 All of our packagings that we use, they
6 are certified by the Nuclear Regulatory Commission.
7 So there isn't an issue with DOE self-certifying these
8 packagings.

9 This picture right here is a
10 representation of the TRUPACT-II. There are three on
11 this trailer, and the picture in the background is
12 actually the waste isolation pilot plant.

13 The TRUPACT-II is approximately eight feet
14 in diameter and ten feet high, and it has a payload
15 capacity of some 12,000 pounds, almost 13,000 pounds.
16 But what we have done with our shipments, they're
17 basically all under the 80,000 pounds gross vehicle
18 weight.

19 The HalfPACT, the next slide -- oh, excuse
20 me. This particular picture here just shows the
21 payload going into a TRUPACT-II. Fourteen 55 gallon
22 drums are able to go into this packaging as a standard
23 configuration. There's some others, but this gives
24 you a general sense of payload that we use. So 14 55
25 gallons are being lowered into this unit.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 It's much like a Thermos within a Thermos,
2 if you can envision that.

3 At the back of this trailer, there is the
4 HalfPACT and the front two packagings are the TRUPACT-
5 II, and the HalfPACT spans -- its outer dimensions are
6 eight foot in diameter by approximately eight feet
7 high. It is capable of holding seven 55 gallon drums
8 as its normal configuration.

9 And the reason we have this packaging is
10 to help us carry heavier payloads. Like we have
11 sludges at the Idaho National Engineering Laboratory,
12 and this just allows us to carry more at one time.

13 I don't have a picture of what our
14 representation of the TRUPACT-III would be. We're
15 actually meeting with NRC right at this very time in
16 a different portion of the building and talking about
17 the potential plans that we have in developing this
18 packaging.

19 This picture here is a picture of our 72B
20 cask. It's approximately -- it looks like a bell bar.
21 The outer pieces you see are the impact limiters. The
22 actual cask itself is approximately six feet in
23 diameter, and the overall length with the impact
24 limiters on it makes it 16 feet.

25 Its normal payload configuration is three

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 55 gallon drums. It's shielded packaging.

2 We actually haven't started using this
3 package just yet. We hope to make some intersite
4 shipments from Columbus, Ohio, and possibly within
5 California to the Hanford site before the end of the
6 year. We're still making final arrangements for that
7 to occur, but this would be the first use of this
8 packaging when we do get approval to make these
9 shipments.

10 Excuse me. I stand corrected. We won't
11 be using the RH-72B. We'll be actually using the CNS
12 10-160B cask for this purpose, these intersite
13 shipments I was just mentioning, and this will be one
14 of our first times, the Department of Energy's first
15 uses of this packaging.

16 When we do begin making remote handled
17 shipments from other sites to WIPP in approximately
18 the year 2005, that is when we expect to begin using
19 the RH 72B task. I apologize for that slip there.

20 Next slide, please.

21 This is just the packaging for that.

22 Specifically our performance has been
23 great, using these packagings and working with the NRC
24 and getting them certified and available for our use.

25 We've had two minor accidents. Actually

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 unfortunately they both have occurred in the recent
2 past, August and September. One was a fender bender
3 up in New Mexico, some less than ten miles away from
4 the WIPP site. We had an individual who was driving
5 under the influence of alcohol that rear-ended our
6 vehicle, and there was no damage to our packaging, no
7 loss of life, and the instant didn't meet the
8 department's threshold for occurrence reporting.

9 In September we had an accident up in
10 Wyoming where a driver had a medical condition,
11 actually veered across the median and went off into a
12 wooded area, and the vehicle stopped. The package on
13 the -- well, three packages remained on the vehicle,
14 on the trailer, and there was no loss of life, no loss
15 of containment, and that's basically how that incident
16 went.

17 So we're proud of our safety record to
18 date, but you know, there's always room for
19 improvement.

20 Of probably more interest to you, we've
21 spent a lot of time and effort working with the
22 Nuclear Regulatory Commission improving the contents
23 and payload capacity for our packaging. For the
24 TRUPACT-II, we've had over 19 revisions to our
25 TRUPACT, which allows us to streamline and increase

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the capabilities of this packaging.

2 To date with the packagings we have on the
3 table, excluding my talking about the TRUPACT-III, we
4 could ship 74 percent of our waste. The remaining 25
5 percent, 26 percent of the waste that we still had
6 outstanding is not shippable because of its size. We
7 have large boxes around our complex, and either we
8 would have to go in and slice that waste up and
9 repackage it or we'd have to develop a larger box
10 packaging, and that's what we're hoping to accomplish
11 with our TRUPACT-III design when that is certified by
12 the Nuclear Regulatory Commission.

13 So that would take care of 24 percent of
14 the waste, and the last one, 2 percent of the waste,
15 we have a hydrogen gas generation problem. Here,
16 again, either we could dilute our waste and repackage
17 it or we could find engineering alternatives and
18 solutions to work it so that we could still use our
19 existing packages to make these shipments, and we're
20 attempting to do that right now.

21 This is the end of my presentation, and
22 I'd be glad to answer any questions that you have.

23 MEMBER LEVENSON: Does any committee
24 member have a question of the DOE?

25 (No response.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. HARRIS: Sounds great. Thank you.

2 MEMBER LEVENSON: We'll get back to you
3 with our question.

4 MR. HARRIS: Okay.

5 MEMBER LEVENSON: The next speaker is
6 Maureen Clapper, who will speak on the foreign fuel
7 experience of DOE.

8 MS. CLAPPER: Thanks.

9 Good afternoon. My name is Maureen
10 Clapper, and I'm with the Department of Energy. I'm
11 the Program Manager for the Foreign Research Reactor
12 Spent Nuclear Fuel Acceptance Program, and this
13 program resides within the Office of Environmental
14 Management, specifically within the Office of
15 Integration and Disposition.

16 I'd like to thank the ACNW for giving us
17 the opportunity to make this presentation today.

18 The overview of today's talk, I'll go into
19 the background of the Foreign Research Reactor Spent
20 Nuclear Fuel Acceptance Program; the status of the
21 acceptance program; shipment planning and execution;
22 and then finally lessons learned, issues and
23 challenges.

24 Background of the Foreign Research Reactor
25 Spent Nuclear Fuel Acceptance Program, which

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 unfortunately doesn't have a very good acronym so I
2 have to say this lengthy name all the time. In the
3 1950s and '60s under President Eisenhower, there was
4 a decision made to provide partner countries with
5 enriched uranium for research purposes. These
6 countries had to agree not to develop nuclear weapons
7 in exchange for this material, and again, it's used in
8 research reactors for research and development
9 purposes, peaceful uses of nuclear materials.

10 The uranium was provided to 41 countries,
11 which are shown on the map. The countries are
12 highlighted in yellow, but that's not showing up very
13 well on this, but they are also written; detailed
14 names are written on the map as well. So again, this
15 was 41 countries that received this enriched uranium.

16 The goal of the Foreign Research Reactor
17 Program is to recover nuclear materials which could
18 otherwise be used in nuclear weapons. The strategy of
19 the program is to play a key role in the civilian
20 nuclear fuel cycle. Since high enriched uranium is
21 potentially weapons usable, the mission of the program
22 is to get this material out of the cycle.

23 And the program works jointly with another
24 Department of Energy program called the Reduced
25 Enrichment for Research and Test Reactors Program,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 another unfortunately long name, called the RERTR
2 program.

3 RERTR is involved in the technical
4 development of low enriched fuels to provide these
5 research reactors, many of which were provided with
6 high enriched uranium at the outset. So these reactor
7 cores are converting from high enriched uranium to low
8 enriched uranium, and then our program provides the
9 means for this fuel to be shipped back to the United
10 States since it is U.S. origin enriched uranium.

11 So, again, by implementation of the
12 program, the U.S. accepts eligible spent fuel, and
13 many of these reactors can directly convert to low
14 enriched uranium.

15 Research reactors are important. They are
16 used for medical, agricultural, and industrial
17 applications. Right now they're currently used for
18 the medical isotope productions.

19 The reason for this policy is to reduce
20 the threat of nuclear weapons proliferation, while
21 letting countries enjoy the benefits of nuclear
22 technology; to reduce and eventually eliminate high
23 enriched uranium from worldwide commerce; and allow
24 time for countries with spent fuel, both high and low
25 enriched uranium, to resolve their own disposition

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 pathways.

2 And the time span of the program allows
3 reactor operators to eliminate long-term liability
4 associated with spent fuel management and disposition.

5 Some of the details on the policy.
6 Research reactor spent nuclear fuel containing uranium
7 enriched in the United States will be accepted from 41
8 countries and managed in the United States.
9 Originally in their record of decision and
10 environmental impact statement, 20 metric tons was
11 estimated to be returned. Five tons of this is high
12 enriched uranium; 15 tons, low enriched.

13 And this includes two research reactor
14 material types, and that is the aluminum based MTR
15 type fuel, material test reactor, and then TRIGA,
16 research reactor spent fuel, and the TRIGA fuel is a
17 Zircaloy, zirconium alloy fuel, and then some target
18 material as well. Targets are used in the production
19 of medical isotopes.

20 Based on correspondence with eligible
21 countries and reactor facilities, we now anticipate
22 about half of this material will be made available for
23 return, and that's because several countries have
24 decided either not to participate. They may have a
25 lifetime core.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 If they participate in this program before
2 2006, this would require that they shut their reactor
3 down, and this is a voluntary program. So they've got
4 the decision to make with respect to that.

5 Some of the reactors have slower burn-up
6 than was originally expected of this fuel in the
7 reactor, and then finally, other countries have done
8 what we've really wanted to, and that is find
9 alternatives for their own management and disposition
10 of this material.

11 One example is in the Netherlands.
12 They've built COVRA, which is a high level waste and
13 spent nuclear fuel storage facility. And so they will
14 eventually be storing some of their fuel there.

15 The program has a ten year acceptance
16 policy that was initiated in May of 1996. It will go
17 until May of 2006, and this provides time for reactor
18 operators to develop their own solution for material,
19 but the fuel irradiated during this ten year window
20 can be accepted over a 13 year period.

21 So, therefore, the fuel cannot be
22 irradiated after May of 2006, but we'll accept it
23 until 2009 so long as the country comes forward and
24 claims that they have eligible material they want
25 considered for transport.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The status of the spent fuel acceptance
2 program. Twenty-five shipments have been completed to
3 date. Most recently was September 27th of 2002, which
4 we received eight casks from Japan. The photo on this
5 slide is at the Charleston Naval Weapons Station in
6 South Carolina.

7 We've received 5,537 spent fuel assemblies
8 from 27 countries. Three cross-country shipments have
9 occurred to date and one West Coast shipment was
10 completed.

11 Ninety-five percent of the material under
12 this program is material test reactor fuel, which will
13 be interim stored at the Savannah River site.
14 Therefore, most of the fuel shipments have come into
15 the East Coast.

16 Five percent of the fuel is TRIGA fuel.
17 TRIGA fuel is stored at the Idaho National Engineering
18 and Environmental Laboratory in Idaho. So we have had
19 one shipment of TRIGA type fuel come into California,
20 and then that was transported by train to Idaho.

21 After September 11th, planning was under
22 continuous tight scrutiny of upper level DOE
23 management. DOE did halt shipments on September 11th,
24 and once again on October 7th of 2001, the day that we
25 started the air campaign over Afghanistan. And DOE

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 remains in close contact with federal and state law
2 enforcement agencies, the naval installation, Coast
3 Guard, and the NRC while shipments are underway.

4 This next slide shows the foreign research
5 reactor spent nuclear fuel shipments to date. It's
6 actually not updated. It shows 24 shipments. The
7 25th shipment should be under the right side where it
8 says 20. It should say 21 shipments to the Savannah
9 River site. I lost my contractor who provided me
10 graphic art support. So I haven't found anybody to
11 update this, and they own the graphics. So I can't
12 just go in and change it.

13 The next viewgraph shows a map with
14 shipments planned over the next year. We're expecting
15 fuel from Japan. Most of Japan's shipments go through
16 the Panama Canal, and Japan ships empty casks to
17 England for other programs, and so while they're
18 shipping those empty casks, they utilize the
19 opportunity of those shipments, of those ships
20 transporting the empty casks, and they'll put the
21 spent fuel on those casks and then store the fuel in
22 England until there is a larger European shipment
23 later in the year.

24 We were trying to get fuel from Indonesia.
25 I'm not exactly sure when we're going to be able to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 visit Indonesia. My travel was with the Assistant
2 Secretary for approval when the Friday before the
1 Sunday blast occurred in Bali, so our travel plans are
2 on hold until we hear from the embassy in Jakarta. We
3 are also working with South Korea who's very
4 interesting in returning fuel under the program. And
5 then we'll have a shipment from Europe in 2003 also
6 that will include fuel from Germany, Austria and
7 France.

8 Shipment planning and execution. We work
9 very closely with DOT and NRC. We enjoy a strong and
10 positive working relationship with our DOT and NRC
11 colleagues. We look to them for support of licensing
12 of the transportation casks. Many of which come in
13 are foreign casks, so they're coming in with a foreign
14 certificate of compliance, so we've got to them
15 reviewed and get the license application in the United
16 States, the certificate of compliance.

17 And then identification of suitable
18 transportation routes for this material, route
19 approval for transportation, oversight of
20 transportation activities, support during shipment
21 execution, transportation planning and stakeholder
22 outreach. DOT and NRC play critical a role in the
23 successful implementation of several mission critical

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DOE shipping campaigns.

2 And on this next slide, for those of you
3 who have not seen a spent fuel cask, ours are smaller
4 than the ones Alton was showing you, and there will be
5 a slide later that will give you some perspective of
6 the size of these casks. This is a cask with the
7 basket removed, and this is a cask from Japan, and,
8 actually, this is one of the casks that will be seen
9 hopefully next year when we get the shipment in from
10 Japan of TRIGA fuel. On the outside of the cask,
11 there are what they call cooling fins to cool the
12 casks.

13 And in the next slide, this is the basket
14 that's inserted into the cask. Each one of those
15 cells holds one of the TRIGA fuel assemblies. And the
16 baskets are made specifically for the fuel. When the
17 fuel gets to Idaho, in this instance, Idaho will
18 remove the fuel and the basket and then place it in
19 dry storage underground. In relation to that, the
20 Savannah River Site stores fuel, the MTR fuel in
21 basins. And so Savannah River is what's stored in the
22 basins. Idaho's TRIGA fuel is dry stored.

23 The spent fuel shipment planning, the fuel
24 casks arrive at naval installations and are
25 transported to either the Savannah River Site or Idaho

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 based on the fuel type. Again, for Savannah River
2 Site it's the MTR fuel, the aluminum-based fuel, and
3 for Idaho it's the TRIGA fuel.

4 Receipt of TRIGA fuel on the east coast
5 occurs about once a year, and this results in a cross-
6 country shipment transport. And this will occur
7 because we, as I said, 95 percent of the fuel is MTR
8 fuel, so a lot more of our shipments include MTR-type
9 fuel. One of the countries will come forward and say,
10 "We've got some TRIGA that we'd like sent on your next
11 shipment," and so to increase efficiency we typically
12 look for multiple casks from multiple countries and
13 bring this fuel in. We try to get as many casks on a
14 ship as possible.

15 Route selection is governed by NRC and DOT
16 regulations. It requires shipper to minimize
17 radiological risk, and minimizing time in transit
18 minimizes the radiological risk. This is the picture
19 that I promised, showing a little bit of a perspective
20 of the size of the cask. This is the Japanese 18.5T
21 cask in the Savannah River Site's decon facility after
22 receipt and unloading of the cask.

23 Some of the key facts for cross-country
24 shipments, they're highly interactive campaigns
25 involving extensive communications among all levels of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 government, local and state as well. We receive a
2 high level of public and media awareness, we stay very
3 close in contact with our PR people who get a lot of
4 questions from local newspapers asking about
5 shipments. So we've got a lot of good guidance that's
6 already been established that we release for the
7 shipments so that people are made aware of these
8 shipments that are coming through.

9 Campaign planning and execution is similar
10 from shipment to shipment, although some approaches
11 and participants are different. And this comes to
12 play when the routes change. We can use several
13 routes for those cross-country shipments. Cross-
14 country shipment planning is a year-long advanced
15 planning process. We work with the foreign countries
16 on timing, licensing issues, casks, we collect data on
17 the fuel, select and schedule the casks, select
18 transportation services contractor.

19 There's a Cross-country Transportation
20 Working Group, which was formed and tasked with
21 developing and maintaining a transportation plan for
22 completing the cross-country shipments in a safe
23 efficient manner. And on those Cross-country
24 Transportation Working Group is our members from local
25 law enforcement as well as state protection.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Route evaluation and the selection process
2 occurs for reach cross-country shipment, and
3 transportation and security plans are also developed
4 for each shipment. This shows the interstate highways
5 that are used, the three potential routes which were
6 identified in 1999, and they're reevaluated each year
7 for a shipment campaign to route the material between
8 South Carolina to Idaho.

9 We've completed three cross-country
10 shipments successfully. The first was in August of
11 1999 when we had five vehicles, one cask per vehicle
12 enclosed in an ISO container by truck, 446 TRIGA rods
13 from Romania, Slovenia, Italy and Germany. The second
14 cross-country shipment was completed in July of 2000.
15 This was one vehicle, one cask, 90 TRIGA rods from the
16 United Kingdom. And the third cross country was
17 complete in July of 2001. There was no TRIGA fuel
18 that was scheduled to come into the United States in
19 2002, and in 2003, we're currently considering fuel
20 from Rikkyo University in Japan. That would be one
21 cask from Japan and the cask that was shown in the
22 pictures preceding.

23 Some of our planning considerations, DOE
24 requests data on road conditions, planned construction
25 and takes this into account in evaluating routes

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 through every potential corridor state before routes
2 are selected. DOE works with states and tribes to
3 identify and resolve, where possible, construction,
4 congestion, timing, escort and training issues to
5 ensure safety. And DOE will continue to work with
6 state and tribal officials to address planning,
7 safety, response and stakeholder concerns.

8 Some of our lessons learned, issues and
9 challenges, inspections and escort link-ups and
10 avoiding rush hours are all time-sensitive events. Up
11 until the NRC's central compensatory measures, spent
12 nuclear fuel had to be escorted only when going
13 through populations of 100,000 and greater. We
14 haven't had a shipment since the new order's been
15 placed, but some of our past experience in having
16 escort link-ups with state highway patrol did give us
17 concern on one occasion when the state highway patrol
18 wasn't at the safe haven to meet the shipment on time,
19 and so the state highway patrol at the other side of
20 the border had to wait for the state highway patrol to
21 meet them.

22 But this causes a cascading effect then,
23 because these shipments are planned. We give
24 notification to the governors seven days in advance
25 that we're transmitting this material through the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 state, and when we fall behind in one state it just
2 falls into the next state. We do want to avoid rush
3 hours, so sometimes a two-hour delay in one state can
4 end up as a 12-hour delay, because you've now got rush
5 hours that you also have to avoid.

6 Several planning areas need to be more
7 clear, consistent and timely. Route approvals, change
8 in plans, information dissemination and then, for
9 example, the change in designated rush hours in one
10 state was not disseminated to DOE. When DOE was two
11 hours outside of arriving in a state, we found out
12 that the state had changed their rush hours, and we
13 had to wait until rush hours was over before we could
14 proceed going through that state.

15 Dates, times and ship names are considered
16 Safeguards Information by the NRC regulations. We've
17 also found that these equivalent measures do not
18 necessarily apply in foreign countries, some of who
19 have openness policies, and much of this information
20 can be found on their web sites in their regulatory
21 equivalent bodies of NRC in foreign countries.

22 Current issues and challenges, identifying
23 certification needs and getting technical information
24 from the research reactor operators in the foreign
25 countries to support reviews of casks early in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 shipment planning process, cooperative planning with
2 states and tribes has been good, but it's changing in
3 this new security climate. We've heard from more than
4 one director of state homeland security that they want
5 to be involved, and we're more than happy to involve
6 the state homeland security directors. We would like
7 to work through their state contacts that we already
8 have established.

9 Security issues abroad may affect shipment
10 schedules and configurations, for example, when and
11 where vessels can pick up. And the Yucca Mountain
12 debate and decision in Congress raised awareness on
13 all spent nuclear fuel transportation. Numerous
14 requests have been received from reactor operators for
15 our program to extend the expiration date of the
16 policy. The United States at this time has no plans
17 to extend the policy. And we're starting to see some
18 geographic challenges where scheduling is becoming
19 more complex as fuel is de-inventoried from regions in
20 the world, so we've got fuel where we've got maybe ten
21 assemblies in Peru because we've cleared everything
22 out of that area. So that leaves us with some
23 geographic challenges in the future, and we want to go
24 back and get as much fuel as we can under the program
25 that's eligible.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Two thousand two and beyond, spent nuclear
2 fuel has been shipped safely in the United States by
3 DOE and by private entities for over 40 years. DOE
4 elements at headquarters and in the field recognize
5 our Cross-Country Transportation Working Group has
6 been, and will continue to be, successful. And we
7 want to continue to use what works. Every shipment is
8 unique and reveals new opportunities for improvement.
9 The federal agencies continue to undergo bottom-up
10 safeguards and security reviews. We expect new ways
11 to work and new interactions, in particular with
12 yesterday's Department of Homeland Security formation.
13 And then cooperative planning will enable DOE states
14 and tribes to adapt to changing circumstances. And
15 that's it.

16 MEMBER LEVENSON: Okay. Thank you,
17 Maureen. Now we'll go on to Don Doherty who will
18 cover experience in shipping Navy.

19 MR. DOHERTY: My name is Don Doherty, and
20 I work with Naval Reactors and have really for almost
21 42 years. So, Kevin, we're hanging in there together.

22 The first couple of slides I've got are
23 some product advertisements.

24 (Laughter.)

25 So it's fairly clear what we do. And that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is the total focus of what we do. There are corollary
2 and things that support it, but that's the purpose is
3 supporting the fleet. And our program involves a lot
4 of national security issues, a lot of classified
5 material. When you get into spent fuel shipments,
6 those are national security shipments, and therefore
7 there are different sets of rules that go through. So
8 some of the things I want to show you that are
9 different reflect that.

10 The spent fuel cycle, upon refueling and
11 defueling, all spent fuel is transported by rail to
12 the Naval Reactors Facility on the INEEL site. That
13 is our central location for receiving the fuel, for
14 handling it, for inspecting it. One hundred percent
15 of our fuel is inspected when it gets there. Some of
16 it looking for somewhat superficial damage, but some
17 of it is very detailed, including destructive
18 examinations and detailed dimensional probing. We do
19 that, one, to ensure that the fuel continues to do
20 what it -- to perform as it's supposed to in
21 operation, we don't get any nasty surprises, and
22 another main purpose, especially with destructive
23 work, is to make the fuel better, figure out how to
24 get more lifetime out of it, get more performance per
25 square inch of fuel area. And that's resulted in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 original cores were operating for about two years way
2 back in the '50s that now they're operating for 30
3 years. And that obviously produces an awful lot less
4 waste, spent fuel to be handled.

5 This map looks similar to other ones
6 you've seen, and there's been some talk about special
7 trains, dedicated trains, and I guess I wanted to
8 clarify something. The Naval Reactors Program does
9 not require special or dedicated trains, we have not
10 in our whole history. As has been correctly pointed
11 out, we'd have -- when there's been a major schedule
12 need, for instance, if we have the first core of a new
13 core type and we want to get it back to Idaho to
14 quickly get in and do some examination and get
15 confirmation right away that it's performing as it
16 should, we will pay the extra cost to have a dedicated
17 train.

18 The shipments come from four locations --
19 well, really five. On the east coast, Portsmouth
20 Naval Shipyard is up between New Hampshire and Maine,
21 technically in Maine, and then down in the Norfolk
22 area in Virginia, Norfolk/Newport News, there's a
23 private shipyard and there's a Navy yard. On the west
24 coast, in Washington State, there's Puget Sound Naval
25 Shipyard fairly near Seattle. There's also a shipyard

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 out in the Pacific at Pearl Harbor in the Hawaiian
2 Island. The spent fuel removed from ships in that
3 shipyard is moved back by ocean-going ship, specially-
4 rigged ship, and goes to Puget Sound Shipyard, and
5 it's shipped from there. All the fuel from both
6 coasts goes to Idaho, so these are rough routes.

7 And I say they're rough routes because we
8 allow the railroads to designate the route. And why
9 do we do that? The railroad is a closed system. If
10 we allow them to do this, they're the experts, they do
11 the job right, they understand their system best.
12 They know where the track is good, where there are
13 certain problems, like the heat problem with the rails
14 we had here in Washington. In the wintertime, they
15 know where the snow and the ice may be. There may be
16 periods when rail lines are blocked, and as was
17 mentioned by Maureen, it is desirable to move this
18 fuel as quickly as possible, and we feel the railroads
19 are in the best position to do that, and that's what
20 we've been doing for the last 45 years.

21 Also, in talking about dedicated trains,
22 we ship by regular rate service. We do not, as I say,
23 pay for special trains, so our spent fuel could be on
24 a special train, and there are many times when it is,
25 there are other times when it's sitting in a train

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 with general freight. Again, being a national
2 security shipment, we're not trying to draw attention
3 to our shipments, and when they're in a train of 60 or
4 40 other cars, they don't get much notice.

5 And my numbers differ, as was pointed out
6 before by Kevin or whoever, that we say 742 shipments
7 were made in the last 42 years. Those are casks,
8 those are not -- I was sitting here when you did that,
9 and I was thinking, gee, what's the right number for
10 movements, and I think it's -- I came up with between
11 300 and 400, so I'm not going to argue with your 400
12 number.

13 Next slide shows a picture, now I just
14 told you about we don't always use dedicated train.
15 That's obviously a dedicated train. As you get closer
16 to the INEEL in Idaho, there really isn't much other
17 freight going up in that direction, so typically
18 they're all that way.

19 There's another thing I need to mention or
20 I'm going to be misleading here. Can we go back to
21 the rail route slide? In the east coast, we generally
22 move in regular service because the railroads agree
23 with that. As I say, we have occasionally paid for
24 special service and dedicated trains -- we call them
25 special trains -- but at the transfer in the border of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Kansas and Missouri, or whenever the transfer is to
2 Union Pacific for travel in the West, Union Pacific
3 chooses to usually use special trains, dedicated
4 trains -- not always, but usually. That is their
5 preferred method. And that's their choice, we have no
6 problem with that, we just don't want to pay extra for
7 it.

8 MEMBER LEVENSON: As a taxpayer, I applaud
9 you.

10 MR. DOHERTY: All right. This slide is
11 just, as I said, it shows the train and there are four
12 casks on this one. We don't usually have that many.
13 There are many trains that have just one, quite a few
14 have two, this shows four, I think our record is once
15 we had six. It was an injunction in Idaho and we had
16 to clear out fuel that had been stacking up in
17 shipyards, and we had six on one train.

18 The nature of the fuel is very rugged.
19 I'll get into that a little bit more later, but it's
20 a very different kind of an animal than what you're
21 used to in terms of commercial fuel. The containers,
22 of course, are robust, but that's probably no
23 different than any other Type B container, they've got
24 to meet the same requirements.

25 Shipping practice, we have two escorts

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 with every shipment. They're armed, and they are
2 active duty Navy people, they're extremely highly
3 trained, they have done a lot of security exercises
4 involved with what if somebody tries to take the
5 train, hurt the train, what are the kinds of things
6 you could do to foil the attempt. The caboose, which
7 is at the very end there on the picture, and I have a
8 bigger picture of it later, is where the escorts ride.
9 They have a number of communication systems available
10 to them. They are in the -- people who monitor
11 national security shipments know where this train is
12 at all times, at least they know where the caboose is
13 at all times, and there are periodic reports that the
14 escorts have to make. If they fail to make them, then
15 that tells somebody something, and there are
16 appropriate response mechanisms.

17 Next slide, a little bit more about the
18 naval spent fuel characteristics. It is a solid
19 metallic fuel, it's not flammable, not explosive. I
20 can't go into a lot of real detail because it's
21 classified. It's built for combat. It operates in
22 Navy ships which are supposed to continue to operate
23 to fulfill their function even when under fire, even
24 when depth chargers are going off. You don't want to
25 -- that's not the time you want to lose your

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 propulsion power when you're engaged with the enemy.
2 So they are very, very rugged so that they can accept
3 high shock values. And since the crew, especially in
4 the submarine, lives in this metal tube, under water,
5 for months at a time, with an operating reactor, it is
6 a very strong requirement of ours that there be no
7 fuel leakage of any kind and that the primary coolant
8 does not have fission products, they can't get up
9 through some sort of primary coolant leak or vent leak
10 so that they contaminate the atmosphere of the
11 submarine.

12 The punch line of all this, just because of the
13 way it's designed for its military function, it is
14 very durable and rugged and suitable for transport,
15 can handle transportation accidents very well,
16 although we've never had to test that.

17 Let me talk a little bit more about the
18 containers. The Naval Reactors Program has always had
19 a very, very conservative design philosophy that we
20 design for extreme worst-case conditions. Our
21 shipping container, that's the M-140 shipping
22 container, is 14 inches thick solid stainless steel
23 walls, and it, of course, is a Type B certified
24 container, NRC-certified container. Normally,
25 radiation levels allowed by the transportation limits

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 are 200 mr per hour on contact or 10 mr at six feet.
2 We typically, when we measure these, are about 3 mr
3 per hour on contact and about a tenth of an mr at six
4 feet. And these I won't talk about but they are some
5 of the criteria that are required to be certified for
6 a Type B container. I think everybody in this room
7 has at least some familiarity with these, so I'm not
8 going to really talk about them.

9 Shipping practices more specifically.
10 Because the fuel is very rugged and the containers are
11 also very rugged, we judge the shipments are very low
12 risk, so we operate in such a way that gives us an
13 efficient operation at reasonable cost. And I
14 mentioned they're national security shipments, and
15 over the years with all those shipments, we've had no
16 releases of any radioactive material. I think one of
17 the trains we were on had an accident at a crossing
18 many cars removed from where the spent fuel cask is,
19 and there was -- I don't know if there was any
20 personal injury. There was certainly no damage to the
21 containers or the rail cars or our casks. And that's
22 over 45 years.

23 This is a picture of the escort car I
24 mentioned, and the escorts -- at the top of the
25 caboose, there is that sort of cupolo at the top,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 which has windows all the way around, and the escorts
2 are on duty -- there are two of them and they
3 alternate being on watch 24 hours a day, and there's
4 someone up there who is watching the containers at all
5 times, day and night. And the escort car has to be
6 positioned close enough to the containers in the train
7 that we have that visibility. If the train stops for
8 some reason, and escort will get out and do an
9 inspection. I mean he doesn't go and check for levels
10 but he'll just look, is there anything about the car,
11 does it have a hot box, is there any potential problem
12 that they ought to be advising the train crew of?
13 These are government-owned cars, both the escort car
14 and the cask car. We coordinate very well with the
15 railroads. Our escorts communicate with the train
16 crews.

17 And we also, and I'll talk a little bit
18 more about this later, there was a discussion about
19 emergency response. We do a lot of outreach work on
20 emergency response, partially because it's a national
21 security shipment and we don't have the notification
22 kinds of interactions with states and tribes that is
23 common on other shipments. We go out of our way to be
24 involved and to talk to the emergency response
25 organizations, the state organizations on the probable

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 routes of our shipments, and we conduct exercises,
2 accident exercises. Since 1996, we've run them on
3 both coasts, and we're currently planning one in
4 Kansas which would involve emergency responders. I'll
5 show some more slides on that later.

6 Our escorts -- let me go back to the
7 escorts for a second. Because of the nature of the
8 fuel and the container, if there is an accident, we're
9 not particularly worried about radioactive release.
10 Obviously, we all would want to prevent that, but we
11 understand our situation very well. Our escorts are
12 trained to be helpful. You talk about first
13 responders, if our fuel is on a train, our escorts,
14 along with the train conductor, are the first
15 responders to quickly size up the situation. If
16 there's an accident, our escorts have already called
17 it in from the escort car before one of them leaves to
18 evaluate it. The other escort stays in the car to
19 make sure that the communication is set up, and then
20 when it is set up, they have handheld communication
21 devices which they can carry around with them. And
22 they assist the people that are there. If there is a
23 crossing accident and a truck driver was hurt, then
24 they are trained in first aid, they have the necessary
25 gear in the escort car and are prepared and would

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 proceed to give first aid. As I say, summoning
2 assistance that's already happened in the escort car,
3 and I'm sure the railroad also would have done that.

4 And only after you look at the immediate
5 consequences and make sure people are safe that we
6 then go do a routine survey of the rail cars to
7 confirm that there's no change in any of the radiation
8 levels. And once the state police, fire department,
9 whoever the responders in the area are arrive, they
10 would take over incident command, and our escorts
11 would assist them -- put up "keep out" tape, whatever
12 they're asked to do. Next slide.

13 Security emergency response, if you had
14 something other than an accident, if you had someone
15 attempting to do some sort of mischief, sabotage,
16 stealing something, our escorts are trained to contact
17 whoever is needed to provide assistance -- local
18 authorities, local police and, again, the national
19 security connections if that appears to be a concern.
20 They're supposed to ensure the safety of the material
21 being shipped, as I mentioned, and they have these
22 security exercises, which, by the way, they invite
23 railroad people, railroad police people to them. The
24 railroad fully knows what's being transported in our
25 shipments. It is the only prudent way to do it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And the others are fairly obvious, you try
2 and keep somebody from continuing to do the malicious
3 activity, although the Navy couriers are not trained
4 to go throw themselves in front of the cask and be
5 shot with AK-47s. They are supposed to maintain their
6 own safety while still being able, with their handheld
7 communicators, to tell people what's going on. It's
8 very hard to imagine that you would be anywhere in the
9 country where you could not, with the kind of
10 communications they have, have assistance fairly
11 quickly to the site of the occurrence.

12 People have talked about terrorist attack,
13 it's come up fairly often. People have talked about
14 shaped-charge weapons. I don't know how familiar
15 people are with such weapons, but the explosive charge
16 really occurs on the outside of the tank or bunker or
17 in this case a cask, and you project a stream of very
18 high velocity, very high temperature particles which
19 cuts through the side of whatever you're trying to cut
20 through. If you get into the inside turret of a tank,
21 you'll set off ammunition and the tank -- that's the
22 beautiful picture you see where the whole turret of
23 the tank blows off. But there's nothing to blow up
24 inside a spent fuel cask. It's inert material, it
25 doesn't catch fire, so you would and could drill a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 relatively small diameter hole through the side of a
2 cask, even our 14-inch thick casks, and in the heat
3 and agitation of the event fuel would be damaged
4 inside, there would be a puff of radioactive material
5 out. But there is no fire going on to disperse that
6 material. It would tend to be localized. Obviously,
7 meteorological conditions can affect that, but it
8 would tend to be localized. We think the significance
9 would be fairly low, and it would be a local clean-up
10 job.

11 It's also -- get philosophical here for a
12 minute -- it is not a very inviting terrorist target.
13 It has high psychological value maybe, but it is not
14 a -- there is not a large explosion, there are not
15 very large numbers of casualties. It seems to us if
16 you were trying to plan that sort of a thing, this
17 isn't a very obvious target, but then I'm not a
18 terrorist.

19 Let me get back to the exercises I talked
20 about briefly. We've had two on the east coast, two
21 on the west coast -- actually, yes, two on the west
22 coast, and we're planning one in Kansas. We invite to
23 those exercises just about all of the states on our
24 transportation routes. We invite them to send the
25 state representatives if they chose to. We go through

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 -- our shipments go through a couple of Indian
2 reservations. We invite them to send their fire
3 departments or police departments. And we get a fair
4 response, although usually, not surprisingly, it's
5 from the states more or less fairly close by where the
6 exercise is.

7 And in an exercise, you have to simulate
8 a lot, obviously, but for instance let me give you an
9 example. The next slide is a picture of an exercise
10 that was held in Idaho, and you will see a sort of
11 jury-rigged bleachers we built here with a sun cover
12 over it on the right. And those are people who came
13 at our invitation from various state agencies who are
14 involved in emergency response and they observe the
15 operation. The local fire department, local police
16 department, state police were involved as players. It
17 was treated as a -- where the picture is being taken
18 there's a road and there's a road crossing there, and
19 we had a simulated -- it was a potato truck in Idaho
20 and it had actually had a very bad accident a week or
21 two before, and they towed it here to the edge of the
22 railroad crossing and even had the bumper hanging off,
23 and the bumper theoretically derailed one of the cars,
24 and therefore they played through the whole exercise.
25 The driver was injured, it was clear how the escorts

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 interact with the emergency responders and incident
2 control, and those have been very, very useful to us.

3 I think that really concludes what I had
4 prepared to say.

5 MEMBER LEVENSON: Okay. Thank you. All
6 three of our DOE speakers are now fair game.

7 CHAIRMAN HORNBERGER: I must say that it's
8 an impressive bit of experience on the part of
9 participants from DOE, and knowing DOE is such an
10 intimate agency with no stovepipes, I can infer that
11 the Yucca Mountain project has certainly conferred
12 with all of you to gain from your experience, and I
13 just was wondering if all of you could confirm that
14 for me?

15 MR. HARRIS: I can from the viewpoint of
16 the Waste Isolation Pilot Plant Program. Even the
17 Undersecretary of Energy has made public comments that
18 Yucca Mountain project would initially model their
19 transportation program like the WIPP Program. So they
20 are looking at what we do. For example, we're
21 beginning to negotiate -- we'll start the negotiation
22 of rail protocols with the western states. Before we
23 can begin that process and actually select a rail
24 carrier, we're going to be involving the Yucca
25 Mountain project, the Office of Civilian Radioactive

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Waste Management or their new name is -- I don't know
2 their new name that they're being called, I guess the
3 Office of Repository Programs or something like that.
4 But, yes, we are coordinating with them.

5 MS. CLAPPER: Actually, I thought the
6 Undersecretary said he was going to model the program
7 after our program.

8 (Laughter.)

9 We have worked very closely with RW. In
10 fact, the entire time that RW was up on the Hill, all
11 of the Qs&As that came through were sent through with
12 our Office since our staff's been working very closely
13 in response to those Qs&As. Since our programs are
14 viewed as the active and successful transportation
15 programs in DOE, we can help answer those questions.

16 MR. HARRIS: And, actually, my colleague,
17 Maureen, is probably correct. I'm not going to -- I
18 had heard this statement. But, anyway, so I'm not
19 speaking on behalf of the Undersecretary of Energy or
20 the Deputy Secretary of Energy, so I stand corrected
21 by my colleague. We can say one thing, though, that
22 the Department of Energy is interested in conducting
23 its shipments safely and working with local, state and
24 federal officials and tribal officials to make these
25 shipments occur safely. And so whatever experience

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 base that the Department has we'll use that base in
2 whatever future transportation programs that come
3 online.

4 MEMBER LEVENSON: Hopefully you're both
5 right because the programs are different. The foreign
6 reactor fuel involves shipping heavily shielded
7 materials, et cetera, whereas the WIPP Program is
8 essentially unshielded materials to date but a lot of
9 experience on road transportation, so there's really
10 different experience, and hopefully it will all feed
11 into the system.

12 MR. DOHERTY: The Naval Reactors Program
13 is an active participating program, and we ship under
14 our DOE head because all spent fuel is owned by DOE.
15 And we have been working quite closely with the Yucca
16 Mountain people. We have shared all of our experience
17 in a lot more detail than I was able to get into here.
18 We have had people from Yucca Mountain who are clear
19 and fully understand the nature of our fuel and the
20 nature of our shipping practice, which will not be
21 directly applicable, I understand. And we have had a
22 lot of interaction with them. In fact, when this
23 meeting is over I'm going to the airport to get on a
24 plane to go to Las Vegas and because we go down there
25 three or four times a year and spend time

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 communicating back and forth as to what we're doing
2 and what they're doing. A lot of that is aimed at the
3 naval fuel actually going in Yucca Mountain, but there
4 is also the interaction on transportation, and they
5 have been interested in some things, and we have
6 shared some design features, and I think some of the
7 features on their disposal package are actually going
8 to be a little bit different because of some of those
9 interactions. So, yes, we recognize the importance,
10 and we much want people to listen to us. We just
11 can't tell them as much as we'd like to.

12 MEMBER LEVENSON: Well, I think,
13 incidentally, I want to express appreciation on the
14 part of the Committee for your being here. It wasn't
15 very long ago if we had invited somebody to come talk
16 about Navy fuel, we would have been stiff-armed and
17 said everything is classified and we can't talk about
18 it. And we really do appreciate -- we understand a
19 lot of it has to remain classified, but we do
20 appreciate your making an effort to extract what you
21 can talk about.

22 MR. DOHERTY: This is the kinder, gentler
23 naval reactor.

24 (Laughter.)

25 MEMBER LEVENSON: I know the origin,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Rickover was a student of mine.

2 MR. DOHERTY: Well, I was, unfortunately,
3 a pupil of his.

4 (Laughter.)

5 MEMBER LEVENSON: Ray?

6 VICE-CHAIRMAN WYMER: I was just curious
7 to the extent to which types of people on this side of
8 the table talk to the people on this side of the
9 table.

10 MR. HARRIS: Frequently. Actually, I see
11 Kevin at many of the meetings I go to when we meet
12 with the western states and the southern states on
13 transportation protocols related to the WIPP
14 shipments. So we're not strangers to each other or
15 strangers to the Nuclear Regulatory Commission and
16 their staff.

17 VICE-CHAIRMAN WYMER: Do you have
18 regularly scheduled meetings?

19 MR. HARRIS: Yes. Actually, with the
20 Nuclear Regulatory Commission, we're actually meeting
21 with them today in this very building on some of our
22 packaging.

23 VICE-CHAIRMAN WYMER: I was thinking about
24 coordination.

25 MR. HARRIS: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BLACKWELL: We coordinate -- I can
2 speak for FRA -- we coordinate regularly with the
3 Department of Energy on Marines with foreign research,
4 with the WIPP. I go to all these coordinated tech
5 working group meetings, the state meetings, we're
6 constantly in constant e-mail contact. In fact, my
7 boss is often kidding me that I work more for
8 Department of Energy than I do for Department of
9 Transportation, but that's -- we coordinate and we've
10 been doing this since '92.

11 VICE-CHAIRMAN WYMER: Thank you.

12 MR. DOHERTY: Naval Reactors, since I
13 can't be left out, also participates in the
14 transportation forum of the gatherings of the various
15 people around the country periodically. We
16 participated very actively in the transportation
17 protocol work that DOE was developing to try and make
18 all parts of DOE shipments, to the extent practical,
19 kind of look the same and do things, practices,
20 notifications, we're talking about radioactive
21 accident assistance and that sort of thing. And those
22 have all been codified now, and I think a manual was
23 issued. It's not called protocols anymore, it's
24 called -- I don't remember the name, but there is a
25 manual which is now issued, which is supposed to be a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 much more consistent set of requirements,
2 notifications in case of accidents and that sort of
3 thing.

4 MEMBER GARRICK: One of the popular
5 phrases of the day is public outreach, and all of you
6 mentioned it, and all of you indicated that you have
7 the programs and activities and drills and what have
8 you in the name of public outreach. I'm very curious
9 as to what the response has been, what the reaction
10 has been, whether it was needed, where you do it a lot
11 does it make any difference, has there been a public
12 problem? Would you each care to comment on that a
13 little bit?

14 MR. DOHERTY: I mentioned some of the
15 things we do. Going to the periodic meetings with the
16 other people that are involved in transportation is
17 another thing. We have made presentations quite
18 similar to what I just did there. A lot of people
19 know Ray English in our program who has been running
20 the transportation side of it for a long, long time.
21 And he knows a lot more of the details than I do, but
22 since I was here in Washington it was easier for me.

23 And in terms of problems with the public,
24 by and large, no. We do a lot of outreach things. We
25 have a site like a shipyard or our prototype reactor

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 site. People actively go out and meet the people in
2 the state government at their own volition -- "Hey,
3 I'm so and so. This is what we do. Would you like to
4 come down and take a look around and we can show you
5 how we do these things," up to and including the state
6 level. And the response has been very, very good.

7 I think, probably naive, but I think we're
8 fairly well regarded in that connection as doing
9 things right and communicating clearly and honestly.
10 When we say something it's the truth and you can count
11 on it. And we're consistent, if we promise we're
12 going to do something, we do it. Are we perfect? No.
13 But we try very hard to have that outreach go on. The
14 same is true of the local emergency responders and
15 stuff in the area. That wasn't always true, as was
16 pointed out, ten years ago or 15 years ago but it is
17 now.

18 MEMBER GARRICK: Well, the reason we're
19 very interested in it is the Yucca Mountain project if
20 you go into the field, so to speak, you go to Nevada
21 and you talk to citizens, you get the sense that
22 transportation is one of the number one -- perhaps the
23 number one issue. And so whatever outreach DOE has
24 had so far in that arena has not been very effective
25 in moving that off the table as something that the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 public has great concern over.

2 And I was just curious from the -- I'm
3 very anxious to extract from the experience base the
4 maximum we can about issues that we're anticipating
5 with Yucca Mountain. So I was very anxious to know if
6 there was similar kind of problems in your programs
7 and whether or not your outreach programs were
8 successful and whether or not if they were successful
9 you were offering counsel and advice and assistance
10 and communication with the Yucca Mountain project?

11 MS. CLAPPER: I think our outreach
12 programs have been very successful, and I kind of look
13 at it from a top-down approach with our Public Affairs
14 officers working with us. And I'm with groups like --
15 I had mentioned the Cross-Country Transportation
16 Working Group, which has the state contacts that are
17 -- the ones that are going to be actually out there
18 doing inspections of the trucks and escorting the
19 trucks and acting as the first responder.

20 But as kind of a middle layer between the
21 Cross-Country Transportation Working Group and then
22 the Department of Energy, we've got the regional
23 groups, the Midwest Council of State Governments and
24 Southern States Energy Board. These groups, there are
25 four of them, the Northwest State Governments as well.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 There are four of these groups and they have meetings
2 annually, they constantly ask for Department of
3 Energy, Department of Transportation, NRC to
4 participate and give updates on the shipping programs.
5 And they've told us over and over, "We like what we
6 see, we like how you guys are doing it, and we want it
7 to continue." So they seem to like how we've
8 interacted with them, what has been provided, and I
9 look at it as a positive.

10 MEMBER GARRICK: Have any of you
11 participated in any of the public forums on Yucca
12 Mountain on this topic?

13 MR. HARRIS: Not on Yucca Mountain, at
14 least I haven't.

15 MS. CLAPPER: No.

16 MR. DOHERTY: We were active in the --
17 well, not active, it was a DOE lead but the
18 environmental impact statement hearings went on for a
19 number of years. There were public meetings all the
20 way around the country and many in the local area in
21 Nevada, and we were available for those meetings. We
22 were seldom called on very much, but we were
23 available, we had material. They have a much more
24 difficult problem.

25 MEMBER GARRICK: Yes. Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. HARRIS: I could also give some
2 perspective on our outreach program and our success in
3 that also. Much like Maureen, we use a regional
4 planning process and working with these regional
5 groups like the Western Governors' Association, the
6 Southern States Energy Board, we've been able to
7 leverage not only having DOE and our contractors speak
8 about the safety of our transportation program but
9 also working with these various groups and the tribal
10 groups, we've had them be able to go out and speak to
11 their constituents directly. So there is not only
12 hearing the federal government say one thing but
13 hearing it echoed by the state and local officials has
14 helped us in our public outreach program.

15 We've been shipping since 1999. We
16 started with one shipment per week. We've had our
17 highest rate in recent past this summer when we got up
18 to 29 shipments per week. So as the level of
19 shipments have increased and people are more aware,
20 it's almost like, oh, there goes another WIPP
21 shipment, the media has stopped tracking and following
22 every time we do a shipment. The only time when we
23 see a flux of new activity or new refocused energy is
24 when we open a new corridor. And if you saw, we're
25 primarily just working on this Idaho to New Mexico

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 corridor, down from Hanford, Washington State. So
2 really the folks in this corridor have seen us and
3 they're comfortable with it. When we open new
4 corridors we expect there might be a flurry of renewed
5 public interest, and it will be an opportunity for us
6 to do some outreach and working with these folks until
7 they get a comfort level.

8 MEMBER GARRICK: Thank you. I have a
9 couple more if I can. You spoke about dedicated
10 trains, that always gets my attention. You also
11 mentioned that you didn't pay for them, and while my
12 colleague said this was happy news from a taxpayer
13 standpoint, I suspect to stockholders of the railroads
14 it's not so happy news. Can you share with us do you
15 know anything about the difference in the costs if you
16 were to pay for them?

17 MR. DOHERTY: I have some old mental
18 numbers, and I am very reluctant to put them out
19 because they're pretty old and the value of the dollar
20 has changed quite a bit.

21 MEMBER GARRICK: No, I'm thinking maybe
22 just on a percentage basis. Yes, just a percentage
23 increase of a dedicated shipment versus a regular
24 train shipment. I don't want to put you on the spot.

25 MR. DOHERTY: No, no. You're looking for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 order of -- I mean that kind of a thing, and it's not
2 -- it would not cause an order of magnitude increase
3 in shipping costs. I mean we pay -- we have very
4 heavy casks, so we pay a fair amount --

5 MEMBER GARRICK: Yes.

6 MR. DOHERTY: -- for the shipment.

7 MEMBER GARRICK: But an order of magnitude
8 is a big number.

9 MR. DOHERTY: Yes, and we're not anywhere
10 near that. I mean I would hesitate to even say it
11 would double the cost, but I don't know that.

12 MEMBER GARRICK: All right. Thank you.
13 Let's see, I have something else that I wanted to --
14 oh, you spoke of fuel examination. What was the
15 principal purpose for doing the fuel examination at
16 the end of the shipments?

17 MR. DOHERTY: It's primarily -- I mean
18 every fuel cell is examined -- I mean this is not lab
19 coat technician kind of detailed examination but in a
20 water pit at the NRF, Naval Reactors Facility, in
21 Idaho, using TV cameras, using binoculars, using
22 mirrors, there is an examination of all accessible
23 surfaces just to look for anything unexpected. I mean
24 it's a done examination in that sense that it's
25 confirmatory, I mean it's good. A good result is if

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you see nothing at all out of the ordinary. What
2 you're looking for is something different, and we
3 occasionally do see something which upon investigation
4 we conclude, well, what is that red stain and upon
5 getting some samples and doing some examinations
6 conclude it's --

7 MEMBER GARRICK: Well, the reason I bring
8 it up is one of the issues in Yucca Mountain is the
9 ability to take credit for cladding and also another
10 issue is the assumptions that are made about a certain
11 number of either casks or fuel that is flawed or
12 damaged or what have you. And I was quite curious as
13 to whether or not what you do do in the Naval Reactors
14 Program would give any insight or guidance on what
15 might be done in the commercial fuel that would
16 enhance confidence in the quality of the fuel and
17 therefore impact the performance assessment. But it
18 doesn't sound like it's that kind of an examination.

19 MR. DOHERTY: Not checking every one but
20 the way we operate the reactors on ship we are
21 continuously -- not continuously, but very, very
22 frequently sampling the primary coolant and looking
23 for any indication that there has been any sort of
24 fission product leak. There's always a little bit of
25 trapped uranium in cladding and you're going to get

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 some fission products from that, but you go to base
2 level and what you're looking for is some increase and
3 rate of increase which is just unexpected and we don't
4 see it. So you end up starting with the assumption
5 that you don't think there's a problem but you still
6 do the examination because you can.

7 And you might -- if there is a fuel defect
8 of any significant size, there would typically be some
9 sort of indication where the water flow leaves the
10 module. The Zircaloy material, uranium, will tend to
11 accelerate corrosion, and there could be other
12 deposition products. There might be a stain you would
13 see or something. But it isn't really done for that
14 and we certainly can't argue it's 100 percent
15 effective for that, but we do the -- you know, we then
16 select some and do extremely detailed examinations
17 constructively and doing sectioning and polishing
18 surfaces and working our way down, just verifying that
19 there's no process -- that the cliff isn't very close,
20 the cliff is far away.

21 MEMBER GARRICK: Final question is --

22 MR. DOHERTY: And let me just explain.
23 And commercial fuel, the whole phenomenon is
24 different. The nature and the construction of the
25 fuel assembly is different. There are corrosion

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 phenomena that can occur in the commercial fuel. It's
2 not in our fuel type because of the classified nature.

3 MEMBER GARRICK: Right. You had mentioned
4 that when you have some sort of an event on a train
5 shipment and you talked about the activities of the
6 security people, the escort people for the shipment,
7 and had indicated that kind of the last thing they do
8 is check the radiation levels around the casks. But
9 my point is don't you have permanent radiation
10 monitors on these trains?

11 MR. DOHERTY: Not to my knowledge. You
12 have a cask which has been sealed and checked that
13 it's sealed and checked that it's airtight. You have
14 had no events occur. You've had a tremendous amount
15 of experience with these casks. We haven't had them
16 come out to Idaho and upon inspection find that, oh,
17 gee, that must have started leaking somewhere back in
18 Iowa. We just have never had anything like that.

19 MEMBER GARRICK: I was thinking of
20 something with the special caboose, that you might
21 have some sort of a --

22 MR. DOHERTY: One could conceivably do
23 something there, but to the best of my knowledge we
24 don't do it. But there are -- I'm almost certain we
25 don't do that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER GARRICK: Okay. Thank you.

2 MEMBER RYAN: All the good questions have
3 been asked.

4 MEMBER GARRICK: You always have one more
5 good question.

6 MEMBER RYAN: Well, I was going to add
7 from my own experience on trucks, for example, very
8 often drivers will be trained to verify on their
9 routine stops that the DOT requirements are still
10 being met. So that's common in truck traffic. I
11 don't know about rails, but it is quite common on the
12 low-level waste side. So maybe something like that's
13 happening with the train folks, I don't know.

14 MR. DOHERTY: I think the train crew has
15 responsibilities in that connection too --

16 MEMBER RYAN: Yes.

17 MR. DOHERTY: -- to do inspections of the
18 whole train.

19 MR. BLACKWELL: The train crew does not
20 have any training or responsibility to conduct
21 radiological examinations.

22 MR. DOHERTY: No, I know that.

23 MR. BLACKWELL: Oh, I thought you were
24 talking about just for radiation.

25 MEMBER RYAN: Yes, I know. Typically, in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 truck transport in the U.S. a lot of times if it's a
2 dedicated unit, that the drivers will have the
3 training and they will verify DOT measurements and so
4 forth.

5 MR. BLACKWELL: The requirement for a
6 train crew there's nothing that would require them to
7 have the knowledge, the expertise to conduct a
8 radiological-type inspection. They will conduct
9 inspections for securement, making sure the cars and
10 the breaks are routine type inspections but not in-
11 depth radiological inspections of radiation levels or
12 anything like that, no.

13 MEMBER RYAN: And all that's just really
14 visual.

15 MR. BLACKWELL: Correct.

16 MR. DOHERTY: No. I didn't mean to imply
17 that they did -- they are looking for something about
18 the car which might produce an accident somewhere down
19 the road. They are not worried about -- we do
20 periodic inspections on the route at various times
21 when there's an opportunity to do so, but that is not
22 -- there is not you've got to stop the train to do it
23 every so often, no such requirement, nor do I think
24 there should be.

25 MEMBER LEVENSON: I have a couple of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 questions. Have there ever been any -- in these plus
2 or minus 400 shipments, have there ever been any cases
3 where the escorts were needed? Now, I don't mean they
4 were helping out when the train hit a bus or
5 something, but was there ever a case where they needed
6 because of the shipment?

7 MR. DOHERTY: I've never asked that
8 question. In the time I have been associated with it,
9 I have never known an occurrence where they were
10 needed. I have a colleague of mine here who has some
11 experience also. Would it be all right if I asked him
12 if he's had any experience?

13 MEMBER LEVENSON: Sure.

14 MR. GRIFFITH: Tom Griffith, Naval
15 Reactors. To my knowledge, we've never had the
16 couriers do anything. I've only been working in the
17 area since '94, so that's all I can speak to.

18 MR. BLACKWELL: I can add one thing, and
19 that's from personal experience. I don't know if it
20 falls under the heading of "needed" but there was an
21 incident we know of involving one of our inspectors
22 who recognized what the shipment was in a regular con
23 sys and was approaching the cask to do a visual
24 inspection, and he was challenged and stopped by the
25 security personnel.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. DOHERTY: I'm aware of that, yes. And
2 they do that 24 hours a day, even if you're in a
3 shipyard. And if there is anything that is perceived
4 as being out of the ordinary, they make sure they
5 understand.

6 MEMBER LEVENSON: On the Research Reactor
7 Fuel Program, a couple of questions. From what you
8 said, I gathered this program is limited to the
9 highly-enriched uranium and research reactor; is that
10 correct?

11 MS. CLAPPER: No, that's not correct. The
12 program did not want to provide a disincentive by only
13 accepting HEU, so the program accepts HEU and LEU.
14 However, a country has to agree to convert their
15 reactor from high-enriched uranium to low-enriched
16 before we would take their fuel.

17 MEMBER LEVENSON: But you will take back
18 the LEUs.

19 MS. CLAPPER: Correct. The 20 metric tons
20 that were in the EIS, in the environment impact
21 statement, five tons of that was HEU and the remainder
22 being LEU.

23 MEMBER LEVENSON: I gather it's not in
24 your program, but is there a similar program for power
25 reactor fuel of U.S. origin exist in some countries?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. CLAPPER: No.

2 MEMBER LEVENSON: No, meaning there's no
3 program or you don't know?

4 MS. CLAPPER: There's no program that I
5 know of.

6 MEMBER LEVENSON: Oh. I have one question
7 related to the WIPP shipments. You said that some of
8 the stuff that's out there potentially high hydrogen
9 generation so it might have to be repacked or
10 something before it can be shipped to WIPP. I assume
11 that high hydrogen generation means either high
12 plutonium or plutonium-238.

13 MR. HARRIS: You're correct.

14 MEMBER LEVENSON: In either case, if it's
15 high enough to be a hydrogen problem, is it also high
16 enough to be a neutron source problem?

17 MR. HARRIS: I can't actually respond to
18 that part of the question. I believe the answer is --
19 actually, I know the answer is no to that. But, for
20 example, we've gotten -- I can give you an example of
21 how we've worked with the NRC and gotten some guidance
22 on what we could do for 2,000 drums of this what we
23 call high-wattage waste at Los Alamos National
24 Laboratories. Just recently the NRC has allowed us to
25 lower the shipping period, because right now under our

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 60-day compliance for the TRUPACT-II, we have 60 days
2 in which we'd have to open a close TRUPACT-II because
3 of the hydrogen and the acid buildup. Well, we were
4 able to demonstrate through calculations and modeling
5 that we could safely ship these 2,000 drums from Los
6 Alamos, New Mexico down to the Carlsbad facility
7 within seven days. And so therefore they lowered this
8 value and we had an agreement so that we could make
9 these shipments, and we plan to start these shipments
10 later this year.

11 MEMBER LEVENSON: But has somebody looked
12 specifically at the neutron generation issued from
13 these?

14 MR. HARRIS: I am not aware of that, sir,
15 but I could ask that question if that's of interest.

16 MEMBER LEVENSON: I have one generic sort
17 of question that's of interest to me, but I'm sure
18 that none of the three of you are probably in a
19 position to answer it, but I'll ask it anyway. We're
20 interested in trying to get a feel if somebody has
21 never done anything, then you have limited confidence
22 it could happen. Something's been done 1,000 times
23 with no problems, you start getting a little more
24 confidence. I think that the actual number of
25 shipments involving nuclear weapons is at least an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 order of magnitude more than the total of all of the
2 other DOE shipments that you've talked about. Do you
3 think it might be possible to get such a number? No
4 details, no routes, no where they go, no anything,
5 just a number for how many shipments there has been,
6 because the total number of shipments with no
7 incidents is something that is helpful in getting the
8 sense of confidence.

9 MR. DOHERTY: I can try and get that for
10 you. I don't know that I can get that for you.

11 MEMBER LEVENSON: I understand.

12 MR. DOHERTY: But I can at least ensure
13 that the right people are going to be asked. I'm not
14 going to be able to get that going next week.

15 MEMBER LEVENSON: Well, you know, since
16 very few submarines or carriers or airplanes land at
17 Pantex, we know there's somewhere between 20,000 and
18 30,000 bombs that existed. Clearly, there are tens of
19 thousands of shipments, and the question is is it
20 20,000, is it 50,000, is it 100,000?

21 MR. DOHERTY: I think your perception is
22 correct. I have no idea what the numbers are or how
23 available they are to get, but I will attempt to do
24 that.

25 MEMBER LEVENSON: Okay. Staff have any

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 questions?

2 MR. KOBETZ: This one's for Don. It goes
3 back to one of your slides about the shipping
4 containers and their design requirements. And one of
5 the statements is that it can withstand the equivalent
6 of a 60-foot drop onto a reinforced concrete surface?

7 MR. DOHERTY: Yes. I always have to
8 explain that. That was an analysis -- I mean the
9 requirement is, of course, a 30-foot drop onto an
10 unyielding surface, and you go do the energy transfer
11 and the amount of energy that goes into deformation of
12 the -- that has to be absorbed in the deformation of
13 the container. And, obviously, if you use a real
14 surface, even one that is perceived to be fairly hard,
15 that number goes down. And our analysis showed that
16 it went down by about a factor of two. Well, wait a
17 minute, no, that's wrong. I mean I can't talk about
18 energy in that connection, but the height would
19 approximately double. I don't have that, and I
20 couldn't lay my hands on it very easily right now; in
21 fact, I've often wondered why I leave that in the
22 slide. I think I've got to get rid of it. But we did
23 that in good faith and that's what we show, because we
24 ask the question ourselves, what does that mean in
25 terms of real surfaces, and that was the number we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 came up with.

2 MR. KOBETZ: That's the big difference.

3 MR. DOHERTY: It gives you a bit of a warm
4 fuzzy.

5 MR. KOBETZ: It's not necessarily
6 unyielding.

7 MR. DOHERTY: Yes. I mean there are no
8 unyielding surfaces.

9 MEMBER LEVENSON: Any other people have
10 questions?

11 MR. HOLT: Mark Holt, Congressional
12 Research Service. I have a question on the shipments
13 of the naval reactor spent fuel on the regular trains
14 regarding security. That came up yesterday whether
15 you have any kind of arrangement for making sure that
16 your cars go straight through or do they end up
17 sitting around quite a bit of the time. How does that
18 affect those issues?

19 MR. DOHERTY: Well, we have -- as I say,
20 the escorts are there all the time, and they also are
21 charged with trying to make sure that our -- to the
22 extent that you can do on a railroad -- a railroad's
23 a closed system and there are certain -- you know,
24 it's very, very, very hard to keep moving all the time
25 for a lot of complicated reasons. But to the extent

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that they're able to expedite movement, they do that.
2 I mean if they are in a -- for instance, there's a
3 switching where one train -- a train coming from
4 somewhere here is being reassembled in a yard so that
5 some other cars are being added because they're going
6 the same place where the train is going.

7 While that's going on, if that isn't
8 proceeding fairly expeditiously, they will use their
9 connections and their ability to communicate with the
10 railroad people, the train people and the people that
11 run the yard to try and attempt to expedite the
12 process. So can we assure that they move at all
13 times? Absolutely not. I don't think you can find
14 very much on the railroad system that you can get that
15 assurance, if anything, but by having them on board,
16 they have been very effective in moving our shipments
17 faster than they would have otherwise.

18 MR. HOLT: So you are reasonably able to
19 ensure that these regular trains go through, and you
20 don't see the need for a dedicated train for that
21 reason, for security reasons.

22 MR. DOHERTY: No, and as I said, there are
23 some security reasons why you are a lot less visible
24 if you're not in the dedicated train that barrels down
25 the highline. There are two sides to that story, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 when we get into Yucca Mountain there will be a set of
2 conditions established for how shipments of spent fuel
3 will go to Yucca Mountain, and we will have to take
4 that into consideration on our shipments.

5 MR. BLACKWELL: I'd like to say something
6 here if I could. It's just from an impression
7 standpoint. I hope no one here has the impression
8 that if something is moving in a dedicated con sys
9 that it is constantly in motion. The con sys makeup
10 does not necessarily mean it never stops. There are
11 other factors that come into play.

12 MR. HOLT: Thanks.

13 MEMBER LEVENSON: If there are no other
14 questions, I think we'll take our break now, and we're
15 starting a few minutes early but let's get back a few
16 minutes early and try to reconvene at 3:40.

17 (Whereupon, the foregoing matter went off
18 the record at 3:22 p.m. and went back on
19 the record at 3:41 p.m.)

20 MEMBER LEVENSON: Let's get back to our
21 meeting, please.

22 Our first speaker after the break is a
23 summary of utility experience by Robert Kunita and
24 Steven Edwards. Just introduce yourself, and then go
25 ahead.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KUNITA: All right. My name is Bob
2 Kunita. I'm with Progress Energy, and I'll be making
3 the presentation today. Steven Edwards had to attend
4 another meeting.

5 Progress Energy has service areas in North
6 and South Carolina and part of Florida. Under
7 Progress Energy is Carolina Power & Light and Florida
8 Progress. As of the first of the year, we'll be
9 changing our name to Progress Energy. So everything
10 will be under that one name.

11 Progress Energy has five nuclear reactors.
12 The Robinson plant is in South Carolina. It's a PWR
13 reactor started in '71. Brunswick Units 1 and 2 are
14 boiling water reactors located in North Carolina and
15 started in 1974 and 1977. Crystal River is our PWR
16 plant located in Florida. It began operation in 1977.
17 Harris is our latest plant. It's a PWR reactor
18 located in central North Carolina.

19 Today I want to focus on our reactors in
20 the Carolinas. We are shipping from our Brunswick
21 units in the southeast corner of North Carolina and
22 the Robinson plant in the upper portion of South
23 Carolina to our Harris facility located in central
24 North Carolina.

25 This slide shows a history of our reracks,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and for our Brunswick and Robinson plants we have
2 reracked to the maximum extent we feel practical. Our
3 Harris facility started a bit later. It was initially
4 designed for four reactors. It shared one large fuel
5 building, and that fuel building was essentially
6 completed. Only one of the four Harris plants was,
7 however, finished to completion.

8 Our Robinson plant is our earliest unit,
9 and we have processing contracts, which are to take
10 care of the spent fuel. But in 1977 when the United
11 States Government changed its policy regarding
12 reprocessing, we suddenly ran into a storage problem.

13 So in 1977, we embarked upon the program
14 wherein we would transfer some of the fuel to the
15 Brunswick site, so there was sufficient storage --
16 vacant storage area in the pool, so we could do a
17 rerack. So in '77 we began shipments to our Brunswick
18 units. Between 1977 and 1981, we shipped a total of
19 304 assemblies, 44 shipments. Each of those were
20 single cask shipments.

21 We then proceeded with reracking, and that
22 held us for a bit of time. But in 1989, again for --
23 need for additional storage, we began shipments to our
24 Harris facility from Brunswick in 1989 and from
25 Robinson in 1990. And at the present time, we are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 still shipping from Robinson and the Brunswick Units
2 to Harris.

3 As of today, we have made 159 train
4 shipments, 3,473 assemblies, and 29,369 train miles.
5 I have not included the empty return trains, so if
6 you're interested in the number of trains, those would
7 double.

8 Because we're a nuclear utility, we do
9 everything by very detailed procedures. We have
10 program level procedures, which define how the
11 shipment program works, and specifically how each site
12 will handle their part of the job.

13 There are interface agreements between our
14 sites and with the support organizations, procedures
15 for annual inspections of the cask, handling, loading,
16 and unloading of those casks, and detailed procedures
17 to select the field to assure that it meets the
18 certificate of compliance requirements.

19 We also have procedures to make sure that
20 we provide the advanced notice required by NRC
21 regulations to both the NRC and to the states to which
22 we transport fuel. And, of course, we have en route
23 emergency and -- routine and emergency procedures.

24 We own four of these casks. This is the
25 IF-300 spent fuel shipping cask. It uses an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 interchangeable basket, so we can reconfigure the cask
2 for -- to ship either PWR fuel or BWR fuel.

3 The cask is constructed of a stainless
4 inner shell, depleted uranium for shielding, a
5 stainless outer shell, a water annulus for neutron
6 shielding, and then the corrugated outer shell.

7 These are the valve box covers, and I'll
8 talk about those a little bit later. There's two of
9 them. That provides for fluid and gas entry into the
10 inner cavity. There are expansion tanks for the
11 neutron shielding in the annulus, and there are, of
12 course, valve box covers to -- so we can sample the
13 fluid or change it, as need be.

14 The annulus is split into two compartments
15 -- the upper portion and the lower portion. Here at
16 the lower left of the slide you can see the closure
17 head. It has -- this cask has integral impact
18 limiters and does not use the balsa wood impact
19 limiter.

20 This shows one of the IF-300 casks on the
21 rail car, and the enclosure has been slid back so you
22 can now see the cask. This cask is being prepared for
23 entry into the Brunswick fuel handling building. Once
24 we get it into the building, of course, we'd put it
25 into a redundant lifting yoke, and that consists of a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 cradle you can see down here, and an upper part that
2 has hooks that connect to the lifting trundles.
3 Either system is capable of carrying the entire load.

4 We use this redundant yoke at our
5 Brunswick and Robinson sites, since the cask goes
6 right into the spent fuel pool. Once the cask is
7 loaded and removed from the pool, it is taken over to
8 this decon facility. This is at our Brunswick site.
9 There's scaffolding in there, and this is where we
10 finish torquing the closure bolts. We decon the outer
11 surface and prepare it to be placed back on the rail
12 car.

13 That's not the correct slide.

14 Each of our shipments is inspected by the
15 U.S. Department of Transportation, Federal Railroad
16 Administration.

17 Next slide.

18 Once the shipment departs, it is carried
19 in exclusive use shipment in a dedicated or special
20 train. Here you see the locomotive, one flat car, two
21 cask cars, another flat car, and the caboose at the
22 end.

23 Next slide.

24 Once it arrives at our Harris facility, we
25 reverse the process. The only difference is that at

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Harris we have a separate cask pool, so we don't need
2 the redundant yoke.

3 Next slide.

4 We have a well-defined organization that's
5 in place for each and every one of our shipments. It
6 consists of a shipment manager, a shipment
7 communicator who is located on our emergency
8 operations facility for the duration of the shipment.
9 This communicator is in contact with the shipment and
10 has communications capability to the warning points in
11 each of the states in which we transport fuel.

12 Also, has contact with emergency
13 management personnel in those states. And also
14 communicates with our control rooms for notification
15 to the NRC.

16 Now, we have escorts on there. We have a
17 senior escort who has radiological expertise, a
18 mechanical escort who has a working knowledge of the
19 shipping cask. These are separate and distinct from
20 the security personnel.

21 We have plant response coordinator and
22 teams standing by at both our shipping plant and the
23 receiving plant. Should an event occur, the shipping
24 plant would respond for the first half of the route;
25 the receiving plant for the remainder of the route.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We have a response manager who has
2 administrative responsibilities for the entire
3 shipment. He becomes the recovery manager in the
4 event of an accident of any type, and he has a
5 predefined recovery organization in place.

6 There is emergency response information on
7 board each train, in accordance with DOT regulations.
8 There are shipping papers which defined this as an
9 exclusive use shipment. It's labeled Yellow 3 in the
10 shipments placard there -- radioactive, and contains
11 orange panels which bear the numbers 2918 for a loaded
12 shipment or 2982 for an empty.

13 This is the information that the first
14 responders would use, should they have to respond.
15 The pre-departure radiological surveys are also on
16 board. The escort gets a copy.

17 Let me talk about cask experience, and
18 then I'll talk separately about transportation
19 experience.

20 We've been using these casks over a number
21 of years, and we did run into a weeping or leaching
22 problem where cesium would tend to sweat out of the
23 pores of the cask. And it seemed to be a function of
24 temperature, dew point, surface furnish on the cask,
25 and so forth.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We typically use a caustic decon solution,
2 TSP or trisodium phosphate, Blaze-Off, and we've tried
3 a number of those to try and solve this problem.

4 We think we have finally cracked this
5 problem, and we have used a mild citric acid solution
6 to take out all of the leaching that was coming out of
7 the cask. We couldn't understand why. You know, we
8 went through extensive deconning, why it seems to
9 sweat so easily, depending upon whether you went
10 through a freeze-thaw cycle, what happened to the dew
11 point, whether it was a hot day, and so forth.

12 So we decided that more aggressive
13 treatments weren't appropriate. We had looked around,
14 and this is kind of out of the box thinking, working
15 with Chem Nuclear who had prior experience with this.
16 We found that this worked very well.

17 We now only do it on an as-needed basis.
18 When we decon either the loaded or empty cask, we go
19 back to this traditional treatment, and then only on
20 an as-needed basis do we use citric acid.

21 We did run into a problem, and we ended up
22 identifying an unreviewed safety question, and we
23 requested approval of a license amendment for our
24 facilities. What we found out is that NRC had issued
25 a Bulletin -- I believe it was 92-6 -- that had to do

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 with lifting heavy loads at a nuclear powerplant.

2 And we specifically got a request for
3 additional information at our Harris site, because we
4 did not have a redundant yoke. So we found that we
5 were moving the cask not fully buttoned up, because
6 our vendor's procedures and the vendor's SAR indicated
7 we were to remove the box, valve box covers, and to
8 remove all but four of the bolts in preparation for
9 either loading or unloading.

10 On an inquiry, we found that the vendor
11 did not have the supporting analysis. This cask has
12 gone through many hands, first from General Electric
13 to Nutech to Pacific Nuclear. Somewhere through that
14 evolution we could not come up with the necessary
15 analysis to support that. So we stopped all cask
16 handling until we resolved the situation.

17 We knew in our gut that this was all
18 right, because we were moving older fuel and we were
19 covered by other accident analyses which are more
20 severe. But nonetheless, we went in and did the
21 detailed analysis to show that the head would not
22 fully come out, the fuel would remain in the cask, but
23 we could not assure it would be leak-tight.

24 So we did the dose analysis and confirmed
25 that, indeed, we are far, far below the Part 100

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 limits. This is all captured in NRC Information
2 Notice 99-15.

3 Also, in handling the cask, we find that
4 sometimes there is some wear or debris gets in the
5 seal-surface, so we undertook seal-surface machining,
6 and we actually repaired a gouge and buffed out some
7 scratches. None of these were safety-related issues.
8 We just wanted to make sure that when we loaded fuel
9 and we got into the leak tightness inspection that we
10 wouldn't have a problem that would cause us to have to
11 unload.

12 We have also had the cocked head recovery
13 efforts. What happens is that unless you bring the
14 cask up -- the cask head up very, very carefully, very
15 level, then you could -- you can skew the head on the
16 32 guide pins or the sleeve studs.

17 The head cables are designed to break,
18 because you don't want to ever try to lift the entire
19 cask only with the head cables, because you might drop
20 it. We did end up with a few guide pins that were
21 bent and a few studs that had to be replaced.

22 Also, there was a pool cleanliness issue
23 described in Information Notice 97-51. In a boiling
24 water reactor, the fuel tends to act kind of like a
25 filter, so we were ending up with some iron oxide

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 deposits that then got transported to our Harris
2 plant, which uses a borated pool. And so we had some
3 iron oxide crud that we had to deal with, and all of
4 that is treated in the safety analysis. It was just
5 to question the cleanliness of our pool.

6 Let me talk about transportation
7 experience now. There was a crossing accident. We
8 think it was about 1990. This was an empty shipment
9 being transported back to what -- to our shipping
10 plant. This was a crossing accident where an
11 automobile struck the locomotive. There was cosmetic
12 damage to the locomotive and to a rail ladder that was
13 on the side of one of our cars.

14 We did have some folks on board that
15 shipment. They responded immediately to provide
16 whatever assistance they could to the driver of the
17 passenger vehicle. We did also, in 1995, have what is
18 technically called a derailment, in that the track --
19 this was an old, unused plant spur. We just happened
20 to back the empty train onto it, awaiting the railroad
21 to bring their locomotive.

22 What had happened was back when they built
23 that plant there was this old road that is no longer
24 used, yet there were some rail ties that went across
25 it and were, therefore, buried. What happened was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that the ties had degraded, and the track just moved
2 apart.

3 The car remained upright. If you look at
4 it, it was just only about a degree or two off of
5 vertical, from the vertical line. But technically it
6 constituted a derailment.

7 Earlier this year there was an attempted
8 boiling on one of our loaded shipments. And we did
9 have all of the necessary folks on board, and those
10 folks were aware that two young individuals who were
11 what was called probationary release -- so we knew
12 these weren't hardened criminals or anything like
13 that.

14 They had -- I don't know all of the full
15 details because of privacy laws. My understanding,
16 what I'm told, is that these individuals had the
17 option of being on probation and reporting
18 periodically to a parole officer, or attending a boot
19 camp. These two individuals selected to attend the
20 boot camp, but then decided they didn't like it, so
21 they departed.

22 Law enforcement was looking for them. Our
23 folks on board were aware of that as we approached
24 this area. One of them jumped on the flat car because
25 the train was slowing at that point. One attempted

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 but failed. He was immediately challenged. The one
2 who got on the flat car was immediately challenged by
3 the escorts and by the other security personnel on
4 there.

5 Four law enforcement vehicles were at the
6 train in like two minutes. So we know the system
7 works. I'm kind of afraid what would have happened
8 had we not known the nature of these two individuals
9 who were out there.

10 Next slide.

11 We also have a caboose that we use for our
12 escorts, and, as indicated yesterday, these older rail
13 cars, one of them seem to look alike. So we ran into
14 a problem with our friction-driven generator and the
15 rectifier set, and we could not find a replacement for
16 that. All of the cabooses seemed to have different
17 sets of equipment, particularly with the rectifier
18 system.

19 So we ended up replacing it with a diesel-
20 fueled electric generator. We also put in backup
21 batteries. We have talked to the railroad car
22 inspectors many times, and we asked them, "What can we
23 do if we wanted to significantly improve the safety of
24 our train?"

25 They went through and spotted some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 straight plate wheels, which they decided, well, the
2 better thing to do was have curved plate wheels.
3 These straight plate wheels apparently had a tendency
4 to crack over time.

5 As I indicated, we do inspect our cars on
6 each and every shipment. We also call in CSX, who is
7 our local railroad, to provide inspection on the cars
8 every 30 days. And then even beyond that, we have
9 them shopped at the Hamlet Rail Yard for a thorough
10 shop inspection of the cars.

11 We do also inspect our side track
12 annually, and we use UT inspections.

13 As I indicated earlier, FRA inspectors
14 have been on each of our loaded shipments. There's a
15 HAZMAT inspector and a motive power inspector, and
16 HAZMAT is looking for labeling, and so forth.

17 Motive Power is looking at the mechanical
18 systems of the locomotive and each of our rail cars.
19 Typically, it looks at the locomotive the day before
20 the inspections.

21 Test our train air brake system, and what
22 we are finding is that we would test them the day
23 before. But because we were varying when we would
24 make these shipments, the temperature could drop. We
25 made some very early morning shipments, and we found

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that we were having air leaks. So we got tired of
2 that, and we hard-piped all of the air lines in the
3 cars and that effectively solved that problem.

4 We have had both NRC and FRA inspectors at
5 our site, and there was not agreement on when a
6 shipment begins. That's important for us, because it
7 defines the interface between our site
8 responsibilities and our shipment responsibilities.
9 For example, the site emergency plan, when is that
10 added? The health physics personnel, their postings,
11 and so forth, when is that added? What about
12 security?

13 And with regard to our shipment plan, when
14 do the escort responsibilities under Part 73 begin?
15 When do we put the state warning points on notice that
16 there is a shipment? Etcetera.

17 So this became an NRC/DOT interface, and
18 this eventually went up to the government lawyers in
19 Washington for an answer. The answer that came back
20 to us is that the shipment begins when both the
21 locomotive is connected and the shipping papers have
22 been provided to the carrier. So we said, "Good.
23 We've got the one single answer that seems to work for
24 everybody."

25 The current problems we're wrestling with,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 they're not really safety-related. We're running out
2 of some of the older fuel that we were shipping, and
3 we're now needing to ship fuel above 45,000. We
4 recognize that there's been excellent work by the NRC
5 and industry in issuing Revision 2 of Interim Staff
6 Guidance 11. It addresses the ability to dry store
7 fuel above 45,000. And on a case-by-case basis, we're
8 addressing the transportation side.

9 We do have some Robinson rods now at
10 Argonne National Labs under an NRC program looking at
11 the material properties of high burnup fuel.

12 The IF-300s were an earlier generation
13 cask. They come under 7113 with regard to what we can
14 do, and we -- I think we need more guidance there from
15 that respect. For example, there has been a recent
16 issuance of Revision 2, Interim Staff Guidance -- I
17 believe it's Number 8, having to do with credit for
18 burnup. And it's not clear at all to us or to the NRC
19 staff as to whether that can be applied to a
20 previously-approved package.

21 The new Part 71 is going to come into
22 play, and that impacts the generation cask. We
23 believe that this has been a workhorse for us, and it
24 works very well. We'd like to continue to be able to
25 use them, but we are, nonetheless, also undertaking an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 effort examining whether we should spend a lot of
2 money to reanalyze this cask to the new Part 71.

3 Our problem there is that these casks are
4 only issued a license for five years, so it's very
5 difficult to justify large capital expenditures for
6 something that we can only be assured we'd be able to
7 use for a five-year period of time. So we wondered as
8 to why that is the current practice. We'd like to see
9 a license that goes much longer, obviously.

10 That concludes my presentation.

11 MEMBER LEVENSON: John?

12 MEMBER GARRICK: No. Go ahead.

13 MEMBER RYAN: I was going to ask a
14 question. You showed the picture of the cask earlier,
15 and it's got a water jacket for neutron absorption.
16 What would the unshielded neutron exposure rate be at
17 the surface of the cask if you didn't have the water?
18 Do you have any idea of that or --

19 MR. KUNITA: That would vary upon the
20 contents of the fuel.

21 MEMBER RYAN: Do you have a range, though?

22 MR. KUNITA: We have looked at that
23 situation for some of our table-top accidents, because
24 even in the safety analysis we assume we'd lose the
25 entire water jacket. Well, it turns out that for our

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 table-tops, when we looked at that situation, they
2 still met the regulatory requirements. So --

3 MEMBER RYAN: Of 200 mr contact or --

4 MR. KUNITA: The accident dose rate
5 limits.

6 MEMBER RYAN: Oh, the accident dose rate.
7 Okay. So that would be, what, 25 --

8 MR. KUNITA: I don't remember the number
9 off the top of my head, but --

10 MEMBER RYAN: -- r, or --

11 MR. KUNITA: -- I think it's lower than
12 that.

13 MEMBER RYAN: Okay. Thanks.

14 MEMBER GARRICK: You answered one question
15 I had about what constitutes the starting of a
16 shipment. I wanted to ask you, do the utilities track
17 individual fuel assemblies?

18 MR. KUNITA: Oh, yes, by serial number.

19 MEMBER GARRICK: And would they track
20 these right through to when that day comes to
21 emplacement in the repository?

22 MR. KUNITA: Our obligation, as I
23 understand it, ends when the Department of Energy
24 takes the fuel assembly. We have to meet the
25 reporting requirements, and Issue 741 said we do that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 on a fuel assembly basis. It's a special material
2 inventory control system.

3 MEMBER GARRICK: So there is no
4 particularly -- particular interest on the part of the
5 utility to track them beyond that point. And I'm
6 thinking just on the chance that something dramatic
7 could happen, you wanted to retreat them before they
8 were actually -- before the closure of the repository.

9 MR. KUNITA: We maintained the records for
10 well beyond our license life for the plant. So we
11 have that capability. It's just that we hadn't
12 thought that through to that --

13 MEMBER GARRICK: Right, right. It's --
14 and, of course, one of the issues in the repository is
15 heat load, and the tracking of the fuel assemblies is
16 important to that. Of course, you can always measure
17 it. But I would guess that the DOE would pick up on
18 that track and sustain it somehow.

19 MR. KUNITA: Yes. We have to determine
20 the heat load to ensure that we comply with our NRC
21 certificate of compliance, which specifies a total
22 carrier heat load and an individual heat load.

23 MEMBER GARRICK: I found your experience
24 information on problems with the casks to be very
25 interesting. It's the first time anybody has taken

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the discussion to that level. Have you exchanged with
2 other shippers and other types of casks with respect
3 to those kinds of issues, and do they have similar
4 kinds of problems?

5 MR. KUNITA: We're aware of some, like,
6 for example, the weeping problem.

7 MEMBER GARRICK: Yes.

8 MR. KUNITA: It seemed to be an industry
9 problem.

10 MEMBER GARRICK: So there is some lessons
11 learned that --

12 MR. KUNITA: Yes, we have a mechanism for
13 changing information through INPO.

14 MEMBER GARRICK: You're not the only one
15 having those problems.

16 MR. KUNITA: Not to my knowledge. As far
17 as I know, this is a common problem throughout the
18 industry.

19 MEMBER GARRICK: Yes, okay.

20 MR. KUNITA: And, of course, wear and tear
21 and maintenance is an everyday activity at all of our
22 nuclear plants. And we have staff and procedures to
23 be able to handle those.

24 MEMBER GARRICK: Thank you.

25 CHAIRMAN HORNBERGER: Again, it appears to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 me that you have just an excellent record of
2 experience and safety. And I'm curious, is that
3 industry-wide again? Are there -- are you the biggest
4 shipper amongst the utilities, or are there others
5 that do this kind of shipment as well?

6 MR. KUNITA: We're aware of other
7 shipments, but we -- I believe we're the only ones
8 shipping spent fuel assemblies. There are other rod
9 shipments going for research. In fact, we shipped
10 some from our Robinson site. Those tend to be truck
11 shipments. All of ours have been rail.

12 CHAIRMAN HORNBERGER: Okay.

13 MEMBER LEVENSON: Two questions. Your
14 shipments today, I understand, are all wet-to-wet.
15 That is, come from a pool and they go into a pool. Do
16 you envision that the problems might -- but as we look
17 down the road and for the future in Yucca Mountain, a
18 large fraction of the shipments are going to be from
19 dry storage, etcetera. Do you think that will make
20 any difference?

21 MR. KUNITA: No, I wouldn't think so.

22 MEMBER LEVENSON: You might not have the
23 weeping problem if you don't have pool water,
24 etcetera.

25 MR. KUNITA: That's true.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER LEVENSON: But you don't anticipate
2 that would make much difference.

3 MR. KUNITA: No, I don't. Our preference,
4 of course, would be to ship from our pools.

5 MEMBER LEVENSON: The other question is
6 the arithmetic and the geography looks like most of
7 your shipments are like the order of 200 miles or
8 less. But your idea or your option of using dedicated
9 trains, is that influenced by the short distance?

10 MR. KUNITA: No.

11 MEMBER LEVENSON: Would there be any
12 difference if it was 2,000 miles and two different
13 railroads?

14 MR. KUNITA: We basically ship using
15 dedicated trains as a convenience and as a scheduling
16 matter for us. We have defined the reactor refueling
17 outages, and so we tend to work between them. If we
18 were not to ship sufficient fuel and then cause us to
19 have a plant down, then the replacement power costs
20 are just astronomical. So that drives us to want to,
21 from a need standpoint, not a safety standpoint.

22 MEMBER LEVENSON: So this isn't a safety
23 or a security, just a scheduling thing.

24 MR. KUNITA: That's correct.

25 MEMBER LEVENSON: Okay. Any questions

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 from the staff? Any questions from any of the other
2 presenters who are left? Any questions from the
3 audience, or any comments?

4 Okay. Thank you very much.

5 We'll then move on to a summary of
6 international experience with Ian Hunter. Ian?

7 MR. HUNTER: Okay. Good afternoon,
8 everybody. Can you hear me okay? Thank you.

9 My name is Ian Hunter, Vice President from
10 Transnuclear, Inc.

11 A brief introduction of my career -- I've
12 been in the nuclear industry for over 25 years. I
13 started my career in the enrichment part of the
14 nuclear industry, the front end of the fuel cycle, and
15 I spent five very enjoyable years building centrifuge
16 enrichment machines.

17 I then jumped to the back end of the fuel
18 cycle and started a long involvement with spent fuel
19 and high-level waste. I have worked within the COGEMA
20 Group of companies, Transnuclear in Paris, which is
21 going to change its name to COGEMA Logistics. And
22 more recently, I moved to the U.S., working for
23 Transnuclear, Inc.

24 Throughout that long career, I've been
25 privileged to work in many different countries within

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Europe, each of which has its own regulatory authority
2 similar to the NRC. I totaled it up, and it came to
3 around nine different countries where I've worked on
4 projects -- a very enjoyable and a very worthwhile
5 experience.

6 I would not claim to be an expert. I
7 would not be so presumptuous. I've learned a lot
8 today and yesterday, and hope I'll continue to learn
9 things throughout my career. I would consider myself
10 a practical engineer, a mechanical engineer by
11 profession.

12 And I think it's very interesting, the
13 speakers we've had over the last two days have not
14 only shown things like technical basis, but on a
15 practical basis for members of the public. I think
16 that's very important.

17 I'm a very touchy-feely type of engineer.
18 I like to go out and feel the product and see its
19 service. So maybe if we can try and keep you awake
20 for the next 20 minutes.

21 If you'll permit, Mr. Chairman, a quick
22 poll. How many people in the room have actually seen
23 a spent fuel cask or a high-level waste cask? Would
24 you raise your hands? A good number of you.

25 Those of you who raised your hands, how

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 many of you have actually witnessed a loading
2 operation? Still a good number of you.

3 Okay. How many of you who raised your
4 hands the last time have Scottish parents?

5 (Laughter.)

6 Nobody? Okay. So we've got the experts,
7 and we can say I'm a representative from an ethnic
8 minority. Okay?

9 Right. Next slide, please.

10 In the next 20 minutes, I hope to give you
11 an overview of the COGEMA organization. I feel for
12 the scale of the operations, both for COGEMA's own
13 transports and for those worldwide.

14 Touch upon the safety record, and then,
15 perhaps the most important thing, some of the
16 challenges and lessons learned with conclusions.

17 So next slide, please.

18 Very brief overview of the organization.
19 I guess a lot of you are familiar with Transnuclear,
20 Inc. It had a long pedigree in this country in the
21 cask and spent fuel business.

22 Transnuclear, Inc. is part of COGEMA
23 Logistics, a French-based organization, which has over
24 800 staff worldwide dedicated to the design,
25 construction, licensing, and operation of all types of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 radioactive packages. COGEMA Logistics is part of the
2 COGEMA organization. COGEMA is a nuclear fuel cycle
3 company, which is involved in both mining, enrichment,
4 and the recycling and reprocessing of spent fuel, and
5 they employ around 15,000 people.

6 And we trace our parentage back to the
7 AREVA Holding Company, which was formed last year,
8 which embraces both COGEMA and Framatome, the reactor
9 company, which gives us a total corporate size of
10 around 50,000 people.

11 The next slide, please.

12 These statistics I drew myself from some
13 old data. They may not be exactly up to date, so
14 please treat them as approximate. and just to give you
15 a feel for the scale of spent fuel and high-level
16 waste worldwide.

17 I've listed the six main players in terms
18 of numbers of nuclear units, commercial nuclear
19 operating facilities. Obviously, the USA is top with
20 other 100 units; France, 59.

21 But if you look on the right-hand side,
22 the percentage figures, the percentage of nuclear
23 electricity generation, and it's interesting that the
24 quantities of individual reactors don't tie in exactly
25 with the percentage of nuclear generation. So you can

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 see in France, in particular, nuclear electricity
2 generation is strategically very important for that
3 country.

4 Also, with the exception of the USA, the
5 rest of those countries today are in some way involved
6 in either reprocessing or high-level waste shipments.
7 Reprocessing will require some form of transportation.

8 And my own personal estimate is that from
9 the quarter of a million tons of spent fuel which have
10 been generated to date in commercial reactors, around
11 one-third of that has already been reprocessed. So
12 you could say around a third of that has already been
13 shipped somewhere.

14 A large proportion of the interim storage
15 will be onsite storage at the reactors, but some of it
16 will be offsite. So that's been shipped also. So
17 that gives you a feel for the kind of scale of the
18 operation.

19 This is a photograph of the COGEMA
20 La Hague reprocessing plant, northern France. Five
21 thousand people work on this facility. There's
22 actually two reprocessing plants within the site, and
23 they have a capacity -- a combined capacity of 1,700
24 metric tons of reprocessed fuel per year.

25 Also on the site are facilities for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 converting the high-level waste generated from
2 reprocessing from a liquid form to a vitrified form,
3 and in addition there's other treatment facilities for
4 low-level waste.

5 Next slide, please.

6 This shows one of the spent fuel pools at
7 the COGEMA site. I have no idea what quantity of fuel
8 is there, but you can see there's a fair amount of
9 fuel bundles dotted around those racks. And I would
10 class that as interim storage awaiting reprocessing.

11 And the latest statistics that I found
12 from the COGEMA information was that last year they
13 did actually reprocess more than 1,000 tons of fuel.
14 All of that fuel, incidentally, has been delivered in
15 spent fuel casks.

16 Okay. If we just look at the back end of
17 the fuel cycle, I've listed the annual shipments of
18 back-end material. When I say shipments, I mean
19 individual cask movements or package movements. And
20 you can see over the last four years it averages out
21 around 1,000 packages being moved per year of back-end
22 material.

23 If you just focus on the spent fuel and
24 high-level waste, then this year we're well over 260
25 individual cask shipments, and you can see that the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 breakdown is fairly constant on the French side. The
2 European varied in 1990 and 2000. I'll explain why a
3 bit later.

4 And more recently, we had an increasing
5 volume of vitrified waste being shipped. This is the
6 waste arising from reprocessing contracts being
7 returned to the country of origin.

8 That 250 is around about the same number
9 of cask shipments we're talking about for Yucca
10 Mountain and private fuel storage. So I think the
11 COGEMA current experience is roughly equivalent to
12 what you expect for future U.S. movements.

13 Next slide, please.

14 Okay. How do we move this material? We
15 own a fleet of heavy casks, Type B spent fuel casks.
16 You see one on the top right-hand side.

17 We own special heavy-hold trailers for
18 moving by truck. And we also own dedicated rail cars,
19 which incidentally move in most instances as normal
20 freight, up to speeds of 60 miles per hour. Those are
21 purpose-designed rail cars, and I'd just like to draw
22 your attention to the canopy arrangement here.

23 This is a closure with ventilation, and
24 this was something that COGEMA introduced very early
25 on in the fleet, primarily to keep the cask clean. If

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you're in the business of shipping spent fuel, you
2 would like the empty cask to arrive at the reactor
3 site as clean as possible.

4 And so to prevent it from accumulating
5 dirt from long voyages, it's a good principle to have
6 a canopy. And there are other advantages, which I'll
7 touch on later.

8 Next slide, please.

9 We are involved in all types of modes of
10 transport, not just by truck or by rail. We are
11 involved in sea transports. Fuel has been shipped
12 from as far away as Japan, and I don't think you can
13 get geographically further from France than Japan.

14 The Japanese shipments were undertaken by
15 Pacific Nuclear Transport, PNTL, in which COGEMA has
16 an interest. The other modes of transport are by
17 truck, predominantly in the last 20 miles between the
18 nearest rail link and the COGEMA reprocessing
19 facility.

20 So everything which goes to COGEMA at
21 least goes by rail and truck. Some of it by sea also.

22 Next slide.

23 This shows one of the most commonly used
24 spent fuel casks in Europe, called the TN 12. I think
25 I would probably describe it as the Cadillac of spent

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 fuel casks. It's got so many advanced features in it.

2 I've worked on all different designs of
3 spent fuel casks, and this one is probably the most
4 performance in terms of what it can actually achieve.

5 Next slide, please.

6 The reasons behind that is that the French
7 and nuclear generating at EDF, Electricite de France,
8 was conceived with reprocessing as a direct part of
9 the generating system. So they don't have large spent
10 fuel pools at the reactor sites. This means that the
11 challenge for the cask designer is to ship fuel with
12 relatively low cooling periods; typically, less than
13 one year.

14 So this cask, which was designed to meet
15 the maximum diameter allowed for transportation on the
16 European Rail Network, has a capacity of 12 PWR
17 assemblies or 32 BWR assemblies. It's a forged steel
18 construction. It has a removable internal basket,
19 which will allow the use to be changed over from
20 either PWR or BWR types. But also, the basket can be
21 changed as fuel enrichments increase to keep up with
22 the need for operations.

23 An extensive heat transfer system -- these
24 casks are typically loaded with heat thermal loads
25 around 50, 60, 70 kilowatts. All of the external

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 parts are stainless steel, and there are special
2 features to interface with dry unloading facilities.

3 Next slide, please.

4 This is a photograph of a dry unloading
5 facility, perhaps a confusing term. What you see
6 there is a cask, a vertical spent fuel cask, and
7 ducked to the underside of a facility where it can
8 seal on the upper end of the cask.

9 So the impact limiters have been removed.
10 And through a special system at the upper end of the
11 cask, the lid system can be accessed remotely, and the
12 fuel can be removed and taken into a dry cell. That's
13 a dry unloading facility.

14 This actually exists at COGEMA La Hague.
15 It's called T0. And it allows very fast, very
16 efficient, and remote unloading of spent fuel.

17 Also, in some of the French PWR 1300
18 megawatt reactors, they use this to load the fuel.
19 Those of you who have seen spent fuel loading pools
20 may be surprised to know that there are systems where,
21 like in this photograph, the spent fuel cask goes
22 underneath the pool. It's positioned vertically, a
23 plug is removed from the pool, and the spent fuel is
24 loaded wet into the cavity, and then the plug is
25 reinserted. And that avoids having to put the cask

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 into the pool. Very interesting.

2 Next slide, please.

3 A very quick overview of high-level waste
4 casks. From the external viewpoint, very similar to
5 spent fuel casks, large 100-ton glass-type big casks.
6 On the inside, a much simpler configuration for a
7 basket. Because we're not dealing with fissile
8 material, the baskets are very much similar
9 construction. And, of course, there's no spent fuel
10 inside. The contents are stainless steel canisters
11 with vitrified waste.

12 Next slide, please.

13 Just a few words on the infrastructure.
14 On the upper photograph you see the terminal at
15 Valognes in northern France. This is the terminal
16 which allows modal transfer from rail to truck. This
17 is the nearest rail link to the COGEMA reprocessing
18 plant. We believe this is the biggest dedicated
19 terminal in the world for transfer of spent fuel and
20 high-level waste.

21 COGEMA also operates a marine port
22 facility for spent fuel shipments, and you see in that
23 photograph one of the PNTL ships being unloaded ready
24 to transfer to a rail car.

25 Next slide, please.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 This is a closeup of operations at
2 Valognes. Essentially here it's a lift-on/lift-off
3 arrangement going from either truck to rail or vice
4 versa. And the actual cask is an interesting one.
5 It's a dual purpose cask designed by Transnuclear for
6 a Swiss customer.

7 Normally, dual purpose casks are loaded
8 once, and then they sit in interim storage awaiting
9 shipment for final repository. This particular
10 customer had reprocessing contracts to honor with
11 COGEMA, so he took the opportunity to use the dual
12 purpose cask for routine spent fuel shipments before
13 he would finally use it for interim storage. So it
14 does prove that dual purpose casks actually work.

15 The gentlemen on the right-hand side is
16 taking a smear test. That is a typical test which is
17 used to check for non-fixed contamination. So just
18 bear that in mind, and I'll refer back to it.

19 Next slide, please.

20 It's been said many times in the last two
21 days, more than 30 years of spent fuel and high-level
22 waste transport, and millions of cask miles covered,
23 and during that time by sea, by truck, by rail, never
24 been an accident involving the release of the
25 radioactive contents. A very impressive record.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Like has been said by other speakers, we
2 have experienced minor traffic incidents. Usually,
3 the damage has been confined to the conveyance, and
4 nothing of a significant nature to the packing unit.

5 One interesting reference which I can pass
6 on to you from the UK National Radiological Protection
7 Board -- while I worked in the UK, they carried out
8 regular surveys of spent fuel being shipped through
9 UK, and these surveys were aimed at evaluating the
10 potential dose uptake to the public as published
11 information. And their conclusions were that from the
12 operation of spent fuel, on a day-to-day base, dose
13 uptake to the public is insignificant.

14 Okay. We've all been saying how safe it
15 is, and we're all very confident that nothing will
16 ever happen. But it might one day.

17 Next slide, please.

18 This shows equipment designed by the
19 COGEMA group for accident recovery. This is part of
20 our emergency response equipment, and it's never been
21 used. What you see here is an exercise.

22 On the left-hand side is equipment
23 designed to operate in remote areas, heavy lift
24 equipment to recover a cask that may have fallen off
25 of a truck or a train and rolled down an embankment.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 On the right-hand side you see what I suppose you'd
2 call a kind of moon buggy arrangement to recover a
3 cask and pull it into a safe area. That's actually a
4 dummy cask.

5 I've personally participated in many
6 emergency response exercises in Europe, and I can say
7 these are treated very, very seriously. They involve
8 professionals from the emergency response
9 organizations, fire, police, etcetera, who are very
10 used to dealing with emergency exercises.

11 And the responses that are tested out are
12 not just the technical response in terms of the teams
13 who come out and do simulated recovery exercises, but
14 also the testing of the management of the exercise
15 itself. We can do table-top exercises on paper and
16 test how we can respond with telephone calls.

17 But there's no real substitute for going
18 out there in the field and sending people out to
19 remote areas and practicing it in real time. And
20 these are very realistic.

21 One of the speakers earlier mentioned
22 about the possibility of terrorist attacks and the
23 likely consequences. This has also been studied by
24 COGEMA. One of my colleagues in Transnuclear was
25 responsible for organizing tests with the French

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 military where they attempted to puncture a spent fuel
2 cask, and they've got data to show what the actual
3 possibilities are.

4 Obviously, the information is classified.
5 But in general, we can say that these are extremely
6 hard and difficult targets to penetrate.

7 However, in the extreme unlikely event
8 that one was penetrated, techniques do exist to seal
9 the cask and put it in a safe condition. And I have
10 witnessed technicians practicing those techniques on
11 dummy situations.

12 Next slide, please.

13 Okay. Let's move on to the lessons
14 learned. The previous speaker mentioned maintenance
15 as a very important area. If you operate a fleet of
16 spent fuel casks, which you are shuffling between
17 reactor sites and reprocessing facilities covering
18 many thousands of miles during their lifetime, it's
19 inevitable that they're going to suffer some kind of
20 minor damage -- paint chips, knocks, scrapes,
21 etcetera.

22 Very robust objects, but a 100-ton object
23 takes some stuffing when you move it with a crane. So
24 I've seen instances where casks have been bruised and
25 scraped. And in order to keep the fleet in a pristine

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 condition, it's very important to have not just only
2 good maintenance policies but proper facilities to
3 undertake the maintenance.

4 COGEMA has at the La Hague site its own
5 dedicated cask maintenance workshop. We can take
6 casks and strip them down completely to their
7 individual component parts, repair and upright any
8 superficial damage, and put them in a new condition,
9 something not to be forgotten if you're embarking on
10 a big fleet campaign.

11 On the logistics side, in the early days
12 of my involvement in spent fuel transports, we used to
13 track the position of the cask by regular contact with
14 the rail companies. I should point out that in Europe
15 the way in which shipments are organized is perhaps
16 different to what you envisage in this country.

17 From a physical protection point of view,
18 these are not Category 1 shipments. If there is any
19 plutonium involved, such as mixed-oxide fuel or
20 plutonium itself, those are performed with high
21 security vehicles, escorts, etcetera. Spent fuel and
22 high-level waste travels as normal freight. There are
23 no escorts in Europe.

24 So in order to track closely the positions
25 of the individual casks, trucks, trailers, with the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 advent of technology we now have satellite tracking.
2 And, in fact, routinely from our headquarters in Paris
3 every single shipment is tracked worldwide, and it's
4 very easy to identify the position at any moment in
5 time of any particular package.

6 The operations center also serves as a
7 command and control center in the event of any
8 emergency incident.

9 Okay. One other challenge -- public
10 acceptance. I'm glad we've got members of the public
11 here today. I'd encourage them to ask questions.

12 Transport is in the public domain. Many
13 of us have worked in nuclear facilities, and we kind
14 of hide behind the fence and the regulations or white
15 coats, whatever. Transport is out there in the
16 public. We owe a duty to them to explain what the
17 safety is about, and that is an ongoing process.

18 And I'm going to give you an example of
19 what we described as a minor technical problem and how
20 that kind of may be a disruption in our transport
21 operations. This occurred in 1998. The previous
22 speaker referred to weeping, I think, is that -- I
23 would call it sweat out.

24 It refers to the instance whereby -- I'm
25 not going to go through the numbers. They're straight

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 out of the regulations. But basically, when a cask
2 comes out of a spent fuel pool, it's decontaminated
3 and cleaned down to very clean levels.

4 The phenomenon of sweat out or leaching is
5 well known, well documented. However, in 1998, the
6 frequency of these incidents led to a temporary
7 cessation of the transports. This was called upon by,
8 actually, the railway company, SNCF, who were not
9 happy about the frequency, which is in the range of
10 about 30 percent.

11 We can try and put it into layman's terms,
12 what we're talking about. I think it's very
13 interesting to draw an analogy.

14 Think of non-fixed contamination as wet
15 paint. If a cask has been painted and that paint
16 hasn't dried, if you touch it with your hands or if
17 any equipment touches it, you can remove some of that
18 wet paint and transfer it to the vehicle or to other
19 places. Once it's dry and it's fixed, it is fixed.
20 It will not come off.

21 We're not talking about leakage of the
22 contents. Unfortunately, this incident was blown out
23 of all proportion, and it was implied at the time that
24 the casks were actually leaking.

25 The shipments were restarted within France

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 within a small number of weeks. However, in Germany,
2 where the political climate was such that the
3 government were actually considering abandoning
4 nuclear power completely, it took us two years to
5 restart the transportation. So a small incident led
6 to some quite big consequences.

7 How do we deal with the problem
8 technically? Well, there was a meeting between the
9 French and German governments, high level. They set
10 up a commission comprising of members of the
11 regulatory authorities in those two countries.

12 They were soon joined by representatives
13 from Switzerland and from the UK, and they undertook
14 a comprehensive review of the problem itself, what was
15 the root cause of these contamination incidents, why
16 we were seeing instances of contamination on rail
17 cars, hot spots on casks, and they looked at it from
18 all angles.

19 One area they looked at was the actual
20 methods of measuring the contamination. You saw
21 earlier the smear test. What they found was that
22 there are differences in the techniques and the
23 procedures between the individual countries, in some
24 cases differences in the equipment, in the
25 calibration, which led to false indications.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We're talking very, very low levels of
2 contamination. So it's not inconceivable that a
3 consignor will clean the cask, certify it clean, and
4 ship it off. Somebody with a different instrument
5 will measure it and declare that there are hot spots.
6 So that was one area.

7 The other area they looked at was how to
8 prevent from -- the contamination from taking place
9 completely. Very interesting areas they looked at.
10 Of course, the root cause of the contamination itself
11 is the contaminated pool water.

12 And they did an examination with ALARA
13 principles. That is to say, looking at what the dose
14 implication would be to the workforce for choosing
15 technical solutions. One solution would be to
16 actually clean up all of the spent fuel pools,
17 eliminate all of the dissolved fission products or the
18 activation products -- cobalt, etcetera.

19 Technically feasible. Of course, we're
20 not talking cost here. We're just talking
21 technically. Technically feasible.

22 But from a dose point of view, the
23 collected contaminant particles would be in filters.
24 These filters would have to be handled, removed,
25 disposed of, and it would actually create more of a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 dose uptake than other solutions to prevent
2 contamination.

3 They came up with some very innovative
4 methods to reduce contamination actually, such as in
5 the surface of the cask. I'm going to show you a
6 photograph now. But the message I would like to say
7 is that in order to solve a problem like this, which
8 involved different countries, different operators,
9 different languages, different authorities, you really
10 need to have very close collaboration between all the
11 parties concerned. And that's what we achieved.

12 Next slide, please.

13 Okay. This is just a photograph showing
14 the conventional cask loading facilities in a pool.
15 On the left-hand side you see a spent fuel cask under
16 water, the lid being manipulated, and on the right-
17 hand side is some of the preparation operations.

18 Next slide.

19 This shows a new technique which is used
20 today in many reactors in Germany and in France. What
21 you see under the vinyl cover is a spent fuel cask
22 ready to go into a pool. Underneath that vinyl cover
23 is a stainless steel jacket which covers the finned
24 area of the cask.

25 So with this dual barrier system and the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 introduction of clean water between the cask and both
2 the stainless steel skirt and the vinyl cover, you can
3 effectively prevent any contact between contaminated
4 pool water and the cask surface.

5 Next slide, please.

6 This just shows after a fuel loading with
7 the lid positioned, washing taking place. So it is
8 possible technically to overcome this sweat out
9 problem by handling procedures.

10 Okay. Next slide, please.

11 All right. Just to sum up the experience
12 in terms of quantity, a few more figures for you to
13 look at -- 30,000 metric tons of spent fuel shipped by
14 the COGEMA group worldwide, many, many thousands of
15 cask miles, millions of cask miles in effect.

16 More recently, we're building up a history
17 of high-level waste shipments almost -- as in terms of
18 high-level waste being shipped to date.

19 Next slide, please.

20 And in conclusion, we can tell you that
21 safe transports are possible by careful management.
22 The safety record can be maintained. But I can also
23 say, quite honestly, that the safety culture in the
24 COGEMA companies is very, very strong, right from the
25 top down. The corporate culture of safety and quality

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and excellence adds to that success record.

2 But, again, public acceptance is a major
3 issue. We're out there every day shipping fuel.
4 Sometimes we have to talk to people who are concerned
5 about rail shipments, sometimes about truck shipments,
6 sometimes about sea shipments. It could be the other
7 side of the world. We have to listen to them, and we
8 have to respond.

9 And, finally, I would just like to say
10 that COGEMA is very willing to share this experience
11 with others. Those members of the committee who would
12 like to visit any of the facilities, you're very
13 welcome to do so, if you'd like to contact me through
14 Tim.

15 I would also like to extend that
16 invitation to all members of the public, but I'm not
17 sure if the facilities are open to the public. They
18 were closed down after September 11th. I see one of
19 my colleagues here. Are they open again? No, not for
20 the moment. So I'm sorry about that.

21 Thank you for your attention, and I'm now
22 ready for any questions.

23 MEMBER LEVENSON: Thank you.

24 Mike, do you have a question?

25 MEMBER RYAN: I'll ask my neutron question

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 again. If you lose your neutron shield, can you give
2 me some estimate of external neutron dose rates on the
3 surface of a cask?

4 MR. HUNTER: Again, I'll give a very
5 hesitant answer. It depends on the fuel and the
6 particular cask. The TN 12s -- they have a solid
7 external neutron shield of polyester resin, so it
8 would be very difficult to lose that.

9 MEMBER RYAN: So you probably even haven't
10 touched on that accident analysis?

11 MR. HUNTER: In the accident analysis, we
12 do assume that the neutron shielding capability is
13 lost. We do assume that.

14 MEMBER RYAN: But no, you have no
15 numerical estimate?

16 MR. HUNTER: No. But in -- if you look in
17 the regulations under Fire Accident Conditions, you
18 are allowed much higher dose rates anyway.

19 MEMBER RYAN: Sure.

20 MR. HUNTER: As opposed to --

21 MEMBER RYAN: The other question --

22 MR. HUNTER: I couldn't give you a general
23 figure, it varies so much.

24 MEMBER RYAN: Okay. The other question I
25 have is on the dry transfer situation. If I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 understood you right, this is actually a dry transfer
2 in the sense of the cask isn't dry.

3 MR. HUNTER: Yes. It is --

4 MEMBER RYAN: It's actually hooked up to
5 a pool.

6 MR. HUNTER: Yes. The photograph that was
7 shown early on was of a system which is operated at
8 La Hague T0 facility.

9 MEMBER RYAN: Right.

10 MR. HUNTER: Where the dry cask is hooked
11 up to a dry cell.

12 MEMBER RYAN: So you're doing air lifts of
13 fuel.

14 MR. HUNTER: We're doing air lifts, yes.
15 That operates 24 hours a day remotely, very low dose
16 operation. The operation is a very safe system.

17 It's a similar system in the French 1300
18 megawatts reactors. In that case, it's actually wet
19 loaded. Dry from the sense that the outside part of
20 the cask is in a dry area, but it's ducked to the
21 underside of a spent fuel pool. So the inside of the
22 cavity is wet.

23 MEMBER RYAN: Could you talk a little bit
24 more about the experience you have with air lifts of
25 spent fuel? Because I guess that's going to be more

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in play at Yucca Mountain.

2 MR. HUNTER: Air lifts, in what sense?

3 MEMBER RYAN: Contamination control,
4 operational issues, anything of that sort.

5 MR. HUNTER: Do you mean of airborne
6 contamination?

7 MEMBER RYAN: Yes. Just, you know, I
8 mean, when you -- I mean, you have to decouple the
9 cask after you load it. You know, I mean, do you have
10 any other special issues with air lifts?

11 MR. HUNTER: In terms of the draining and
12 the drying of the cavity.

13 MEMBER RYAN: Yes.

14 MR. HUNTER: Yes. Well, procedures have
15 been developed over the years -- vacuum drying
16 equipment with filters, etcetera. We don't generally
17 have any particular radiological problems from
18 airborne contaminants from the drying and draining
19 processes.

20 MEMBER RYAN: Thanks.

21 MEMBER LEVENSON: John?

22 MEMBER GARRICK: My colleagues will be
23 glad to know I only have a couple of questions. My
24 second question has four parts to it.

25 (Laughter.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN HORNBERGER: And 16 subparts.

2 MEMBER GARRICK: That's right.

3 (Laughter.)

4 How do you get the heavy cask recovery
5 equipment on site? And what kind of times are
6 required for that for some typical scenarios?

7 MR. HUNTER: The heavy recovery equipment
8 would be delivered by special trailers. Obviously, it
9 isn't something that you would deliver to a remote
10 area in a number of hours. It might take a number of
11 days.

12 In terms of emergency response, the first
13 crews who would arrive would do radiological surveys
14 to verify what the condition was. If there's any
15 direct remedial action required, they would be taken
16 by technicians. Engineers would work with simple
17 tools.

18 The recovery operation can actually take
19 place in a leisurely timeframe, perhaps some days
20 after the event.

21 MEMBER GARRICK: So there would be an
22 advanced team of some sort in the emergency response
23 sense.

24 MR. HUNTER: Typically, yes.

25 MEMBER GARRICK: Yes. Maybe this is a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 question that would be addressed to everybody, even
2 maybe the NRC. But one of the things that's been kind
3 of impressive about the last two days' proceedings has
4 been the amount of experience that actually exists in
5 the transport of spent nuclear fuel.

6 My history of doing risk assessments of
7 nuclear powerplants, we have not been blessed with
8 such a rich database for our analysis.

9 Now, here is a case where the nuclear
10 industry seems to me is in kind of a unique shape in
11 terms of experience. The problem with it is that it
12 hasn't been very well organized, and there seems to be
13 a tremendous opportunity here to integrate and
14 correlate a handsome database that would greatly
15 facilitate questions from the public on matters of
16 transportation safety.

17 And I'm thinking here of a capable data-
18 oriented team looking at all of the data and doing
19 some data partitioning of the type that really is
20 useful in analyses. And such partitioning that comes
21 to my mind would be fuel type, cask type, fuel
22 handling, distinguishing fuel handling from
23 transportation, distinguishing storage or interim
24 storage from transportation, empty cask shipments.

25 I think the opportunity is really a great

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 one to put forth in hands of the industry a database
2 that would go a long ways towards substituting, if you
3 wish, for a great deal of analysis. Is there any
4 institution, organization, in any of your countries or
5 affiliations, and maybe the NRC, that have considered
6 doing just that?

7 MR. HUNTER: Well, I know there are
8 database type of information that is available at the
9 IAEA in Vienna in certain categories. Certainly,
10 COGEMA itself has archived all of its shipment data,
11 and we'd certainly be very pleased to put that
12 together in the form of a database, form a suitable
13 commercial arrangement.

14 MEMBER GARRICK: Yes.

15 (Laughter.)

16 And maybe the DOE people -- have you had
17 any activities that would be of the type to try to
18 integrate the transportation database into some more
19 meaningful package?

20 MS. CLAPPER: It's an interesting thought.
21 There is nothing out there that I can refer to that
22 has that type of database.

23 MEMBER GARRICK: See, the reactor
24 operating experience has gone through some of this
25 same kind of evolution of being integrated and brought

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 together. And the impact of that database has been
2 enormous in terms of making the issues much clearer to
3 the public on the basis of experience.

4 There is this tendency to say that we're
5 dealing with something that is extremely mysterious,
6 extremely dangerous, and about which we know very
7 little. And here is a case where we know just a great
8 deal. And I would much rather have data answer my
9 risk questions than have to rely on analysis, as much
10 as I love analysis.

11 And I think the opportunity to do that --
12 to do just that is here, and that would be one of the
13 bottom lines that I get out of this whole workshop.

14 MR. HUNTER: If I could just answer that.
15 I think the UK and French competent authorities do
16 keep statistics in terms of incidents for all
17 radioactive packages. They would have to be analyzed
18 to isolate out spent fuel and high-level waste.

19 MEMBER GARRICK: Yes. Yes. And I think
20 the partitioning here of the data into the right kind
21 of categories would be very important, and also
22 extremely valuable.

23 MEMBER LEVENSON: Ray?

24 MEMBER WYMER: Because of the nature of
25 COGEMA's work, you must deal with quite a broad

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 spectrum of fuel types that you have to ship. Can you
2 talk just a little bit about the -- any special
3 shipping problems that arise because of this spectrum
4 of fuel types?

5 MR. HUNTER: Problems that arise? I think
6 most problems are resolved by long-range planning. I
7 can tell you I've been involved in projects where
8 we've contacted utilities five years before they plan
9 to ship fuel.

10 And during that five years, we've
11 identified what equipment and procedures they need to
12 have in place in order to make smooth shipment
13 possible. And also, if necessary, develop new baskets
14 to suit the fuel type, obtain licenses, etcetera. So
15 most of the problems have been anticipated.

16 At a practical level, what tends to happen
17 if you look right across the board of PWR and BWR fuel
18 types, although they are notionally very similar, the
19 details are extremely wide ranging in terms of
20 geometry, the physical nature of the fuel bins, the
21 materials, etcetera. There is a wide range of
22 material out there, and you really have to get down to
23 the very fine detail in order to ensure that you --

24 MEMBER WYMER: Well, do you not deal with
25 things other than PWR and BWR fuel shipments?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. HUNTER: Yes. There are AGR --

2 MEMBER WYMER: That's right.

3 MR. HUNTER: -- fuel. I've dealt with
4 Magnox fuel.

5 MEMBER WYMER: Yes.

6 MR. HUNTER: In the UK. I've dealt with
7 wet fuel shipments. That is to say, casks partly
8 filled with water. They pose particular problems.

9 MEMBER WYMER: Yes. Well, some of these
10 fuel types are a good deal more fragile than others,
11 and I wondered if in an accident situation that causes
12 any special considerations.

13 MR. HUNTER: Well, from my experience of
14 shipping irradiated PWR and BWR fuel, I've never known
15 an instance where fuel has failed during shipment.
16 Routinely when casks arrive at La Hague, the fuel
17 would be sifted, checked, and --

18 MEMBER WYMER: Well, Magnox are not as
19 rugged as --

20 MR. HUNTER: Magnox is a different thing
21 because that's corroding all the time.

22 MEMBER WYMER: Yes.

23 MR. HUNTER: That's why it has to be
24 reprocessed.

25 But an interesting instance -- I mentioned

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 minor instances on traffic. I was involved in a
2 shipment in Europe of spent fuel to La Hague, and
3 there was a 50-ton truck -- cask which slid off the
4 road and actually went onto its side and landed in a
5 field. Very little damage, just some paint scraping.

6 But we took the cask back to the reactor
7 station, which was only a few miles away, and we
8 examined the fuel by taking water samples, because
9 these were water-filled casks, and we found there was
10 no -- it was very robust.

11 MEMBER WYMER: Okay. Thanks.

12 MEMBER LEVENSON: George?

13 CHAIRMAN HORNBERGER: I don't actually
14 have a question. I'd just make a comment, then
15 compliment you. You stated that you wanted to keep us
16 all awake until 5:00, and you did so admirably.

17 MR. HUNTER: Thank you very much.

18 (Laughter.)

19 PARTICIPANT: Now you can go back to
20 sleep.

21 (Laughter.)

22 MEMBER LEVENSON: Any questions from the
23 ACNW staff? Question?

24 MS. GUE: Lisa Gue with Public Citizen,
25 and I do appreciate your indulgence in hearing the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 public comments that I've made at this meeting.

2 And the two hopefully brief, since it's
3 the end of the day, comments that I wanted to make are
4 just general, not specific to your presentation, but
5 general to this meeting overall and to ACNW's
6 continued consideration of nuclear waste
7 transportation issues.

8 First of all, just locating this within
9 the current context, while NRC holds specific
10 responsibility for licensing high-level waste
11 transportation casks for general use, these
12 conversations obviously are happening right now at a
13 time when NRC also holds responsibility in the
14 licensing phase of the two projects -- private fuel
15 storage and the Yucca Mountain Project -- that would
16 initiate unprecedented nuclear waste transportation in
17 this country.

18 And I think it would be very helpful for
19 ACNW, or the NRC as a whole, to be able to consider
20 these transportation questions in -- within the
21 specific context posed by those projects. And yet the
22 Department of Energy has not put forward the specifics
23 of the transportation plan for the Yucca Mountain
24 Project.

25 There has been an assumption during this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 meeting of preferred rail transportation routes. But
2 the Department of Energy has not specified -- has not
3 gone on record with a decision about a mode of
4 transport for Yucca Mountain.

5 There has been some assumptive statements
6 made about how many tunnels Yucca Mountain shipments
7 would pass through, what other materials might be on
8 trains going to Yucca Mountain. And, again, there has
9 been no specific decisions made about shipping
10 parameters for Yucca Mountain or much less -- much
11 less the modes of transportation.

12 And in the case of private fuel storage,
13 the information on transportation has been similarly
14 minimized in the environmental impact statement. And
15 this not only does not inspire public confidence --
16 this tendency of the Department of Energy to
17 apparently conceal this information is how it appears.

18 It does not only not inspire public
19 confidence, but it also makes specific analysis as to
20 the environmental impacts and public health impacts of
21 transportation impossible. So, again, as I mentioned
22 yesterday, we would be very happy if the committee
23 would recommend that the Department of Energy come
24 forward with some of these specifics and present them
25 for public scrutiny and expert technical scrutiny as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 well.

2 And, secondly, I mentioned yesterday that
3 the focus seems to have been, in terms of accident
4 risks, on fire and impact consequences. Of course,
5 there are other regulatory accident parameters that
6 have not been discussed.

7 In addition to that, I would hope that the
8 committee might consider also the non-accident impacts
9 of nuclear waste transportation, particularly in the
10 context, again, of these large-scale shipments that
11 are planned. And this, again, would require some
12 information about the routes that are to be used.

13 But given that the casks licensed by NRC
14 do not completely contain radiation, there is a public
15 health impact from repeated close contact with these
16 shipments as they pass by. And there are demographic
17 considerations as to who lives close to the shipment
18 routes.

19 And as one of the presenters mentioned
20 yesterday, when -- where these shipments might stop if
21 they have to stop, and how often they might be stuck
22 in rush hour or gridlock traffic. So that seems to me
23 -- of course, consideration of the accident
24 consequences is very important. But, additionally, it
25 seems to me the non-accident considerations equally

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 merit your attention.

2 So thank you again for having me here.

3 MEMBER LEVENSON: Questions or comments?

4 MR. SHAFFNER: My name is Jim Shaffner
5 with Parallax. I actually have a question for the
6 speaker.

7 Given the large reliance on nuclear power
8 in Europe, is the public at large better able to
9 understand the issue than perhaps the public in this
10 country? And thus be less susceptible to some of the
11 arguments of people who are opponents of the endeavor?

12 MR. HUNTER: It's very difficult to
13 generalize with Europe, because it's a mixture of
14 countries, a mixture of cultures. But certainly, in
15 France --

16 MR. SHAFFNER: France was what I was
17 specifically thinking about.

18 MR. HUNTER: -- nuclear power is well
19 accepted. In fact, most French towns, the local mayor
20 would be very happy to have a nuclear power station
21 built in his area, because it brings jobs, it brings
22 economy, etcetera.

23 I think also the fact that both in France
24 and the UK there has been a concerted effort of public
25 outreach, public acceptance information, that must

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 have helped to allay some of the public fears. We saw
2 yesterday the smash hit CGB train crash, which was
3 done some years ago.

4 I personally think that was a wonderful
5 demonstration for public acceptance -- a scientific
6 study. I'm not talking about gaps, etcetera. But for
7 the guys in the street to see a train crash into a
8 spent fuel cask, and the cask doesn't leak, is a real
9 demonstration of safety.

10 MR. SHAFFNER: Are radiation issues -- are
11 radiation education part of the general education
12 curriculum over there, like they are kind of not in
13 this country?

14 MR. HUNTER: I don't believe so.

15 MR. SHAFFNER: Hmm?

16 MR. HUNTER: I don't believe so.

17 MR. SHAFFNER: Okay.

18 MR. HUNTER: You know, radiation is
19 something which people are very afraid of until they
20 go to the hospital. Very quick to take an X-ray.

21 MR. SHAFFNER: Thank you.

22 MEMBER LEVENSON: Any other questions? If
23 not, I will declare the workshop at an end and turn
24 the meeting over to our Chairman.

25 I want to thank all of the speakers and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the audience for their patience and indulgence also.

2 CHAIRMAN HORNBERGER: Yes. And I will
3 echo that thank you to all the speakers. Excellent
4 day and a half meeting.

5 I am now going to declare a 10-minute
6 break, and then we will reassemble. The committee
7 will have some discussion about the workshop, because
8 Milt wants us to while everything is fresh in our
9 mind. Ten-minute break.

10 (Whereupon, the proceedings in the
11 foregoing matter went off the record at
12 5:07 p.m. and went back on the record at
13 5:18 p.m.)

14 CHAIRMAN HORNBERGER: Okay. We're going
15 to reconvene. I anticipate that this will be a
16 relatively brief part of the meeting.

17 What we want to do is Milt is going to be
18 tasked with preparing a letter report to the
19 Commission on this workshop, and he wanted to make
20 sure that we got down our initial thoughts on what
21 might be in such a letter. And so let's go down the
22 list here, the line here, and just give our
23 preliminary thoughts.

24 Mike, do you want to start from that end?

25 MEMBER RYAN: Sure. Really endorsing what

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 John said about gathering this data in a database I
2 think is probably the principal or one of the
3 principal things we could offer as being helpful.

4 I was, as John mentioned, very impressed
5 with the international numbers, all are different
6 experience from DOE, DOT, and other points of view.
7 And I think it will be instructive to systematically
8 gather that, so it is available for good analysis to
9 really get a broader integration of the experience to
10 see what maybe true rates are and those kinds of
11 things. So that's one.

12 I'll defer for the moment.

13 MEMBER GARRICK: Yes. I think that would
14 be my number one recommendation. The other thing that
15 I think is very important for the letter would be a
16 few highlights of some of the things that came out of
17 the workshop that were of great general interest.

18 You know, we talked about the emergency
19 response problems associated with the cask, that while
20 it may be leak-tight, it may have lost some of its
21 shielding. And I think that kind of question needs to
22 at least be addressed.

23 I think the different approaches that are
24 used in the different entities are extremely valuable
25 and need to be highlighted and summarized. I'm

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 thinking of things like the positions of the different
2 groups with respect to things like special trains or
3 dedicated trains.

4 I thought it was very interesting that the
5 Europeans tend to not only not think in terms of
6 special trains. They don't think in terms of escorts.
7 And there's reasons for these kinds of things, and I
8 think we need to -- it would be important for us to
9 acknowledge that.

10 So I think that in addition to some sort
11 of a recommendation about taking advantage of this
12 database, because this is one case where probably risk
13 assessments in the sense that I usually would
14 recommend would probably be unnecessary because of the
15 supporting evidence.

16 And even where it is necessary, the
17 supporting evidence is such that the uncertainties
18 could be pretty minimum. But beyond that, I think
19 highlights of the important lessons learned -- I
20 thought the information that the utilities presented
21 on the problems with the casks was extremely valuable
22 and hasn't been discussed a great deal.

23 And the practical issues associated with
24 cask handling and cask movement and the distinctions
25 between transporting and handling and the other phases

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of the whole operation that came out of the two days
2 I thought were -- was valuable.

3 So I think there's a real opportunity here
4 for us to highlight some information that the
5 Commission would be interested in, in addition to
6 making some recommendations.

7 CHAIRMAN HORNBERGER: So we have on record
8 that John Garrick recommends an actuarial approach to
9 risk analysis.

10 MEMBER GARRICK: That will be the first
11 time in my life.

12 (Laughter.)

13 The first time I would ever recommend
14 that.

15 MEMBER LEVENSON: But not often do you
16 encounter something that really has --

17 MEMBER GARRICK: That's right. Why do a
18 risk assessment when you know the answer?

19 MEMBER WYMER: Well, I want to -- since
20 it's already been seconded, I'll third the support of
21 John's statement about coordinating, correlating,
22 gathering, and analyzing the transportation data. And
23 you can make a very good case on the basis of just
24 providing a risk-informed background or regulation in
25 this area.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I also thought that there was quite a bit
2 of discussion about public participation, and that
3 people seemed to be -- have made a best effort to
4 communicate with the public. As we all know, that's
5 an extraordinarily difficult thing to do sometimes,
6 but I was sort of impressed by the fact that people
7 seem to be trying, people in the industry.

8 I thought that also I was encouraged, and
9 think we should make a note of the coordination among
10 the various organizations involved in transportation
11 as ratified by that. The DOT, the American
12 Association of Railroads, and DOE, that this is a good
13 thing and people ought to know that it's being done.

14 I think we need to pay attention -- I
15 think we ought to make a note and make mention of the
16 fact that there was public concern expressed about
17 areas other than the technical areas at which this
18 specific meeting was directed. We do not apologize
19 for what we did and didn't do.

20 We stated clearly what our goals were, but
21 that doesn't mean we covered all of the important
22 bases that are out there to be covered. And so we
23 ought to make note of the fact that these people are
24 concerned about routing, which we don't have any input
25 from DOE yet, at least not specific, and some of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 other public concerns.

2 And that's my first crack at observations.

3 CHAIRMAN HORNBERGER: Let's see. I think
4 these are all good. And I guess I think that it is
5 probably important for us to point out that what we
6 heard on the first day in terms of the shipping casks
7 and the analyses, which, of course, is the real NRC
8 responsibility, indicated to me that our methods of
9 analysis have really improved.

10 It appears to me that people can do an
11 excellent job on these analyses, and that all of the
12 experience, everything points to the fact that the
13 existing NRC regulations are entirely adequate to do
14 -- to specify a cask that is very robust with respect
15 to realistic accidents, both rail and truck accidents.

16 And I think that's -- that would be
17 important for us to point out, if, in fact, we go back
18 over the information that we got at the meeting,
19 that's what we include. That's certainly what I took
20 away from yesterday morning's meeting.

21 MEMBER LEVENSON: Are there any -- any of
22 the other -- any of the rest of you have comments on
23 yesterday's meeting?

24 MEMBER WYMER: I certainly agree with the
25 statement that George made about the -- there seems to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 have been a quantum leap in the sophistication of
2 analyses of cask responses to accidents -- accident
3 conditions.

4 MEMBER LEVENSON: I think there's a small
5 problem. I think improved methods of analysis are
6 available. It wasn't clear to me they're being used.

7 (Laughter.)

8 MEMBER GARRICK: I think, Milt, regarding
9 your yesterday -- your comment about yesterday, I
10 think one of the things yesterday that impressed me a
11 great deal was the discussion between Sandia and
12 Livermore, particularly in regard to modeling, and the
13 tradeoffs that you can make between tests and
14 analytical models.

15 I think there was a very important message
16 there that could be put in sort of the context of how
17 the labs could reinforce each other in terms of one
18 going down one direction and another one going down
19 another direction. And the opportunity that that
20 provides for some sort of effective compromises.

21 CHAIRMAN HORNBERGER: You're recommending
22 collaboration amongst DOE labs?

23 MEMBER GARRICK: I'm recommending -- yes,
24 right. Absolutely.

25 (Laughter.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN HORNBERGER: Mike Lee?

2 MR. LEE: We should only recommend things
3 that are possible.

4 (Laughter.)

5 MEMBER GARRICK: Well, I have a habit of
6 bringing up the -- those kind of things.

7 MR. LEE: No. The only point I was going
8 to make is just acknowledging there's a lot of
9 horsepower in the Livermore analytical capability.
10 And this marriage would seem -- I mean --

11 MEMBER LEVENSON: Incidentally, Mike, for
12 one of the questions we had raised earlier during the
13 break because of the very efficient staff person on
14 this project located and got delivered here someone
15 from the regulatory side who was involved in licensing
16 the casks. And I'll give you the number -- what
17 happened when the neutron shield is gone.

18 If both boral and plastic is completely
19 gone, the requirements for licensing is that they have
20 to demonstrate a maximum field of one r per hour at
21 one meter. No neutron shield at all. They're used
22 whether boral or plastic. Any neutron material has
23 gone.

24 There's no way that it might --

25 MEMBER GARRICK: And it's limited to an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 emergency response issue.

2 MEMBER LEVENSON: Emergency response and
3 one hour -- one r per hour at one meter.

4 MEMBER RYAN: Well, I think that's an
5 important element. It was a question that was raised
6 that I just did not have any number in my head, and I
7 appreciate that -- one r per hour in an emergency
8 circumstance is certainly not life threatening, and,
9 you know, that combined with the information that we
10 did have about the lack of breach of casks, I think
11 that's an interesting bounding situation.

12 Thank you.

13 I also learned one of the other audience
14 members mentioned to me that that analysis is, of
15 course, as you pointed out with the regulatory
16 requirement, typically in all of the safety analysis
17 reports. And I'm sure for every cask design that's
18 calculated it's just a matter of pulling that
19 together, but that's helpful.

20 MEMBER LEVENSON: Okay. Tim, think we've
21 got enough to do a letter?

22 MR. KOBETZ: I just want to make sure that
23 you've got enough on yesterday's from what -- I know
24 that you've got a lot of views on it, too, Milt, so
25 maybe I'll let you --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER LEVENSON: I've got some notes.

2 CHAIRMAN HORNBERGER: Let me raise a
3 question. We heard in the fire analysis summary for
4 the Baltimore Tunnel -- and one of the things that at
5 least had gone through my mind was sometimes a
6 presentation of an analysis that is, shall we say,
7 less than realistic, i.e. an infinite supply of fuel
8 burning at the hottest temperature, and then also
9 presenting this threshold temperature of -- is it
10 1058? 1058? As some magical number when it really
11 doesn't have anything much to do with anything?

12 And I think that there is -- all I'm
13 questioning is whether we want to make a comment on a
14 presentation issue. We've done this with respect to
15 TSPA and doing unrealistic analyses and perhaps
16 raising the concern --

17 MR. KOBETZ: The technical basis for the
18 1058?

19 CHAIRMAN HORNBERGER: Yes.

20 MEMBER LEVENSON: Go ahead, Mike.

21 MEMBER RYAN: George, I was thinking about
22 something similar, and maybe we could broaden it to
23 this question that -- we heard a lot of information.
24 Some of it was very familiar to me and some wasn't,
25 and I took note of the fact that I think it's very

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 important for us to either comment on or consider --
2 and maybe not comment on -- the notion that it's very
3 important to match the testing with the goal.

4 You know, if it's a specific technical
5 test to meet a criteria that's very analytic, that's
6 one kind of situation. If it's a system engineering
7 performance demonstration, like a drop, again, against
8 some kind of criteria, that's maybe a second.

9 And then third is more of a global
10 demonstration of performance like a crash test where
11 perhaps it's more visual than anything else, that
12 something does survive a catastrophic accident --
13 controlled, but nonetheless a little different slant
14 on it that we might want to talk about those three
15 different kinds of tests, because it seemed to me that
16 sometimes people would very quickly talk about data
17 for one kind of a test in another context and switch
18 back and forth.

19 And that sometimes is helpful, but
20 sometimes, frankly, is confusing. Maybe we want to
21 touch on that point. I think that's along the lines
22 that Milt has talked around about, you know, what is
23 the appropriate highway crash speed and those kinds of
24 issues.

25 MEMBER LEVENSON: You know, the 1058

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 raised an interesting point in the sense that it's an
2 old, old number from previous times for previous
3 purposes prior to attempting to be -- to risk-inform
4 anything. And I think maybe we might consider
5 commenting that as things come into current use that
6 are that old, they really need to be reviewed to make
7 sure that old numbers are neither too high nor too
8 low.

9 We don't know sometimes which way old
10 numbers are, but we should -- just because it's
11 embedded in a regulation that's N plus one years old,
12 it shouldn't be considered cast in concrete when it's
13 coming into use for new applications that really need
14 to be updated, best estimate today's world.

15 MEMBER GARRICK: I think you've
16 characterized it well. I think it -- what this
17 committee has tried to be constructive in is advising
18 the Commission on how to interpret the risk-informed
19 regulatory practice business. And I think connecting
20 these kinds of numbers that grew up out of a more
21 prescriptive time --

22 MEMBER LEVENSON: But it didn't make any
23 difference.

24 MEMBER GARRICK: -- when it didn't make
25 much difference, and at a time when the approach to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 licensing was pretty much design basis and the
2 prescribing of critical parameters to making sure that
3 these kind of parameters aren't really causing some
4 obscurity with respect to the implementation of risk
5 thinking.

6 So I think you've got it -- this to the
7 context that it should be discussed.

8 MEMBER WYMER: I'd like to make a point
9 again that we made it -- the point strongly in a
10 previous letter, but I think what came out of this
11 workshop discussion yesterday makes it important to
12 say it again, because the question arose again of
13 sorting out the practical safety-related aspects of
14 cask safety and risk on the one hand, and those data
15 that we gather with respect to research areas, the
16 things that we're interested in just to validate the
17 models that we have that go well beyond anything we
18 expect the cask to experience.

19 That's a very important point. It keeps
20 coming up, and it's a gadfly, and we need to make the
21 point again and try to lay the issue to rest if we can
22 somehow.

23 MR. KOBETZ: I've got a question with
24 regard to the 1058. Would it be helpful if I got the
25 committee the staff's position on why they use that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 for the peak cladding temperature?

2 I mean, they've got the database on that,
3 but I know they are also looking at, is that a number,
4 or should they use something else? So I'll try to
5 find out what information I can on that tomorrow.

6 CHAIRMAN HORNBERGER: Yes. Okay. That
7 would be good.

8 MEMBER LEVENSON: You might also ask them
9 why they use 1058 in a shipping cask of old dead fuel,
10 and the use a similar number of over 2,000 degrees in
11 reactor core accidents, where you've got an energy
12 dispersive mechanism. This is just incredible
13 inconsistency.

14 CHAIRMAN HORNBERGER: I'm actually
15 interested in the number of significant figure. Okay?
16 Why isn't it 1059?

17 (Laughter.)

18 MR. KOBETZ: All I can tell you is it's
19 based on some test data. And I can't remember where
20 the testing was from, but I'll find that out for you.

21 CHAIRMAN HORNBERGER: Okay. Any parting
22 comments here? I'm getting ready to --

23 MEMBER LEVENSON: Yes, let's part.

24 (Laughter.)

25 CHAIRMAN HORNBERGER: Okay. We're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 adjourned for today.

2 (Whereupon, at 5:37 p.m., the proceedings
3 in the foregoing matter were adjourned.)
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701