

Official Transcript of Proceedings

NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Nuclear Waste
149th Meeting

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Tuesday, April 20, 2004

Work Order No.: NRC-1434

Pages 1-176

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION
+ + + + +
ADVISORY COMMITTEE ON NUCLEAR WASTE
(ACNW)
149th MEETING
+ + + + +
TUESDAY,
APRIL 20, 2004
+ + + + +
ROCKVILLE, MARYLAND
+ + + + +

The Advisory Committee met at the Nuclear Regulatory Commission, Two White Flint North, Room T-2B3, 11545 Rockville Pike, at 1:00 p.m., B. John Garrick, Chairman, presiding.

COMMITTEE MEMBERS PRESENT:

B. JOHN GARRICK, Chairman
MICHAEL T. RYAN, Vice Chairman
GEORGE M. HORNBERGER, Member
RUTH F. WEINER, Member

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

ACNW STAFF PRESENT:

JOHN LARKINS, Executive Director, ACRS/ACNW

NEIL M. COLEMAN, ACNW Staff

HOWARD J. LARSON, Special Assistant, ACRS/ACNW

RICHARD K. MAJOR, ACNW Staff

ALSO PRESENT:

ANNA H. BRADFORD

DR. DAVID W. ESH

CHAD J. GLENN

DAN SULLIVAN (via video phone)

C O N T E N T S

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

PAGE

Opening Remarks, Chairman Garrick 4

Update on West Valley and Performance Assessment:

Vice Chairman Ryan 8

Presentation of Chad Glenn 8

Presentation of Anna Bradford 22

Presentation of David Esh 35

Risk-informed Regulation for NMSS Activities:

Presentation of Christiana Lui 85

Presentation of James Smith 104

Presentation of Alan Rubin 127

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

P R O C E E D I N G S

(1:03 p.m.)

CHAIRMAN GARRICK: Good afternoon. Our meeting will come to order.

This is the first day of the 149th meeting of the Advisory Committee on Nuclear Waste. My name is John Garrick, Chairman of the ACNW.

The other members of the committee present are Mike Ryan, Vice Chair, George Hornberger, and Ruth Weiner. Also present is Consultant Jim Clarke.

During today's meeting, the committee will, one, hear a briefing on the West Valley Demonstration Project and its performance assessment plan; two, hear a briefing on risk informed regulation for NMSS activities; three, commence preparation and review of potential ACNW letter reports.

John Larkins is the designated federal official for today's initial session.

This meeting is being conducted in accordance with the provisions of the Federal Advisory Committee Act.

We have received no requests for time to make oral statements from any member of the public. Should anyone wish to address the committee, please make your wishes known to a member of the committee

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 staff, and we also ask that you use one of the
2 microphones and that you speak clearly and identify
3 yourself.

4 Before starting the session, I'd like to
5 note a few items of interest. As you all know, there
6 have been a number of personnel organizational changes
7 made since the 148th meeting in February. For example
8 on March 22nd, a reorganization within NMSS affecting
9 the future interaction with DOE's Yucca Mountain
10 project was announced. John Reeves has been
11 designated Director, Division of Waste Management and
12 Environmental Protection, and Bill Reamer, Director,
13 Division of High Level Waste Repository Safety.

14 On March 31, Chairman Diaz announced the
15 multi-senior management realignment. Of particular
16 interest to the ACNW, Luis Reyes, Region II
17 Administrator will become the EDO. Carl Paperiello
18 will replace Ashok Thadani as Director of the Office
19 of Research and will be relieved as Deputy EDO for
20 Materials, Research and State Programs.

21 Marty Virgilio will occupy that position.
22 Jack Strosnider will be Director of NMSS, and as we
23 understand it, the appointments are to be made
24 effective as soon as possible.

25 One of the things the committee encourages

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is that its staff members be as active as they can be
2 in their respective professional societies, and we're
3 pleased to announce that Neil Coleman, co-authoring
4 with another member of the NRC staff, Lee Abransom, a
5 paper entitled "Future Volcanism at Yucca Mountain --
6 Statistical Insights from the Non-detection of Basalt
7 Intrusions in the Potential Repository."

8 This has been accepted for presentation at
9 the 2004 AGU Joint Assembly in May in Montreal,
10 Canada.

11 Nebraska has lost its appeal with the U.S.
12 Court of Appeals for the Eighth Circuit which upheld
13 a district court judgment that the state should pay
14 \$151.4 million to the Central Interstate LLW Compact
15 Commission.

16 French nuclear waste agency ANDRA plans to
17 submit a complete safety case for a geological waste
18 repository to its nuclear regulator by the end of
19 March. The submission will include a precise
20 definition of waste packages to be in place in such a
21 repository. EDF has said it is essential that a
22 geological waste repository be in operation by the
23 year 2008 to 2009. The dose criteria is a familiar
24 one, 25 millirem per year for 10,000 years with
25 evaluation out to 100,000 years with the same dose

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 threshold.

2 The U.S. Court of Appeals for the District
3 of Columbia said it found no evidence that Congress
4 intended the Nuclear Waste Policy Act to prohibit the
5 NRC from issuing the license to privately owned
6 ISFSIs, thereby allowing NRC jurisdiction over reactor
7 spent fuel facilities.

8 American Ecology reported a net loss of \$8
9 million plus for 2003, reflecting a \$21 million write-
10 off of site development costs related to the failed
11 low level waste disposal project planned for
12 California Ward Valley.

13 A bill approved recently by the Utah house
14 would require the legislature and the governor to give
15 explicit approval any time Envirocare seeks to dispose
16 of radioactive waste that is more active than Class A
17 waste. The legislation would not give Utah elected
18 leaders any say over high level waste, such as the
19 federally licensed facility planned for the Skull
20 Valley Goshute Reservation.

21 All right. We're going to go to our first
22 topic, and the topic is going to be West Valley, and
23 the committee member that has the lead on this
24 particular area is Mike Ryan.

25 So, Mike, it's your show.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 VICE CHAIRMAN RYAN: Thanks, Mr. Chairman,
2 and thanks to the staff for bringing this update to
3 the ACNW regarding West Valley.

4 We're going to have three presentations
5 this afternoon by Ted Glenn and Anna Bradford and
6 David Esh regarding an update from our last
7 information gathering about West Valley, which was in
8 2000. So it has been several years. It may have been
9 late '99 or early 2000, and we'll hear what's
10 happening with regard to the West Valley Demonstration
11 Project, perhaps a little bit about what DOE is doing,
12 and how they are getting their environmental impact
13 statement together and their decommissioning plans and
14 what NRC's roles and responsibilities and views are
15 looking forward to those activities.

16 So without further ado, Chad, let me turn
17 the meeting over to you.

18 MR. GLENN: Thank you.

19 My name is Chad Glenn. I'm the project
20 manager in the Division of Waste Management and
21 Environmental Protection.

22 I'm pleased to be here today to update the
23 ACNW on West Valley. As you know, the West Valley is
24 a complex decommissioning site with a number of
25 challenging issues. These issues, we believe, must be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 addressed in a manner that is both protective of
2 public health and safety and achieve some balance
3 between what is economically and technically feasible.

4 We intend to use performance assessment as
5 an aid to help achieve this balance.

6 If I could have the second slide, please.

7 There will be three parts of our
8 presentation. I'm going to be talking a little bit
9 about the West Valley site history description and the
10 status of the site. Anna Bradford will be talking
11 about the overview of the EIS, and Dave Esh will
12 provide a general approach for a staff review of the
13 performance assessment of West Valley.

14 Slide three, please.

15 In this part of the presentation, I'm just
16 going to touch on the general history and background,
17 a little bit on the agency roles and responsibilities,
18 talk about the site description and areas of concern
19 and the status of activities.

20 Slide four, please.

21 In the early '60s, New York State Atomic
22 Research and Development Authority, now the New York
23 State Energy Research and Development Authority,
24 NYSERDA, and Nuclear Fuel Services constructed and
25 began operating a nuclear fuel reprocessing facility

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 under an AEC license.

2 The West Valley spent fuel reprocessing
3 facility operated from 1966 to '72. In 1972, the
4 facility closed for modifications, and as a result of
5 the imposition of new safety requirements, Nuclear
6 Fuel Services decided that compliance with new
7 requirements was not economically feasible and
8 informed the state that it would not continue in the
9 fuel rock reprocessing business.

10 In 1980, Congress passed the West Valley
11 Demonstration Project Act. The act authorized DOE to
12 demonstrate a method for solidifying 600,000 gallons
13 of liquid high level waste that remained at the site.
14 The act also directed DOE to develop containers for
15 holding and transporting the solidified waste,
16 arranged transportation for the solidified waste to a
17 federal repository, disposed of low level waste and
18 transuranic waste from the solidifying of high level
19 waste and decontaminating and decommissioning the
20 facilities used at the site.

21 DOE and HYSERDA entered into a cooperative
22 agreement in 1981. DOE and NRC entered into a
23 cooperating -- well, into a similar agreement in 1981.

24 The act also provided that the facility
25 and the high level waste be made available to DOE

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 without any transfer of title for as long as required
2 to complete the project.

3 NYSERDA's license was put in abeyance in
4 1981, and DOE took control of the facility in 1982.
5 In 2002, the NRC issued its decommissioning criteria
6 for the West Valley Demonstration Project, and later
7 in 2002, DOE complete the solidification of the high
8 level waste at the site.

9 Slide five, please.

10 The involved agencies at West Valley are
11 NRC, DOE, EPA, NYSERDA, the State Department of
12 Environmental Conservation, and the State Department
13 of Health.

14 Other involved stakeholders include the
15 West Valley Citizens Task Force, the Coalition of West
16 Valley Nuclear Waste, and the Seneca National of
17 Indians.

18 In 2002, the involved federal and state
19 regulatory agencies developed a communication plan to
20 identify the respective roles and responsibilities at
21 the site and their clean-up requirements and
22 expectations. We have provided a copy of this
23 communication plan to your staff for the committee's
24 information.

25 Slide six.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 In the way of regional setting, West
2 Valley is located in Western New York about 30 miles
3 south of Buffalo within a 3,300 acre New York State
4 owned property called Western New York Nuclear Service
5 Center, often referred to as simply "the center."

6 The center is located in the lower right-
7 hand side of the slide. As you can see, Cattahargas
8 Creek is the main drainage for the area that runs east
9 to west across the north tip of the site and drains
10 into Lake Erie.

11 Slide seven please.

12 Again, I'd like to point out the 3,300
13 acre center boundary and the 200 acre West Valley
14 Demonstration Project boundary is situated in the
15 middle of the site.

16 This is a 20,000 foot view of the site
17 with residual contamination in the different areas of
18 the site color coded. These areas include the burial
19 areas of the South Plateau, a North Plateau
20 groundwater plume, a cesium prong, creek sediments,
21 and the high level waste tanks, vitrification
22 facilities, and the process building.

23 The residual contamination in these areas
24 will be evaluated in the decommissioning EIS and in
25 the decommissioning plan, and the next several slides

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 will show each of these areas in more detail. In the
2 interest of time, I will only tend to make a few
3 comments on each slide.

4 If I can have slide eight, please.

5 The facilities on the South Plateau
6 include the state licensed disposal area, the NRC
7 licensed disposal area, and a drum cell. The state
8 licensed disposal area and the NRC licensed disposal
9 area are both inactive waste disposal areas.

10 The state licensed disposal area contains
11 about 2.4 million cubic feet of waste with 130,000
12 curies of activity.

13 The low level waste was derived in this
14 burial area from a variety of sources, including fuel
15 cycle, industrial sources, medical sources, and
16 research facilities. The SDA is covered with soil and
17 synthetic cover.

18 The NRC licensed disposal area contains
19 approximately 360,000 cubic feet of waste with about
20 300,000 curies of activity. The waste includes
21 hardware and equipment, spent fuel hulls, sludges,
22 filters, damaged spent fuel element. This waste was
23 derived from a reprocessing operation, and the results
24 are some West Valley Demonstration Project waste
25 varied in the NDA.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And finally, there is a drum cell that
2 contains about 20,000 cement stabilized drums from
3 treated supernatant from the high level waste tanks.
4 DOE plans to ship all of this drum cell waste in the
5 next few years off site.

6 MR. HORNBERGER: Excuse me. Just a quick
7 question. Was the interceptor trench and the slurry
8 wall -- were they designed as part of the disposal or
9 are they after the fact the control contaminant
10 movement?

11 MR. GLENN: I don't think I have the
12 answer for that question. Dave?

13 MR. ESH: I think they're added after the
14 fact.

15 Sorry. This was Dave Esh.

16 MR. GLENN: In slide seven -- oh, where am
17 I? Nine. Thank you.

18 The north groundwater, North Plateau
19 groundwater plume has elevated levels of
20 radioactivity, principally Strontium 90. This
21 contamination is believed to have resulted from
22 release during fuel reprocessing operations. The
23 apparent source of the contamination was the process
24 building.

25 Current groundwater mitigation steps at

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the present time are pump and treat from three
2 extraction wells to remove Strontium 90, and a pilate
3 scaled permeable treatment wall constructed and
4 backfilled with zeolite to absorb Strontium 90.

5 Dave Esh will address the plume in more
6 detail in his presentation.

7 Slide ten, please.

8 The cesium prong resulted from an
9 atmospheric release from the stack during the
10 processing operation. This release resulted in low
11 levels of Cesium 137 contamination in soils extending
12 from the reprocessing plant northwest across the site
13 boundary.

14 Slide number 11.

15 Some creep sediments have elevated levels
16 of Cesium 137 resulting from previous untreated lagoon
17 discharges.

18 Slide 12.

19 This slide just simply points out the high
20 level waste tanks, vitrification facility, and the
21 process building.

22 There are four high level waste tanks, two
23 large tanks, two small tanks, and all I really wanted
24 to do was simply say that all of these facilities need
25 to be decontaminated and de commissioned, and they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 will be addressed in the decommissioning EIS, and
2 DOE's decommissioning plan.

3 The process building also contains the 275
4 high level waste canisters that are presently in
5 storage awaiting for a geologic repository.

6 VICE CHAIRMAN RYAN: Glenn, just for
7 completeness in folks that may or may not know, the
8 gray buildings, are they nonradiological buildings or
9 buildings that are under some other authority?

10 MR. GLENN: They would be areas where
11 there is no current residual contamination to be
12 addressed.

13 VICE CHAIRMAN RYAN: Okay, great. Thanks.

14 I neglected to mention at the outset we
15 have some colleagues from the Department of Energy and
16 others up at the facility via video behind us, and
17 welcome.

18 MR. GLENN: Slide 13, please.

19 This slide shows the location of waste
20 storage and processing facilities on site. DOE
21 intends to ship this waste off site for disposal in
22 the next several years.

23 There's also a facility. I think it's
24 acronym is RHWF. This stands for the remote handled
25 waste facility on the left side of the slide.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 This is a recently constructed facility.
2 It hasn't started operating yet. They expect it to
3 start operating this summer. This facility is
4 designed to prepare high activity waste requiring
5 remote handling for off site disposal. The facility
6 has a shielded work cell, the capability to track,
7 decontaminate, and repackage waste for off-site
8 disposal.

9 MS. WEINER: Question. What's the
10 difference between your remote handled waste and high
11 level waste?

12 MR. GLENN: The remote handled waste, I
13 guess the way I would answer that is the remote
14 handled waste in this facility would be used to handle
15 those pieces that can actually be removed from
16 existing buildings and need to be size reduced
17 remotely, and this is what this facility is intended
18 to be.

19 MS. WEINER: Okay. Thanks.

20 MR. GLENN: Slide 14 please.

21 This shows the low level waste treatment
22 facilities and lagoons, and that basically ends our
23 tour of the site. I'd like to now talk a little bit
24 about the current status of activities.

25 Slide 15 please.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 NRC staff is implementing the Commission's
2 final policy statement. The final policy statement
3 prescribes the license termination rule as the
4 decommissioning criteria for the site. The Commission
5 recognized that the decommissioning of the West Valley
6 site will present some unique challenges which may
7 require some unique solutions.

8 The final policy statement provides
9 flexibility to consider other approaches for parts of
10 the site where cleanup to the license termination rule
11 is prohibitively expensive or technically impractical.

12 If it can be demonstrated that public
13 health and safety is protected, these other approaches
14 might include the use of robust engineered barriers,
15 long-term license, or an exemption. Any exemption
16 must meet the Commission's expectation that all parts
17 of the site be decommissioned to the extent
18 technically and economically feasible and demonstrate
19 that the protection of the public and the environment
20 can be maintained.

21 Slide 16.

22 DOE is presently developing a
23 decommissioning plan. The decommissioning plan will
24 provide the basis for NRC determination of whether or
25 not the proposed action meets the license termination

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 rule. DOE intends to submit this plan to the NRC
2 before the end of the year, this year.

3 The DOE staff refers to this plan as a
4 living document that will be maintained and updated as
5 needed to be consistent with the decommissioning EIS.
6 NRC intends to issue a safety evaluation report
7 documenting the results of its safety and
8 environmental review after the issuance of the
9 decommissioning EIS record of decision.

10 Slide 17.

11 As a result of a recent public meeting
12 between DOE and NRC which discussed the scope of the
13 decommissioning plan, DOE's scope will now include
14 DOE's proposed action and a demonstration of
15 compliance with a decommissioning criteria and
16 evaluation of residual activity for the entire 3,300
17 acre site. It will include planned decommissioning
18 activities, the radiologic status of facilities, dose
19 modeling, a layer analysis, a final status survey, and
20 information supporting DOE's waste incidental to
21 reprocessing determination for the residuals in the
22 tanks.

23 The scope of DOE's decommissioning plan
24 will not include any near term waste management and
25 facility deactivation activities.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 That concludes what I wanted to address
2 today, and I can try to answer any questions now or
3 after the next presentation.

4 VICE CHAIRMAN RYAN: Just a couple of
5 questions on that last slide, actually one. I'm a
6 little confused with the last item not being in
7 conflict with the previous items.

8 The near term waste management facility
9 deactivation activities are not in the scope, but
10 final status survey, ALARA, radiologic status of
11 facilities, and so on is. I'm missing something. Why
12 isn't waste management facility deactivation integral
13 to the plan?

14 MR. GLENN: I guess I would answer it this
15 way. I think the way that we look at it is the
16 license termination law or decommissioning criteria is
17 focused on the end state of the facility, the end
18 state after decommissioning, and so with that being
19 the focus, DOE's ongoing activities do decontaminate
20 process cells and move waste off site. It's something
21 that we view as within DOE's authority and its
22 activities they have done over the last five or ten
23 years.

24 So our decommissioning plan and our
25 interest in the decommissioning plan is really focused

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 on the end state of the cycle, after the
2 decommissioning.

3 VICE CHAIRMAN RYAN: That clarifies it for
4 me. There's ongoing activities now to manage and
5 deactivate facilities that are generating waste.
6 You're viewing that to be prior to the decommissioning
7 plan and picking up.

8 MR. GLENN: Correct.

9 VICE CHAIRMAN RYAN: Okay. I'm with you
10 now. I just wanted to make sure I understood that.

11 CHAIRMAN GARRICK: Will the DOE plan be
12 specific in terms of restricted versus nonrestricted
13 decommissioning?

14 MR. GLENN: Well, I think what we've asked
15 DOE to do was clarify on the site for the whole 3,300
16 acre facility. What areas would be suitable for
17 unrestricted release? What areas would require
18 restricted release with some kind of institutional
19 controls? And what areas might remain under license?

20 We don't know what that is yet. We
21 haven't seen that, but that's what we've asked DOE,
22 and that's what we expect DOE to generate in the
23 decommissioning plan

24 CHAIRMAN GARRICK: I assume Dave will tell
25 us which of those plumes are atmospheric and which are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 groundwater. Okay.

2 MS. WEINER: Which waste that you're
3 collecting in these various facilities are you
4 planning to transport off site and where are you
5 planning to take it?

6 MS. BRADFORD: I'm going to talk about
7 that a little bit in the next presentation.

8 MS. WEINER: Okay.

9 CHAIRMAN GARRICK: Let's proceed. Thanks.

10 MS. BRADFORD: Okay. My name is Anna
11 Bradford, and I'm the NRC project manager for the West
12 Valley environmental impact statement, which is what
13 I'm going to talk about for a few minutes today. In
14 just a minute I will.

15 (Laughter.)

16 MS. BRADFORD: You can go to the next
17 slide, please.

18 My presentation will briefly cover the
19 background of the EIS, the status and alternatives in
20 the EIS, issues that we believe need to be covered in
21 the EIS, as well as the schedule that we're currently
22 working to.

23 Next slide.

24 The draft EIS for West Valley was
25 published in January of 1996, and the NRC staff

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 provided extensive comments on this DEIS. Examples of
2 the '96 comments were the need for an adequate long-
3 term performance assessment; the realism of dose
4 estimates; and the need to identify a preferred
5 alternative.

6 And it's important to note at the time of
7 the publication of that draft EIS, the LTR was not yet
8 final, and the NRC had not published its policy
9 statements. So DOE did not know what the
10 decommissioning criteria for this site would be.

11 In 2001, DOE decided to advice their NEPA
12 strategy and separate their analyses into two separate
13 EISes, one which was the waste management EIS, and the
14 other was the decommissioning and long-term
15 stewardship EIS.

16 Next slide, please.

17 The final waste management EIS was
18 published in December of 2003, and it addressed
19 management of those wastes already in storage or those
20 that would be generated over the next ten years during
21 decontamination and decommissioning activities, and in
22 that EIS, their preferred alternative was keep the
23 high level waste on site until it had a destination;
24 ship low level and mixed waste to either a DOE or a
25 commercial facility; and ship true to WIPP.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 However, the ROD has not yet been
2 published for this, only the final EIS, and the NRC
3 was not involved with the development of this EIS.

4 The decommissioning EIS addresses various
5 decommissioning and long-term stewardship alternatives
6 for the site, and a notice of intent was published in
7 March 2003. In this EIS, DOE and NYSERDA are the co-
8 leads, and NRC, EPA and NYSDEC are cooperating
9 agencies.

10 And under NEPA cooperating agencies
11 participate in the development of the EIS, and
12 generally agencies that either have jurisdiction or
13 have expertise in the area are being evaluated.

14 NRC staff is currently reviewing draft
15 pre-decisional documents for this decommissioning EIS.

16 Next slide, please.

17 The EIS currently has five alternatives
18 that are being analyzed. Under alternative one, all
19 buildings, structures, and buried waste would be
20 removed and shipped off site so that the entire 3,300
21 acres could be released for unrestricted use.

22 Alternative two would be the same as
23 alternative one for the North Plateau with all
24 facilities removed. However, the South Plateau burial
25 grounds would remain under license.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Alternative three, the North Plateau would
2 meet restricted release criteria, and the process
3 building and high level waste tanks would be closed in
4 place and capped. The South Plateau burial grounds,
5 again, would remain under license.

6 Alternative four would consist of
7 monitoring and maintaining the entire site, and this
8 fulfills the NEPA requirement of analyzing the impacts
9 of the no action alternative.

10 Alternative five is the same as
11 alternative three, except that the process building is
12 left standing and decontaminated to meet restricted
13 release criteria, and a cap would cover only the
14 closed in place, high level waste tanks.

15 DOE has identified this as their preferred
16 alternative. NYSERDA has not yet identified their
17 preferred alternative.

18 CHAIRMAN GARRICK: Have estimates been
19 made for each of these alternatives?

20 MS. BRADFORD: Not at this point. I can
21 tell you that for alternative one in the draft 1996
22 EIS, they had a similar green field alternative, and
23 at the time the cost was about \$8 billion with 9.3
24 million cubic feet of rad waste that would need to be
25 shipped off site.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN GARRICK: Thank you. That was
2 enough.

3 MS. BRADFORD: The NRC staff believes that
4 the PA underlying the EIS should be the same as the PA
5 supporting the decommissioning plan. The EIS and the
6 DP are closely interrelated and will be coordinated
7 both internally within DOE and internally within the
8 NRC.

9 And like Chad said, we will not make a
10 decision on the DP until the record decision has been
11 reached for the EIS.

12 The NRC's West Valley policy statement
13 says several issues should be addressed in the EIS,
14 and a partial listing is given on this slide. For
15 example, the EIS should evaluate the entire 3,300 acre
16 site, including the SDA. Impacts beyond 1,000 years
17 should be analyzed. Impacts from incidental waste
18 should be evaluated, and a cost-benefit analysis
19 should be included.

20 Next slide, please.

21 The NRC and other cooperating agencies
22 have completed several reviews of supporting EIS
23 documentation of the last six months, and we provided
24 comments back to DOE and NYSERDA. Some reviews that
25 we've completed are listed here: the NDA and SDA

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 characterization reports, the high level waste tank
2 farm characterization report, and four EIS appendices
3 that were related to PA, and these are the long-term
4 PA methodology, long-term PA models, hydrogeology
5 analysis, and erosion studies.

6 Next slide, please.

7 This slide just provides some highlights
8 of the EIS development schedule. DOE and NYSERDA and
9 the cooperating agencies will be meeting in May to
10 discuss all of the agency comments in the four PA
11 appendices that I just described.

12 In October 2005, DOE plans to provide us
13 with a PA results appendix for our review, and the
14 environmental consequences chapter will follow in
15 January 2006.

16 DOE then plans to release the draft EIS
17 for public review in November of 2006, and this will
18 be followed by a six-month public comment period, with
19 plans for the final EIS public release in October of
20 2007.

21 And that's all I have today unless there
22 are some questions.

23 CHAIRMAN GARRICK: Ruth?

24 MS. WEINER: You said that you need to do
25 performance assessment or to look at environmental

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 impact past 1,000 years. Is that because there is
2 also actinide contamination? Why are you going past
3 1,000 years?

4 MS. BRADFORD: I believe when the policy
5 statement was delivered or -- excuse me -- developed,
6 they believed that the peak doses may well be out past
7 1,000 years and so they put in that statement.

8 MS. WEINER: Well, what would cause the
9 peak dose? That's my question. What would cause the
10 peak doses to be higher? Would that be actinide in-
11 growth or something, actinide decay?

12 MS. BRADFORD: Dave?

13 MR. ESH: Yeah, I'll talk about that a
14 little bit.

15 MS. WEINER: Oh, okay.

16 MR. ESH: I think it's primarily a
17 reasonably significant quantity of long-lived isotopes
18 or actinides.

19 MS. WEINER: And that's in the plumes?
20 It's in the environment somewhere?

21 MR. ESH: The answer to that is yes. It's
22 both. I mean, most of it is contained in a lot of the
23 sources that are being managed right now. When we
24 talk about the Strontium 90 plume, I'll talk about
25 that a little bit. There wasn't a release of just

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Strontium 90, as you can imagine. It was a release of
2 material that was undergoing processing.

3 MS. WEINER: Oh, okay.

4 MR. ESH: So it contained everything else
5 that was in that material whenever that release
6 occurred.

7 MS. WEINER: Thank you. That was exactly
8 the answer.

9 Is all of your high level waste now
10 contained in some way? Either it's pieces of large
11 pieces or it's vitrified or it's contained in some
12 other way; is that correct?

13 MS. BRADFORD: Yes, if you're considering
14 contained to be, for example, the liquid in the tanks.

15 MS. WEINER: Well, are you planning to
16 process it to get --

17 MS. BRADFORD: I don't believe DOE plans
18 to process it any more than it already has been
19 processed.

20 MS. WEINER: then it would stay where it
21 is or --

22 MS. BRADFORD: Well, there's the
23 alternative of digging up the tanks and shipping them
24 off site, or there's the alternative of close in
25 place.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. WEINER: Okay.

2 MS. BRADFORD: In which case you would
3 stabilize it by perhaps putting grout in the tank and
4 in between the tank and the vault and then putting a
5 cap over top of that.

6 MS. WEINER: So in any case it just
7 wouldn't be free liquid sitting in the tank.

8 MS. BRADFORD: No, right.

9 MS. WEINER: Have you been looking at what
10 the various options they have for the Hanford tanks?

11 MS. BRADFORD: Yes.

12 MS. WEINER: I suppose this is very
13 similar.

14 MS. BRADFORD: Right.

15 MS. WEINER: Okay. Thank you.

16 MR. HORNBERGER: So looking at your
17 penultimate slide, you have recent cooperating agency
18 reviews. So what did you learn from reviewing this
19 material?

20 MS. BRADFORD: I can't go into too much
21 detail in a public forum like this because a lot of
22 these documents are not publicly release and our
23 comments are not publicly released. We provided
24 comments on things like modeling methods and adequacy,
25 inventory estimates, uncertainty estimates.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We had a pretty broad range of comments,
2 but I don't think we saw any show stoppers in there.

3 CHAIRMAN GARRICK: Okay, yes.

4 MR. CLARKE: I'm looking at your slide
5 five, which has the alternatives that are being
6 evaluated in the EIS. That's a pretty broad range of
7 alternatives, and I wonder what is the anticipated
8 future land use and is there going to be an attempt to
9 target the remediation of the land use.

10 MS. BRADFORD: I can tell you the current
11 land use is agricultural. It's a very rural site, and
12 I think that's the type of land use they are assuming
13 it will be in the future.

14 MR. CLARKE: Okay, and just one quick
15 question. The unrestricted release for entire site,
16 you have what looks like two large burial grounds.
17 One has already been covered with an engineered cover,
18 and you've got a slurry wall around part of it.

19 To get to unrestricted release, would all
20 of that be removed?

21 MS. BRADFORD: Under this alternative, you
22 would analyze it where all of the waste was being --

23 MR. CLARKE: And groundwater
24 contamination, you'd have a pump --

25 MS. BRADFORD: Whatever we'd have to do to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 meet unrestricted release criterion.

2 MR. CLARKE: Okay. Thanks.

3 CHAIRMAN GARRICK: Okay. Thanks.

4 Any other questions? Mike.

5 MR. LEE: Yeah, Anna. In slide eight, you
6 make reference to PA results being available in
7 October 2005. Will the staff be looking at the entire
8 performance assessment document? Will there be a
9 comprehensive report that synthesizes all of the
10 information that was used and the abstractions and the
11 methodologies and the data?

12 MS. BRADFORD: You mean will we be looking
13 at more detail than just what's in the EIS?

14 MR. LEE: Yes, right.

15 MS. BRADFORD: Yes, I think we will,
16 especially for DP. In DP space we'll need to look at
17 that.

18 MR. LEE: Okay, and at some point that
19 document would be publicly available as part of the
20 record of decision? Would they be --

21 MS. BRADFORD: All of the supporting
22 documentation? I would assume that if it's referenced
23 in the AS (phonetic) it should be something that's
24 publicly available.

25 MR. LEE: Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. WEINER: Just another quick question.
2 Are you including transportation of material off site
3 in your EIS?

4 MS. BRADFORD: Yes. In alternative one,
5 there's thousands of shipments that would --

6 MS. WEINER: And I'm interested in how
7 you're assessing the risks of transportation.

8 MS. BRADFORD: I can tell you we haven't
9 seen anything on that for this current version. In
10 the draft '96 EIS they looked at per miles shipped,
11 what were the fatalities from accidents, both just
12 normal road accidents as well as accidents involving
13 radioactive material, and then they also looked at the
14 transportation emissions. Would that cause any
15 fatalities from everything being emitted to the air.

16 MS. WEINER: You may want to answer this
17 later because I don't want to take the time for
18 details, but I would be interested in what programs'
19 models were used and what models you are using in this
20 EIS to model transportation risks and particularly the
21 radiological risks of transportation.

22 MS. BRADFORD: Okay.

23 MR. HORNBERGER: On the waste management
24 EIS, you said that the high level was meant to be
25 shipped off site to a repository after being stored.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So that includes all of the spent fuel at West Valley?

2 MS. BRADFORD: Not anything that's in the
3 burial grounds, but the canisters, and that's all
4 they're addressing in that EIS.

5 MR. LEE: That's the vitrified waste that
6 was generated a few years back as a result of --

7 MS. BRADFORD: Right.

8 MR. LEE: That's destined for Yucca
9 Mountain, I think.

10 MS. BRADFORD: Yes, yes.

11 VICE CHAIRMAN RYAN: Let me add right away
12 for all three of you we recognize that we're asking
13 questions that might be years in advance and it's hard
14 to know the details, and we appreciate your insights
15 even at this early stage of getting this project up
16 and running at this point. So thanks for looking
17 ahead with us.

18 Any other questions?

19 MR. LARKINS: Yeah, let me just ask for
20 clarification for myself. On page 6, viewgraph six,
21 you say the performance assessment for EIS should be
22 the same as the PA in the decommissioning plant. So
23 I assume that the staff and DOE are going to use the
24 same methodology.

25 MS. BRADFORD: I'm going to let Dave

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 address that question when he talks about PA, but my
2 point there was really supposed to be DOE should be
3 using the same performance model for both documents.

4 MR. LARKINS: Okay. But the staff is
5 doing an independent PA, but you're not constrained to
6 using the same. Okay.

7 CHAIRMAN GARRICK: Just one other point to
8 clarify. I assume to remember that there was some
9 damaged fuel around. Was that vitrified?

10 MS. BRADFORD: No.

11 CHAIRMAN GARRICK: And where is that?

12 MS. BRADFORD: At the NDA. It's buried in
13 the NDA.

14 CHAIRMAN GARRICK: It's buried?

15 MS. BRADFORD: Yes.

16 CHAIRMAN GARRICK: Okay. Thank you.

17 VICE CHAIRMAN RYAN: That answers the
18 1,000-year question.

19 CHAIRMAN GARRICK: Yeah.

20 (Laughter.)

21 CHAIRMAN GARRICK: Yeah.

22 VICE CHAIRMAN RYAN: David, please.

23 MR. ESH: I'm going to break from the norm
24 and stand because I have a few things to point to. I
25 don't want to be doing this while talking.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I'm David Esh in the Environmental and
2 Performance Assessment Directorate of the newly formed
3 Division of Waste Management, Environmental
4 Protection.

5 And I'm going to talk about the general
6 approach for our review of the performance assessment
7 at the West Valley site. I'd like to acknowledge my
8 contributors to this presentation: Anna Bradford,
9 Chris McKinney and Chad Glenn, and I hope to dispel
10 the rumor that if it's general in the title that means
11 it's fluffy.

12 So next slide, please.

13 For my overall outline, I'm going to give
14 you a brief site overview. Chad Glenn did some of
15 this in his presentation, and the other elements that
16 I'm going to touch on are regulatory framework for the
17 performance assessment; so to give you some idea of
18 where we believe this fits in and what's the guidance
19 related to a performance assessment.

20 And then based on what we've seen so far,
21 I'm going to talk about expectations for DOE's PA.
22 What do we look at as the key elements of the
23 performance assessment for this site and problem, in
24 particular.

25 And then I'll talk about our plan for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 staff review and NRC's independent PA development and
2 assessment activities we plan.

3 Next slide, please.

4 So as a brief overview, we would say that
5 the complexity from a performance assessment
6 perspective is high, and that's for a number of
7 reasons, one of which is given on this slide. There
8 are significant potential sources for contamination,
9 a list of which is provided here, including the
10 process building, high level waste tanks, NRC license
11 disposal area, the Strontium 90 plume, state license
12 disposal area, SDA, low level waste treatment facility
13 lagoons, and cesium prong.

14 These are some of the potential sources
15 for contamination. There are others. These tend to
16 be the bigger hitters out of the potential sources for
17 contamination.

18 Each of these sources --

19 VICE CHAIRMAN RYAN: David, just a quick
20 question. How would you rank the geohydrologic
21 environment in terms of its complexity?

22 MR. ESH: I'd say moderate to high. It's
23 certainly not a simple site, but there are some
24 aspects of it from a performance assessment
25 perspective that make it a little easier to deal with,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and that's the main one being that you're not dealing
2 with a large vadose zone, a large, unsaturated zone
3 and what are the transport rates through the
4 unsaturated zone.

5 So that makes it a little bit simpler, but
6 there's a significant amount of heterogeneity in the
7 geology that we see. So that makes it more
8 complicated.

9 From a potential source perspective, each
10 one of these can have different implications for the
11 performance assessment. They have different nuclides
12 that, therefore, have different mobilities. They have
13 different locations. Some are surface contamination.
14 Some are groundwater, and some are maybe at depth.

15 To give you an idea the process building
16 is, of course, above grade, and so the receptor
17 scenarios that you may be looking at for the process
18 building and the exposure pathways will certainly be
19 different than something like the Strontium 90 plume
20 which is a groundwater plume that has resulted from a
21 subsurface release.

22 Of course, NRC license disposal area and
23 the state license disposal area are both disposal
24 areas below grade. Some of the waste in the NRC
25 license disposal area is 50 feet down. Some of it, I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 believe, is more like 20 feet down. And then the
2 state license disposal area is a little bit more
3 shallow than the NRC license disposal area, I believe.

4 The cesium prong was resulting from an
5 atmospheric release during operations, and it
6 basically resulted in soil contamination of cesium on
7 the ground surface.

8 And if you'll remember back to that one
9 figure that Chad Glenn showed in his presentation that
10 has that large area of color stretching off, I
11 believe, to the upper left, that was the cesium prong,
12 the surface contamination.

13 The Strontium 90 plume groundwater
14 contamination is a smaller plume, much smaller plume
15 than that cesium prong, but I'll show it to you in one
16 of the slides coming.

17 CHAIRMAN GARRICK: Are you going to say
18 something about the depths of the groundwater plumes?

19 MR. ESH: Yeah.

20 CHAIRMAN GARRICK: Something about the
21 general dimensions?

22 MR. ESH: Sure, we can talk about that
23 when we talk about the Strontium 90 plume.

24 Slide four please.

25 This is a picture looking south. I think

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it gives you a pretty good perspective of the site.

2 In the upper part of the figure here, you
3 see the state license disposal area with its
4 geomembrane over top of it. The NRC license disposal
5 area is located next to it.

6 Here's the drum cell, again, that Chad
7 Glenn had mentioned.

8 Closer to you in the foreground is the
9 process building, of course, and the high level waste
10 tanks are highlighted. Then there's low level waste
11 treatment facility lagoons here.

12 A lot of these areas are holding waste,
13 waiting for disposal, low level waste in particular.
14 All of that is expected to be shipped off site and
15 those buildings, you know, taken away.

16 VICE CHAIRMAN RYAN: David, could you just
17 trace with a pen the couple of creeks that are nearby,
18 please?

19 MR. ESH: Sure. In between here where the
20 trees are in the middle is Erdman Brook, and Erdman
21 Brook generally separates the site into the South
22 Plateau and the North Plateau. Erdman Brook flows
23 into Frank's Creek, which is flowing along this side
24 of the site, and Frank's Creek flows into Buttermilk
25 Creek, which is off the picture, which flows into the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Cattahargas Creek, which is further off the picture.

2 So hopefully there's a slide coming up on
3 the Strontium 90 plume, a plan view of that, where
4 you'll get a better view of where the streams are in
5 relation to the waste and the facilities.

6 MR. CLARKE: David, before you leave that
7 slide, the geomembrane looks like it's exposed. Is
8 that --

9 MR. ESH: It is exposed at the lance of
10 this --

11 MR. CLARKE: It that kind of an interim
12 design?

13 MR. ESH: It's designed to limit
14 infiltration into the waste.

15 MR. CLARKE: But there's no soil covering
16 it?

17 MR. ESH: There's no soil covering it, and
18 there's implications, of course, for the lifetime of
19 the geomembrane whether you cover it or you don't.
20 Geomembranes are typically good for 50 to 100 years.
21 If you put soil on it, then you run into questions
22 like burrowing animals. Do they get into it?

23 If you leave it exposed, it's exposed to
24 sunlight and it may not have as much of a lifetime for
25 that. So there's implications whether you leave it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 exposed or don't.

2 In this case, I believe it is an interim
3 measure, and it is exposed at the surface.

4 MR. CLARKE: And the same thing at Maxi
5 Flats.

6 MR. ESH: Yes.

7 MS. WEINER: I suppose in your discussion
8 of the plumes you're going to talk about monitoring in
9 all of these creeks and what kind of monitoring
10 results you've gotten.

11 MR. ESH: Not in very much detail today,
12 I don't think. Well, you can imagine though, okay,
13 when we'll deal with the -- well, let's wait until we
14 get to the Strontium 90.

15 MS. WEINER: Okay.

16 MR. ESH: It will be easier then.

17 Next slide, please.

18 So for a brief overview of the site, as I
19 said, it's separated into two plateaus primarily based
20 on hydrogeology, and the important thing to note here
21 is that the receptor considerations may be different
22 for the different waste management areas based on the
23 availability of water.

24 So whereas there may be water availability
25 on the North Plateau, there may not be or there may be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 limited water availability on the South Plateau. So
2 when you're talking agricultural scenarios and, say,
3 a resident farmer scenario or some other scenario,
4 that has implications for the receptor and the risks
5 that you get for those receptors.

6 The other two main things that I want to
7 note here, and they'll show up later in the
8 presentation, are that the site experiences relatively
9 high rates of erosion, and that can have implications
10 for a number of things related to the performance
11 assessment.

12 The other thing is that the engineer
13 barriers are expected to be used as part of the site
14 decommissioning and play a very significant role, or
15 they may play a very significant role. It's too early
16 for us to say exactly what barriers are going to be
17 used and how important are they.

18 Next slide, please.

19 So our regulatory framework basically
20 comes from the PA must satisfy the requirements of 10
21 CFR, Part 20, Subpart E, the license termination rule.
22 And the LTR has provisions for different types of
23 release, which we talked about some earlier.

24 Unrestricted release, which is basically
25 no controls or maintenance, and you meet a 25 millirem

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 annual public dose limit. Also restrictive release
2 which has two components to it, but you can use
3 institutional controls to limit the use of the site,
4 provide for maintenance and monitoring, which may be
5 necessary or could be necessary in a site that has a
6 high erosion.

7 And then under that scenario when the
8 controls are working, you have to show you can meet a
9 25 millirem annual public dose limit.

10 Then you also have to do an analysis that
11 you assume the controls fail and show that you can
12 meet a 100 millirem annual public dose limit or in
13 some circumstances 500 millirem annual public dose
14 limit.

15 There's also alternate criteria that we
16 don't expect they're going to apply or are going to be
17 exercised at the West Valley site.

18 Next slide, please.

19 So that was basically our regulatory part
20 of it, and then we have guidance documents that we
21 believe give a lot of expectations, indications of
22 what should be part of a performance assessment, the
23 first one being NUREG 1757, which is the consolidated
24 NMSS decommissioning guidance.

25 The second one is NUREG 1573, which is the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 performance assessment methodology for low level waste
2 disposal facilities, and the reason why I put the
3 second one here is not only does it provide a lot of
4 information about expectations for performance
5 assessment or considerations when you're completing a
6 performance assessment, but NUREG 1757 refers back to
7 NUREG 1573 when you're dealing with complex
8 decommissioning sites. So the two are tied together,
9 and they provide a good guidance framework for a
10 performance assessment.

11 The main point that I want to emphasize,
12 we could go into an hour long or all day discussion
13 about the guidance the various elements that's
14 contained in the guidance, but one of the main
15 elements I wanted to discuss was that the guidance
16 stresses reasonably foreseeable scenarios and current
17 regional practices, and basically there was a recent
18 LTR analysis that was approved by the Commission. We
19 would expect that that LTR analysis is implemented in
20 whatever is done to the West Valley site.

21 This has implications for the risks that
22 you generate, what type of scenarios you assign and
23 what the receptors are doing. It has a very big
24 implication.

25 The biosphere usually gets the short end

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of the stick in lots of these problems, but it
2 basically can play a big role base on how you define
3 your starting point, how you define your scenario.

4 Next slide, please.

5 So our expectations for DOE's PA, I have
6 included some that are kind of higher level, general
7 at the top here, and then some that are more specific
8 based on what we've observed so far. We expect that
9 it should incorporate as much realism as is
10 practicable, which is understandably difficult when
11 you're dealing with a complex site with a lot of
12 uncertainty. It's hard to put your finger on the
13 realism part of it.

14 And so you have to balance cost, and
15 there's always this balance between how much
16 conservatism do you want to use, how much cost do you
17 want to expend to reduce the conservatism. That will
18 be ongoing as part of this process.

19 The other thing is to provide for a
20 liberal consideration of uncertainty, which we believe
21 is important for a complex site, and we always like to
22 see for a complex site with high uncertainty
23 probabilistic analyses, but we can't require it. As
24 long as somebody is dealing with uncertainty
25 appropriately, such as a deterministic analysis with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 lots of sensitivity and uncertainty analysis or a
2 definitively conservative analysis, we can't require
3 a probabilistic analysis, but for these types of
4 problems in many cases it's preferable for a number of
5 reasons that we could discuss.

6 CHAIRMAN GARRICK: How are they
7 approaching the issue of uncertainty analysis?

8 MR. ESH: It's a mixed bag. In some cases
9 they're trying to take conservative approaches to
10 parameter selection or model selection or the
11 different things that go into the development of
12 components of the performance assessment.

13 In other cases, they're doing sensitivity
14 uncertainty analysis to look at the importance of the
15 uncertainty that they're dealing with, and then in
16 some cases they are doing some stochastic analysis of
17 representing various parts of the system
18 stochastically. So it's kind of a mixed bag from part
19 to part, component to component of the performance
20 assessment model.

21 Now for the specific elements that we have
22 expectations for. DOE's models are mostly internally
23 developed for this project. So that makes quality
24 assurance more important, and the main elements of
25 quality assurance that we believe are significant for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 this problem are the software and calculation
2 verification for these independent, internally
3 developed models, and then also the model supports for
4 the models that are being used.

5 And they are usually extensive in terms of
6 documentation that you get for these types of
7 activities, which makes our review job harder, but so
8 be it.

9 And then I want to emphasize again about
10 the receptors should be based on the reasonably
11 foreseeable scenarios and current regional practices.

12 Next slide, please.

13 As I mentioned, there are two key elements
14 that can have significant influences on the
15 performance assessment, the first being the engineer
16 barriers. They may perform key functions at this
17 site. There are various types of barriers being
18 considered or may already be in place, as you noticed.
19 There's an interceptor trench for the NDA. There's a
20 slurry wall already in place for the SDA. There's a
21 geomembrane in place at the SDA.

22 These four things that I listed here are
23 all being considered for the high level waste tanks,
24 the design question you asked, Dr. Weiner, about what
25 are they doing with the liquids in the tanks. How are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 they going to stabilize that? These features are all
2 being considered for the high level waste tanks to
3 stabilize those residual materials.

4 The two technical things that raised their
5 head related to widespread use of engineered barriers
6 are the as in place performance. You know, you can
7 conceptualize it on paper and design a great
8 engineered barrier and say this is one I'm going to
9 use and, therefore, it changes my problem this way.
10 This typically or can be a substantial difference
11 between the as in place performance and the as
12 conceptualized performance. That's a difficult
13 question to answer.

14 And then also the long-term performance to
15 the extent you need to rely on it in these problems is
16 also a difficult question to answer.

17 MS. WEINER: Are they doing any
18 preliminary experiments actually on the ground with
19 cover, with grout (phonetic), and so on?

20 MR. ESH: Yeah, I think it's a little
21 premature to answer, well, for them at this stage
22 because they're still trying to decide what engineered
23 features they are going to use, number one, but for
24 instance, I don't know if it was Chad or Anna
25 mentioned the slurry wall that they had put in for the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Strontium 90 plume. That was field proof of concept
2 for how that wall might work with remediating the
3 Strontium 90 plume.

4 So I don't know what their plans are going
5 forward. If they way, "Well, our performance
6 assessment is going to rely on these four things," how
7 they are going to test and determine if they can get
8 the performance they need out of those things.

9 Erosion rates may be high that the waste
10 could be exposed, and what that tells us is that you
11 need to look at the uncertainty pretty rigorously,
12 especially for the long-term prediction of erosion.
13 You're basically into one of these extrapolation
14 situations. You have short-term data. You're trying
15 to extrapolate it to a much longer time period, and
16 you have to be careful about how you go about that
17 process and be open minded to the uncertainties and
18 how they may influence your estimates.

19 And then --

20 MR. HORNBERGER: Dave, by erosion, I take
21 it you mean falluvial.

22 MR. ESH: Falluvial erosion, yes. Sheet
23 and rill erosion, you know, a uniform type of erosion
24 of the land surface, and in addition, the stream
25 widening. As I'll show on the one slide coming up

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 with the surface water bodies, the stream widening can
2 result in basically the bank of a stream just moving
3 into the waste.

4 And then also gullying, formation of new
5 channels essentially off of the streams. All three of
6 those processes are important and considered.

7 CHAIRMAN GARRICK: And, Dave, have they
8 got enough preliminary calculations to know
9 approximately the time of peak dose or time range of
10 peak dose?

11 MR. ESH: No, I can't answer that at this
12 time, no. I'm sorry.

13 CHAIRMAN GARRICK: Okay.

14 MR. ESH: Slide ten, please.

15 So our plan for reviewing the performance
16 assessment is we're going to have staff, my
17 directorate, the Environmental Performance Assessment
18 Directorate, as well as the Decommissioning
19 Directorate take part in this review. It mixes
20 different types of people.

21 We're also going to use technical support
22 with a contract and the Center for Nuclear Waste
23 Regulatory Analysis. We'll make use of their experts
24 whenever we need them.

25 We also have in-house expertise, members

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of research who we probably rely on for some of these
2 more difficult challenges in this review.

3 We have begun, as Anna stated, reviewing
4 the draft sections described in the performance
5 assessment, and what I wanted to mention is that we'll
6 try to be risk informed, and we're trying to be risk
7 informed now, but that is difficult when you're
8 reviewing components of a model and you don't have the
9 results. You don't know how they all fit together.
10 You don't know how one influences another.

11 It's difficult to do that at this stage,
12 but we expect that we will do that to the extent
13 feasible, especially when we get a more complete
14 picture of how everything fits together and what's
15 important and what's not.

16 Slide 11, please.

17 CHAIRMAN GARRICK: It's difficult to do
18 when you don't do a risk assessment.

19 MR. ESH: Slide 11, please.

20 So as part of this process though we
21 expect we're going to develop our own performance
22 assessment model for a couple of purposes. One, to
23 risk inform our review to the extent practical. We
24 also plan to look at maybe some uncertainties that DOE
25 may not look at in as much detail as what we would

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 like to see, and generally we do an overall kind of
2 confirmatory analysis to see whether we get similar
3 results to what DOE may have obtained.

4 On the bottom of the slide here, these
5 were intended to be your eye test, I guess. Actually
6 the details of them aren't important. To give you an
7 idea, if we used the GoldSim software package or we
8 might also use frames to the extent we're able to,
9 maybe we'll compare both of them. I don't know. It's
10 still preliminary, but if we used the GoldSim software
11 package, we can build a visual model that's flexible.
12 We can change things actively, and we can also produce
13 a model that is pretty user friendly to other
14 stakeholders.

15 So if we produce the model, we could
16 provide it to you in a player file, and it would allow
17 you to browse it and look at it and see parameter
18 selections and how models were hooked together and all
19 that sort of thing, which we really need to do as part
20 of this public process that we're involved in. So we
21 want it to be as accessible as possible.

22 Next slide, please.

23 One example of the complexity of the site
24 that I'd like to touch on is the Strontium 90 plume.
25 It originates from a corner of the process building

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and basically the plume is pretty extensive in terms
2 of aerial extent. Okay? It's basically you can
3 see -- oh, let's go to the next slide, and then I'll
4 talk to the things on the previous slide.

5 You have a plume that extends, you know,
6 maybe 1,500 feet or so, of which you have this red
7 area where the ground water is above 100,000 pica
8 curies per liter Strontium 90. It's basically 1,000
9 feet long or so and maybe 150 feet wide. It's pretty
10 extensive.

11 This lobe here near the low level waste
12 treatment lagoons, it's unclear at this point whether
13 that is due to contamination from the lagoons or
14 whether it's due to transport from the original plume
15 at the --

16 CHAIRMAN GARRICK: What's the depth to
17 water table?

18 MR. ESH: The depth to water table is
19 pretty shallow. There's a sand and gravel unit that's
20 underlying the facilities here, and the plume is
21 basically being transported in that shallow unit.
22 Okay? So the plum is maybe in vertical extent ten to
23 20 feet-ish, something like that. It's not incredibly
24 thick, and there is a rather impermeable or somewhat
25 impermeable unit below that's preventing vertical

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 contamination.

2 The depth to water, I don't know the exact
3 number, but it's fairly shallow as you can imagine.

4 MR. HORNBERGER: My recollection, in some
5 spots it's only a couple of feet deep. It's very
6 shallow water table.

7 MR. ESH: Well, actually out here towards
8 the end of the plume there's a monitoring location
9 where the groundwater actually outcrops at the
10 surface. So we can imagine that --

11 MR. CLARKE: David, can you go down to the
12 bottom of that slide and see if I'm oriented properly?

13 MR. ESH: Yeah.

14 MR. CLARKE: RTS drum cell, is the SDA
15 just northeast of that right there?

16 MR. ESH: Yeah, this is the SDA right
17 here.

18 MR. CLARKE: Okay, and that's where your
19 slurry wall is.

20 MR. ESH: Yes.

21 MR. CLARKE: So that tells you it's pretty
22 shallow. You've probably got water in the waste, and
23 that's why you put the wall in.

24 MR. ESH: You remember this is the South
25 Plateau, and the North Plateau is at the top, and it's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 separated generally by Erdman Brook here, and so they
2 have somewhat different geology, but you're right.
3 It's not incredibly different in terms of if you have
4 a relatively shallow water table here, you also have
5 a relatively shallow water table there.

6 MR. CLARKE: Now, is there a plume coming
7 from the SDA as well?

8 VICE CHAIRMAN RYAN: There's some dynamics
9 there, David, if my history is right. West Valley
10 first recognized it had a problem from a commercial
11 disposal standpoint in that they dug trenches in what
12 was a till and they, in essence, filled up with
13 infiltrate.

14 MR. ESH: Yeah, that's right.

15 VICE CHAIRMAN RYAN: So it's an overflow
16 of a, you know, glacial till bathtubbing kind of
17 effect versus groundwater going through the waste, but
18 in any case, you've got saturated water and disposal--

19 MR. CLARKE: Yeah, but the slurry wall is
20 only covering a portion of the disposal area.

21 VICE CHAIRMAN RYAN: Right.

22 MR. ESH: The slurry wall and the
23 geomembrane are designed to limit infiltration into
24 the S --

25 MR. CLARKE: Yeah, the slurry wall is to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 keep groundwater out.

2 MR. ESH: Yeah, yeah, yeah. It's designed
3 to minimize the amount of water contacting waste in
4 the SDA. The SDA had, I think, a collection and
5 treatment system to get the leachate from the SDA.

6 MR. CLARKE: Is there a plume associated
7 with that as well?

8 MR. ESH: I don't believe there is at this
9 point in time, no.

10 The NDA -- I mean, there's some
11 contamination, and the reason why they have some of
12 these features like the interceptor trench around the
13 NDA is to limit the potential transporter
14 contamination from the NDA.

15 Regarding the Strontium 90 plume now, it
16 has interesting implications for what are your
17 receptors, what are their activities. How do you show
18 that you're going to satisfy the restrictive release
19 criteria when you're dealing with, you know, maybe
20 over 100,000 pica curies per liter Strontium 90?
21 What's reasonable and foreseeable? All of those sorts
22 of questions are questions that we need to answer as
23 part of this evaluation.

24 MS. WEINER: Did I hear you say a little
25 earlier in the presentation, or Chad perhaps, that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you're doing pump and treat on this plume?

2 MR. ESH: Yeah, DOE is doing plump and
3 treat of this plume to prevent off-site migration, and
4 of course, that would be one remediation technology
5 you could possibly employ. If it's a Strontium 90
6 plume, it has a 28 year half-life. You know, you're
7 looking at 245 years or so for it to maybe get down to
8 a suitable level. So that's one option that you could
9 employ for this.

10 MS. WEINER: So currently they're just
11 doing pump and treat to keep the contamination from
12 going off site.

13 MR. ESH: Yeah. The interesting thing is
14 if your receptors are all -- remember the site
15 boundary is around the site. You have the project
16 boundary, and then you have the site boundary at a
17 much further distance. If your receptor is at that
18 site boundary, the potential pathway of contamination
19 is into the surface water bodies and then through the
20 surface water bodies to the point at the site
21 boundary.

22 Well, these streams are not huge streams,
23 but you get a significant amount of dilution in the
24 surface water bodies. So the dose that a person at
25 the site boundary via the surface water pathway sees

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is much, much, much less than somebody would see if
2 they were a user of the groundwater, as you can
3 imagine.

4 So the receptor location and their
5 practices can have a big influence, especially when
6 you're dealing with shorter lived contamination like
7 the Strontium 90 plume.

8 As I had mentioned earlier, the source of
9 this plume though was basically fuel that had been
10 dissolved during the processing, and so all of the
11 components of that fuel would have been in the source
12 in addition to the strontium. It's just the strontium
13 that has migrated. Everything else seems to be
14 observable in the soil and the groundwater below, but
15 it is just not migrating to any great extent, and it
16 could be that the absorption coefficients, the
17 distribution coefficients are large enough that the
18 liquid phase is low, that it's not a significant
19 concern. I don't know the answer to that yet.

20 MS. WEINER: So you could, in theory, draw
21 plumes for the other radionuclides. You could draw
22 yourself some actinide plumes.

23 MR. ESH: Yeah. See, ultimately you're
24 going to have sources from the tanks, the
25 contamination to the soil. You have these low level

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 waste treatment lagoons. You have the disposal areas.
2 All of these have different amounts, quantities of
3 nuclides, different ratios between the nuclides, and
4 ultimately you're looking at transport of all these
5 sources to surface water bodies.

6 You're looking at if you put receptors at
7 various locations within the site, depending on the
8 defined use, what sort of risk they would get, and
9 then you're eroding the whole thing on top of it and
10 potentially causing exposure of waste or things of
11 that nature.

12 So it really is a difficult problem from
13 a performance assessment perspective to analyze what
14 are the risks from the site.

15 Next slide, please.

16 So in conclusion, we expect it's going to
17 be very difficult. We are going to be risk informed.
18 To the extent that we're able to, we're going to use
19 as much support as we need from our technical experts
20 here and at the Center for Nuclear Waste Regulatory
21 Analysis or within other offices in the NRC.

22 And we are likely developing an
23 independent performance assessment model at the site
24 for the various reasons I have discussed earlier.

25 So I thank you for your time, and I'll

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 entertain any questions.

2 VICE CHAIRMAN RYAN: David, thank you.

3 Again, let me remind everybody to think
4 about this in a different way from NRC and its typical
5 role. This is a facility for which DOE is responsible
6 and is preparing a decommissioning plan, and your role
7 is one of a collaborating agency in a review capacity.
8 You're not licensing the facility or those kinds of
9 things at this point. That's the current piece on the
10 table.

11 And the other, of course, is that there
12 are other agencies as you so aptly describe that have
13 involvement and responsibility for ongoing things and
14 things later on. So it is probably meeting our
15 thought that it's a very complex decommissioning
16 activity with we would call it a rich history of
17 operation and involvement.

18 So if we've asked you questions about what
19 you're doing and we've only met what DOE is doing,
20 I'll clarify that, in fact, you know, we recognize
21 that DOE has the responsibility to provide the input
22 documents, and you'll be in the review and evaluation
23 mode, and I just want to make sure everybody nods yes,
24 they understand that. So we just wanted to recognize
25 that. But thanks for a forward look.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 A couple of questions came to my mind, and
2 as you all three made the presentations, and one is,
3 and from reading the background documents, the
4 incidental to reprocessing question certainly comes
5 in. Maybe that's a current waste issue and not a
6 decommissioning issue, and I'd be happy to have your
7 thoughts on that.

8 And the second is maybe a little bit more
9 of your insights into how you blend deterministic
10 uncertainty assessment type analyses and stochastic
11 analyses against the idea of being risk informed.

12 MS. BRADFORD: The weir are the waste
13 incidentals to reprocessing question. I'm not sure
14 exactly what you want to know there, but they would
15 have to do an incidental waste determination, and the
16 policy statement has what we believe are the two
17 incidental waste criteria in there, which is that you
18 remove the waste to the extent economically and
19 technically feasible, and that the waste will be
20 managed to meet the performance objectives of 10 CFR,
21 Part 61, Subpart C.

22 So they're going to need to show that they
23 could meet those two criterion. We would be reviewing
24 that.

25 If they can meet those and they feel they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 can determine that this is incidental waste, then that
2 would support the alternatives of closing the tanks in
3 place.

4 VICE CHAIRMAN RYAN: You know, I guess I
5 understand what was written, but the insight that I
6 think about is the history of that definition.
7 Incidental to reprocessing was very much a practical
8 definition of material that had no value for its
9 content of special nuclear material. It really wasn't
10 a health and safety or an environmental protection
11 kind of criteria.

12 And what you've done is kind of translate
13 it into environmental protection sort of terms. Is
14 that a fair assessment?

15 MS. BRADFORD: Yes, and I'm not sure if
16 you're aware of the lawsuit and everything surrounding
17 incidental waste at this point.

18 VICE CHAIRMAN RYAN: Yes.

19 MS. BRADFORD: But there was a source
20 based definition.

21 VICE CHAIRMAN RYAN: Yes.

22 MS. BRADFORD: And we were trying to show
23 that if you could meet the protective requirements for
24 low level waste and you're meeting health and safety,
25 so do you need to spend, you know, 200 million per

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 tank to dig those up if, in fact, you're protecting
2 public health and safety.

3 VICE CHAIRMAN RYAN: Right, and I'm glad
4 you've highlighted that because to me that's kind of
5 the important step, is you've actually translated what
6 is an operational and source driven definition into
7 something that is more in the environmental protection
8 and long-term protection area, which is helpful, I
9 think. That's one.

10 MR. ESH: I was hoping you'd forget.

11 VICE CHAIRMAN RYAN: No.

12 MR. ESH: Yes. So you're question was
13 basically --

14 VICE CHAIRMAN RYAN: I'll admit it may be
15 unfair because it really is down the line some, and I
16 appreciate that.

17 MR. ESH: Yeah. So how do you risk inform
18 whether you're using a deterministic risk analysis or
19 probabilistic analysis or is one better than the other
20 in order to do that process? Is that a --

21 VICE CHAIRMAN RYAN: Something like that,
22 yeah.

23 MR. ESH: I think it can be more difficult
24 if you're doing a deterministic analysis to be risk
25 informed because you run into this issue of how are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you identifying the key parameters from a risk
2 perspective.

3 If you do a traditional one off
4 sensitivity analysis, you may get a certain result for
5 which parameters you think are important. That may be
6 different if you run a probabilistic model and you let
7 all of your parameters go and they're sampled and
8 you'll identify combinations of parameters that can
9 have a significant impact on the result.

10 Now, the one element though that I think
11 is essential, no matter what you're doing, is that you
12 provide some baseline for what you think is your best
13 guess, most realistic because we typically, whether
14 it's this site or some other site, people will try to
15 exercise conservatism. Conservatism implies you know
16 what the true answer is, and you're going to try to
17 set your values higher for whatever reason to make
18 sure you're protected.

19 Maybe you're dealing with uncertainty and
20 you want to be conservative because you don't want to
21 expend the money to collect information on that
22 parameter and whatnot.

23 But that's somewhat different than what
24 we're usually dealing with. What we're usually
25 dealing with is you have an estimate. You have an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 uncertain estimate, and you're trying to generate a
2 protective value, but you don't know whether your
3 value is the true value or not. You have an estimate
4 of the value. You don't have the true mean. You have
5 an estimate of the mean, for instance.

6 And that problem is different, I think,
7 and it's not acknowledged very well, but the
8 deterministic approaches are usually operating from
9 that that mean is not an estimate of the mean, but
10 it's the true mean, which means you could be
11 introducing Type 1 and Type 2 errors.

12 And when you're working with a problem
13 that has lots and lots of parameters and you're doing
14 that over the whole problem, the likelihood that
15 you're making those types of mistakes goes up, I
16 think. You could also cancel them out, of course,
17 too.

18 I suppose that wasn't a very clear answer
19 to your question, but I don't think there is an easy
20 way to answer it.

21 CHAIRMAN GARRICK: Your last conclusion
22 indicates that the staff will likely develop an
23 independent performance assessment model. If you do
24 that, will that be probabilistic?

25 MR. ESH: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN GARRICK: And do you expect that
2 the actinide plume will drive the peak dose
3 calculation?

4 MR. ESH: My gut is that it probably
5 won't. My gut is that the shorter lived things that
6 are released early are going to be what's causing the
7 peak, and the only reason I'm saying that is when I
8 looked at the data for that source -- the Strontium 90
9 plume can be looked at as a very bad thing. From a
10 performance assessment perspective, I also can look at
11 it as a good thing. It gives you a good idea for how
12 the geology is going to transport these materials. It
13 gives you a good idea for how some of them are going
14 to transport and some of them are going to be rather
15 strongly held.

16 And when I look at that data, I see that
17 the concentration of the actinides in the liquid phase
18 isn't necessarily very high, and it isn't very mobile.

19 CHAIRMAN GARRICK: Buy aren't there more
20 interdiction opportunities for the strontium plume
21 than for the later actinide plume?

22 MR. ESH: The big benefit you have for
23 something like the Strontium 90 plume is the natural
24 decay, of course. IF you can design something to
25 handle the problem for a few hundred years, that might

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 be all you need.

2 With the actinide you're looking at much
3 longer time frames and in a site with high erosion,
4 and it's a different type of problem. But I imagine
5 that can be handled through a variety of mechanisms.
6 Of course, we'll probably start with screening type of
7 analyses and say these are the sources. This is the
8 long term. Just for a real simple, conservative type
9 analysis, what type of risks are we looking at from
10 those long-most species, and based on that result
11 you'll build in how much do you need to refine that
12 calculation to evaluate your estimate basically.

13 And I think the issue becomes, you know,
14 we're a regulatory agency. We're here to protect
15 public health and safety. Once we get to a point
16 where we're confident that public health and safety is
17 protected, then we don't care how much you could
18 refine it further or make a complicated model or any
19 of those sorts of things that go on. As long as we're
20 confident that people are safe, then we stop.

21 CHAIRMAN GARRICK: Yes, yes, but I guess
22 the point is that the opportunities seem to be greater
23 for managing the short lived material than for the
24 long lived material.

25 MR. ESH: Yeah, and there's some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 significant quantities of long lived material in the
2 various sources that you're looking at, of course.
3 You mentioned earlier there is ruptured fuel in the
4 NDA. In the SDA, for instance, there is a lot of
5 material referred to as SNAP, which is the nuclear
6 auxiliary power sources, which is basically plutonium.
7 It's a lot of plutonium.

8 So there's interesting materials like that
9 in lots of these different sources that will have
10 long-term implications, and they aren't easily
11 managed. I think most of your confidence in those has
12 to come from the ability of the geology to retain
13 those because it's going to be hard to argue that an
14 engineered solution can retain those really long
15 lived, various types of sources.

16 CHAIRMAN GARRICK: Yes.

17 VICE CHAIRMAN RYAN: Just a follow-up
18 question. I guess when I think about performance
19 assessment and site performance, I always think about
20 three different time horizons, and it's kind of short,
21 intermediate, and long, you know, intermediate being
22 tens to hundreds of years and long being thousands
23 and greater and short being 30, 40, 50 years.

24 Do you see your confirmatory modeling
25 activities evolving in those three different time

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 frames?

2 MR. ESH: Yeah, primarily because say if
3 we're looking at a restrictive release problem. We
4 have that first criteria to look at, the annual public
5 dose limit with the controls in place.

6 Then we have the other element to look at.
7 Well, what are the public doses if those controls
8 fail?

9 Well, the things that drive the public
10 doses when the controls fail are, of course, the short
11 lived nuclides that are there because they're high
12 activity.

13 So that analyses to answer that question
14 certainly is going to have a shorter time frame than
15 the analyses to look at the long-term public doses to
16 an off site or on site or what is now on site but may
17 in the future be off-site receptor.

18 VICE CHAIRMAN RYAN: Yeah, some of that
19 detail actually may be helpful to try and capture as
20 you communicate with DOE on what your expectations are
21 because if you give them a sense of what you're
22 looking on as a function of time as being these
23 important drivers, that sometimes, I think, has the
24 feature of I don't want to say simplifying because
25 that's not quite right, but focusing modeling

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 activities on, you know, time horizon issues in each
2 of those three time horizons that are different for
3 exactly the reasons you state and others.

4 MR. ESH: Sure.

5 MS. WEINER: There must have been
6 monitoring on the site and various leaks into the
7 environment from the mid-'60s on. Does that data give
8 you some good benchmarking data for some of your
9 performance assessment, for DOE's performance
10 assessment?

11 MR. ESH: Yeah, I would hope that some of
12 that data -- there is a substantial amount of data.
13 In particular, there's a lot of characterization of
14 the Strontium 90 plume. There has been
15 characterization of the stream sediments, for
16 instance.

17 I would hope that that information can be
18 used in comparison to performance assessment model
19 results to see how reasonable or how confident could
20 we be in the results of the performance assessment.

21 I mean, one of the first things I'll do
22 when I make a performance assessment model is I'll
23 compare the transport in the North Plateau, like 4-
24 Strontium 90 to the actual Strontium 90 migration that
25 has been observed. So you can get some idea for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 confidence in that part of the model.

2 There's going to necessarily be some parts
3 of the model that are highly uncertain, and that that
4 uncertainty may not be very reducible. It's going to
5 be uncertainty that you're going to have to live with,
6 and you're going to have to make a decision in light
7 of it anyway, but the characterization data is
8 certainly an important element to provide confidence
9 in the model that you do generate.

10 MS. WEINER: I just have a brief follow-
11 up. You said before that you do want to look at
12 performance after 1,000 years, but then I heard you
13 say that from a risk informed basis, the actinides are
14 not nearly as big a contributor to dose, any off-site
15 dose, as the short lived radionuclides, strontium and
16 cesium.

17 Could you say at this point from a risk
18 informed basis, could you say that, well, you just
19 concentrate on strontium and cesium, and the rest you
20 don't need to do as thorough an analysis?

21 MR. ESH: No, and I may not have stated
22 that very clearly. I didn't want to give that
23 impression. I think that there's two components. I
24 mean, you have a mix of shorter lived nuclides and
25 longer lived nuclides, and the receptors and scenarios

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you have to look at may be different for those
2 different groups of nuclides. Okay?

3 The short lived nuclides are very
4 important for that analysis of if you're doing
5 restrictive release and the controls fail or if you're
6 doing unrestrictive release and people come on the
7 site and you have the various types of analyses that
8 are usually done for receptors late discovery or a
9 well driller or somebody who puts in a basement, all
10 of those sorts of scenarios that get people close to
11 that high activity waste. That's one element, and
12 that can provide in many cases a peak that would be
13 higher than that longer term off-site public dose, but
14 it's not definitively so.

15 I mean it's too, I think, premature, I
16 think, to conclude that at this point. I think I was
17 put on a spot and that was my gut, but, hey, you know,
18 I'm wrong and now I'll find out whether I'm wrong
19 again.

20 So I think that there's enough actinides
21 in these various sources that it's not definitively
22 clear that they wouldn't pose a larger risk than the
23 shorter lived, near term types of analysis

24 MS. WEINER: Thank you.

25 VICE CHAIRMAN RYAN: David, let me let you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 take a break and I want to ask the folks at West
2 Valley in the TV monitor behind you if they have any
3 comments or input.

4 MR. SULLIVAN: I'm Dan Sullivan from the
5 Department of energy. Can you hear me okay?

6 VICE CHAIRMAN RYAN: Sure, Dan.

7 MR. SULLIVAN: Okay. Well, I appreciate
8 the opportunity to sit in on the phone call. I think
9 the one thing everybody takes away whenever you hear
10 about West Valley, it's nice to hear somebody else
11 talking about how complex it is, and here at NRC I
12 think you did a nice job of presenting I think as Chad
13 said that 20,000 foot level. So I thought they did a
14 nice job. And I appreciate the AC taking an interest
15 in West Valley.

16 A lot of the questions that you've asked
17 we have been working on asking ourselves, and so some
18 of these, in fact, are premature for NRC to be able to
19 answer. Our belief is that the performance
20 assessments associated with the decommissioning plan
21 and EIS are going to answer these questions. So we're
22 fairly confident we've done some homework already. We
23 think that some of the information that you're looking
24 for we've got a handle on. We just haven't disclosed
25 all of that to NRC just yet, but we intend to do that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 They're part of the process. They've
2 looked at the appendices that make up the long-term
3 performance assessment models. We just got their
4 comments. I haven't even read them yet, but we've
5 just got their comments.

6 So in May we'll begin some discussions and
7 see how we did with that. SAIC will then refine the
8 models. I think the process is good.

9 There is one thing I think I wanted to add
10 in terms of a clarification. We were proud of an
11 accomplishment that we made a year or so back and that
12 was shipping fuel, and I believe the question was
13 asked -- and I can't remember who asked it -- is the
14 fuel still on site, and maybe I'm misinterpreting the
15 question, but I want to clarify with you that that
16 fuel has been shipped. There is no longer fuel.

17 We do have the canisters here. That's
18 true, but I believe some of you had asked the question
19 about fuel being on site, and that is now gone. That
20 has been shipped off site.

21 So if it wasn't answered, I just wanted to
22 clarify that now.

23 VICE CHAIRMAN RYAN: So there's no fuel
24 left in either of the disposal cells?

25 MR. SULLIVAN: No, no. That was answered

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 correctly.

2 VICE CHAIRMAN RYAN: Okay.

3 MR. SULLIVAN: There is some ruptured fuel
4 elements in the disposal area, but we did have 125
5 fuel assemblies that had been on rail cars waiting to
6 be shipped to Idaho for quite a while, probably over
7 a year, and that shipment has taken place.

8 VICE CHAIRMAN RYAN: Okay, great. Thanks.
9 Thanks for clarifying that.

10 MR. SULLIVAN: I think that was it. I
11 guess we'll just see how the rest of the call goes,
12 but we've been grateful for your interest and the
13 NRC's participation.

14 VICE CHAIRMAN RYAN: Well, we'll probably
15 be following the activities as they develop over the
16 months and years ahead, and we look forward to the
17 opportunity perhaps to see you in person as your
18 program evolves and matures and hear how it's going.

19 MR. SULLIVAN: We're happy to come down
20 and talk to you any time.

21 VICE CHAIRMAN RYAN: Great. Thanks very
22 much.

23 Mike Lee.

24 MR. LEE: Dave, another quick question;
25 actually two. One, the future climate is going to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 drive the erosion as well as the hydrology models. Is
2 that being treated as a separate set of analyses or
3 documentation or is that just being worked into the
4 appendices that have been developed?

5 I just don't have a strong recollection of
6 that.

7 MR. ESH: At this point, I believe it's
8 fair to say that was one of our comments on the
9 appendices because we didn't feel it was adequately
10 covered in the appendices, but I can't say whether it
11 will in the future, how it will be addressed, whether
12 it will be part of a separate document, and whether it
13 will be included in the appendices.

14 MR. LEE: Just as a curiosity, I guess NRC
15 is going to purchase a license for GoldSim?

16 MR. ESH: We're in the process of
17 attempting to purchase a number of licenses for use in
18 decommissioning on complex sites for not only the West
19 Valley project, but on some other sites where we have
20 a need for that sort of tool.

21 MR. LEE: Thank you.

22 VICE CHAIRMAN RYAN: Also, back to West
23 Valley if I may, we have representatives of NYSERDA
24 and NYSDEC present at the West Valley site, and I
25 wanted to offer you folks the opportunity to comment

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 or speak up if you so chose.

2 MR. PICIULO: Thanks, Mike.

3 I'm Paul Piciulo. I'm the Director for
4 NYSERDA here at the site, for those who don't know me.

5 Like DOE, I really appreciate that you're
6 taking the time to take a close look at West Valley.
7 We really appreciate that look, and I think the NRC
8 staff is delving into the details of the site and of
9 the analyses in a very strong way, and I'm really
10 pleased about that.

11 One thing that I would comment on, there
12 was a comment earlier, and I think you made it, Mike,
13 about NRC's role with DOE in doing this analysis, and
14 that DOE is not a licensee. But at this point the
15 license still exists, and so the decisions and the
16 opinions and the consultations that NRC gives would
17 have to follow over, flow over to the termination of
18 the license.

19 So in the end when NYSERDA goes to apply,
20 if that happens for termination of the license, it's
21 going to depend on the work that's being done now.

22 VICE CHAIRMAN RYAN: Yes, that's an
23 important aspect to why we call it a complex site, I
24 guess and, you know, that there are ongoing roles and
25 many participants.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And, again, John, Grady has pointed out to
2 me that you all are present in the room, and I didn't
3 want to slight you in any way, and I'm glad he
4 reminded me to make sure we get your input to this
5 meeting.

6 MR. PICIULO: Thank you very much, and
7 thank you, John.

8 VICE CHAIRMAN RYAN: Any other comments
9 from West Valley?

10 (No response.)

11 VICE CHAIRMAN RYAN: Well, again, thank
12 you all for taking the time to be with us today and
13 participating. We really appreciate hearing from you.

14 George.

15 MR. SULLIVAN: And thank you all. Thank
16 you.

17 MR. HORNBERGER: I think I'll basically
18 contain myself because I have all sorts of detailed
19 questions that are just not appropriate now.

20 MR. ESH: And I'll say all of those
21 details aren't available yet.

22 (Laughter.)

23 MR. HORNBERGER: I know. The appendix,
24 the hydrogeology appendix, is that available?

25 MS. BRADFORD: Not publicly available.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. HORNBERGER: Not publicly. Could it
2 be made available to ACNW staff?

3 MS. BRADFORD: That I don't know. We can
4 look into it.

5 MR. HORNBERGER: Okay, and, Dave, you
6 mentioned some of the scenarios that have to be
7 analyzed. Are there set, stylized scenarios for
8 equivalent to the human intrusion? These are
9 specified in the regulation?

10 MR. ESH: Well, what's typically done is
11 people will look at the Park 61 type of intruder
12 scenarios, and those may be fairly reasonable for this
13 site, in particular, because it is rural,
14 agricultural, or it has been in the past. It's likely
15 going to be in the future.

16 Where that comes into play though is
17 sometimes we'll have sites where it's pretty close to
18 a city or it's in a city. Is somebody really going to
19 put a subsistence farm there and perform that type of
20 activity?

21 There's more where it comes into play, but
22 the implications for West Valley when you have a
23 process like erosion, you start asking questions like,
24 well, what if the waste erodes at a slower rate than
25 the soil. So you get exposure of waste. What are the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 scenarios surrounding that? What might be a
2 reasonable scenario for that, what type of discovery
3 scenario?

4 That becomes, I think, the scenario
5 consideration.

6 MR. HORNBERGER: So is this something that
7 the NRC will have to -- the staff will have to decide
8 on what the reasonable -- whether the scenarios posed
9 are reasonable?

10 MR. ESH: Yeah, I think DOE is going to
11 define what they think are reasonable scenarios for
12 these receptors, and we'll have to evaluate it and
13 determine whether we think they are reasonable or not.
14 I'll give you an example.

15 For instance, for the stream widening type
16 of erosion, you can get a very, very steep stream
17 bank. Could somebody locate a house and perform the
18 types of activities that these typical scenarios are
19 evaluating on that bank? That's the type of question
20 that we'll run into.

21 MR. HORNBERGER: And these will be laid
22 out in the EIS? Okay.

23 One detailed question I can't resist, and
24 maybe you don't know the answer to it, but are there
25 any organic contaminants associated with the site?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ESH: Yes.

2 MR. HORNBERGER: Okay, and so do you know
3 whether these lead to reducing conditions in the
4 groundwater?

5 MR. ESH: I don't know the answer to that,
6 but I know there are a number of chemical components,
7 in particular, that were used in the processing of the
8 fuel and also then are present in the disposal areas.

9 MS. WEINER: Do you know if any of these
10 are chelating compounds?

11 MR. ESH: I don't know the answer to that
12 for sure. I believe I read yes, but I can't say for
13 sure.

14 MS. WEINER: I would say that that is
15 something that is critical to look at because you can
16 greatly increase solubility that way.

17 MR. ESH: Yes.

18 MR. HORNBERGER: And of course, there are
19 two aspects to this. If they're chelaters, then you
20 expect them to move in complex forms. On the other
21 hand, if the cause reducing conditions and then you
22 remove them, you might mobilize something that had
23 been previously immobilized, including the actinides.

24 VICE CHAIRMAN RYAN: So it's an easy
25 problem.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. HORNBERGER: Oh, it's trivial.

2 VICE CHAIRMAN RYAN: John, you had a
3 comment?

4 MR. GREEVES: Yes. John Greeves, Director
5 of Division of Waste Management and Environmental
6 Protection.

7 Just the line of questioning Dr.
8 Hornberger had, I think it's pretty clear that there's
9 going to be multiple critical groups that are going to
10 have to be chased here. The department is going to
11 submit documents articulating what they think the
12 various critical groups are, and the license
13 termination rule calls out looking for the critical
14 group.

15 Well, in this case it's multiple critical
16 groups both in terms of time and geography. So I
17 think over time, we'll have an inbound statement of
18 weep CVs being the critical groups in these time
19 frames, and we're going to have to do an evaluation as
20 to whether we agree or see a difference, and you're
21 going to see that in our SER ultimately from the DP.

22 So I think over time we're going to be
23 back with you and other parties will be back with you
24 describing all of that, and it's really going to chase
25 the issues that Dr. Hornberger raised, and it's going

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to be almost waste management unit by waste management
2 unit overtime.

3 VICE CHAIRMAN RYAN: John, I think that's
4 a good observation, and I would add to that that I
5 think it's very positive that the NRC is interacting
6 with DOE and the other participating agencies now and
7 in a technical way and looking at these technical
8 questions so that they get shaped early.

9 Because the one thing I always think about
10 is these are always circular processes in the sense of
11 you iterate. They're not straight lines. You're not
12 going to do an EIS and then do an evaluation and then
13 you're done. They're very interactive processes, and
14 that's what I think we're getting the first look at
15 today, and I think it's good. The interactions are up
16 and running, and you know, you're all communicating
17 and in a good way.

18 So thank you for this briefing. Any other
19 questions or comments?

20 (No response.)

21 VICE CHAIRMAN RYAN: Hearing none, we
22 really appreciate your presentations and interaction
23 today. Thanks very much, and thanks to the folks in
24 West Valley. We appreciate your participation.

25 CHAIRMAN GARRICK: All right. I think the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 committee will take a 15 minute break.

2 (Whereupon, the foregoing matter went off
3 the record at 2:42 p.m. and went back on
4 the record at 2:57 p.m.)

5 CHAIRMAN GARRICK: Our meeting will come
6 to order.

7 We are now going to hear from the working
8 group on risk informed approaches and pilot studies,
9 and I think we're going to hear from three people, and
10 I'll ask them to each introduce themselves. Proceed,
11 Christiana Lui first.

12 MS. LUI: Good afternoon. I'm Christiana
13 Lui. I'm the section chief of the risk task group at
14 NMSS, and with me at the table today are on my right-
15 hand side we have Alan Rubin. He's a section chief of
16 the Probabilistic Risk Analysis Branch, Research, who
17 has been supporting us, the risk informed NMSS
18 initiative.

19 On my right-hand side, Jim Smith. He's a
20 risk analyst in the risk task group. His specialist
21 is health physics.

22 And also at the table we have Dennis
23 Damon, who is a senior level advisor for risk
24 assessment at NMSS.

25 I just wanted to briefly remind myself and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 also the committee that we last briefed you on July
2 31st last year. In that particular briefing, we have
3 introduced to you a proposed risk informed decision
4 making process, and also we discuss with you our
5 preliminary work at that particular point.

6 And during today's presentation, I think
7 we have a lot of technical insights that we can share
8 with you regarding what we have been doing since last
9 time we briefed you.

10 The next page here is just to give you a
11 quick outline of what we are planning on presenting to
12 you today, and our next page will explain in a lot
13 more detail about the presentation today.

14 As a refresher, I would like to quickly go
15 through the proposed risk informed decision making
16 process and the beginning, and we have successfully
17 tested this proposed process in two pilot studies, and
18 Jim Smith will provide you the details after I do my
19 introductory piece.

20 Lessons learned from the pilot studies and
21 issues came up during this particular work in
22 progress, having grouped in the key issues, and Al
23 Rubin will present the key issues to you.

24 And at the end we would like to take this
25 opportunity to answer your questions and get your

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 advice on our proposed approach and key issues so you
2 can help to guide our work.

3 Next page.

4 I hope you have the hard copy in front of
5 you even though the box did not seem to show up too
6 clearly.

7 I will quickly go through the proposed
8 risk informed decision making process, and when Jim
9 Smith does his presentation on the pilot studies, he
10 will step through this proposed process with actual
11 NMSS' regulatory applications in more detail.

12 The first step of the process we clearly
13 define what regulatory issues that we're trying to
14 address and formulate any potential alternative
15 actions at this stage, understanding that even though
16 this particular diagram shows a linear process, we
17 understand that it's actually an iterative process
18 because at the very beginning you cannot possibly
19 think of all the possible alternative actions. It's
20 when we actually carry out the next few steps we may
21 actually combined some of the original proposals and
22 come up with new proposals, too.

23 So I just want to highlight that. Even
24 though it's in a linear fashion, it's actually an
25 iterative process.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And once we have clearly defined the
2 regulatory issues and possible alternatives, the next
3 step is we will decide whether the risk informed
4 approach is actually the appropriate approach to use.

5 To help us decide whether risk informed
6 approach will proceed, we have developed a set of
7 screening consideration, and they focus on two big
8 groups. First, we will decide whether risk
9 information is relevant, and it will be beneficial to
10 help us to meet the agency's performance goal.

11 And if the response to that particular
12 question is yes, then we proceed to figure out whether
13 the existing risk information is adequate for us to
14 address that issue in a risk informed fashion, and if
15 it's not, then whether it's cost beneficial to develop
16 new risk information so we can use all the tools that
17 we have to help decision making process.

18 And also, one particular issue that came
19 out during the screening process or the decision
20 process here is we also identified is there any other
21 exclusive conditions that will prevent us from
22 pursuing a risk informed approach.

23 And if a particular regulatory issue is
24 screening for proceeding where the risk informed
25 process, then we proceed to step number three. If

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it's not, then we will apply other decision criteria
2 or decision methods that will be more appropriate for
3 addressing that particular regulatory issue.

4 As we proceed to step number three, we
5 will look at whether the existing risk information is
6 adequate for us to get our risk insights and proceed
7 to a decision making process, and if it's not, then we
8 will perform new risk assessments.

9 And the next step is the decision making
10 process. Looking at the error that we have, we have
11 the risk insights feeding into that decision making
12 box, while we also have this box on your left-hand
13 side which will have other considerations. It depends
14 on the particular regulatory situation that we're
15 dealing with.

16 Sometimes the routine risk is actually
17 more major than the accident risk, and sometimes we
18 have to consider both routine and accident situations,
19 and therefore, we need to look at what are the
20 applicable regulatory requirements out there and also
21 what are the available guidance to a step that should
22 be applied to this particular situation.

23 And also any other considerations, such as
24 the safety margin and also the philosophy of defending
25 (phonetic) in that, whether those are also maintained,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and other factors that often come up is whether the
2 communication and public confidence issues also need
3 to be clearly factored into the decision making
4 process.

5 Once we have the risk information and also
6 these other factors that lead to the -- that a
7 decision maker can use, then with all the options
8 available, hopefully that the decision maker will have
9 adequate information to proceed with the decision and
10 also implement the action.

11 CHAIRMAN GARRICK: Christiana, let me
12 understand your diagram a little bit.

13 MS. LUI: Yes. Okay.

14 CHAIRMAN GARRICK: On Step 2, you have an
15 incoming box called "initial risk and cost
16 information."

17 MS. LUI: Right.

18 CHAIRMAN GARRICK: And then you say decide
19 whether to risk inform, and I guess that's on the
20 basis of the regulatory issue it is that you're
21 considering and the initial information you have.

22 MS. LUI: Right.

23 CHAIRMAN GARRICK: Initial risk sort of
24 connotes that that's preliminary information. That
25 information can vary all over the map in terms of its

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 scope, right?

2 MS. LUI: Yes. It's --

3 CHAIRMAN GARRICK: And I guess what I'm
4 getting at is when you decide to risk inform and the
5 initial risk information is inadequate, what do you do
6 and where? Where do you do the real risk work?

7 MS. LUI: The real risk work is actually
8 in step number three. In box number two, on deciding
9 whether to risk inform, we are really talking about a
10 scoping analysis. Look broadly whether we have the
11 type of risk information available for us to make the
12 type of decision we need to make, and if not, then we
13 need to factor the costs associated with developing
14 any new information and see whether that would be cost
15 beneficial for us to proceed.

16 CHAIRMAN GARRICK: Yes, but what seems to
17 be missing is some statement along the lines of
18 performed necessary risk assessment.

19 MS. LUI: Yeah, right.

20 CHAIRMAN GARRICK: I mean it looks like
21 you're dodged it by using --

22 MS. LUI: Well, no. Well, actually like
23 I've stated up front, that even though it seemed to be
24 a linear shape, but it's actually an iterative process
25 and all of these boxes, how we describe each of these

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 steps have actually gone through a couple of
2 iterations, too.

3 Box number three at one time has perform
4 risk assessment.

5 CHAIRMAN GARRICK: Yeah.

6 MS. LUI: But at that particular stage we
7 also want to give recognition that sometimes you don't
8 have to do a new risk assessment.

9 CHAIRMAN GARRICK: Well, that's true.
10 That's true, and then the only point I'm making is
11 that somewhere along here you may not have an adequate
12 amount of risk information available to you, and if
13 the decision is yes, you want to risk inform, that
14 somewhere you've got to do a risk assessment.

15 MS. LUI: Yeah, that's exactly the point
16 for number three. We want to include that both the
17 existing risk information should be looked at and if
18 it's not adequate, then we will have to do new risk
19 assessment.

20 CHAIRMAN GARRICK: Okay.

21 MS. LUI: Okay?

22 CHAIRMAN GARRICK: It's a little vague.

23 MS. LUI: Okay. We can try to make it as
24 explicit as possible.

25 CHAIRMAN GARRICK: Well, you may have some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 documentation discussing each of these boxes.

2 MS. LUI: Well, actually that was going to
3 be my next point, is that we have this proposed risk
4 informed decision making process and we actually have
5 been developing draft guidance document to help to go
6 into a detail on how to go through each of these
7 particular steps, and we're in the process of
8 integrating all of the draft guidance document into a
9 coherent set because they were developed
10 independently. So there is a fair amount of
11 redundancy, and also we want to make sure that if
12 there are gaps that we did not cover because they were
13 developed independently, we also want to bridge those
14 gaps.

15 Shall I go on?

16 CHAIRMAN GARRICK: Go ahead. Thank you.

17 MS. LUI: Thank you.

18 Again, I want to highlight that in terms
19 of decision matrix, the risk informed decision making
20 process that we have proposed, it should be applicable
21 to all different situations that we are looking at,
22 which will include routine and normal exposure.

23 And for routine and normal exposure, we
24 have a very established framework to regulate those
25 type of exposure under 10 CFR, Part 20. So for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 accident risk with a treatment for the access
2 situation is not as clear. So the work that Research
3 has been helping us out has been on developing
4 decision aids that could complement the existing
5 regulatory framework in the routine situation by
6 focusing on bridging the gap in the accident
7 situation.

8 So we will have the framework and also the
9 associate reference point for addressing both types of
10 situations.

11 And not to lose the sight, we also want to
12 make sure that in formulating and choosing the most
13 optimal options, we need to look at the population
14 impact, the collective dose because both Part 20 and
15 then later on you will hear some issues with regard to
16 the draft risk guidelines that would be for the
17 accident type of situation or dealing with individual.

18 VICE CHAIRMAN RYAN: Can I ask you a
19 question?

20 MS. LUI: Yes.

21 VICE CHAIRMAN RYAN: You know, the
22 regulatory framework for public and worker in 10 CFR
23 20, that's kind of a compliance question. You're
24 either in compliance or you're not, and then when you
25 look at the accident case, you've got health effects,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and we're talking about fatalities, latent cancer,
2 fatality and severe injury.

3 MS. LUI: Right.

4 VICE CHAIRMAN RYAN: So we've gone from
5 being on the compliance line and we've kind of raced
6 through the stochastic effects language as late life
7 cancer. That's a 30-year or 40-year down the line
8 thing with, you know, just deterministic "you're
9 injured" kinds of effects.

10 Those are three very different horizons of
11 risk or of having a problem. so how do you span such
12 a wide range of outcomes with the same approach?

13 MS. LUI: Okay. When we do any kind of a
14 consequences assessment, the first step is to estimate
15 the exposure, and the reason why we have put forward
16 prompt fatality, latent cancer fatality, and severe
17 injury, because for prompt fatality we are looking at
18 exposure exceeding a particular threshold, such as
19 perhaps 100 rem or upwards.

20 VICE CHAIRMAN RYAN: Oh, no. It would be
21 much higher than that.

22 MS. LUI: Right, right, but I mean --

23 VICE CHAIRMAN RYAN: For prompt fatality.

24 MS. LUI: Right. For discussion purpose
25 here, we are actually in our calculations, we are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 choosing a number between 150 rem and 200 rem as a
2 starting point to help see --

3 VICE CHAIRMAN RYAN: The number is not
4 important. What I'm trying to get across is prompt
5 fatality and severe injury recognizable by any
6 observer immediately at the event. Cancer fatality is
7 not. That's a minimum of five years for leukemias and
8 up to 30, 40, 50 years for other stuff.

9 So there's two different things you're
10 talking about in the same accident risk context, and
11 I'm just trying to sort out how that hierarchy works.

12 Am I making sense to you?

13 MS. LUI: Yes, you are.

14 VICE CHAIRMAN RYAN: Okay.

15 MS. LUI: Let me try to finish up what
16 we're trying --

17 VICE CHAIRMAN RYAN: Okay, sure. We can
18 come back to the question.

19 MS. LUI: -- where I was trying to go.

20 We are trying to cover the whole range of
21 possible dose consequences. In other words, we have
22 the stochastic region. We also have the deterministic
23 region, and what we're trying to explain is that for
24 prompt fatality, we are looking at exposure way above
25 100 rem range.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 VICE CHAIRMAN RYAN: Sure, sure.

2 MS. LUI: And therefore, for stochastic
3 assessment, we're mostly looking at low level
4 exposure. But there is a big gap in between. That's
5 where the severe injury comes in, trying to bridge
6 that particular gap, and I know that this may not make
7 a whole lot of sense right now, but for the purpose of
8 development, we want to make sure that we are not
9 leaving something that we are not covering.

10 But the utility of the severe injury will
11 have to be tested out in --

12 VICE CHAIRMAN RYAN: What is a severe
13 injury?

14 MS. LUI: Severe injury will be like
15 severe burn, and, Jim, do you have any other examples?

16 MR. SMITH: Well, we usually think of
17 permanent injury, like necrosis of the tissues, you
18 know, exposure resulting amputations or permanent
19 morbidity

20 CHAIRMAN GARRICK: Speak into the
21 microphone, please.

22 MR. SMITH: Oh, I'm sorry.

23 Yes, we normally think of these as dealing
24 with injuries that are permanent, where there's like
25 an amputation that's required or that there's a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 permanent morbidity, like a loss of function of an
2 organ or some component of the body.

3 VICE CHAIRMAN RYAN: Okay. I've got you.

4 MR. SMITH: We do see those.

5 VICE CHAIRMAN RYAN: Oh, no, no. I
6 understand that. I'm just trying to understand. I
7 mean, you have four things up there in the first two
8 bullets, the major bullets. You've got routine normal
9 exposure and accident risk.

10 MS. LUI: Right.

11 VICE CHAIRMAN RYAN: There's the routine
12 and normal. Maybe it's just the words we're using.
13 I see you have doses that are compliant with
14 requirements. That's an easy one. Then you've got
15 above requirements but below some health observable
16 threshold. That's a noncompliance. Okay? But we're
17 not going to see anything in the blood. We're not
18 going to see any effects, no burns, no nothing. It's
19 a noncompliance. It's 5.01 rem instead of 5, even
20 though that may be okay.

21 And then you kind of go up the dose scale,
22 and you get to the first one, which are probably
23 increases in latent cancer fatalities, which you'll
24 never measure. You can only calculate it, and then
25 you go up to the injury realm, whatever those injury

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 outcomes are that you can actually document with, you
2 know, medical exam, on up to prompt fatality from very
3 large overexposure.

4 So I'm just trying to keep this organized
5 in my own mind on the dose scale, and it's four
6 things, not three.

7 MR. SMITH: Well, the doses that we add up
8 together for the first measure of the latent cancer
9 fatality goes below the Part 20 requirements.

10 VICE CHAIRMAN RYAN: Right.

11 MR. SMITH: It's routine operations as
12 well as accidents, and we don't normally separate them
13 out just because one goes over 5 rem for the
14 occupational exposure. So we're counting the total
15 exposures as a result of normal and accident, which is
16 below some threshold for injury. So we got three.

17 VICE CHAIRMAN RYAN: Okay. I see how you
18 got there. All right.

19 MS. LUI: Maybe we'll come back to this
20 point at the end.

21 VICE CHAIRMAN RYAN: Sure.

22 MS. LUI: And let me just finish up this
23 particular slide. I just wanted to mention that in
24 choosing the most optimal options, we also have to
25 look at the cost benefit aspect of the various options

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that we put forth on the table, looking at the
2 possible collective exposures and the regulatory
3 analysis guidelines also provide an emergent factor of
4 \$2,000 per rem, \$2,000 per person-rem for converting
5 everything to the same basis for comparison.

6 Next slide.

7 MR. LARKINS: It sound like you tried to
8 provide guidance on a backfit analysis like a 5109.

9 MS. LUI: No, we are not trying to do
10 that. We are not trying to overlap or possibly
11 contradict to what's already out there, what has
12 already been provided to the staff for guidance. The
13 focus of this work is to try to bridge any gap where
14 NMSS may have a need by the current guidance out there
15 that is insufficient for NMSS' line of work.

16 If I may follow up a little bit more on
17 that, in the current regulatory analysis, for example,
18 in the reactor area, you have the safety goals there
19 to help determine what's the significant impact, what
20 could be considered a significant safety impact. In
21 the material waste arena, you don't have any kind of
22 reference level for us to gauge that.

23 MR. LARKINS: Sort of like a risk metric
24 for the various regulations.

25 MS. LUI: Right, right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LARKINS: Okay.

2 MS. LUI: In fact, that would be a very
3 good lead-in to the slide I intend to use of risk
4 guidelines there.

5 (Laughter.)

6 MS. LUI: No, we didn't talk before.

7 The risk guidelines corresponds to a risk
8 level where further regulatory action may not be
9 warranted or the current regulatory burden can be
10 reduced. In other words, we're following the thought
11 that we're establishing some reference point where you
12 will be viewed as not a significant additional risk to
13 why the population or the individual being normally
14 exposed to. And it provides reference level with
15 which to measure proposed change to aid in decision
16 making.

17 While we go ahead and decide to implement
18 some kind of change to our existing regulatory
19 options, sometimes we will end up altering the
20 baseline risk, and you could go up and you could go
21 down, and what we are trying to do with the risk
22 guideline work is to help establish a reference point
23 where we can say that whether the increase or decrease
24 in risk will be significant or insignificant.

25 Without such a reference point we could be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 all over the map.

2 And the next point is exactly to help
3 establish a consistent reference point such that when
4 the individual staff look at a situation, it is not
5 going to be very case dependent. We actually have a
6 consistent level that will apply across the board so
7 that we are not just looking at activity in a
8 stovepiping way. We actually have a set of uniform
9 reference points that could apply across the board,
10 and we won't end up being too high in one area or
11 being too low in an area unless we have very, very
12 good reasons.

13 And the last two points are the risk
14 guideline, the draft risk guideline at this point is
15 really to help the staff in implementing the risk
16 informed approach. We are not proposing this as
17 requirements for anybody to meet, but they are being
18 used to help the staff to reason through the results
19 coming up on the risk assessment to help gauge what
20 can be considered to be not significant additional
21 risk. So it could provide opportunity to pool our
22 regulatory resources to focus on higher risk
23 activities.

24 However, in the future, once the work has
25 become more mature, if the licensee and applicant

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 decide that they would like to use this tool to help
2 justify their case, they may do so, but we don't
3 foresee that these risk guidelines will ever become
4 requirements at this point.

5 The pilot studies. Once we have
6 established the proposed risk informed decision making
7 process and also have the draft guidance associated
8 with guiding the staff, we really want to test this
9 out with real NMSS applications to see whether we are
10 totally off the line or we have some gaps that we need
11 bridged and/or the proposed process seem to be on the
12 right track.

13 So we got to a certain point of the
14 developmental stage. We decided that we wanted to try
15 out the proposed process to see whether the proposal
16 on the table could be effective. And we tried this
17 out with two real NMSS applications. One is in the
18 spent fuel storage area, and the other one is looking
19 a regulatory option for chemical agent detector and
20 chemical agent monitors.

21 And Jim Smith will now walk you through
22 the two pilots studies in more detail.

23 At this point is there any question I
24 should answer, or we should go through Jim's
25 presentation?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN GARRICK: Any question of
2 Christiana?

3 (No response.)

4 CHAIRMAN GARRICK: We will proceed.

5 MS. LUI: Thank you.

6 MR. SMITH: These two pilots were sort of
7 an attempt to work out that diagram that Chris showed
8 you earlier today just going step by step through a
9 systematic process.

10 The first pilot that we'll talk about is
11 the dry cask storage pilot study. This addressed an
12 issue that staff has previously looked at after what
13 they call ISG 18, interim staff guidance, and
14 essentially it defines the types of reviews that are
15 necessary in order to okay, certify a cask system.

16 The issue was whether or not to modify
17 acceptance criteria for conducting leakage tests and
18 dose calculations associated with a hypothetical
19 release. In the past, in addition to the
20 nondestructive testing that the staff would do of the
21 cask systems, it would also require that there be a
22 leak test performed.

23 The staff figured that perhaps based upon
24 engineering judgment and past experiences that this
25 step wasn't really necessary. So they came up with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ISG 18 that essentially said that, that past
2 experience had shown that the leakage from these small
3 leaks would not cause any great dose to the public.
4 Therefore it's probably not cost beneficial.

5 The first step of that process that Chris
6 showed you earlier was to define the regulatory issue
7 and preliminary alternative actions. The proposed
8 regulatory action, as I stated earlier was to remove
9 requirements for leak testing, as well as the
10 hypothetical off-site dose calculations, and to modify
11 staff guidance so that they wouldn't have to do that
12 as part of their review process.

13 There were a number of other options that
14 were considered by the staff when they originally
15 addressed ISG 18, and those were also looked at during
16 this RIDM pilot test. But the staff basically had in
17 mind the ISG approach that they have already approved
18 so that the alternatives were not looked at in as
19 great a detail.

20 Step 2. Step 2 is going through, deciding
21 whether to risk inform. This is the screening
22 considerations that the risk task group has developed
23 over the years. The first four questions help us to
24 decide whether or not it's amenable to regulation, and
25 then the second three are more or less the feasibility

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of doing such a study.

2 During the process at least one of the
3 first four were answered yes for the dry cask storage
4 system. It was clear to the staff that there would be
5 some benefit to society making our actions more
6 efficient and effective based upon risk assessment
7 information, as well as previous experience with
8 leakage.

9 It was also determined that it would be of
10 little risk significance to the staff to focus on more
11 issues, essentially allowing them to spend their
12 regulatory dollars in a more profitable area.

13 There were one or two problems that came
14 out of this process. The questions about quality of
15 the regulatory information or risk information that
16 was available was very subjective. The staff had some
17 recommendations about this part that perhaps in the
18 future we can be more explicit about what is necessary
19 to be able to be defined as a quality risk assessment
20 or having quality information.

21 But the staff decided to go ahead and
22 screen in this process just so they could continue to
23 test in the RIDM process.

24 Step 3, we evaluated the risk information.
25 The leakage which was accounted for and the doses were

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 extrapolated to members of the public. They
2 identified the populations at risk, the estimated
3 facilities realistically affected. These were not
4 worst case scenarios. They were based upon realistic
5 information or at least what was guessed as a best
6 estimate of what the doses and the effects would be.

7 It assumed uncertainties in the risk
8 estimates were two orders of magnitude. So even if we
9 weren't exactly close on the numbers, we would be
10 conservative enough that we would be in the right
11 ballpark.

12 The staff used draft information from the
13 draft pilot PRA that's been under development by
14 Research. Some of the information that they got from
15 the pilot led them to believe that there were certain
16 things that in a revision to the PRA might assist them
17 in making future assessments.

18 I can go into more information about those
19 tomorrow, I believe.

20 Step 4. Step 4 was taking the risk
21 information that was available and analyzing it to see
22 whether or not it made sense from a risk perspective.
23 There was a very small increase in risk to the public
24 and workers. The largest risk increase was estimated
25 to be on the order of ten to the minus seventh per

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 year in latent cancer fatality. Injuries and
2 accidents were not deemed to be credible.

3 Storage cask performance safety record
4 gave a sense that the overall risk of dry cask storage
5 is very low. From this perspective, the proposed
6 action should proceed, i.e., the staff had made the
7 right call in developing ISG 18.

8 MS. WEINER: Can I ask a question before
9 you -- go back to that last slide.

10 MR. SMITH: Sure.

11 MS. WEINER: When you said small increase
12 in risk to the public and workers, I assume you
13 calculated a dose and then multiplied by five times
14 ten to the minus four per rem.

15 MR. SMITH: Right, and that's how we got
16 to the number.

17 MS. WEINER: So you got small potential
18 latent cancer fatalities.

19 MR. SMITH: That's correct, very small
20 doses.

21 MS. WEINER: And when you said individual
22 accident risks were estimated to be insignificant, how
23 did you estimate those?

24 MR. SMITH: Again, they were the dosage
25 for the leakage associated with if the failure had

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 occurred and what sort of doses the individuals in the
2 area approximately would have received.

3 MS. WEINER: So you had a one or more
4 release fractions associated with leaks?

5 MR. SMITH: Yes, that's correct.

6 MS. WEINER: Did you have a series of
7 accident scenarios and a probability associated with
8 each or just one accident scenario?

9 MR. SMITH: I believe that we just assumed
10 one release, but I see Michael --

11 MS. LUI: Well, actually Office of
12 Research has been working on a probabilistic risk
13 assessment for the storage area, and part of this work
14 was using the preliminary information coming out from
15 that particular risk assessment.

16 So they looked at all of the applicable
17 sequences in that particular draft PRA to help
18 estimate the risk in this type of situation.

19 MS. WEINER: Yes, that's exactly the
20 question I was asking. Thank you.

21 MS. LUI: You're welcome.

22 MR. SMITH: Thank you, Chris.

23 MR. LARKINS: When you looked at this
24 case, did you go back and see what the technical basis
25 was for the leak testing? Because I see you say

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 maintain many layers of defense in depth. Was that an
2 additional layer of a defense in depth?

3 MR. SMITH: That's on the next, yes, yes.
4 The staff has in the past had to do these
5 determinations. There weren't guidelines in the past
6 as to when to stop, when safe is safe enough. So even
7 if there was a low probability event, I imagine they
8 just took the conservative approach that they would go
9 ahead and do the study to see what the outcome would
10 be.

11 MR. LARKINS: That wasn't exactly what I
12 was asking. I was trying to figure when you decided
13 it was okay to eliminate this leak testing, what was
14 the technical basis originally for the leak testing?

15 VICE CHAIRMAN RYAN: How did you decide
16 ten to the minus seventh per year in latent cancer
17 fatality was enough?

18 MS. LUI: Okay. Let's address one
19 question at a time. We actually have staff from SFPO
20 here who will be able to better answer, Dr. Larkins,
21 your question about the original technical basis.

22 MR. WATERS: Good afternoon. My name is
23 Michael Waters. I'm a health physicist in the Spent
24 Fuel Product office.

25 To answer your question, these casks are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 upon closure welded with two double confinement welds,
2 multi-passes, and they go through the full regime of
3 radiography examination.

4 On top of that, we used to require them to
5 perform a final leak test that reverified the leak, as
6 Jim mentioned, an additional what I called layer of
7 defense in depth.

8 We determined prior to this policy when we
9 raised the device to 18 that based on operating
10 experience and then the full rigor of welding
11 examinations and the redundancy in two welds, that
12 this additional leak test provided a little safety
13 benefit.

14 In addition, a leakage at such a low rate
15 that could be missed would be insignificant
16 consequence to the public.

17 What we did in the pilot study was
18 essentially, well, let's quantify that through a risk
19 assessment and use the rhythm guidance to see where we
20 come out as well.

21 VICE CHAIRMAN RYAN: I'm all set. That's
22 a fine answer for me, too.

23 MR. SMITH: These are other considerations
24 that the working group working on the pilot thought
25 were worth pursuing where we had to maintain many

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 layers of defense in depth, adequate margins of safety
2 are maintained, but that there be a net benefit
3 dollar-wise, and that the information suggested a
4 proposed action should proceed.

5 Next slide.

6 Again, the RIDM pilot showed that the
7 staff's earlier decision to implement ISG 18 was
8 consistent with current thinking in the RIDM process.
9 The proposed risk informed decision making process was
10 effective. They found that using a systematic
11 approach allowed them to proceed through the process
12 to make sure that all of their bases were covered,
13 that adequate amount of information was available to
14 make their decisions.

15 The study team identified modifications
16 and further development to their draft risk informed
17 guidance. They also proposed changes to the risk
18 informed decision making process. They believe it has
19 a potential to have a very systematic and thorough
20 approach and would enable better prioritization, I
21 believe defensibility and communications, meaning
22 some people have had a problem with the word
23 "defensibility," but essentially what it means is the
24 staff in the past has had to make these calls, these
25 decisions and then proceed forward based upon more or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 less a gut instinct, engineering judgment.

2 The systematic process allows them to go
3 through the process and say that we have accomplished
4 it. We have done what we set out to do. We've
5 covered all of the bases.

6 Okay. The next slide.

7 The next pilot study was based on chemical
8 agent detectors and monitors. This, again, was a
9 retrospective look at a staff position.

10 Currently there are approximately 60,000
11 of these units in place. These are used by the U.S.
12 military, mainly the U.S. Army, to sit in place to
13 alert troops in the field when there is going to be or
14 there is an indication that there's a chemical weapons
15 attack.

16 Right now, the loss rate is about three
17 per 10,000. So that equates to about 18 a year go
18 missing. Based upon the current enforcement policy,
19 the NRC had previously called the Department of the
20 Army in fairly frequently to address the losses of
21 these devices.

22 It wasn't clear to anyone that there was
23 actually a risk associated with loss of these devices.
24 One contains approximately 150 microcuries of
25 Americium 241 and the other two devices that I'm

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 familiar with carry 15 millicuries and 30 millicuries
2 of Nickel 63.

3 The current requirements for having
4 enforcement at the severity Level 3 requirement level
5 involved the amount of activity that's lost, and it
6 makes an assumption on the dose to member of the
7 public who receives the entire ingestion or inhalation
8 of that amount of activity.

9 Next step.

10 Again, what we had to do here was to look
11 at whether the current regulatory oversight is
12 commensurate with the level of risk due to the loss of
13 the CADs, chemical agent detectors. Also, we
14 considered various options as part of the RIDM
15 process, but we focused mostly upon the preferred
16 process of the staff, and that was to use enforcement
17 discretion.

18 CHAIRMAN GARRICK: I should have asked
19 this earlier, but as you evolve to a methodology for
20 risk informing things, are you changing in any way
21 your approach to how you handle defense in depth,
22 given the fact that one of the reasons for defense in
23 depth was to account for uncertainty in the analysis?

24 And as we encroach on the increasing
25 understanding of uncertainty and in the spirit of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 relieving burden, is there any consideration being
2 given to becoming a little more sophisticated, if you
3 wish, about the treatment of defense in depth in a
4 risk environment?

5 MS. LUI: We actually anticipated that you
6 were going to ask this question. So this is one of
7 the --

8 CHAIRMAN GARRICK: You did?

9 MS. LUI: This is one of the key issues
10 that we're going to address at the end.

11 CHAIRMAN GARRICK: Oh, okay.

12 MS. LUI: Yeah. We actually also have
13 back-up slides that the meaning is all current on that
14 particular issue.

15 CHAIRMAN GARRICK: All right. Thank you.

16 I would have asked it so early, but it
17 appeared up here, and it just reminded me, up on Slide
18 12, an earlier slide,

19 MR. SMITH: Again, Step 2 is the screening
20 consideration process, whether or not to proceed with
21 the risk informed approach. The main portion of it,
22 first are the benefits. There was at least one of
23 these that was answered yes. As a matter of fact, I
24 believe that all four of these were answered yes as
25 part of the pilot.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 It could help resolve a safety question
2 whether or not we were actually -- was the regulatory
3 effort we were spending in our enforcement area
4 necessary to protect public health and safety?

5 It also could improve efficiency and
6 effectiveness, focusing our regulatory dollars as well
7 as those of the licensees in areas that may better
8 improve safety.

9 Reduce unnecessary regulatory burden.
10 Associated with enforcement at the NRC is not only the
11 process of having a violation identified an the
12 bureaucratic process of going through an enforcement
13 conference, but also there is a great deal of time and
14 effort at very high levels of management to sit in and
15 discuss these cases.

16 So the amount of money being spent on
17 these, it was obviously a very high burden, and we
18 were trying to make sure that there was a commensurate
19 reduction in risk.

20 Help effectively communicate a regulatory
21 decision. Again, we thought that by defining what the
22 risks were associated with the loss of these devices
23 and also by outlining what the costs would have to be
24 in order to offset that would be a good way to
25 communicate this to the public.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Currently as far as the feasibility area,
2 there was information available. There are two NUREG
3 documents that deal with this type of device. One is
4 NUREG CR-6642, byproduct material study, and the other
5 is NUREG 1717, which is a NUREG on exempt license
6 devices.

7 To be cost effective for risk informed.
8 Again, the costs were already sunken costs from the
9 previous risk process or the risk studies that we had
10 done.

11 And the third question, other factors that
12 limit use of risk informed approach. This is a catch-
13 all. This is perhaps the one that's the hardest to
14 guess up front. It's will there be someone, something
15 that occurs. Is there a legislative requirement that
16 you're going to have to meet regardless of the risk?
17 Are there going to be people that are going to be
18 unhappy and waylay you on the process of risk
19 informing?

20 We didn't think at this point that that
21 would be the case here.

22 MS. WEINER: Before you go on, because
23 this is the second slide where you have listed these
24 benefits and feasibilities, are the benefits all of
25 equal importance and the feasibility factors all of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 equal importance?

2 MR. SMITH: No. Actually, for the
3 benefits it only had to decide whether or not you're
4 going to risk inform. You only have to answer yes to
5 one of those. If any one of these others fail, then
6 you may need to go back and take another look at it
7 and maybe rethink it. It's more of a management
8 decision as to whether or not it makes sense to risk
9 inform something or to attempt to risk inform
10 something.

11 MS. WEINER: So you do make other tacit
12 decisions. In other words, if the only benefit is
13 that it helps effectively communicate a regulatory
14 decision and that not very much and then costs a great
15 deal, then you say you've made an important decision
16 along with it, haven't you?

17 MR. SMITH: That's correct. At that point
18 you would say perhaps we might be able to accomplish
19 an initiative in the risk informing area, but the cost
20 would more than outweigh any benefits you would get.

21 MS. WEINER: Okay. In communicating this
22 process, I would suggest that it might be a good idea
23 to make that subordinate, to be real clear about the
24 subordinate decisions. Your two example don't lend
25 themselves very well to that, but it would be a good

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 idea to say, okay, these are not equally important.
2 These benefits are not equally important. So you do
3 make a subordinate decision, not just this very clear
4 cut one.

5 MR. SMITH: That's correct. It's very
6 subjective going through this process. It's not a
7 yes-no process. There's a good deal of discussion
8 that needs to take place amongst the people who are
9 involved in making process.

10 Generally, we will try to have a team of
11 people to work on it, someone maybe who is a risk
12 analyst, someone maybe who has a background in the
13 legal aspects, someone who's a health physicist. So
14 these decisions are not brought at just by running
15 down the checklist. There's a good deal of
16 deliberation that goes on.

17 Next step. I've already mentioned the two
18 studies that previously existed that contain risk
19 information. We also looked at the persons who might
20 be at right.

21 What generally will happen with these
22 devices is they get stolen or they get run over by a
23 large piece of armored vehicle and get turned into
24 scrap metal, and they will end up sent to a smelting
25 facility. Someone along the way will have to pick it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 up and carry it there. Someone along the way will
2 have to make a determination that it's not worthy of
3 being recycled or rebuilt, and what we found with a
4 good number of them is since they contain a lot of
5 metal, they end up at smelting facilities where
6 they're melted down.

7 But those who are for the members and the
8 models that were looked at, the general public,
9 recycle worker, there were several individuals and the
10 doses were on the order of .2 to .3 millirem. The
11 smelter worker in a worst case situation, if they were
12 to receive all of the 19 sources that came through the
13 facility on an annual basis, would get about 60
14 millirem.

15 Next.

16 VICE CHAIRMAN RYAN: Help me out now. I'm
17 just trying to make sure I understand it. Sixty
18 millirem T80E, mainly from inhalation because it's
19 americium per year of exposure or he does it once and
20 that's the --

21 MR. SMITH: That's per year, per year.

22 VICE CHAIRMAN RYAN: So you had a lifetime
23 of that activity.

24 MR. SMITH: You had a lifetime of that
25 activity, yes. You'd multiply it by --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 VICE CHAIRMAN RYAN: So he worked there
2 for 50 years or 40 years or what did you assume?

3 MR. SMITH: Well, we're just looking at it
4 on an annual basis here because we're looking at the
5 increase in risk on an annual basis, but he could work
6 there for 40 years, and in such case you'd multiply it
7 by 30.

8 MR. HORNBERGER: Yeah, but he'd have to be
9 really unlucky to get all 19 every year.

10 MR. SMITH: Correct.

11 VICE CHAIRMAN RYAN: That's what I'm
12 getting at, is we're multiplying real unlikely events.
13 Very quickly it becomes impossible and then wrong.

14 MR. SMITH: Again, we're just looking at
15 it on an annual basis. We're looking here first to
16 see --

17 VICE CHAIRMAN RYAN: You look at it one
18 year, this activity, to calculate the risk that you
19 used in your risk assessment.

20 MR. SMITH: Correct.

21 VICE CHAIRMAN RYAN: Okay. That's what I
22 wanted to know.

23 MR. SMITH: When we started converting the
24 numbers that we got for the unlikely event that one
25 individual would receive all the exposure, we came out

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to a -- you know, it works out with \$2,000 per person-
2 rem. We worked out to about \$80 per year that we'd be
3 saving if these events didn't occur.

4 The guideline I think on the regulatory
5 analysis is \$2,000 per man-rem. So we were well below
6 that number. So we assume that the cost associated
7 with the radiological aspects of the latent cancer
8 fatalities was not something that you need to really
9 be concerned about.

10 Next slide, please.

11 VICE CHAIRMAN RYAN: Just a question in
12 modeling. It's not a matter of the numbers, but tell
13 me about the collective notion in your view and the
14 utility.

15 MR. SMITH: I'm not sure exactly if
16 there's any alternatives here because the doses are so
17 small that unless you use collective dosage you're not
18 going to get any increase in your cancer risk.

19 VICE CHAIRMAN RYAN: My point exactly.

20 MR. SMITH: Yeah.

21 VICE CHAIRMAN RYAN: Adding them all up
22 means they're still zero. If the individual case is
23 zero, you can't measure it. You can't add them up and
24 make meaning out of it.

25 MR. SMITH: Well, unless you use linear,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 no threshold. Then every millirem counts just like
2 every --

3 (Laughter.)

4 MR. SMITH: Well, that's true, but I'm
5 just talking about the added effect associated with
6 this license activity.

7 VICE CHAIRMAN RYAN: I would caution you
8 very strongly to think about not using collective dose
9 at these levels of dose that are trivial compared to
10 background because you're running into a conundrum of
11 logic that you can't escape.

12 MR. SMITH: I think that when you start
13 talking about exposures over a larger population
14 you're right. In this case you're probably still
15 right, but it doesn't matter at this dose level. I
16 think we can use this level conservatism --

17 VICE CHAIRMAN RYAN: If it doesn't matter
18 don't use it. Stick with that individual case because
19 that's stylized case of risk is much more defensible
20 than aggregating it over some population.

21 MR. SMITH: Well, in this case we're
22 pretty close to that. The other individuals involved
23 would be getting on the order of .1, .2 millirem. The
24 person who got the highest dose was the smelter, and
25 he got 60 millirem. You've got probably 90 percent of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the dose.

2 VICE CHAIRMAN RYAN: So if the person that
3 got the highest dose in this case is okay, then
4 everybody else is what? Okay.

5 (Laughter.)

6 VICE CHAIRMAN RYAN: Done, period. End of
7 point. That collective dose doesn't mean anything.
8 It's a numerical narcosis. It doesn't mean anything.

9 MR. SMITH: I won't argue with you, but I
10 don't think that's what the direction the agency is --

11 VICE CHAIRMAN RYAN: Well, I struggle
12 with, you know, how do you take meaning from something
13 that you can't logically understand.

14 MR. SMITH: Okay. I don't know. If you
15 come up with an answer you'll be very, very wealthy.

16 VICE CHAIRMAN RYAN: My answer is put a
17 line through it.

18 MR. SMITH: Okay. You asked me before why
19 the risk informed decision method. Again, we had a
20 very small increase in latent cancer associated with
21 the exposure of these devices, and it's going to
22 happen regardless of whether we change our
23 regulations or not. The benefits to soldiers in the
24 field of knowing whether or not there's nerve gas or
25 some other chemical agent out there way outweighs the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 72 to \$80 in cost per man-rem.

2 Total individual accident risk, again,
3 with the highest individual, assuming he got all of
4 the dose, we're still insignificant compared to doses
5 that we allow on a normal operation for licensed
6 individuals.

7 Past performance, safety record gives a
8 sense that the overall risk, the loss of these devices
9 are low. We've had quite a few of these get lost. We
10 went through the nuclear material events database, and
11 we found that over the years we're averaging about 19,
12 20 of these a year, and if you look at the exposures
13 associated with it, they are not as high as our worst
14 case that we assumed, that is, 60 millirem to the one
15 smelter.

16 In most cases these devices are stolen,
17 and they're probably kept in someone's closet
18 somewhere. Other cases where they do get destroyed
19 and show up at recycling facilities are rare, but even
20 then the doses are low.

21 Next slide.

22 Here we were looking at the costs
23 associated with since the risk associated with it, the
24 radiological risk is very low, then you have to figure
25 out, well, do I want to change the regulation and make

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 things more effective and efficient, and if so, are
2 there other parameters I need to worry about?

3 If you would only concern yourself with
4 focusing on safety, that would be fine, but in this
5 case we find that there are not only the costs of
6 changing the enforcement policy, but the cost of
7 implementing that change. We've found in the past
8 that changes to regulations are fairly expensive, but
9 we change change internal policy usually at a more
10 cost effective rate.

11 Several modifications and further
12 development to the risk informing guidance were
13 identified, one of those being the optimization
14 between routine accident and collective risk. The
15 original guidance documents that we were working with
16 under the RIDM process only deal with accident
17 conditions.

18 But come to find out that there are
19 routine conditions that also need to be added into the
20 equation, and as Chris said earlier, Part 20 generally
21 covers that information.

22 The pilot also highlighted that the
23 proposed risk informed decision making process has a
24 potential, again, as was found it the SFPO pilot to
25 offer a very systematic and thorough approach to doing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a risk assessment and using the risk information, and
2 also would enable better prioritization,
3 defensibility, and communication.

4 Generally the staff in the past has had
5 the authority to do these types of evaluations and
6 make these calls, but there hasn't been an outlining
7 process for them to say, yes, I have done the process
8 that's been outlined and I have found the right
9 answer.

10 I think that a great deal of efficiency
11 can be found at the agency just by taking a systematic
12 approach so that when the staff gets done doing their
13 assessment, it's obvious that they've covered all
14 bases.

15 There are other key issues which I think
16 Alan Rubin is going to cover now. So with that, if
17 you have anymore questions for me.

18 VICE CHAIRMAN RYAN: Any questions?

19 VICE CHAIRMAN RYAN: I notice you skipped
20 over collective in that.

21 (Laughter.)

22 CHAIRMAN GARRICK: Okay.

23 MR. RUBIN: Okay. Good afternoon. My
24 name is Alan Rubin. We've put off some of the
25 questions from earlier today that we're going to get

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 into during the discussion of the key issues.

2 I just want to go back for a minute and
3 Chris has outlined one of the purposes of the meeting
4 today is to get feedback from the committee on the
5 overall risk informed approach, which you've heard
6 about, and some of the key issues. And I'll talk
7 about a number of them, and I will give a collective
8 view and recommendations from the staff, right now
9 where we see some of these key issues are heads, and
10 we would welcome and encourage some feedback from the
11 committee.

12 In particular, because as I'll tell you in
13 a couple of minutes, we plan to have a paper going
14 forward to the Commission in September. We'll be
15 discussing the progress, some of the results, and also
16 some of the key issues. We will certainly benefit
17 from the ACNW's input in this area.

18 So now we have some fun.

19 The first question, the first issue is as
20 you are aware, the guidelines that we're proposing for
21 waste and materials include risk guidelines for
22 workers as well as for the public, and one of the
23 questions is, you know, how safe is safe enough.
24 Should there be different guidelines for workers
25 compared to the public?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And from the existing reactor safety goals
2 and the reactor meaning that there are safety goals
3 for the public and not for workers. So there is no
4 precedent really set that we can go and use in a
5 parallel approach for the materials and waste arenas.

6 Some of these issues you hear about the
7 commission of a policy decision. Some are questions
8 on implementation of the risk approach.

9 So this first issue with respect to safety
10 goals for workers, in many NMSS activities, the
11 dominant risk is to the workers. So we felt that
12 worker risk is very important to include in any risk
13 informing activity.

14 The concept is that workers have some
15 voluntary risks that they take in any job. There are
16 also benefits that they gain in terms of, you know,
17 putting food on the table, getting salary. So they
18 bear a higher risk than in general the members of the
19 public, and they also receive training generally to
20 try and mitigate that risk.

21 For these reasons we felt that there was
22 a good reason to differentiate between risk to members
23 of the public and have them to allow at least from a
24 risk guideline standpoint some higher levels of risk
25 in the general public.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So that's the issue. That's what we're
2 coming down on, and if you want to open it up for some
3 discussion.

4 CHAIRMAN GARRICK: It seems that you have
5 a tremendous amount of information on this from the
6 experience of hazardous operations from flying
7 airplanes to whatever that the workers by the nature
8 of the things they're doing are assuming a higher
9 risk.

10 MR. RUBIN: Absolutely.

11 CHAIRMAN GARRICK: I'm sure you consulted
12 the experience base.

13 MR. RUBIN: We have looked at accident
14 risk, both prompt fatalities, as well as latent cancer
15 fatalities for public and for workers as a background,
16 and as you know, the general approach for the reactor
17 safety goals, the quantitative health objectives are
18 to have a small risk of one tenth of one percent of
19 the risks that the public are generally exposed to.

20 And we've kind of adopted or taken that
21 similar approach for the members of the public
22 applying to materials and waste. We feel that there's
23 a basis to have some different guidelines for workers.

24 CHAIRMAN GARRICK: Yes, but this is a
25 question that you should have tremendous amount of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 data on, information on.

2 MR. RUBIN: In terms of accidents, yes,
3 yes.

4 CHAIRMAN GARRICK: Yeah.

5 MR. RUBIN: Now, the question is from a
6 philosophical standpoint is, you know, taking rather
7 than one tenth of a percent of other risk, are there
8 other numbers that we could use.

9 CHAIRMAN GARRICK: Oh.

10 MR. RUBIN: And we felt that there was
11 some basis for having a higher risk level to workers
12 in terms of risk guidelines, in terms of NRC making
13 risk informed decisions.

14 VICE CHAIRMAN RYAN: Al, one interesting
15 aspect of that, as you talked I thought about the case
16 where if you put on an ALARA hat for a minute and
17 think about, well, I'm looking at Alternative A and
18 Alternative B and Alternative C, and there are both
19 workers exposures and general public exposures, and
20 I'm making some balance between workers and the public
21 in that context of an ALARA decision. It might be
22 helpful to have such guidelines I would think.

23 So some structure because very often I've
24 been involved in ALARA decisions where, you know,
25 there's no hook to hang your hat on in making that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 assessment. Very often we avoid potential public dose
2 and incur real worker dose. So we're avoiding an
3 undetermined risk that are many years in the future
4 and accepting a quite real risk today.

5 So have you thought about bringing in that
6 balance?

7 MR. RUBIN: Certainly, you know, looking
8 at --

9 VICE CHAIRMAN RYAN: Maybe that's a whole
10 different question.

11 MR. RUBIN: Well, that certainly is a
12 question. We would be looking at a risk to the public
13 in terms of one of the metrics, as well as risks to
14 the workers as another metric.

15 VICE CHAIRMAN RYAN: But it sort of begs
16 the question. If you have to balance one off the
17 other, how do you do it?

18 MR. RUBIN: Well, you can look in risk
19 informed decision making. What's the incremental
20 increase in risk that you might be imposing on
21 workers, for example, for increased inspections or
22 something like that?

23 Okay. They might be getting some dose
24 from that in terms of reducing risk to the public, and
25 you can do some estimates on what the benefits are,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the pluses and minuses of risk and come up with an
2 integrated decision.

3 MS. WEINER: Do you look at when you
4 increase a worker risk and there is no corresponding
5 reduction of risk to the public?

6 You brought up the question of inspectors,
7 and we actually did look at that with transport
8 vehicles crossing state boundaries. There is no
9 corresponding increase in public benefit in having an
10 inspection at every border, but there is a
11 considerable increase in risk to the worker.

12 MR. RUBIN: And how these risk guidelines
13 would help in those kinds of decisions would be what
14 do you mean by considerable increase in risk in terms
15 of the staff decision making where there is no, you
16 know, metric for the staff to put their hat on.
17 That's how these risk guidelines would help decision
18 making uniformly whether it's transportation or
19 whether it's radiological workers.

20 MS. WEINER: So you're actually expressing
21 the risk guidelines in terms of numbers.

22 MR. RUBIN: Yes.

23 MS. WEINER: Quantitative risk.

24 MR. RUBIN: Yes. Similar in the reactor
25 area where there are three tiers. There is the high

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 level, qualitative safety goals. There should be no
2 insignificant risk, and then below that there's the
3 quantitative health objectives which determine that no
4 significant -- determine significance is one tenth of
5 one percent, the general risk to the public.

6 We have a similar approach that we're
7 proposing in the materials and waste guidelines. In
8 the reactor area they go one level further in terms of
9 subsidiary objectives, which is we look at core damage
10 frequency and lower daily (phonetic) release frequency
11 and try to use those as closer units that you can
12 measure and do some risk analysis, PRA analysis work.

13 We haven't gone that far yet. It may be
14 in some cases in NMSS there may be some subsidiary
15 objectives that would be useful, easier to measure
16 against, and also you know, if you met those, you met
17 the higher level objectives.

18 But we have not proceeded that far. We're
19 still trying to work on the bigger picture items, but
20 we're aware of that. That may be a benefit down the
21 road.

22 Are there any other comments on this
23 particular item? I haven't gotten feedback from the
24 committee whether or not --

25 VICE CHAIRMAN RYAN: Well, it's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 interesting. I guess it's very thought provoking.

2 MR. RUBIN: Yeah, these will all be.
3 That's why I say this is where the fun begins.

4 MS. WEINER: I would like to submit that
5 I think the voluntary/involuntary dichotomy is a
6 little bit false. If you have a worker in a job and
7 suddenly his job involves an increased risk, no matter
8 what it is, I mean, it could be from chemical
9 exposure, whatever. You're saying that he or she has
10 the choice of quitting that job.

11 I don't think so, or of not doing that
12 particular job. Generally not. So my point is I
13 don't think that voluntary/involuntary is a
14 particularly metric to use.

15 CHAIRMAN GARRICK: I don't know about
16 that.

17 MS. WEINER: Well, then we don't agree.

18 CHAIRMAN GARRICK: Well, I find it
19 difficult to see how you would take the position that
20 you could limit the risk to some minimum under the
21 circumstances where it is just inherently risky to do.
22 I don't understand that.

23 MS. WEINER: No, and that's not -- this is
24 one of the things that is applied. I mean, clearly
25 there are going to be occupational risks, especially

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 radiological risks, are going to be considerably more
2 than -- you know, as Mike just said, you're going to
3 incur a real occupational risk sometimes.

4 VICE CHAIRMAN RYAN: No, I said a real
5 dose, not risk.

6 MS. WEINER: Okay. You're going to incur
7 a real dose as against a calculated, not real dose to
8 the general public. That's certainly true.

9 VICE CHAIRMAN RYAN: This really is to me
10 fascinating in the sense that I'm thinking about it
11 in, you know, the terms of at this level of exposure
12 where I think there's no value to collective dose,
13 which is incremental background or medical exposure of
14 the stuff we accept as routine, 300 millirem a year.

15 You know, at that level I don't know that
16 it makes any difference. I think worker and the
17 public, if it's an increment over whatever they're
18 getting that's trivial, then the same risk tool makes
19 sense to me, but as you kind of go up your scale on up
20 to fatal accidents and so forth, I think you quickly
21 get away from that.

22 So I'm not too sure some kind of a tiered
23 approach doesn't make some sense. I'm thinking out
24 loud with you, but it is a very thought provoking
25 question.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. RUBIN: Well, I mean, your question
2 comes up quite often. Is there a threshold?

3 VICE CHAIRMAN RYAN: No, no. I'm not
4 asking that.

5 MR. RUBIN: But in terms of decision
6 making now, what staff does in the reactor arena is
7 from the cost-benefit analysis they do integrate the
8 risk. They look at the consequences and they
9 integrate it over the population and come up with a
10 person-rem.

11 You know, there hasn't been a change in
12 the policy that the staff should not use a linear, no
13 threshold in making that cost-benefit decision.

14 VICE CHAIRMAN RYAN: I have no problem
15 with people, you know, using the LNT, linear no
16 threshold, theory for radiation injury, but it's a
17 very artificial number to say I'm going to multiply it
18 by ten to the six people times a number, and it looks
19 huge, and it miscommunicates what the real risk is.

20 That's my own disagreement with it.

21 MR. RUBIN: Absolutely, and we'll --

22 VICE CHAIRMAN RYAN: As a metric, we could
23 then multiply it by pi for all I care. You know, it
24 doesn't matter. It's a metric, and it's a metric
25 against some standard. So you measure it. I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 understand that.

2 But the real focus of the kind of
3 analyst's view in my mind is more along the lines of
4 what you did for the two cases you gave, which is what
5 can happen; who can it happen to; is that by itself a
6 risk, and then you integrate it to measure it against
7 some metric. That's the secondary thing to me.

8 So the real focus is that kind of case
9 analysis, and the structure of that case analysis that
10 you have now hopefully, you know, kind of across the
11 NMSS activities, and then the theory I guess is you
12 have enough cases evaluated across a board enough
13 range of activities. Everybody has got a hook to hang
14 their hat on at the end of the day.

15 I mean, so it's not a debate of LNT and
16 some other theory of radiation injury. The practical
17 fact is it is the one we use. Done; I'm fine with it.
18 It's just that the metric doesn't mean anything when
19 you multiply it out, but it looks terrible.

20 MR. RUBIN: And one of the issues that
21 we'll talk about is the last one on this page, and
22 we'll get to the next one. You know, what population
23 are we considering is the one at significant risk?

24 And that certainly relates to the issue
25 we're talking about how, which is how many people do

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you include in your risk estimates and where do you
2 cut it off?

3 Maybe we should move on to the next issue
4 on this slide.

5 MS. WEINER: Well, what are your thought
6 about that last point? What does the staff think
7 about it?

8 MR. RUBIN: The first one or the last one?

9 MS. WEINER: Last one, the population that
10 should be considered. Because I have a lot of problem
11 with collective dose also, and I have an equal problem
12 with coming up with some completely arbitrary critical
13 population, and I'd like to know what your thinking is
14 about that.

15 MR. RUBIN: I'll get into that. I will
16 talk about some of the considerations.

17 MS. WEINER: Okay.

18 MR. RUBIN: Before I skip to that, before
19 I skip this second bullet, I think maybe the second
20 one will be a little shorter than the last one.

21 CHAIRMAN GARRICK: I'm not sure. I think
22 the answer is yes on both parts of the second one.

23 MR. RUBIN: Okay.

24 CHAIRMAN GARRICK: Yes, the guidelines
25 should be consistent, and yes, it should be activity

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 specific.

2 MS. WEINER: Yes.

3 CHAIRMAN GARRICK: I don't understand how
4 you can have a completely consistent -- you know, I
5 think you have to partition the problem to the
6 situation.

7 MR. RUBIN: And we agree with that. Our
8 recommendation would be that there ought to be uniform
9 guidelines across determined activities.

10 CHAIRMAN GARRICK: Yes.

11 MS. WEINER: Yes.

12 MR. RUBIN: We would, you know, find no
13 basis or rationale to really have, you know, one
14 activity having some higher level of risk guidelines
15 than another.

16 CHAIRMAN GARRICK: Right.

17 MR. RUBIN: So we're in violent agreement
18 with you on that.

19 MS. WEINER: Right.

20 MR. RUBIN: I thought that would be safe.

21 MS. WEINER: Knock that one out.

22 MR. RUBIN: And now the issue, what
23 population at risk. And this you'll hear later on
24 what we're proposing, will be proposing to do is
25 continue on this work on a case-by-case basis with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 some pilot applications to try and enhance the
2 confidence and determine what kinds of populations you
3 do consider for the various activities.

4 VICE CHAIRMAN RYAN: Can you use a cutoff
5 principle, like NCRP recommends, and say if it's
6 somebody that gets a millirem or less, forget it?

7 MR. RUBIN: We could. We haven't made
8 that decision yet.

9 VICE CHAIRMAN RYAN: If you calculate
10 doses below one millirem per year, they're not
11 counted.

12 MR. RUBIN: Just to go back to the reactor
13 area again where we have experience, the guidelines
14 are to use distance from the site, from the plant.
15 For early fatalities they use a distance of one mile
16 and for latent cancers a distance of ten miles. You
17 know, those numbers weren't just picked arbitrarily.
18 It was looking at where the risks were for those
19 accident scenarios and how far out you should go in
20 terms of doing your risk estimate.

21 VICE CHAIRMAN RYAN: That's fine, but then
22 I think it's if they're in the ten mile radius and
23 they still get a number below one millirem, you don't
24 count it.

25 MR. RUBIN: Oh, okay, but that's -- I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 guess there's different levels of information. You
2 could look at the overall integrated risk to the total
3 population. You could also look at the distribution,
4 which both pieces of information would be helpful.

5 MR. HORNBERGER: So completely aside from
6 this artificial \$2,000 per person-rem, you actually
7 see some value in calculating a collective risk?

8 CHAIRMAN GARRICK: Dose.

9 MR. HORNBERGER: Collective dose? I mean,
10 one millirem to the population of Los Angeles and
11 you're going to calculate how many fatalities from
12 cancer?

13 MR. RUBIN: No, I don't think we would go
14 that --

15 MR. HORNBERGER: I mean, that's nuts,
16 right?

17 MR. RUBIN: We're not proposing that.

18 MR. HORNBERGER: Oh, okay.

19 CHAIRMAN GARRICK: Yeah, the context, I
20 think, that it makes sense in is you consider the
21 population to the extent that it affects individual
22 dose.

23 MR. RUBIN: This is clearly a challenge.
24 The diversity of NMSS activities, you know, they range
25 from fuel cycle facilities to storage of spent fuel,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to transportation of spent fuel and radioactive
2 materials, to medical, industrial applications, and
3 each of these may have some -- is going to have a
4 different population that you need to consider, and
5 just some of the factors to help in determining what
6 that population would be is where are the boundaries
7 of the facility.

8 Is there an exclusionary or not, that the
9 public has limited access or no access?

10 CHAIRMAN GARRICK: I think one message
11 you've gotten so far is that this committee thinks
12 that collective dose is a bad idea.

13 MR. RUBIN: Okay.

14 CHAIRMAN GARRICK: It doesn't make any
15 sense.

16 MR. RUBIN: Okay.

17 CHAIRMAN GARRICK: It has nothing to do
18 with reality.

19 MR. RUBIN: A really bad idea.

20 (Laughter.)

21 PARTICIPANT: It's not a bad idea. It's
22 a really bad idea.

23 MS. WEINER: An awful idea.

24 VICE CHAIRMAN RYAN: And I guess, you
25 know, just to be fair, I agree with the fact that in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 most applications it doesn't matter. I mean, it
2 doesn't help you explain or evaluate risk.

3 If there was a case where you had some
4 very large accident potential and deterministic
5 effects that affected a large number of people, like
6 a detonation or something that spread a lot of stuff
7 around, you could think of very specialized cases
8 where, you know, if it's in a densely populated area
9 in town versus out in, you know, the rural area, how
10 many people could be affected might have an impact.

11 But if you're calculating anything that's
12 a fraction of background as the individual dose, and
13 maybe this will help you think through it, there's got
14 to be a place where it doesn't add any value. There
15 has got to be a place where it does.

16 When you get up into prompt deterministic
17 effect potentials, then I think it might help you a
18 little bit in assessing overall risk, if there's one
19 person or 1,000 people or 10,000 people at that
20 deterministic skin burns, ulcerations, and death kind
21 of risks. That's where it might help you.

22 But if you get below where you're in the
23 fatal cancer risk space and on down into regulatory
24 space, I don't think it helps you at all because
25 there's absolutely no way in these small populations

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to ever demonstrate the risk you're calculating. So
2 it's magic with numbers. It can never be validated,
3 and that's why it loses its value irrespective of the
4 radiation biology questions. It has no meaning.

5 So that's the best way I can say it. And,
6 again, I don't want to discount it completely from
7 that deterministic end. I think it has value there,
8 but beyond that, conflict.

9 MR. RUBIN: But on the collective dose, I
10 mentioned is one use in value and cost-benefit
11 analysis, but in terms of how we would consider the
12 population at risk compared to risk guidelines, we're
13 looking at an average population.

14 VICE CHAIRMAN RYAN: And we're saying
15 don't use it at all.

16 MR. RUBIN: Okay. All right. We got that
17 message.

18 CHAIRMAN GARRICK: I think this is one
19 where you could win because people are interested in
20 their risk, their individual risk.

21 VICE CHAIRMAN RYAN: You know, in the
22 metrics you described in the two cases, it worked just
23 find. You maximized it. You looked at that worker
24 and you've talked about what happens if he sees 19 and
25 is that risk. I think you're done, boom, period.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. DAMON: Could I help out a little bit?
2 I'm Dennis Damon.

3 You know, I think Alan has brought out the
4 distinction. When it refers to population, he's
5 really talking about individual risk. So we're really
6 looking to apply these guidelines to a most exposed
7 person or to every person equally, but you look for
8 the most exposed. If you've done it for him, you've
9 covered everybody.

10 But in practice, in practice, that doesn't
11 work. Okay? It's very impractical to go and try to
12 find, okay, where is the most susceptible, peculiar,
13 strange individual who gets the maximum dose?

14 So what's done in practice is a concept
15 they call reasonably maximally exposed individual or
16 critical group, and what we're doing is adopting that
17 here in a risk informing sense, okay, as opposed to a
18 regulatory sense. We're using different terminology
19 because in the critical group, RMEI space, some of
20 this stuff that's done is very nonrealistic,
21 regulatory, artifact.

22 We're talking about realistic risk
23 informing, identifying an analog to critical group,
24 just as is done in the reactor's QHO for acute
25 fatalities. They take the one mile nearest population

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to the facility. Okay?

2 It's just to get something you can
3 reasonably calculate that captures this idea of the
4 most exposed individual. So it's not collective at
5 all. It's individual, and what Al is going to get
6 into is how difficult that can be in some of the
7 things in NMSS because we don't have all fixed sites
8 with fixed populations.

9 We have things moving around.

10 VICE CHAIRMAN RYAN: I mean, ICRP and
11 others have all sorts of formulations for critical
12 groups and REMIs (phonetic) and all of the rest, and
13 I think I certainly agree with you, but the step that
14 I think I don't agree with and the others don't agree
15 with is they'll multiply it by some number of people
16 and come up with a man-rem or some --

17 MR. DAMON: Right. That's what I'm trying
18 to say. I'm trying to confirm that we're not doing
19 that. This population is like a critical group, you
20 know. You're going to do the population, but it's the
21 most exposed individual you're looking for.

22 VICE CHAIRMAN RYAN: I would suggest then
23 you change when you talk about the critical group
24 instead of population exposure.

25 MR. DAMON: We have adopted a term sort of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 internally. It's a population at significant risk,
2 but it's the concept. You just have to understand
3 what we're reaching for. It's like a critical group,
4 only it's realistic.

5 CHAIRMAN GARRICK: It would also help to
6 get rid of the collective language.

7 MS. WEINER: Yes. That would go a long
8 way.

9 CHAIRMAN GARRICK: Carry on.

10 MR. RUBIN: Go on to the next slide,
11 please.

12 One of the questions or issues that we
13 talked about is are injury risk guidelines needed in
14 risk informing NMSS. We have acute fatalities, latent
15 fatalities and injury as a proposed risk guideline
16 also.

17 VICE CHAIRMAN RYAN: You mean radiation
18 injury.

19 MR. RUBIN: Radiation injury, yeah, these
20 are radiation, and it could be chemical also.

21 VICE CHAIRMAN RYAN: How about
22 occupational?

23 MR. RUBIN: Yes, these are for public and
24 for workers.

25 VICE CHAIRMAN RYAN: No, no, no. On the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 risk of OSHA injuries.

2 MR. RUBIN: No, these are radiation.

3 VICE CHAIRMAN RYAN: Because they're going
4 to happen a whole lot more than any other --

5 MR. RUBIN: No, that's not part of the
6 scope of this, not OSHA. These are radiation or
7 chemical risks associated with the fuel cycle
8 facilities, for example, but it's not --

9 VICE CHAIRMAN RYAN: Well, chemical is an
10 OSHA risk.

11 MR. RUBIN: Yeah, there's a little overlap
12 with NRC looking at risk from HF-6 and fuel cycle
13 facilities.

14 VICE CHAIRMAN RYAN: But they're regulated
15 under the OSHA umbrella. so how do you pick out
16 chemicals instead of back injuries and all of the rest
17 that are orders of magnitude more important in terms
18 of risk?

19 MR. RUBIN: The dominant areas we're
20 looking at is radiation risk, radiation exposure.

21 MR. DAMON: I'll take on that. There's a
22 memorandum of understanding between OSHA and NRC that
23 defines which chemicals are going to be regulated by
24 NRC and which ones by OSHA.

25 VICE CHAIRMAN RYAN: Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. DAMON: So it's along the lines of
2 chemicals that are an intimate part of the -- for
3 example, uranium toxicity, we've got that one.
4 Chemicals that are part of the process which we
5 license is part of it.

6 But if it's just in storage on site and an
7 accident happens, that's OSHA.

8 VICE CHAIRMAN RYAN: That line has been
9 drawn for you then.

10 MR. RUBIN: Yes.

11 VICE CHAIRMAN RYAN: Okay.

12 MR. RUBIN: So our proposed response to
13 this issue is that we think that there is a value to
14 having an injury risk guideline because, you know,
15 workers do get injured, radiation exposures, as Jim
16 mentioned, and we thought that would be one of the
17 risk matrices that would be part of the decision
18 making process.

19 VICE CHAIRMAN RYAN: How many
20 deterministic injuries have there been in the last ten
21 years or so?

22 I assume that's what you mean, is a
23 deterministic risk because you can't measure fatal
24 cancer risk.

25 MR. SMITH: No, that's true.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 VICE CHAIRMAN RYAN: Or see it expressed.

2 MR. SMITH: What we do, we have anecdotal
3 information from incidents involving radiographers.
4 There are one or two instances where a source became
5 dislodged and someone accidentally picked it up and
6 stuck it in their back pocket, walked around for a few
7 hours.

8 I don't think that we have enough of them
9 to be able to come up with a statistically valid
10 number, but they do occur every so often.

11 If you're talking about the medical area,
12 which we really didn't address as part of at least
13 6642 or 1717, there are conceivably injuries that
14 occur on an annual basis as part of medical events.

15 VICE CHAIRMAN RYAN: Setting patients
16 aside, as they're the ones that received the
17 misadministrations, I guess I agree with you that
18 database for workers is very small, particularly in
19 the last ten years versus the previous 20.

20 MR. SMITH: Correct. What we also see is
21 not in this country, but there's a nice control model
22 in other countries where we don't have regulatory
23 authority. There have been incidents of death and
24 dealing with panoramic irradiator facilities; also
25 have been other types of injuries involving

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 radiography sources generally.

2 But there have been sources that have
3 caused erythema resulting from problems with weld
4 logging sources, but for the most part the deaths that
5 have occurred have occurred overseas and other areas
6 that aren't regulated in a similar fashion to the NRC.

7 VICE CHAIRMAN RYAN: Okay, but you can't
8 use that as a guideline or a basis.

9 MR. SMITH: No, but what you can do is say
10 if we took away our radiation protection program, or
11 regulatory program, what boundaries/barriers would
12 not be in place.

13 It helps us to do a modeling of the
14 effectiveness of a regulation.

15 VICE CHAIRMAN RYAN: You know, I don't
16 disagree with the answer you gave to the question,
17 which was yes, but, boy, trying to figure that out was
18 tough.

19 CHAIRMAN GARRICK: Let me compliment you
20 for your strategy here, throwing these questions.

21 (Laughter.)

22 CHAIRMAN GARRICK: This is sort of turning
23 it around and putting the committee a little bit on
24 the side of the table that we're not often on.

25 When you talk about injury risk and I'll

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 consult my experts here on the panel, should we really
2 not be talking about injury but rather be talking
3 about dose? It's the risk of a dose because we --

4 MS. WEINER: Yeah.

5 CHAIRMAN GARRICK: -- don't know what the
6 injury is for --

7 PARTICIPANT: Except if they're
8 deterministic.

9 CHAIRMAN GARRICK: Yeah.

10 MR. SMITH: When we started looking at the
11 threshold for fatal doses, we figured about 175 rem,
12 I think, is where you start seeing fatalities from
13 exposure to at least camera radiation.

14 VICE CHAIRMAN RYAN: That's without
15 medical intervention though.

16 MR. SMITH: Right. That's correct, and
17 there are situations where people have been exposed
18 and not known it. So that you do have to take that
19 into account.

20 And then we have, well, the latent cancer
21 fatality. You pretty much are going to have latent
22 cancer risk using linear no threshold from zero
23 millirem up to whatever is sublethal. But we wanted
24 to look at a range that was --

25 VICE CHAIRMAN RYAN: Careful.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SMITH: Yes.

2 VICE CHAIRMAN RYAN: I mean it's not
3 linear on up there. We know t hat part.

4 MR. SMITH: We know that, but we know
5 there's a range where there are exposures that are
6 sublethal on a whole body basis, but there is a
7 possibility of having extremity exposures or exposures
8 in localized points that would cause injuries.

9 So, yes, you're right. It's a dose that
10 we're measuring mostly in terms of a whole body dose,
11 but we're assuming that if you're getting 175 rem
12 whole body, there's a very high dose to your hand if
13 you've had the source in your hand.

14 VICE CHAIRMAN RYAN: I think if you cast
15 these thresholds and staging things on a dose line
16 irrespective of whether that's exactly the meaning of
17 a fatal dose curve under the circumstances X versus Y
18 versus Z, you'll get a lot less argument than if you
19 try and ascribe it to an outcome.

20 MR. SMITH: Correct.

21 VICE CHAIRMAN RYAN: So I would have a
22 tendency to decide the dose lines and just live with
23 the fact that they're going to be brighter in your
24 modeling, which is really what you want. You want a
25 bright modeling, transparent modeling exercise than

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 how you could envision outcomes from let's pick 300
2 millirem.

3 Some people with 300 millirem won't
4 survive no matter what you do. Some people will do
5 just mine with minor medical intervention. Some
6 people will need lots of intervention.

7 I'm sorry. Three hundred rem. Sorry.

8 CHAIRMAN GARRICK: I was getting worried.

9 VICE CHAIRMAN RYAN: Excuse me. Three
10 hundred rem.

11 But you know, if you just say a threshold
12 for this kind of a risk area is 300 rem, well, you
13 know, that's the number you use and so if you turn it
14 into a bright line from the numerics point of view,
15 you'll have a whole lot less, I think, problem
16 conveying the risk structure for the calculations and
17 the assessments and kind of let judgment come in at
18 the end of it than trying to build judgment into it up
19 front.

20 CHAIRMAN GARRICK: This is why the Yucca
21 Mountain radiation standard was a dose standard and
22 not an injury standard.

23 MR. SMITH: I know that we tried to make
24 the -- the original reason was that we had had risk
25 assessments in the past where you had doses on the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 millirem range over large populations, and then they
2 would use one risk number. They would multiply the
3 number of people exposed.

4 VICE CHAIRMAN RYAN: We've already solved
5 that problem.

6 MR. SMITH: Yeah. You'd come back, and
7 they would say, "Well, 1,000 rem to one person is the
8 same risk as one rem to 1,000 people."

9 You're going, "Wait a minute. You're
10 going to have a dead body on one situation, and you're
11 going to have a bunch of people with an elevated
12 cancer risk in the other situation."

13 VICE CHAIRMAN RYAN: That's like a 200
14 mile an hour wind for an hour or a one mile an hour
15 wind for 200 hours. The same amount of air goes by,
16 but it's a whole different feel.

17 MR. DAMON: I'd like to remind one thing
18 that occurred to me on this injury risk is that we are
19 also talking about applying this to chemical
20 exposures, and there is also a permanent injury, you
21 know, deterministic chemical injury range. So you
22 know, people can get burned from chemical.

23 In fact, one of our inspectors at one of
24 our fuel cycle facilities got exposed to an HF release
25 and, you know, I don't know that it led to a chronic

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 health problem, but that would count as an injury if
2 that led to chronic breathing difficulties or because
3 she got exposed to that chemical, that would be what
4 we're calling an injury here.

5 CHAIRMAN GARRICK: Well, common sense
6 would say where we understand the injury thresholds we
7 use them, but when we don't understand them, we use
8 something else.

9 VICE CHAIRMAN RYAN: Or when they're
10 invisible and you have to use dose.

11 CHAIRMAN GARRICK: Yeah.

12 VICE CHAIRMAN RYAN: I think dose is a
13 good surrogate for radiation injury. I fully
14 understand the chemical problem because there is no
15 such thing as dosimetry for chemicals in the
16 regulatory arena of, you know, it's TLVs and, you
17 know, they're all based on some deterministic endpoint
18 for the most part. You know, some cancer studies have
19 been determined for some chemicals, but you know, a
20 lot of it is deterministic. It's apples and oranges.

21 Again, the NCRP has tried to attempt that
22 one.

23 CHAIRMAN GARRICK: I think you've got our
24 position and our thoughts on this. Let's move on.
25 Can we?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. RUBIN: Another question is in
2 applying risk guidelines should they be applied across
3 the spectrum of facilities or applications in NMSS or
4 an individual facility.

5 CHAIRMAN GARRICK: Well, when we did the
6 reactor risk studies, one of the most important
7 lessons we learned from the whole exercise in the late
8 '70s and '80s was how important specificity is.
9 Nuclear power plant risk is very much plant specific,
10 and so I don't know how you can escape the issue of
11 specificity as being critical to being quantitative in
12 any way about the risk of something.

13 MR. RUBIN: Certainly the risk are going
14 to vary from facility to facility.

15 CHAIRMAN GARRICK: Absolutely.

16 MR. RUBIN: No question about it.

17 CHAIRMAN GARRICK: It varies on the basis
18 of -- even on like facilities.

19 MR. RUBIN: Right.

20 CHAIRMAN GARRICK: When we did the Indian
21 Point study, side by side units, the risk was an order
22 of magnitude difference between Unit 2 and Unit 3.
23 There were two different operators. they had
24 different maintenance practices, and they have other
25 things that enter into it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 But the reactors for the most part were
2 identical.

3 MR. RUBIN: Right, and I'm not suggesting
4 that those differences be ignored. The question
5 here -- and I'll tell you what our recommendation is;
6 I'll turn the tables back on myself -- is that in
7 making risk decisions do you look at the average risk
8 or do you look at an individual facility and each
9 individual facility should try to achieve that
10 guideline or not?

11 And in the reactor area, for example, for
12 generic activities like rulemaking or resolving
13 generic issues or eliminating unnecessary regulatory
14 burden, look at an average across the industry. And
15 at the recommendation that we would apply for
16 materials and waste is similar. For any generic kind
17 of regulatory decision that the agency would make,
18 look at an average across the industry.

19 But you're still looking at differences,
20 what might be the high and low ranges of facilities.
21 You don't just take one facility and say that's
22 typical of everybody. So making a decision, not each
23 individual facility would try to achieve that
24 guideline.

25 CHAIRMAN GARRICK: But where you can lump

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it and average it, yeah, but in the final analysis you
2 want to know whether a specific source, a specific
3 facility, a specific plant is high or low or whatever
4 risk.

5 MR. RUBIN: Well, I think if there is,
6 again, not a generic decision but a more specific
7 decision tha the agency is trying to make using risk
8 information, then you could look at the individual
9 facility itself.

10 So I see both approaches being we're
11 recommending. If there's a regulatory decision on an
12 individual facility, look at the individual risk to
13 that facility. If it's more generic in nature, use
14 sort of an average.

15 CHAIRMAN GARRICK: As a regulator, the
16 generic and average may make some sense. A plant or
17 facility owner, I want to know what the risk is very
18 specifically of my plant, my facility. And I think
19 that's what I ought to be accountable for.

20 MR. RUBIN: Okay. Any other comments on
21 that one before I move to the question on what kind of
22 standards? I think this came out in some of the pilot
23 studies, is what's the quality, level of quality of
24 the risk assessments that are being used in decision
25 making. It relates to questions of uncertainty and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 defense in depth, and we'll get to that also. I
2 haven't forgotten about the defense in depth question,
3 by the way. It's up here.

4 I think in terms of where we go, in terms
5 of the extent that NMSS will be using risk informed
6 decision making, eventually there may be a need to
7 develop some kind of a standards for quality of risk
8 analysis. That's being done in the reactor arena
9 right now, and we're not suggesting that it be done
10 now, but it's kind of wait and see.

11 So there is no overall standard for doing
12 risk analysis, but that may be something to look at in
13 the future.

14 CHAIRMAN GARRICK: Yeah.

15 MR. RUBIN: We're trying to look at it on
16 a case-by-case basis right now.

17 CHAIRMAN GARRICK: Right. I think that
18 you've got to get an information base. You've got to
19 get a database.

20 MR. RUBIN: We want to get experience.

21 CHAIRMAN GARRICK: Right. You've got to
22 get some experience, and then I think the issue of
23 standards will manifest itself. You'll probably end
24 up developing categories of things and have different
25 standards or a standard for a particular category.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 But I think this is something where
2 experience is going to have to be the basis. In a way
3 West Valley is a wonderful opportunity in that regard
4 because just about every waste and decommissioning
5 high level/low level problem that you have is there,
6 and it seems that one ought to be able to use that as
7 kind of a test facility for getting some of the
8 experience that's needed to assess the sensibility of
9 standards.

10 MR. RUBIN: And we're learning a lot in
11 doing the pilot dry cask PRA.

12 CHAIRMAN GARRICK: Right.

13 MR. RUBIN: That Research has done, and
14 also industry is developing a dry cask storage PRA for
15 a different kind of cask system. So we're learning as
16 we go.

17 Let me get now to the defense in depth
18 question, and how do you consider that in risk
19 informed decision making. One defense in depth
20 critical philosophy that the agency has, you have to
21 take into account the uncertainties in the design and
22 the construction and the operations of facilities and
23 make sure that there's a high confidence in meeting
24 the overall safety objectives.

25 So that's there. That's a given.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Let me put up a back-up slide. It's the
2 last slide. It's number 33, if you could go to that.

3 CHAIRMAN GARRICK: Thirty-three?

4 MR. RUBIN: You don't have that.

5 That's the last page in your handout?

6 Okay, okay. It should be there, yes.

7 CHAIRMAN GARRICK: That's it. thank you.

8 MR. RUBIN: So going back to where we see
9 defense in depth, we want to make sure the
10 uncertainties are understood as best we can. If there
11 are large uncertainties, you would tend to have a
12 greater reliance on defense in depth, but you don't
13 want to eliminate defense in depth entirely. It has
14 always got to be there.

15 So when Chris' original flow diagram for
16 how you make risk informed decisions, there were other
17 factors that went into the decision. Defense in depth
18 is one. Uncertainty is another.

19 So going down to the bullet third up from
20 the bottom, considering uncertainties in decision
21 making, you need to look at the level of confidence
22 you're looking for. I'm sure you have redundancy and
23 diversity and independence to meet your safety
24 objectives. You need to look at the safety margins
25 that you've got in order to try to see how you're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 meeting risk guidelines and overall safety objectives,
2 and make sure you've got activities in each of your
3 facilities that provide defense in depth and safety.

4 It's hard to quantify, you know, to come
5 up with an algorithm, but certainly it is a very
6 important factor that goes into our decision making.

7 CHAIRMAN GARRICK: Yeah, and as I was
8 saying earlier, I think that the concept of defense in
9 depth was a very valid one and very much needed at a
10 time when we were far less sophisticated in dealing
11 with the world of uncertainty than we are now.

12 In the limit, you would think it would be
13 an antiquated concept because you would think that if
14 you really were knowledgeable about the uncertainties
15 and their sources that you would be in a position to
16 effectively quantify the different levels of defense.

17 And if you do that with great confidence,
18 then the concept becomes less meaningful, but --

19 VICE CHAIRMAN RYAN: I would guess that
20 the more that you go across the NMSS licensees and
21 activities, the smaller the facility, the less they
22 know about defense in depth. So there's a huge number
23 of licensees that don't have that reactor experience
24 of understanding that to the level of detail in the
25 reactor facility.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. RUBIN: Right, right. But, yeah, it's
2 a basic tenet of regulatory practice.

3 CHAIRMAN GARRICK: It is, and we're
4 keeping that.

5 MR. RUBIN: Right.

6 CHAIRMAN GARRICK: In the practice, in
7 terms of, you know, comparing reactors.

8 VICE CHAIRMAN RYAN: My point is I think
9 it's more important to keep it for the NMSS activities
10 than the reactors that are mature, but I'm not saying
11 you --

12 MR. RUBIN: I'm not sure I buy that, but
13 it's --

14 CHAIRMAN GARRICK: Well, I think it's a
15 matter of degree. I think that we should certainly if
16 we had made any progress in the world of quantifying
17 risk, we should be evolving to a position where there
18 should be much less dependence on the mystery of
19 defense in depth. The mystery should be disappearing.

20 MR. RUBIN: Whether you can actually
21 remove a physical barrier to release like a
22 containment, if you can assure that you really know
23 what your core damage frequency is and the reactor
24 analogy, you probably wouldn't go that route for
25 decision making.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN GARRICK: But the key point here
2 is not so much being for sure that you understand.
3 It's being for sure that you understand the
4 uncertainty, and that's what has to become the
5 defensible basis for depending less on a mystery of
6 safety safeguards, such as arbitrary defenses.

7 MS. WEINER: Actually you have a very good
8 recent example of the interaction between risk
9 information and defense in depth, and that was the
10 repeal, if you will, of 10 CFR 71.63, the double
11 containment provision.

12 We have a tremendous amount of information
13 now about releases and Type B containment and so on,
14 and the recent decision that we did not need the
15 double -- the double containment was an early defense
16 in depth concept, and double containment for
17 transportation packages of plutonium, and it has
18 gradually gotten limited to the point where it only
19 applied to transuranic waste, and now it's gone, and
20 it was -- this is a very good application, it seems to
21 me.

22 It may be inadvertent, but it's a good
23 application of risk information.

24 MR. RUBIN: And there may be applications
25 that we can use now even with our current

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 understanding of risks. If we look at, you know, risk
2 guidelines and if we had estimates of risk that were,
3 you know, orders of magnitude below what are some of
4 the proposed risk guidelines, even with large
5 uncertainty, you're still going to be assure of
6 maintaining safety.

7 So you make decisions in uncertainty and
8 then maybe really, you know, get some relief on the --

9 CHAIRMAN GARRICK: We're getting into a
10 time crunch here.

11 MR. RUBIN: Okay. I'm sorry. Let's
12 continue on then.

13 CHAIRMAN GARRICK: Even though we're the
14 reason for it.

15 MR. RUBIN: The last question has to do
16 with, you know, if we go and implement some risk
17 guidelines in materials and waste arenas, how
18 consistent they should be with the reactor safety gold
19 arena, and you're aware the reactor safety goals cover
20 public and acute latent cancers, and we are proposing
21 guidelines, additional guidelines for materials in
22 ways that cover workers and injury guidelines.

23 And there are some reasons. There are
24 some really good reasons why there are differences,
25 and I think we talked about some of them. So we don't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 think that because, for example, that we're looking at
2 having guidelines for workers and materials and waste
3 activities that that would necessitate doing something
4 similar in the reactor arena.

5 So there are legitimate reasons for, you
6 know, differences in facilities and operations and
7 risks that we understand or we think we understand.

8 CHAIRMAN GARRICK: Yeah, you would think
9 that there would be a set of principles at which there
10 was complete consistency, and then beyond that it
11 becomes a matter of implementation and how you do it,
12 and there's going to be differences at that level.

13 MR. RUBIN: So our approach right now is
14 to have, you know, a similar kind of guidelines for
15 public risk in terms of acute and latent cancer
16 fatalities, a tenth of a percent as an approach, to
17 have risk guidelines and you look at --

18 VICE CHAIRMAN RYAN: Do any logical
19 groupings fall out of across all NMSS activities?

20 MR. RUBIN: In terms of?

21 VICE CHAIRMAN RYAN: Grouping different
22 standards for reactors or are there different
23 standards within the whole span of NMSS?

24 MR. RUBIN: When you say "different
25 standards"?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 VICE CHAIRMAN RYAN: Well, your last
2 question, how consistent should they be.

3 MR. RUBIN: Oh, oh, oh.

4 VICE CHAIRMAN RYAN: When you just say how
5 consistent should they be across all of NMSS
6 activities, I'm thinking of somebody that has a tiny
7 source that does a little bit of something with it
8 versus somebody that has a 10,000 curie broad scope
9 license. That's a real difference.

10 MR. RUBIN: Yeah, I thought that was what
11 we talked about, one of the earlier issues. Should
12 you have some uniform risk guideline across the
13 spectrum of NMSS' activities?

14 VICE CHAIRMAN RYAN: Well, I'm picking up
15 on John's point. In principle, yes, but in
16 implementation, all detail and requirements I would
17 think would be a little bit more rigorous for the
18 10,000 curie broad scope licensee rather than a tenth
19 of a millicurie-something licensee.

20 Am I making sense?

21 MR. RUBIN: I guess I'm not sure I
22 understand exactly what the question is.

23 MS. LUI: Well, let me try to help. One
24 of the work that we're currently pursuing is looking
25 at all available risk studies out there where we can

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 get the available risk information for the broad
2 spectrum of NMSS activities. At some point I think we
3 will be ready to show you where the different
4 activities stand.

5 We have some preliminary information at
6 this point. However, we're not ready to really
7 present that information yet because there's still
8 work yet to be done.

9 VICE CHAIRMAN RYAN: Okay.

10 MR. SMITH: Well, I can say that at least
11 within the industrial, medical, and nuclear safety
12 area, when they did 6642, they divided their area up
13 into 40 rough bins of types of licensees, and even at
14 a very broad definition of these different types of
15 licensees, there were 40 different types.

16 So then you have the other three divisions
17 to worry about. So even if you stated that high a
18 level and start breaking that down into facilities
19 that involve maybe half a dozen employees up to the
20 ones that involve 1,000 or so employees, if you kept
21 it at the high level that IMNS did, they still came up
22 with 40 different systems.

23 VICE CHAIRMAN RYAN: It still becomes a
24 continuum.

25 MR. SMITH: Yes, correct.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 VICE CHAIRMAN RYAN: All right.

2 CHAIRMAN GARRICK: I think you'd better
3 jump to the conclusions.

4 MR. RUBIN: Let me move on. Just very
5 briefly for these last two slides we'll go very
6 quickly.

7 Path four, what we intend on doing, we've
8 developed some draft documents for specific steps in
9 the risk informing process. We're going to
10 consolidate those into one document and then prepare
11 a Commission paper in September of this year.

12 We would appreciate again any input we get
13 from this committee on anything we discussed today,
14 and we will incorporate that in our guidance as we go
15 forward to the Commission.

16 And over the next two years what we will
17 be proposing is to have some limited work on a case-
18 by-case basis to gain experience with some of the
19 informed activities and the use of proposed risk
20 guidelines.

21 Summary and conclusions. They have had a
22 lot of accomplishments so far that have gone on in the
23 last couple of years. We've developed the post
24 framework with working with Research and NMSS and risk
25 guidance for risk informed decision making at NMSS.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 That's a large step forward, I think.

2 We developed draft accident risk
3 guidelines for both public and the workers in
4 materials and waste activities. We completed two
5 pilot studies that you've heard about and gave some
6 insights from those.

7 And we identified as a recommendation a
8 number of key issues that we talked about just a
9 little earlier.

10 CHAIRMAN GARRICK: One of the things that
11 I'd like to certainly see is more examples and more
12 pilot studies of things that are more in the
13 mainstream of the issues of decommissioning and waste
14 associated with NMSS activities.

15 For example, I don't know that we learned
16 very much from the case of the dry storage
17 probabilistic risk assessment about the real problems
18 facing NMSS, but I think we would learn a lot if you
19 used as a pilot something like Sequoia fuels or some
20 aspect of West Valley, where it really crosses all of
21 the issues just about that NMSS is involved in.

22 The spent fuel storage is too much like a
23 spent fuel risk assessment or partial reactor risk
24 assessment. It doesn't really have the
25 characteristics of a Sequoia fuels cleanup or a West

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Valley cleanup. Some components of those would really
2 be, I would think, very attractive opportunities for
3 implementing what you're trying to do here.

4 I don't know how the rest of the committee
5 feels.

6 MS. WEINER: I think that's a very good
7 point, especially if you take something like West
8 Valley, which covers a wide range of risks and of
9 applications really.

10 VICE CHAIRMAN RYAN: If you picked
11 something, too, on the lower end of things and look at
12 the area where you do have a lot of input, which is
13 the industrial radiography, I mean, that would be an
14 interesting example to kind of track through your
15 process and see how that shakes out.

16 CHAIRMAN GARRICK: All right. Well, any
17 other parting questions or comments from any members?
18 Go ahead, Jim.

19 MR. LARKINS: Just to follow up on what
20 John said about other examples, in the remediation
21 area there's a term that's being kicked around that's
22 probably not a good term, but it's called risk
23 balancing, and it strikes me that one of the things
24 where we can really be risk informed is not only in
25 deciding what we should do at these sites, but how we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 should do it.

2 And for example, it strikes me that we
3 often put people in protective equipment to mitigate
4 one risk, thereby possibly increasing another risk,
5 and I think that's ripe for some analysis as well. I
6 have found very little data on that.

7 CHAIRMAN GARRICK: Yeah.

8 MR. LARKINS: But if you put someone in
9 Level A protection, let's say, to mitigate a probably
10 very low risk of radiation, you probably increase
11 their risk of falling into a trench or even hit by a
12 backhoe, some of these things as well.

13 So it may not be an area you're that
14 interested in right now, but this whole topic of how
15 do you balance certain kinds of risks against other
16 kinds of risks to make the best decision, ecological
17 risk, worker risk, remediation risk, community human
18 health risks. All of these different kinds of risk I
19 think is a n area that's very ripe.

20 CHAIRMAN GARRICK: Any other questions
21 from staff?

22 VICE CHAIRMAN RYAN: Thanks for a thought
23 provoking presentation.

24 CHAIRMAN GARRICK: Yeah, thank you. And
25 you really did turn the tables on us.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MCKINNEY: This is Chris McKinney. I
2 wanted to do one clarification, which was on critical
3 groups in that there had been a statement earlier that
4 critical groups are automatically unrealistic, and to
5 say that there is no guidance that says we have to use
6 unrealistic. Waste management and probabilistic is
7 trying to get as realistic as possible with our
8 scenarios, and in fact, the international community is
9 much, much more realistic for operational settings
10 than NRC does, and just to clarify that than that
11 previous statement.

12 CHAIRMAN GARRICK: Well, the concept of
13 conservatism has no meaning unless you know something
14 about realism, and that's kind of been our point. You
15 need to somehow establish a reference against which to
16 decide how much conservatism makes sense, and if you
17 keep the whole issue in a fuzzy state because of
18 conservatism, you're not in a position to do that.
19 You're not in a position to calibrate conservatisms.

20 This committee has spoken to that for
21 several years.

22 Okay. Thank you very much. That was
23 excellent and keep it up. We look forward to hearing
24 from you again and some more good examples and
25 experiences, and we will be talking to you soon.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We'll take a 15 minute break. We will not
2 need the recorder after this break.

3 Thank you.

4 (Whereupon, at 4:50 p.m., the meeting was
5 concluded.)

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25