

Official Transcript of Proceedings

**NUCLEAR REGULATORY
COMMISSION**

Title: Advisory Committee on Nuclear Waste
156th Meeting

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Tuesday, December 14, 2004

Work Order No.: NRC-141

Pages 1-186

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON NUCLEAR WASTE

(ACNW)

156TH MEETING

+ + + + +

TUESDAY,

DECEMBER 14, 2004

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

The Advisory Committee met at 8:30 a.m. in Room T-2B3 of the Nuclear Regulatory Commission, Two White Flint North, 11545 Rockville Pike, Dr. Michael T. Ryan, Chairman, presiding.

COMMITTEE MEMBERS:

MICHAEL T. RYAN, Chairman

ALLEN G. CROFF, Vice Chairman

JAMES CLARKE, Consultant

WILLIAM J. HINZE, Consultant

RUTH F. WEINER, Member

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

ACNW STAFF PRESENT:

NEIL M. COLEMAN

JOHN FLACK

LATIF HAMDAN

HOWARD J. LARSON

MICHAEL LEE

RICHARD K. MAJOR

C-O-N-T-E-N-T-S

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

AGENDA ITEM:	PAGE:
Opening Remarks by ANCW Chairman	4
Agreement States Program	5
<u>Sealed Sources (Open)(AGC/RKM)</u>	80
The Committee will hear from representatives	
of the NRC Staff, DOE, State of Maryland	
Department of Radiation Protection and other	
stakeholders on recent activities related to	
the control and tracking of sealed sources	
Adjourn	186

P-R-O-C-E-E-D-I-N-G-S

(8:32 a.m.)

CHAIRMAN RYAN: The meeting will come to order. This is the second day of the 156th meeting of the Advisory Committee on Nuclear Waste. My name is Michael Ryan, Chairman of the ACNW. The other members of the committee present are Alan Croff, Vice Chair and Ruth Weinberg. Also present are consultants Jim Clarke and Bill Hinze, although Bill is getting -- oh, that's right, they're getting their badging process done this morning, so that's why they're not with us. We'll continue on.

During today's meeting, the committee will receive an update from the Director Office of State and Tribal Programs on recent activity in his office, Paul Lohaus is with us. Also one of his staff folks, John Zabko, is with us as well. Good morning to you both. We will also discuss draft prospectus documents for proposed 2005 working group meetings and we'll hear from representatives of the NRC staff, DOE and the State of Maryland, Department of Radiation Protection, and other stakeholders on the recent activities related to the control and tracking of sealed sources and we'll discuss proposed ACNW reports.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

1 Is Neil Coleman, the Designated Federal
2 Official for today's session? Yes? You are, okay,
3 great. The meeting will be conducted in accordance
4 with the provisions of the Federal Advisory Committee
5 Act. We have received no written comments or requests
6 for time to make oral statements from members of the
7 public regarding today's sessions. Should anyone wish
8 to address the committee, please make your wishes
9 known to one of the committee staff.

10 It is requested that speakers use one of
11 the microphones, identify themselves and speak with
12 sufficient clarity and volume so that they can readily
13 be heard. We also ask that visitors sign in on the
14 sign-in sheets that are behind the pillar just behind
15 me. Without further ado, Paul, welcome and thanks for
16 being with us this morning. Good to see you.

17 MR. LOHAUS: Thank you very much, Mike.
18 It's a pleasure to be with you. I had the opportunity
19 to meet with you before and we really appreciate the
20 opportunity provided. What we thought we'd do today
21 is provide a broad overview on the Agreement State
22 Program, talk about some -- maybe highlight some of
23 the recent program activities and one of the areas
24 that John Larkins and Howard had identified was our
25 oversight program for the Agreement States, so we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 thought we'd spend maybe some additional time and talk
2 about our integrated materials performance evaluation
3 program.

4 And I asked John Zabko to join me today.
5 John's a health physicist in my office and he's the
6 project manager that has overall responsibility for
7 the agency's program, so I thought it would be a good
8 opportunity for you all to meet John and an
9 opportunity for John to meet you all. So he's going
10 to be sharing the presentation today.

11 What I prepared today is a short three-
12 pager which I'll talk from and as we go through, if
13 there are any questions or any areas that you'd like
14 to stop and talk about in more detail, any areas that
15 aren't on here that you'd like to talk about, please
16 stop me and make sure that we have an opportunity to
17 talk about this because I want to make sure that any
18 questions you have or any areas that you'd like to
19 talk about, that we have an opportunity to cover that.

20 But if you'd turn to the first page,
21 background information on the Agreement State Program,
22 if you look at the first bullet, I'm going to sort of
23 start with this historical perspective. But in 1959
24 the Atomic Energy Act was amended at state request and
25 added a new section, Section 274 entitled "Cooperation

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 with States" and that was a fairly significant action
2 in that prior to that time all of the Atomic Energy
3 Act materials were under Atomic Energy Act
4 jurisdiction. What this did is it provided a role for
5 the states.

6 Move onto the second item. What the Act
7 provides is that when a state is ready, the NRC will
8 discontinue and the state will assume regulatory
9 authority of the Commission over certain materials,
10 what I refer to as the byproduct source in small
11 quantities of special nuclear material. And an
12 important aspect here is, this is not a delegation,
13 similar to what you may be familiar with, with respect
14 to EPA programs. In this case NRC is actually giving
15 up authority. It's a relinquishment and the state is
16 assuming authority under independent state laws. And
17 that's an important distinction that we have in the
18 Agreement State Program that you won't see in other
19 federal/state programs.

20 The governor must request the agreement,
21 must certify that the state has a program that's
22 adequate to protect public health and safety. The
23 Commission must make findings also that the program is
24 adequate to protect public health and safety and also
25 compatible with NRC's program. The relinquishment of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 authority is done through a formal agreement document.
2 That's where the term "Agreement State" comes from.
3 Under the Act and under the agreement, the Commission
4 does retain authority in specific areas; regulation of
5 reactors, large special nuclear material users, the
6 import and export of material, high level waste
7 disposal, oversight of federal facilities.
8 Authorizing distribution of materials to persons
9 exempt from licensing is another area that's reserved
10 to the Commission. So there are several areas that
11 NRC retains continuing jurisdiction, and one of these
12 is the protection of common defense and security.

13 It's always important, I think, to
14 recognize that -- moving on to eighth item, that the
15 states also regulate in areas that are broader than
16 the authority assumed under the agreement. They have
17 responsibility for X-rays, naturally occurring
18 materials and have what they refer to as comprehensive
19 radiation control program. In other words, they deal
20 with Atomic Energy Act materials, X-rays, naturally
21 occurring materials, lasers, non-ionizing radiation,
22 across the board, fairly broad programs.

23 Today there are 33 Agreement States. They
24 regulate about 17,000 license. NRC regulates about
25 5,000. There are two states currently active in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 negotiating agreements. Minnesota, we expect the
2 Minnesota agreement to be effective in the September
3 timeframe of this year and Pennsylvania is also active
4 and their current schedule has them becoming an
5 Agreement State in the late 2007 timeframe.

6 CHAIRMAN RYAN: September 2004, does that
7 mean they are an Agreement State now or they're --

8 MR. LOHAUS: They will be. The current
9 schedule, Mike, is the agreement would be effective in
10 September 2004. We have an application from the
11 governor that's under review and our next step would
12 be to publish that for public review and comment.

13 CHAIRMAN RYAN: We're passed 2004,
14 September though.

15 MR. LOHAUS: Oh, thank you, yes.

16 CHAIRMAN RYAN: 2005?

17 MR. LOHAUS: 2005.

18 CHAIRMAN RYAN: Okay, great.

19 MR. LOHAUS: Thank you.

20 CHAIRMAN RYAN: All right, I didn't want
21 to rush into it if we weren't ready.

22 MR. LOHAUS: Thanks, yes.

23 CHAIRMAN RYAN: And Pennsylvania is a
24 limited Agreement State now for the purpose of
25 regulating low level waste if I understand.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LOHAUS: They explored that at one
2 time.

3 CHAIRMAN RYAN: I'm sorry, could you
4 explain Pennsylvania's status a little bit for us?

5 MR. LOHAUS: Sure, going back, maybe --
6 this probably went back maybe seven, eight years,
7 Mike, they had an interest. They did a Part 61 Rule.
8 They had an application to become what's called a
9 limited Agreement State which would be they would have
10 taken on authority for only the low level waste
11 disposal facility licensing. They chose not to pursue
12 that and subsequently chose to go for a full agreement
13 and they did give us a draft application about two
14 years ago. We reviewed the draft application, gave
15 them comments and they're presently working on
16 preparing a final application, getting people in
17 place, getting the regulations finished, getting the
18 program description done and looking to submit an
19 application in the near future. We don't have a date
20 from them yet, but they are working getting their
21 people in place. That's one of the key items that
22 will trigger them submitting an application.

23 CHAIRMAN RYAN: Just for my own
24 information, does a state have to have rules and
25 legislation in place and completed prior to getting

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the agreement status or can that be a contingent
2 issue?

3 MR. LOHAUS: There is no contingency
4 ability. You need to have a set of legislation and
5 statutes in place that would enable the program, have
6 regulations in place that are compatible with NRC's --
7 basically, the program's got to be a complete program
8 including all of the necessary procedures, licensing,
9 inspection procedures, statutes, regulations.

10 CHAIRMAN RYAN: Yes, thank you.

11 MR. LOHAUS: Several other states --
12 moving on to the 11th item there, several other states
13 have interest in achieving agreement status;
14 Connecticut, Michigan, and recently New Jersey as
15 well. If you look historically, I think this is an
16 important aspect, looking at the program over the past
17 10 years. There's been some rather significant
18 changes that have taken place what I would almost term
19 a re-engineering, if you will. There's two new policy
20 statements that provide the underpinnings for the
21 program.

22 There is the Statement of Principles and
23 Policy for the Agreement State Program. There's also
24 a new policy statement on adequacy and compatibility
25 of Agreement State programs. One of the areas where

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we had experienced a fair amount of difficulty in the
2 past from a scheduling standpoint was processing of
3 new agreements. And we took a look at the past
4 experience and reflected that into a new procedure
5 which is the state agreements, SA-700 State Agreements
6 Procedure processing an agreement and basically what
7 that does, it provides a road map for a state.

8 And significantly, what we did is we -- if
9 you look historically, there were multiple iterations
10 that we would through with a state. We'd look at a
11 preliminary draft application. We'd look at a draft
12 application, sometimes we'd look at a third iteration.
13 We'd look at a final application and what we did is we
14 streamlined the process to have a two-step review
15 process. We'd review a draft application, provide a
16 set of comments to the state on that draft application
17 and then get a final application from the governor, so
18 there's a two-step review process and we do a detailed
19 review on the final application.

20 And in the last several agreements that
21 we've done that have really helped, that has expedited
22 the process, it's reduced the level of resources that
23 the states had to devote to preparing their program
24 description. It's also reduced the level of resources
25 that the agency devoted to processing of new

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 agreements. And coming back to your question, Mike,
2 if you're interested, that procedure basically ties
3 everything together, has a set of criteria that we use
4 for judging the adequacy of each of the program
5 elements, both the statutes, the regulations, all of
6 the various elements in the program, and also provides
7 good guidance to the state in terms of what they need
8 to include in their application to be in a position to
9 meet the criteria that are there. We found that
10 that's really what helped us a lot.

11 CHAIRMAN RYAN: Has that kind of then
12 filtered into your follow-up in checking Agreement
13 State programs and a lot of oversight and so forth?

14 MR. LOHAUS: Yes, it does. As a matter of
15 fact, that's a great lead-in. If you'd move onto the
16 second page, the first bullet at the top, the -- sort
17 of in parallel, we also developed a new review
18 program, the Integrated Materials Performance
19 Evaluation Program and both sort of fit each other.
20 If you look at what we do in processing a new
21 agreement, when you look at what we do in terms of the
22 review program for existing Agreement States, there's
23 good parallel and good consistency between the two.

24 In other words, if you were to take a new
25 Agreement State and do a review against the impact

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 program, that program should come out fully
2 satisfactory in meeting all the review criteria in the
3 Management Directive. So there's good parallel
4 between the two and John's going to come back and talk
5 further about the IMPEP program.

6 CHAIRMAN RYAN: Great.

7 MR. LOHAUS: One of the other areas of
8 change and I think this is a very positive area, has
9 been increased opportunity and involvement of the
10 Agreement States in NRC activities. That procedure
11 that sets that out is Management Directive 6.3.

12 There's a number of other staff procedures that tier
13 off of that Management Directive but what it does, it
14 provides for the establishment of working groups.
15 You've probably seen or had presentations by some of
16 the different working groups, but what this does, it
17 provides an opportunity for state staff and NRC staff
18 to work together, take the expertise that we have
19 within the staff and put them together and what we
20 find is, we're getting better products, there's better
21 acceptance on the part of the states for those
22 products in terms of their having the opportunity to
23 participate in developing the products and it also
24 provides for a sharing of the resources that are
25 needed to develop those products and we interact very

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 closely with the Organization of Agreement States in
2 the Conference of State Radiation Control Program
3 Directors in the establishment and the use of the
4 working groups.

5 If you look at any one point in time,
6 there may be anywhere up to 20 or so working groups
7 that are in place. For example, a good example is the
8 working group that's working on the trading and
9 experience criteria for Part 35. There's -- it's a
10 good mechanism that we have. One of the other things
11 I thought we'd highlight is, if you look over the
12 program and look where we are today, you're going to
13 see increased Agreement State involvement in the
14 administration of the program.

15 There's an Organization of Agreement
16 States, it used to be sort of an informal coalition.
17 They're now an incorporated organization. They have
18 a board of directors, elected leadership. They serve
19 as a representative organization for the Agreement
20 States collectively. State staff participate on our
21 review teams for the Integrated Materials Performance
22 Evaluation Program, so we have peer reviews and as
23 John is going to talk, those reviews are done
24 uniformly, both for our regional programs and for the
25 state programs. So you have the state staff

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 participating with NRC staff applying a common set of
2 criteria in reviewing both what NRC is doing in terms
3 of its materials program implementation and what the
4 states are doing in their Agreement State programs.

5 I mentioned earlier the participation on
6 working groups. I think this has been very effective
7 and since 1997, the states have taken the lead on the
8 annual Agreement States Meeting. Prior to that time,
9 it was really an NRC meeting. Today, if you look at
10 the meeting, it's truly a meeting of the Agreement
11 States. NRC continues to actively participate, but
12 it's truly a meeting of the states that they run, they
13 host the meeting, they work the agenda with us and
14 really take the lead in setting that meeting up and
15 carrying that meeting out.

16 The last item I've highlighted here and
17 this has been an area of concern and I think continues
18 to be an area of concern for the states but it was a
19 tough decision the Commission made but the right
20 decision, is that we stopped funding of Agreement
21 State training. In the past, what we did is we
22 provided both tuition cost and travel and per diem
23 cost reimbursement to states for attendance of NRC
24 training courses. Given fee equity concerns, you have
25 NRC licensees that were covering the costs for that,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the Commission chose to change that and place
2 responsibility on the states, which I think is
3 rightfully a responsibility they have, to train and
4 qualify their staff. They still actively participate
5 in NRC's training courses, but they do pay tuition and
6 they do pay their travel and per diem for attendance
7 at that training. So it's a responsibility that
8 really the states have to train their staff comparable
9 to the responsibility that NRC has to train its staff.

10 Move on to the 13th item, I wanted to talk
11 a little bit about the National Materials Program.

12 And maybe the first point to emphasize is in many
13 cases we talk about the National Materials Program as
14 being a future program or a future state of the
15 program and to me, the National Materials Program is
16 a program that's in existence today. It's basically
17 what is represented by NRC and the collective
18 Agreement State programs. It's not a static program.
19 It's an evolving program. You're going to see the
20 program continue to evolve.

21 For example, Agreement State participation
22 in working groups and participation in helping develop
23 regulations and guidance is an evolution in the
24 program. As the number of states increase, the role
25 and responsibility for the states in helping maintain

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the infrastructure of regs and guidance is going to
2 continue to increase commensurately. So what we have
3 today is the collective program and that program will
4 continue to evolve as we go forward.

5 I've highlighted a recent SECY paper 04-
6 215. We recently completed a series of pilot projects
7 in looking at National Materials Program issues, the
8 ability of states to take on and address guidance
9 development responsibilities, further demonstration of
10 NRC and the states to work together in working groups
11 to produce products that can be used both by NRC and
12 the states and that paper provides a final report to
13 the Commission on the results of the pilot projects.
14 So if you have interest, you may want to take a look
15 at that paper.

16 CHAIRMAN RYAN: I think we would really be
17 interested in getting a copy or several copies
18 electronically, if we can, folks. Thank you. That
19 would be great.

20 MR. LOHAUS: Before I move onto the
21 Integrated Materials Performance Evaluation Program
22 and have John pick up, let me maybe stop here and see
23 if there's any questions or any areas that I may not
24 have covered. I mean, I know I've going through this
25 fairly quickly but I thought what I'd do is sort of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 give you a broad overview of where the program came
2 from, sort of where we are today, some of the current
3 issues the working groups, the National Materials
4 Program, but if there's anything in particular that
5 you'd like us to talk about further.

6 CHAIRMAN RYAN: Yeah, a couple of
7 thoughts, Paul, that you've stimulated; you haven't
8 mentioned the CRCPD, the Conference of Radiation
9 Control Program Directors. Do they still have an
10 active role and have suggested state regulations and
11 so forth?

12 MR. LOHAUS: Yes, they do. Very good
13 question. If you look to the states, there are really
14 two major state organizations; one I mentioned the
15 Organization of Agreement States. The other is the
16 Conference of Radiation Control Program Directors.
17 The Conference includes representation from all 50
18 states. All 50 state radiation control program
19 directors are represented in that organization. One
20 of their products and it's a very useful product that
21 Mike mentioned, are the suggested state regulations
22 and these regulations are developed to address the
23 needs of the entire program. In other words, they
24 don't just address needs that relate to the Atomic
25 Energy Act materials, but they also address needs

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 relating to X-ray regulation, regulation accelerators,
2 and other areas, lasers, for example, they have a
3 suggested state regulation that deals with lasers and
4 what the NRC staff does is work very closely with the
5 various suggested state regulations groups. There's
6 probably about maybe 15 or so of the groups assigned
7 responsibility for particular areas and we work very
8 closely with them.

9 For example, they have a group suggested
10 state regulation dealing with Part 35 and they will
11 work with the NRC staff to develop a comparable to
12 Part 35 that the states could then use as a model in
13 developing compatible or comparable state regulations.
14 They also have a Part 61, for example, equivalent rule
15 that they've developed and that provides a model for
16 the states to use for developing a waste disposal
17 licensing rule. They have a regulations dealing with
18 transportation, for example.

19 So it's a good active organization. They
20 have an annual meeting each year in the spring
21 timeframe. They have good support and participation
22 on the part of the federal agencies. It's a very
23 active organization.

24 CHAIRMAN RYAN: This may be a question
25 that you don't have an answer to but as you talk about

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Agreement States dealing with AEA, let's just stick
2 with materials for the moment, and perhaps non-AEA
3 materials like let's take NARM, Cobalt-60 or something
4 else produced by an accelerator, do you see that
5 coming together? There have been a couple of
6 initiatives that bring some non-AEA material under the
7 AEA which would then put it under NRC as an Agreement
8 State controls and I ask the question because when you
9 talk to the state folks, I quote Mike Mobley often who
10 said, "Uranium is uranium is uranium". I don't care
11 where it started, I mean, he regulates the radiation
12 risk. What's your thought on that? Where is that
13 going? What's the direction of that effort?

14 MR. LOHAUS: My sense is the direction is
15 that there will be, you know, in the future, a -- more
16 of a comprehensive aspect. If you look at the
17 Agreement States, they presently regulate the
18 naturally occurring and accelerator produced materials
19 comparably to how they regulate the Atomic Energy Act
20 materials.

21 CHAIRMAN RYAN: Same people, same regs,
22 same --

23 MR. LOHAUS: Same regs, same people, same
24 process, same inspections, and many of the non-
25 Agreement States have very active programs where they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 register, license and control those materials in a
2 very comparable way to how an Agreement State or NRC
3 regulates naturally occurring materials. There are
4 legislative proposals that have been considered and I
5 believe are still active that would provide for the
6 assumption of authority over discrete naturally
7 occurring and accelerated produced materials by the
8 Nuclear Regulatory Commission and again, this is an
9 item before Congress but I think there is support from
10 the states for moving forward in that area and we'll
11 have to see how that comes out in the next
12 congressional session, but there is legislative
13 initiatives to provide authority to NRC for discrete
14 NORM and discrete NORM materials.

15 CHAIRMAN RYAN: It's interesting when you
16 look at AEA material licensing in states, it's very
17 much a uniform sort of activity for all the reasons
18 you've mentioned, which, you know, are all very good
19 and well-planned reasons. If you look at say T-NORM,
20 it's all over the map from none to a lot. So and you
21 know, when you kind of think about risk informing all
22 of that, sometimes T-NORM is more important, perhaps,
23 than some AEA materials in terms of their relative
24 interest from a regulatory perspective, so it's
25 interesting to see that kind of shift continuing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 toward one voice for a risk informed view of
2 radioactive material.

3 MR. LOHAUS: Yes, and you know, mentioning
4 the conference earlier, one of the accomplishments
5 that they did recently was, they produced a regulation
6 that's Part N. They use letters for their rules, but
7 it was a regulation that was intended to address
8 naturally occurring materials. So they've taken the
9 lead to try and provide a model regulation that the
10 states could use in that area as well.

11 CHAIRMAN RYAN: Sure.

12 MR. LOHAUS: So it's a good initiative to
13 further that as well.

14 CHAIRMAN RYAN: I know, I serve on that
15 committee, so I understand it well.

16 MR. LOHAUS: Yes.

17 CHAIRMAN RYAN: Yeah, that's interesting.
18 Well, let me stop and see if there are other
19 questions. Yeah, Allen, Allen Croft?

20 MR. CROFF: You mentioned a regional
21 program and I wasn't clear what that was or how it fit
22 in.

23 CHAIRMAN RYAN: The NRC Regional Materials
24 Programs that we carry out, when we do our IMPEP
25 reviews, the IMPEP program or Integrated Materials

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Performance Evaluation Program, our review program, we
2 apply that program to the materials programs that are
3 carried out in the regions and the programs that are
4 carried out within the Agreement States. So what we
5 have is a process where the determinations that the
6 programs, whether it be an NRC program or an Agreement
7 State program, are being carried out in accordance
8 with the criteria that we have set out in IMPEP. So
9 if you look at our review program, we'll be going out
10 to a regional office. We look at their implementation
11 of NRC's materials program, how they're doing
12 licensing, how they're doing inspection, the staffing,
13 the training of that staff in a basically identical
14 way that we would look at an Agreement State program
15 and review that program. It's basically to provide
16 commonality in the criteria that are applied in
17 looking at the performance of the programs and in
18 judging the performance of the programs.

19 So we have the same process that's being
20 applied to NRC's materials programs as we apply to the
21 Agreement States.

22 MR. CROFF: Okay, so when you say
23 "regional program", it's NRC exercising its regulatory
24 authority in non-Agreement States.

25 MR. LOHAUS: That's correct, yes, that's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 correct.

2 MR. CROFF: Okay, that's what the name
3 sort of threw me.

4 CHAIRMAN RYAN: I think a friendly
5 amendment to that is also over its authority that an
6 Agreement State is not allowed to have in an Agreement
7 State greater than 350 grams of SNM and so forth.

8 MR. CROFF: Okay, I understand.

9 MR. LOHAUS: That's correct, yes.

10 MR. CROFF: Okay.

11 MR. LOHAUS: That's correct.

12 MR. CROFF: And you mentioned also a
13 policy statement on adequacy and compatibility. I
14 wasn't sure -- I guess what's the compatibility issue,
15 if you will? Is there a requirement that agreements
16 state regulations be compatible and sort of what does
17 compatibility mean?

18 MR. LOHAUS: That's an excellent question
19 and it's been a question of discussion from the
20 beginnings of the program and continues to be a
21 question of discussion but if you look statutorily,
22 NRC, the Commission is required to make two findings
23 for a state program initially. One is that they're
24 adequate to protect public health and safety and the
25 second is that the program is compatible with NRC's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 program. And basically the compatibility component is
2 a consistency. In other words, the program should be
3 consistent with NRC's program within certain bounds so
4 that you don't disrupt interstate commerce, you don't
5 create inequities between an Agreement State and the
6 NRC or a licensee within an Agreement State
7 jurisdiction and a licensee within NRC's jurisdiction
8 should be faced with the same level playing field, if
9 you will, and requirements. And obviously that's
10 balanced with the state's interest to have
11 flexibility, to address local preferences, to address
12 individual state legislative desires in terms of how
13 the program should be run within the state and that
14 policy statement provides basic ground level
15 definitions of what we mean by adequacy, what we mean
16 by compatibility and then sets the limits or bounds in
17 which the states can have flexibility and then we've
18 established a set of implementing procedures that
19 carry that forward, but the comparability component is
20 really the component of having, let's say uniformity
21 in the radiation protection standards across the
22 nation so you don't have one dose standard in one
23 state and another dose standard and --

24 MR. CROFF: So the states generally
25 approach their regulation or legislation and whatever

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in essentially the same way from state to state? You
2 know, if I went from Agreement State 1 to Agreement
3 State 2, would the regulations and whatever look
4 fairly similar or do they -- are they sort of all over
5 the map and they approach it in very different ways?

6 MR. LOHAUS: It's the former, but I'm
7 going to put the but in there, but, there is -- you
8 will find variation and that variation and one of the
9 responsibilities we have is to keep that variation
10 within the range of the criteria and the range of our
11 procedures.

12 And certain things are pretty easy. For
13 example, administrative procedures, the state may have
14 certain process steps that it would go through to
15 receive, review and issue a license. We leave a lot
16 of flexibility in that area to meet state preference.
17 However, for dose standards, for example, public dose
18 standards, occupational dose standards, concentrations
19 of material that would be acceptable for release under
20 the Part 20 concentration limits, those have to be
21 uniform and we work with the states and we review each
22 of their regulations and each of their procedures to
23 make sure there's uniformity in the dose standards.

24 So when you look at the state rules and
25 the state statutes in that area, you're going to see

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 very -- they're all going to be aligned along the NRC
2 standards, if you will; whereas if you looked at their
3 licensing procedures, you're going to see some
4 variation, a lot of variation from state to state.
5 And one of the responsibilities we have and as a
6 matter of fact, John, prior to his assuming IMPEP
7 responsibilities, had lead responsibility for us in
8 this area. We review each state rule change in draft
9 and apply our criteria to make sure that that rule is
10 within the bounds and then after the rule is
11 promulgated, we also review the final rule to make
12 sure it's within bounds and then during our integrated
13 materials performance evaluation program reviews,
14 that's one of the areas that's specifically reviewed.

15 We look at regulations and the other
16 program elements required for compatibility to make
17 sure that the program is within the bounds that it
18 should be. So we look at this initially for a new
19 Agreement State and then we look at this on a
20 continual basis after a state becomes an Agreement
21 State. And you will find -- as I noted though, you
22 will find some areas where the states are more
23 restrictive. For example, one area is the dose
24 standards for -- that are set out in the license
25 termination rule. In this case, that's more of a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 constraint, if you will, than an actual standard in
2 that the state does have flexibility in that case to
3 set a more stringent standard and you will find some
4 states that have set a decommissioning dose limit
5 that's lower than the 25 millirem limit that NRC has
6 and in that case, that's within the bounds of
7 acceptability, if you will.

8 But if you look for the occupational dose
9 limit, you'll find uniformity across the nation in
10 that area.

11 MR. CROFF: Okay, thanks.

12 MR. LOHAUS: It's a great question. I
13 mean, the areas of discussion and the pull and tug
14 that we have with the states in this area, it's an
15 area of tension and it's the flexibility versus the
16 uniformity question.

17 CHAIRMAN RYAN: Paul, you could probably
18 talk for an hour or more on just that one topic --

19 MR. LOHAUS: Yes.

20 CHAIRMAN RYAN: -- but there is a lot of
21 -- you know, having been a practitioner in South
22 Carolina, there's a lot of attention paid by states to
23 the regulations of the NRC and how they evolved. For
24 example, you know, as the chairman of the TARCC
25 Council, the Advisory Council in South Carolina, say,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 "Well, these are compatibility changes that the NRC
2 has made to regulations and here they are and, you
3 know, we're going to implement them through a rule
4 change and all of that", so it's very much a dynamic
5 process over the years to maintain that compatibility
6 and that's I think, one of the strengths of the
7 program.

8 MR. LOHAUS: Yes, yes.

9 CHAIRMAN RYAN: If you're in one Agreement
10 State or another, you have a pretty clear picture with
11 the exception of some of those finer details, perhaps,
12 of where you stand and what your requirements are.

13 MR. LOHAUS: Yes, yes.

14 CHAIRMAN RYAN: That's hard work to keep
15 that up.

16 MR. LOHAUS: Very much so, yes.

17 CHAIRMAN RYAN: Any other questions or
18 comments? Yes, for Paul?

19 DR. WEINBERG: For Paul. Something you
20 just said triggered a question. When a state sets a
21 standard that is within but more restrictive than the
22 federal, do you ask them for any kind of justification
23 or can they just do that?

24 MR. LOHAUS: We -- in those cases where
25 they set more stringent standards, we do like to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 understand the basis for that and if you look at the
2 policy statement and the criteria, there is a limiting
3 factor there. In other words, they cannot -- they
4 cannot set a standard that's not based on public
5 health and safety, environmental protection
6 considerations and they cannot set a standard that
7 would be so restrictive that it would preclude a
8 practice that's in the national interest. In other
9 words, if they set a standard that was so low that you
10 couldn't license let's say a particular kind of
11 activity within that state, that would put that out of
12 bounds under the policy and under our procedures.

13 And there is a limiting criteria, if you
14 will, that's there but yes, in those cases where the
15 state has a different requirement or procedures, we
16 ask the state to identify that and to provide the
17 rationale or reason why they chose to do that so we
18 have some basis for understanding for that.

19 DR. WEINBERG: Do you look at -- is there
20 in every state a particular state agency that does all
21 the Agreement State, all of the oversight -- sort of
22 oversight that an Agreement State does or is this
23 spread out among state agencies?

24 MR. LOHAUS: a great question because
25 that's another area of pull within the states,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 particularly today. To go back to the conference, the
2 conference has a resolution that they've passed where
3 they would like to see a central state radiation
4 control program or agency, a single agency that's
5 identified. And if you look at the states, the
6 majority of the states are operated by a single
7 radiation control program. That's sort of the term
8 that's use.

9 In many cases it's within the State Health
10 Department. In some cases it may be within the state
11 environmental group. In some cases it may be a
12 separate organization. For example, Arizona has an
13 Arizona atomic energy organization that reports
14 directly to the governor, if you will. Some programs
15 are operated by multiple agencies. And NRC's position
16 relative to organization, we do not dictate how a
17 state should organize. We leave flexibility. What we
18 want to make sure though, is however the program is
19 organized, that it's adequate, that there's clear
20 lines of communication among the various organizations
21 and the program is effective in terms of its
22 implementation and a couple of examples.

23 One is within the State of Texas, you have
24 two organizations. One organization has
25 responsibility for licensing a low level waste

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 disposal facility and handling the decommissioning
2 type actions. The other organization has the
3 responsibility for all the rest of the program. And
4 you will find programs such as that.

5 One program I'll highlight is the New York
6 State program. That program is actually, since its
7 inception, has been carried out initially by three
8 organizations and now by three separate -- excuse me,
9 four separate state organizations, but they interact
10 and coordinate well, and when we do our program
11 reviews, we review each of those programs and we pull
12 together an integrated bottom line, if you will, for
13 the entire state radiation control program. And the
14 states are wrestling with this today because there are
15 efficiency areas and some legislative initiatives what
16 are looking at improving state government performance
17 and in some cases they're taking the programs and
18 moving the responsibilities out and putting all
19 licensing activities within the State Department of
20 Health in one group, all inspection activities within
21 another as opposed to having a single radiation
22 control program.

23 And that's created some difficulties for
24 the states in terms of maintaining expertise and
25 training and understanding and transfer of knowledge.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Louisiana is a good example. They went through that
2 process, divided the program up and then recently they
3 brought the program back together as a central program
4 because of the benefits that they see for having that
5 central program and the expertise that's needed in the
6 radiation safety area that they lost that and they're
7 now back as a central program.

8 CHAIRMAN RYAN: What goes around, comes
9 around.

10 MR. LOHAUS: Yes.

11 CHAIRMAN RYAN: Okay, any other questions
12 for Paul? Thanks for that introduction, Paul. It's
13 a good tutorial on a very dynamic program.

14 MR. LOHAUS: John?

15 CHAIRMAN RYAN: John, take it away.

16 MR. ZABKO: Thank you very much for the
17 time to speak to you and I'd like to know about the
18 microphone. It's kind of sagging. Can you hear me
19 now? It might fall, but I'll play with it.

20 As Paul started, I will continue to give
21 you an overview of the IMPEP program instead of going
22 into specific details but if there are any questions
23 along the line, along the way, please stop me and ask
24 or you can ask after we're done or you can always
25 contact me in the Office of State and Tribal Programs,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 if you have an in-depth question that you'd like to
2 discuss. As Paul has said, we do review the state
3 programs and the regional programs and our authority
4 comes from Section 274(j) of the Atomic Energy Act
5 that allows us to go out and oversee the programs in
6 the Agreement States. It is a common process across
7 the United States. We do apply the same criteria to
8 regional -- NRC regional organizations as well as the
9 Agreement States. The same set of criteria with the
10 exception of common and non-common performance
11 indicators, which I'll get into later. Obviously, if
12 a state does not have a certain program element, we're
13 not going to inspect or look at that program element
14 in the state and the same thing in the regions.

15 Since the regions operate under the NRC
16 jurisdiction, they have the same regulations, so we
17 wouldn't be looking at their comparability aspect of
18 their program to the regulations. We would take that
19 away from that part of the review, and I'll cover that
20 a little bit farther down. We normally conduct
21 reviews every four years depending on the program, how
22 it's functioning. If we do see problems in the
23 program or potential problems, if that comes out in an
24 IMPEP review, we may schedule a shortened period as
25 the next impact report or impact inspection. That is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a decision made by the Management Review Board here at
2 the NRC based on the results from the IMPEP and it's
3 not a decision that's come to lightly. There's a lot
4 of debate and there's a lot of information gathered to
5 make that decision about cycling short a review or
6 going the full four years for good performance for a
7 program.

8 The reviews are scaled to size for the
9 different Agreement States and for the regional
10 offices. California and New York, New York, as Paul
11 mentioned, very big programs we send larger numbers of
12 people. Sometimes seven or eight people will go to a
13 large state. Usually it's around four, though, for a
14 small state with just your basic indicators that we're
15 looking at. And that normally -- a team normally
16 consists of a team leader, which is a senior NRC
17 person, either from the regions or from the Office of
18 State and Tribal Programs or from time to time an NMSS
19 person will go.

20 There are three to four other people that
21 go along with a team; one being an Agreement State
22 person. And the Agreement State person does provide
23 a very great service to us. We like to include the
24 Agreement States in this process, so it truly is a
25 nationwide, consistent and it's not just the NRC

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 dictating but it's a national program for the review
2 of these programs. They also can take -- the
3 Agreement State people can take the knowledge they
4 learned from looking at some of these other programs
5 in the United States, how they do things or maybe some
6 of the things are problems, where they can take that
7 back to their state so that they can enhance their
8 program and we do see the IMPEP program not only as
9 being an evaluation program but a learning process for
10 the United States and for all the Agreement States and
11 for the National Materials Program and I've already
12 touched on the makeup of the teams.

13 Common performance indicators, as I
14 indicated before, are things that all Agreement State
15 programs or the regions will share such as staffing,
16 status and materials of inspection program, technical
17 quality of inspections, technical quality of licensing
18 actions and the response to incidents and allegations,
19 these are things that all programs will have. So we
20 will get them in each review. I'll touch on a few
21 things of what make up each one of those but there are
22 -- each one consists of a lot of items but I'm just
23 going to touch on a few to make sure we understand
24 what each one is.

25 Technical staffing and training means does

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the program have enough people to do their job based
2 on their licensee load and are they trained
3 sufficiently. We don't really prescribe a training
4 plan for the Agreement States. We do give them a
5 model and we do have certain guidelines, but it's to
6 insure that people who are doing the inspections have
7 an adequate background to do the inspections that
8 they're doing.

9 Status of Materials Inspection Program,
10 obviously, different states have more or less
11 licensees. They need to have more or less inspections
12 taking place at different frequencies and are they
13 meeting those frequencies and are they compatible to
14 the NRC's inspection frequencies and are they being
15 done at a routine fashion and are the reports being
16 generated on a routine fashion and is the management
17 involved in that process, is the kind of things we
18 look at.

19 The technical quality of inspections, are
20 they inspecting what they -- what we think they should
21 be inspecting as a model program. Are they inspecting
22 medical licensees for items that we would normally see
23 them looking for in a medical licensee. Are they
24 inspecting radiators for the things we would be
25 expecting them to see there as well, so we have a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 standard across the United States. The technical
2 quality of licensing actions refers to things come in
3 when a licensee requests a license. Are they applying
4 the correct license conditions, are they applying the
5 correct limits. Are they applying the correct
6 financial assurance, things of that nature.

7 And respond to incident and allegations,
8 if there are incidents in the state is the radiation
9 program responding to those incidents? Are they
10 giving health physics support as they should and are
11 they following up on that and are they also reporting
12 to the NMED data base for information for the whole
13 country to use on trends analysis.

14 CHAIRMAN RYAN: Could you talk a little
15 more about that data base, please?

16 MR. ZABKO: It was set up to make sure
17 that as events happen in the United States they can be
18 reported to a central location and they can be grouped
19 and tracked and follow-up actions can be planned from
20 that. Each Agreement State does report to NMED based
21 on a certain criteria what event would trigger the
22 reporting level and during the IMPEP review, we do
23 make sure that they are using the NMED process.

24 And here at the NRC we do have certain
25 groups in NMSS that are -- that do track the system.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LOHAUS: This is an area that we put
2 a lot of increased focus on with the states because of
3 not only, you know, the significance of the events but
4 also the learning that comes from those events. In
5 other words, there may be an event that may take place
6 in one state. There may be a similar event in another
7 state and when you look at that, there may be a
8 generic safety issue or a generic issue with respect
9 to that particular event, procedure, or that
10 particular equipment, for example So we've put a lot
11 of increased focus on having the states report event
12 information to a common data base.

13 And if you look at this, how it's tiered,
14 the requirements for reporting events, those are
15 matters of comparability we talked about earlier and
16 those, the states have to require that their licensees
17 provide the same reports, immediate, 24-hour, whatever
18 the particular requirement is in terms of lost
19 material, overexposures, medical misadministration and
20 then there's a comparability requirement on the states
21 that that information that they receive is reported to
22 NRC and there's a contractor, INEEL, that maintains
23 the data base for the NRC but that provides a
24 collective set of event data for the nation.

25 CHAIRMAN RYAN: Is the examination of that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 data the trends and tracking part of something that
2 the Agreement State staff does here or do they report
3 to you or --

4 MR. LOHAUS: It's --

5 CHAIRMAN RYAN: -- or both?

6 MR. LOHAUS: -- both. States should be
7 doing the event analysis and this is one of the areas
8 we look at in terms of looking for root causes,
9 looking for root issues. NRC staff reviews the data
10 nationally and also INEEO does review that data and
11 does provide a quarterly report. They look at the
12 results of the trending and things of that nature.

13 CHAIRMAN RYAN: Would it be possible for
14 us to get a couple of quarters of that report, just
15 take a look?

16 MR. LOHAUS: Yeah, and what I'll need to
17 do is as John mentioned, the owner of this, if you
18 will, within the staff is within the Office of Nuclear
19 Material Safety and Safeguards Organization. It's a
20 work --

21 CHAIRMAN RYAN: No rush, but I think that
22 would be helpful. I think about over the years of
23 course, we know about radiography sources that are and
24 there are issues of being lost or lost down a hole and
25 those kind of things and sometimes, you know, cables

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 sticking and you get equipment information and all
2 that sort of stuff. It will be interesting to see
3 what some of the highlights of that event over time to
4 identify issues that you wouldn't maybe see otherwise.

5 DR. HINZE: Do you ever see events
6 happening by omission rather than by commission? In
7 other words, do you see an Agreement State that is not
8 reporting the same kinds of things that you're seeing
9 in the other states and there may be then an omission
10 in the reporting of the events or incidents?

11 MR. LOHAUS: I'm just thinking. I'm not
12 certain I've seen that. There certainly has been an
13 increased focus that we've put on this area that the
14 Commission has put on this area, particularly in terms
15 of looking at the control of material, looking at
16 incidents that result in overexposure and I mean, if
17 you look historically, industrial radiography in many
18 cases not following basic good health physics
19 procedure, having your survey meter turned on and
20 using it, and things of that nature, you know, not
21 picking up the end of a guide table, so there has been
22 learning there but I'm not certain I could identify an
23 area that's related to quote "omission" if you will
24 from that.

25 There generally has been, from my

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 experience, more of situations not following
2 established rules or established procedures or
3 process, if you will.

4 CHAIRMAN RYAN: I might add, Bill, too for
5 your benefit, being -- having been a licensee and an
6 RSO, in an Agreement State, very often the Agreement
7 State inspection of the state program involves visits
8 to licensees and in fact, very detailed review of the
9 states' oversight of a state licensee and I would
10 think that, you know, that could be focused on areas
11 of concern or issues and that probably it's still, you
12 know, what kind of licensee do we want to look at this
13 time? We've looked at this the last time or, you
14 know, that kind of planning goes into it, but that's
15 probably a check from the NRC's oversight that there's
16 actually, they kind of drill down into what the
17 state's looking at, at the licensees and they
18 interview the licensees, too. "How is the state
19 doing"?

20 So I think maybe you could talk about that
21 component.

22 MR. LOHAUS: Let me -- yeah, as a matter
23 of fact, you sort of triggered because I came at your
24 question more from the standpoint of looking at the
25 licensee, but from the standpoint of our oversight

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 program that's what I'm looking at. I apologize, but
2 the answer is, yes. There -- I mean, if you look at
3 the results of our reviews, this is an area we've
4 focused on, you will find when you look at the
5 indicator, a response to incidents and the reporting
6 part of that, that there are cases where there has not
7 been complete event information that was reported to
8 the state, reported to NRC.

9 DR. HINZE: Trends that you expect to see
10 and if you don't see that with the state, that
11 indicates something is open to further review and
12 inspection.

13 MR. LOHAUS: Yes, yes and our review
14 teams, and we've reinforced this through training,
15 we've reinforced this through the Management Review
16 Board meetings, reinforced this through our reports.
17 We're really pushing very hard, working with the
18 states to insure that whatever data is reported to the
19 state from their licensees, that they, in turn, make
20 sure that that data is reported to the NMED system and
21 any updated information because you may get the
22 initial report information but then you want to
23 understand what was the final outcome from that, was
24 there a root cause and was that event closed out and
25 particularly for a source that may be lost or stolen.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Do you want to track that through because in many
2 cases, they're found and you want to make sure that
3 that's identified within the NMED record, within the
4 reporting record so you understand that that source is
5 no longer accounted for, that it has been accounted
6 for and has been found and it's closed out in the
7 record so that is an area where we're continuing to
8 work with the states and they're being very
9 responsive. They're working as well, but there are
10 some cases you'll find where we've made comments and
11 recommendations to the state programs to improve and
12 insure that they're providing the complete information
13 to us.

14 John, I don't know if you have anything
15 further on this, but I think this is an area where we
16 have --

17 MR. ZABKO: Any other questions?

18 MR. COLEMAN: I recently spent some time
19 going through the NMED data base looking at one
20 specific topic, uranium hexafluoride incidents that
21 have been reported and it appears that some years ago
22 there was a change made because there were many
23 incidents of very minor releases and then I guess
24 starting five, six or seven years ago, there seemed to
25 be -- required more of a trigger for something to show

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 up in the data base. Could you comment on that? Was
2 a change like that made?

3 MR. LOHAUS: That's -- I apologize, that's
4 outside my area, field. What I might suggest is maybe
5 direct that question to the field cycle staff. I'm
6 just not aware of any change that may have been made
7 in the terms and the guidance that they provide for
8 reporting that type of information. And I can
9 certainly take the issue and follow up or if you all
10 want to maybe pursue that with the Division of Fuel
11 Cycle in NMSS.

12 MR. ZABKO: Part of this other on the five
13 common performance indicators of response of incidents
14 and allegations. The allegations we've checked
15 through also to see that they're following up and in
16 closing out and making the appropriate contact with
17 the allegers during and after any investigation to
18 make sure it matches the standard program and the
19 standard things that we'd like to see happen with
20 allegations.

21 The non-common performance indicators, as
22 I indicated earlier only apply to certain states and
23 for example, the license and program elements required
24 for comparability wouldn't apply to the NRC regions.
25 They're under the 10 CFRs. We wouldn't be looking at

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 their compatibility but we would in the Agreement
2 States because as Paul discussed, they do promulgate
3 their own set of rules that has to be compatible in
4 order to verify that they are keeping up on amendments
5 to the CFRs and that their baseline rules are
6 compatible to start with.

7 As you can go down the list there and see
8 that each one of those would be individual to certain
9 Agreement States. Sealed source and devices, all the
10 states do not have a sealed source and device partner
11 program, they can choose to or not to. The NRC
12 assumed responsibility for the Agreement State can in
13 their agreement with the NRC. The same goes for low
14 level radioactive waste and uranium recovery program.
15 We would not send a team member along to a state that
16 didn't have that part, nor would we consider that in
17 the program.

18 After the teams have done their onsite
19 part of the IMPEP review, they put together a draft
20 report and this is the first full report that gets
21 reviewed through the team and through the Agreement
22 State management. We give them a chance to respond to
23 anything that they see in the report and they have to
24 respond back to the NRC in 30 days with a draft
25 report. Prior to leaving the onsite portion of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 IMPEP, we do meet with staff and meet with the
2 management so the draft IMPEP report will not say
3 anything that they don't already know.

4 One of our biggest -- one of the program's
5 keys is too, there are no surprises during the review.
6 During the week there's constant interaction between
7 the team leader and the management of the state or the
8 region and the team members, so that as items come up,
9 they can either be dealt with, explained or the
10 threats are pulled deeper to find the root cause and
11 all that comes out in the draft reports and the states
12 should not see any surprises when they see that
13 report.

14 And they'll answer are either suggestions
15 for improvements or they will go through the report
16 and give other corrections, factual corrects or edits
17 that they need to have. Following that process, we
18 set the Management Review Board up to -- for NRC
19 management to evaluate the team's findings and to
20 allow officially the Agreement State or regional
21 supervision to come in and have the report presented
22 to them.

23 It's an independent board, as it states
24 here which makes the final determination of adequacy
25 and compatibility. Before the MRB, the MRB members do

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 not have any contact with the report or with the team
2 themselves with the exception of a cursory management
3 review from STP. Sometimes management and the state
4 trial programs will review the report just for
5 editorial or for program consistency but the idea is
6 to not influence the team's decisions. The team's
7 recommendations are the team's recommendations until
8 the Management Review Board reviews all the facts that
9 are presented during the meeting and makes a final
10 determination on each category of the common and non-
11 common performance indicators as we discussed earlier
12 and the overall program.

13 MR. LOHAUS: If I could interject here, to
14 me this is one of the strengths of the program and you
15 wouldn't see this in our past review program. And the
16 strength is, you have an independent review team with
17 a common set of criteria that are applied uniformly to
18 the states and to NRC and the team has the tough job
19 of applying those criteria in a very objective way and
20 making the hard call, does the program meet the
21 criteria or not meet the criteria and the Management
22 Review Board process provides ability to consider
23 factors outside of the objective review criteria.

24 Now, and I'll give you an example of that.
25 The strength is you've got an independent review team,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 comes in, does the review, comes in and says
2 objectively you look at this program, okay, what
3 program it is and whether you all were to look at it
4 with a criteria, I would or the MRB, everybody should
5 come out at the same point in terms of where that
6 program is. The Management Review Board, though, has
7 the ability to take other factors into consideration.

8 And an example is, one program, state
9 program, was well behind on inspections. The team
10 made the call, did not meet the criteria for
11 inspections but what had occurred is that state had
12 experienced a whole series of rather significant
13 incidents. They had diverted the staff that would
14 normally be doing the inspections to respond to,
15 investigate and follow up on those incidents,
16 obviously a greater health and safety area.

17 The Management Review Board took that
18 factor into consideration in looking at the program
19 from a totality standpoint. The team did the right
20 thing, made the hard call on the criteria but the
21 Management Review Board looked at it from a broader
22 perspective in terms of where is the greater health
23 and safety benefit, if you will, from that program, so
24 I think it's a strength that we have in the process to
25 have the multiple layers of oversight, if you will,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the team and then the review that's done by an
2 independent management review board and that
3 Management Review Board also includes an Agreement
4 State program manager that serves as a liaison to the
5 board. The individual is not a voting member, only
6 the NRC members are voting but you have a state
7 management perspective that's considered and factored
8 into the decision process both for a regional review,
9 for an NRC regional program review and also for a
10 state program review.

11 And maybe one final comment, you know, the
12 item here that talks about sharing the draft IMPEP
13 report, I think that's another important step. We did
14 not do that in the past. We do that under impact. We
15 give the region and the state program an opportunity
16 -- the team does, the review team does, an opportunity
17 to see the report. Again, it's part of communicating
18 and insuring openness and transparency in the process
19 and then the team has an obligation to consider any
20 comments that the program may have, factual comments
21 on the results of the review, what the program is
22 doing, things of that nature, not necessarily not on
23 the findings but on the factual correctness of the
24 report.

25 And the team has an obligation to do that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 within a 30-day timeframe was well. So 30 days after
2 the review, there's a draft report that's issued and
3 I think that's an important aspect. And John pays
4 very close attention to the timing. That's part of
5 his responsibility.

6 CHAIRMAN RYAN: Latif?

7 MR. HAMDAN: But this is done every four
8 years, right?

9 MR. LOHAUS: Or more frequently.

10 MR. HAMDAN: Or more frequently. So my
11 question is, what triggers a more frequent review? Do
12 you have reports that come to NRC from the state that
13 you review and that triggers, you know, maybe every
14 three years or four years or longer?

15 MR. LOHAUS: If you move down to Item
16 Number 22, John was going to talk about this, but
17 there's two things. One is the results of the IMPEP
18 review are considered by the review team and by the
19 Management Review Board and in those cases where a
20 program is experiencing performance difficulties, we
21 may go back in a year, we may go back in two years,
22 rather than four years. What we also do is between
23 the IMPEP reviews, we will go out and hold what we
24 call a periodic meeting with the state and one of the
25 focuses of the periodic meeting is to try and keep our

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 pulse on what's going on and if we see emerging
2 performance issues, or we see that they're getting
3 behind on inspections, that is briefed to the
4 Management Review Board and there's a conscious
5 decision, are there additional actions that NRC should
6 take in working with the state, either should we move
7 up the schedule on the IMPEP review, should we place
8 the program on monitoring which means we begin to have
9 calls with the state on a routine basis to see where
10 they are, "Are you catching up on your inspections",
11 et cetera and so that's used as a way to try and keep
12 our pulse on the status and what's going on between
13 that four-year timeframe.

14 MR. HAMDAN: I can see that when NRC gets
15 involved and does a review, you know, the job is done.
16 The question I am thinking about while you were
17 talking is, are there signals or flags or thinks, you
18 know, reports that the Agreement States sent to you
19 that triggers these meetings other than the regular
20 review period of four years?

21 MR. LOHAUS: We have the ability, if we
22 gain knowledge through program discussion, maybe the,
23 you know, program -- discussion with the program
24 manager or discussion with the program to identify an
25 issue such as that and take it into the MRB. I've not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 seen a case where we've done that. The focus has
2 generally been coming out of the periodic meetings but
3 there is routine interaction. I mean, there's daily
4 routine interaction that not only myself and my staff
5 have but also the regional staff have with the states
6 every day. And if we see issues that are coming up,
7 those issues are going to be -- we're going to pursue
8 those issues between the IMPEP reviews. We have the
9 ability to do that. I'm just not aware of any cases
10 where we've done that. We've put states on monitoring
11 and increased our contact with them in a more formal
12 way based on that kind of feedback during the periodic
13 meetings but not necessarily, at least that I'm aware
14 of let's say a routine phone call, if we will, but we
15 have the ability to do that.

16 CHAIRMAN RYAN: I think if you took a
17 subject, for example, the use of let's say RESRAD as
18 a code that's used in regulatory decision making. You
19 know that came out of Argonne National Laboratory and
20 you'll see an awful lot, at least I have,
21 communication among state agency folks, you know, one
22 Agreement State to the other, "How did you do this",
23 or "What was your approach to that". As well as to
24 the NRC staff. So the two organizations that Paul
25 mentioned, the Organization of Agreement States and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 probably more the CRCPD on the technical
2 implementation type of stuff, you know, RESRAD and
3 other tools that might be out there, you'll see states
4 talking to each other because of the commonality
5 that's offered through the Agreement States Program
6 because they know they work under the same rules so
7 it's easy to say, "How did you do this"? So I think
8 you'll get a lot of that sort of proactive
9 communication, not just on when problems occur and
10 that I think is a helpful source of information of
11 this type.

12 MR. LOHAUS: Yes.

13 MR. ZABKO: We've touched on a lot of the
14 things that up till 23 but I'll just cover them to
15 make sure we go through them. The regional or state
16 management are invited to the MRB for their
17 participation and so they can hear the debate that
18 goes on at the MRB which is also very enlightening for
19 the program.

20 Out of the MRB will come an Agreement
21 State -- for an Agreement State will become a decision
22 on the adequacy or compatibility for that -- for that
23 program, compatibility, again, being the statutes and
24 rules and other program elements required for
25 compatibility that you wouldn't see in the NRC regions

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 which is the next one, in a region that we'd only say
2 they were adequate.

3 a sample MRB team would be listed for you
4 in 21. The Deputy Executor for Materials, Research
5 and State Programs, Director of Office of Nuclear
6 Material Safety and Safeguards, Director of Office of
7 State and Travel Programs, a number of -- the General
8 Counsel and the Agreement State Program manager from
9 one of the Agreement State Programs.

10 Again, we talked about periodics, the
11 periodic Agreement State meetings do take place in
12 between the IMPEPs or any time that we do sense a
13 program need for a periodic. Procedures that we go
14 through to help an Agreement State get back on track
15 if they are -- if we do notice program issues. a
16 letter accompanying the final impact report is issued
17 to the state management with recommendations.
18 Normally, you know, there will be one or two
19 recommendations out of each impact report. I've seen
20 some with none, I've seen some with more, but on the
21 average one or two specific items such as what to do
22 -- we'd suggest something in your licensing or we'd
23 suggest something to help you complete your
24 inspections on time. And they are just -- they're not
25 prescriptive but they are enough to bring attention to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the goal we want to have achieved and maybe a
2 direction to point them into to increase their
3 performance.

4 And then as you see, the next listed there
5 are in order of severity. As a state exhibits
6 programmatic problems we start with monitoring which
7 is the least oversight mechanism here at the NRC
8 which, as Paul mentioned, is just periodic calls to
9 the state, "Are you caught up on your inspections, are
10 you hiring new staff, how is the budget going that
11 you've said during the IMPEP was impacting your
12 program", things like that and that's done from the
13 regional state Agreement State Officer and the
14 Agreement State Officer here at STP. They combine
15 along with STP management to conduct those meetings.

16 The next one up is heightened oversight
17 which is more formal, which is -- we're asking for a
18 program improvement plan. We check that program
19 improvement plan. The calls are scheduled more
20 frequently and more answers are requested from the
21 state as specifically, "How are you doing", and, "How
22 are you approaching the goals that you set out". And
23 as you can see, they get worse, more severe as you go
24 down; probation, emergency suspension, suspension of
25 agreement and termination of agreement, which if I'm

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 not mistaken, I don't think we've pursued any of the
2 last four since the program.

3 MR. LOHAUS: There's one case, going way
4 back in history, the Idaho Program, which I think
5 really was a joint effort. They basically lost all
6 staffing in the program. So NRC was faced with
7 reassertion of authority but it was really also at
8 state request, if you will. The governor has the
9 ability to request suspension or termination as well.
10 That's one case and another, it was requested by the
11 state with New Mexico. They turned back their mill
12 portion of the program going back into the early '70s
13 but both of these are way back in the early days of
14 the program.

15 MR. ZABKO: Any other questions that you
16 might have?

17 CHAIRMAN RYAN: You know, it seems like I
18 guess and most everybody is at the monitoring step or
19 kind of the base of the program. Are there many at
20 the heightened oversight or -- and if there are, I'm
21 not looking for specific states but what's the issues
22 that you see as common to get folks to the heightened
23 oversight step?

24 MR. LOHAUS: Let me start and, John,
25 please chime in, but one there -- today there are only

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 three states that are on monitoring. In other words,
2 if you look across the states, the states carry out
3 very effective programs that meet the criteria. Today
4 there are five programs that are in what I would call
5 the middle category. In other words, if you look at
6 the overall findings that the agency makes, there's an
7 adequacy finding, which is the top finding. The
8 middle finding is adequate but needs improvement. And
9 then the bottom finding is inadequate. There are five
10 programs that are in the middle category which means
11 that their programs are experiencing some performance
12 difficulties and there are areas that need
13 improvement.

14 Three programs are on what we call
15 monitoring where we're staying in touch with the state
16 and talking with them and hearing from them in terms
17 of the progress that they're making to address areas
18 that need attention. There are two states today that
19 are on heightened oversight and the primary reasons
20 for those programs being on heightened oversight are
21 satisfactory but needs improvement findings for one or
22 more of the performance indicators or an
23 unsatisfactory finding for one or more of the
24 performance indicators and one of the areas that's
25 common to those two programs and I'm sure you're very

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 familiar with this also, Mike, is keeping regulations
2 up to date.

3 Both of these programs are way behind on
4 keeping their regulations up to date and we've made
5 the hard call and we've asked for a program
6 improvement plan from the program to address getting
7 the regulations up to date. In addition, if you look
8 at these programs there are other areas in the program
9 -- in their programs that were experiencing
10 difficulties. Status of the inspection program, they
11 were behind on inspections, is another area. Staffing
12 is another area that I think is common in terms of the
13 lost staff. They did not replace staff. They're
14 having difficulty training staff and it was
15 compounding their ability to complete inspections and
16 I think generally if you look across the programs,
17 those programs that do experience difficulties, the
18 root cause in the main, this is just a broad
19 generalization, in the main is generally related to
20 the staffing and training staff. And I think -- I
21 mean, it's basic to program administration, if you
22 don't have sufficient staff, it's going to effect the
23 general administration of the program.

24 Now, there may be other aspects as well,
25 but I think from my experience, that in the main has

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 been the sort of the root cause of those programs
2 incurring some difficulties. But at the same time,
3 what we've found is when we use the heightened
4 oversight process, with very, very, few exceptions,
5 that process has proved to be very effective in terms
6 of focusing the state management, in focusing the
7 program on addressing the area that need improvement
8 and in a very short period of time generally on the
9 order of a year.

10 What we do with a program with heightened
11 oversight is, we require a program improvement plan.
12 We monitor that plan both in terms of progress reports
13 and bi-monthly phone calls to review the progress. We
14 go back in a year and do a follow-up review and really
15 check each of those areas to make sure that they've
16 brought them back up to where they should be. And
17 what we've found is with that heightened oversight
18 process, within about a years time frame with very,
19 very few exceptions, the program has been able to
20 address the areas, bring the program back to where it
21 is and then normally what we'll do is we'll put the
22 program on monitoring. We'll take it off of
23 heightened oversight and continue to monitor the
24 performance to make sure there's some period of
25 continuity in terms of meeting the performance

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 criteria.

2 But it's -- it appears to be effective and
3 I think that also given the peer review aspects and
4 the commitment that you see within the state programs,
5 they're committed to doing a good job in their
6 programs. They want to address that. They want the
7 program off of heightened oversight and they want to
8 do it as soon as they can and it seems to be a good,
9 effective process.

10 In many cases we'll find when we go out
11 and do an IMPEP review, the state has actually done a
12 self-audit. That's the state's staff gaining
13 experience working on IMPEP teams, they're doing their
14 own IMPEPs, their own review, self-audits before the
15 review team gets there and they know generally if
16 there are weaknesses, where those weaknesses are and
17 in many case they're taking action independently to
18 address those areas even in the absence of NRC coming
19 in to look.

20 So I think the program has a lot of
21 strengths and you know, where we do identify problems
22 with these five programs, we use the tools that are
23 there and it's short of suspending or terminating the
24 agreement, well short of that and the states are
25 committed to do what they need to do and you can see

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it happening. It's good.

2 CHAIRMAN RYAN: Well, I mean, the strength
3 to me is that, you know, it's to your credit and the
4 credit to the whole staff that you're involved at a
5 stage before it needs to be punitive or negative.
6 It's collaborative and it's corrective.

7 MR. LOHAUS: Yes.

8 DR. WEINBERG: So that's a real positive.
9 And I would guess that sometimes an audit that, you
10 know, gets them into a needs improvement category and
11 having heightened oversight is more of a help to a
12 state program director than a hindrance because it
13 gives him something to communicate with upper levels
14 of state government management on what the issues are.
15 It's not just his own thought but it's from an outside
16 review like the ones you're doing.

17 MR. LOHAUS: Exactly, and there's cases
18 where the state and senior management within the
19 state, I mean, going to the governor level and
20 legislative level have taken action to increase
21 staffing to address issues that the program in and of
22 itself, has not been able to bring sufficient
23 attention to and it's really been a plus and it's
24 improved the program. It's provided increased
25 staffing and through that, increased protection of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 public health and safety. So, yes, you can see that.

2 CHAIRMAN RYAN: Let me shift gears a
3 moment to both of you and have you put on your
4 thinking caps. What are your big challenges that you
5 face and how can the ACNW help you?

6 MR. LOHAUS: Well, this is -- if you look
7 at the programs that are there, and you can look at
8 the low level waste disposal area, I think that's
9 going to continue to be an area of challenge for the
10 states collectively. And it's an area that I'm not
11 certain how much, you know, NRC can do from a
12 regulatory standpoint. We have regulations in place,
13 we have guidance in place. The states have
14 regulations, regulations and comparable guidance but
15 I think if you look at the -- sort of the national
16 situation, I think low level waste disposal is an area
17 that is going to be a challenge and is an area where
18 ACNW may be able to provide some assistance in terms
19 of waste to help address that.

20 CHAIRMAN RYAN: Let's probe that a bit
21 more because that is in our action plan. Low level
22 waste is in our action plan for 2005. As we look at
23 61, a couple of things jump out at me. One is, it's
24 the only place where there's an organ dose. We know
25 the dosimetry is not based on, you know, more current

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 thinking that backs up say Part 20 or other parts.

2 Two, we think about the technical criteria
3 and their sort of lack of specificity for citing or
4 lack of interpretation of how those can be applied
5 successfully. Sometimes the states kind of are on
6 their own to do that. Are those fruitful areas to
7 think about or are there others or how do we move
8 ahead?

9 MR. LOHAUS: Having been very actively
10 involved in the initial development of Part 61, I've
11 always looked at the rule as providing both a
12 performance based set of requirements that you can
13 apply to the full suite of near-surface disposal
14 technology and did not constrain, if you will,
15 application to methods that would use engineered
16 technology, whether it be below-ground vault or earth-
17 mounded concrete bunker, whatever. Yes, you could
18 certainly address and provide greater specificity in
19 terms of requirements but at the same time, I think
20 where I come out in looking at this, just this is, you
21 know, me speaking, you know, from my perspective, I
22 think the rule can serve both NRC and the states in
23 licensing not only, you know, a current near-surface
24 technology but also other kinds of engineered
25 facilities and the implementing guidance, the standard

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 review plan and the standard format and content guide
2 to me provide a good foundation and a good basis that
3 can be applied. So I'm not certain. You'd have to
4 sort of balance the resource requirements to develop
5 more specificity in the requirements with the current
6 set of requirements in terms of their ability. And my
7 sense would be, as I -- you know, that there's good
8 ability in those requirements to license a full range
9 of disposal tools.

10 CHAIRMAN RYAN: Yeah, I think if you take
11 the standard review plan and the content
12 documentation, that's a big help. What I think the
13 challenge is, though, is it risk-informed and you
14 know, I would say that if you look at the intruder
15 scenario and some of the other things, it probably
16 isn't on face value but that doesn't mean it can't be.
17 So I wonder, you know, as we consider issues about low
18 level waste in 61, it's a good bit of advice to us to
19 make sure we really have good Agreement State
20 representation and Agreement State program
21 representation in any working groups or other things
22 that we might do to formulate a view of that.

23 MR. LOHAUS: Absolutely.

24 CHAIRMAN RYAN: That makes sense.

25 MR. LOHAUS: I mean, if you think about it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and look at the experience, the experience has been I
2 the states. Texas, I mean, Texas has an application
3 under review today.

4 CHAIRMAN RYAN: In fact, the NRC has never
5 received an application under 61, if I recall right.

6 MR. LOHAUS: That's correct. Yes. But
7 you're exactly right. I mean, again, this is one of
8 the benefits of the working group process, too, is to
9 bring together state and NRC resources and expertise
10 and deal with common technical issues or common policy
11 or --

12 CHAIRMAN RYAN: We've found it effective
13 to gather information, you know, in our role as
14 advising the Commission, so I'm sure we'll be back in
15 touch on that subject. Anything else on your list of
16 things we could do?

17 MR. LOHAUS: Not that I can think of right
18 at this time, Mike, but we'll certainly stay in touch
19 and share anything in the future.

20 CHAIRMAN RYAN: That's great. And, again,
21 I think you've got a very robust program. You should
22 be very proud of the work you're both doing and your
23 entire team and I guess as we consider this, the
24 thought that strikes me and I'll just throw it out to
25 everybody as food for thought, that we often write

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 letters about things we think need to be fixed but we
2 also need to write letters from time to time on things
3 that are working well and why. So I guess we would
4 maybe work with you on getting some of your other
5 documentation that we've talked about and thinking
6 about that and maybe writing a letter on the subject
7 of the Agreement State Program and the IMPEP program
8 and how it seems to be working quite well.

9 MR. LOHAUS: Sure. If there's any
10 information -- I mentioned the earlier Commission
11 paper on the National Materials Program and the NMED
12 documentation but if there's anything further --
13 another strength to IMPEP is it's proceduralized. I
14 mean, there's not only a general set of procedures
15 that provides the overall criteria but then there's
16 detailed procedures that the reviewers take out in
17 terms of how they do their reviews and document their
18 reviews. You know, that's certainly available if
19 you're interested in looking at that from a more
20 detailed level.

21 CHAIRMAN RYAN: Yeah, I think that body of
22 information would help us and then think about the
23 challenges that are out there in maintaining that
24 consistency in the face of what, you know, folks like
25 the Health Physics Society have identified on manpower

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 crises and we all know that, you know, state program
2 turnover rates are much higher than other elements of
3 radiation protection industries and so forth, just
4 because of salaries and the nature of those kind of
5 jobs and so forth and it's -- you still have a quality
6 level in spite of some of those challenges and so
7 forth. So --

8 MR. LOHAUS: It's a credit to the states.
9 I mean, they cross -- as I said, across the board,
10 they're committed, dedicated professionals, public
11 servants and they're committed to doing a good job.
12 It's a good program.

13 CHAIRMAN RYAN: Well, thanks for the
14 update. Any other questions or comments?

15 DR. WEINBERG: How have you handled or
16 have you been able to handle the question that
17 different states have different financial bases and I
18 happen to live in a very poor state, the State of New
19 Mexico. And I'm sure that the personnel are paid --
20 are supported differently the resources available to
21 the states for this program are very -- vary widely.

22 MR. LOHAUS: Yes.

23 DR. WEINBERG: How do you handle that?

24 MR. LOHAUS: That's a very, very difficult
25 area for the states. We don't dictate how the states

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 provide revenues for the programs. In some cases, it
2 may be general fund. We have encouraged state
3 programs to adopt fee systems and I think if you'll
4 look across the programs today, most of the programs
5 and I should know the answer whether it's all, I
6 don't, but I'm pretty certain almost all the programs
7 do have a fee system.

8 Some are a percentage of NRC's fee system.
9 For example, I think one of the states, for example,
10 has a fee system that's 75 percent of NRC's fees.
11 Others are based on internal state analyses, but I
12 think in those cases where the programs do have good
13 fee systems, they are able to provide a sufficient
14 base of revenue to the programs and then support an
15 adequate base of staffing which then is reflected in
16 the overall performance of the program.

17 One of the things that the Conference of
18 Radiation Control Program Directors has initiated to
19 try and help state programs in this area, is they're
20 working on what they call a profile of information and
21 they're going out to each of the states and developing
22 information on their fee systems, personnel and other
23 areas, and then they want to share this information
24 more broadly among the states. And I think that's
25 going to help because we've sort of done that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 informally in some cases.

2 For example, one of the states that was on
3 heightened oversight, we shared with that program
4 analyses that another state had done in terms of
5 looking at its resource needs, its funding needs, how
6 it was addressed through a fee system and they use
7 that information as background to help support their
8 request. So now the states are looking at this more
9 broadly. So I think that will help as well, but it's
10 a tough issue and I think it's going to continue to be
11 there and you will see the variation and it's a
12 challenge that the state programs face.

13 MR. CROFF: From what you've said, it is
14 fair to infer that when states started to get into
15 some difficulty that the root cause goes back to
16 basically budget, that if they had enough money, they
17 would -- I mean the regulations would be up to date,
18 the inspections would be done and all this kind of
19 stuff or is there something else that generally or
20 fairly frequently tends to cause this?

21 MR. LOHAUS: I think, as I said, from a
22 broad brush general overall standpoint, to me I think
23 the root cause does go back to staffing and training
24 of staff. And you can certainly relate that back to
25 resources for the program. But in some cases, it may

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 be that they have not been able to fill positions or
2 retain staff in positions because of a low salary
3 structure for example. And they have the resources to
4 fund those positions but they may -- an individual may
5 work there for a period of time, get trained and then
6 move onto another job and they're continually faced
7 with having to hire staff. So it's not necessarily
8 related to the budget but it's related to the
9 structure of their positions and the salary for those
10 positions. So I usually characterize it as it's
11 related to the staffing and the training of staff.

12 CHAIRMAN RYAN: Do you track turnover
13 rates, just out of curiosity?

14 MR. LOHAUS: We do not, no.

15 CHAIRMAN RYAN: It's an interesting thing
16 to think about.

17 MR. LOHAUS: We look at the -- each
18 program we look at the -- as John mentioned, that they
19 have enough FTEs to do that work and that those
20 individuals are trained to do the kind of technical
21 work that's needed in that program.

22 CHAIRMAN RYAN: Right.

23 MR. CROFF: Is, let's say budget
24 appropriation or -- and/or head count in a particular
25 state's program, is that any kind of a useful early

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 warning indicator that, you know, they may be headed
2 for trouble if their budget gets cut or --

3 MR. LOHAUS: Yes, it is and that's one of
4 the things that we do -- during the meetings for
5 example, we look at where they are with their people.
6 We look at you know, do you have adequate resources
7 and things of that nature.

8 MR. CROFF: Okay, I'd like to change
9 topics onto I'll call it trending. If you look at the
10 results of your reviews over a period of the last few
11 or several years, are you seeing the number of, I
12 guess, findings and difficulties that are observed?
13 Are they going up or down? Is there any systemic
14 issues in there that seem to be coming up?

15 MR. LOHAUS: I think, and I don't have
16 this like in a histogram, but I think if you look over
17 the past IMPEP cycle, not the current cycle we're in
18 but the past IMPEP cycle, I think we saw an increase
19 in the number of states that were placed on heightened
20 oversight. In other words, in looking back
21 historically, there was maybe one or two programs at
22 the most on heightened oversight during any one annual
23 cycle, let's say and for the -- over the past cycle,
24 John may have to help me here, too, but we've had more
25 than one and in some cases up to three and today we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 have two, that are on heightened oversight.

2 My sense it though, is that we're sort of
3 -- we may have hit a peak and we're sort of heading in
4 the other direction now where those programs that were
5 experiencing difficulties are recovering, they're
6 taking action to recover and some are -- they're still
7 uncertain, they're still in heightened oversight and
8 we don't know what the results of that will be until
9 we complete the heightened oversight program. But I
10 think, yes, I think we did see a small increase but my
11 sense is that I think we're past that.

12 What you see is there's a lot of interest,
13 a lot of focus within the individual programs to want
14 to do a very effective job. And when we come in to do
15 an IMPEP review, they want to come out of that with a
16 clear IMPEP, if you will, with the full -- the highest
17 rating is satisfactory. I mean, it carries with it
18 performance well above the criteria but that's the
19 highest rating we have. They want to come away with
20 a fully satisfactory finding across the board, but at
21 the same time, as I said, when we do identify problems
22 they are addressed that the states are committed to
23 addressing the programs.

24 We have program improvement plans from
25 those states and they're implementing those plans.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. CROFF: Okay, and it would seem that
2 maybe, let me call it a bottom line metric, would be
3 that to reduce the number of let me call it normalized
4 incidents in a state of releases or something that
5 wasn't supposed to happen, and, you know, your program
6 is trying to insure that the state programs and the
7 regions, you know, are stepping up to this, but at
8 that bottom line measure, is there any use of that?
9 How are the number of incidents going? Is there such
10 a metric?

11 MR. LOHAUS: Yes, there are and what I
12 would refer you to are the performance reports that
13 NRC prepares and I believe that the 2004 performance
14 report was just recently completed. But what the
15 agency does, it uses the set of NMED data to address
16 the metrics that we have. They relate to over-
17 exposures, control of material, things of that nature
18 and all of the metrics were met in 2004. And you
19 know, from an outcome standpoint, you know, obviously
20 that's the outcome, if you will, in terms of
21 protecting health and safety that the programs
22 reflect.

23 And you can also look historically within
24 the other reports but you know, as I said, you may
25 want to -- one of the items is get the 2004

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 performance report because there are specific metrics
2 there that reflect the collective efforts of NRC and
3 the Agreement State Programs.

4 CHAIRMAN RYAN: That would be helpful to
5 get that report. Any other questions? Bill?

6 DR. HINZE: Are there any soft spots in
7 that, that you can identify for us?

8 MR. LOHAUS: No. I mean, obviously in
9 today's environment, the states and the NRC are
10 clearly focused on reducing the number of lost or
11 stolen sources. I mean, the whole issue of control of
12 sources is a very key, important are but I can't think
13 of any specifics to offer in terms of response to your
14 question at this time.

15 DR. HINZE: It might be useful for us to
16 take a look at that.

17 CHAIRMAN RYAN: At 1:00 o'clock this
18 afternoon we're going to hear a case study on that, so
19 we'll learn a little bit more about that.

20 DR. HINZE: That will be soon enough.

21 CHAIRMAN RYAN: Jim, any questions?

22 DR. CLARKE: Just to follow up on
23 something you mentioned earlier, in many respects this
24 program sounds a lot like the EPA program with the
25 states where a state can have what they call primacy

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 under certain environmental laws as long as their
2 regulations are at least as stringent as the EPA,
3 federal EPA. And you indicated that states have
4 adopted more stringent regulations in some cases. For
5 example the dose limit under the LTR, is it the 15
6 that they've gone to? I was just kind of curious.

7 MR. LOHAUS: Some are using a 10 millirem.

8 DR. CLARKE: Ten?

9 MR. LOHAUS: Yes, I should be able to
10 explain and tell you why 10 but I think Massachusetts
11 program for example --

12 DR. CLARKE: Okay, the EPA has suggested
13 15.

14 MR. LOHAUS: That's correct, yes.

15 DR. CLARKE: I wonder, is that common or
16 is yours exceptional?

17 MR. LOHAUS: No, it's exceptional, yes.

18 DR. CLARKE: I'm sorry.

19 MR. LOHAUS: I was just going to offer one
20 point of to me importance when looking at EPA's
21 programs versus the Agreement State Program. The EPA
22 programs are what I would call a delegation program
23 whereas, with the Agreement State Program, it's a
24 different process. NRC is actually giving up
25 authority. It's not a delegation. We're actually

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 relinquishing authority and the state is assuming
2 authority under independent state laws, but at the
3 same time Congress provided the oversight
4 responsibility that we have to insure adequacy and
5 compatibility and a consistency in the programs.

6 But that, to me, is an important
7 distinction because with EPA you're really
8 implementing federal rules, if you will, whereas in
9 the Agreement State Program, the state actually adopts
10 regulations under state statutes and has a requirement
11 to maintain those within the bounds of the federal
12 rules.

13 DR. CLARKE: Okay, thank you.

14 MR. LOHAUS: Thanks.

15 CHAIRMAN RYAN: Other questions or
16 comments? Again, gentlemen, thank you ver much for a
17 very informative briefing on the Agreement States
18 Program. It sounds like it's robust and well and
19 doing a good job of keeping states focused and on the
20 right track. Thanks very much.

21 MR. LOHAUS: Thank you.

22 CHAIRMAN RYAN: We're now at the point in
23 our agenda where we're scheduled for a short break, so
24 let's go ahead and reconvene at -- let's make it 10:25
25 and we'll take up at that time our working group

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 planning session. We don't need to be on the record
2 for that. Yes, we'll be back on the record at 1:00
3 o'clock. All right, thanks very much. We'll be back
4 at 10:25.

5 (Whereupon, the proceedings went off the
6 record at 10:09 a.m. and resumed at 1:06 p.m.)

7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1 A-F-T-E-R-N-O-O-N S-E-S-S-I-O-N

2 1:06 p.m.

3 CHAIRMAN RYAN: On the record. Welcome to
4 the afternoon session. We'll go ahead and get
5 started. The topic this afternoon is Control and
6 Tracking of Sealed Sources and we're going to hear
7 from a number of speakers this afternoon including
8 folks from the NRC staff, the Department of Energy
9 that has an important role in the sealed source
10 management and some experiences from the Maryland
11 program as well as from the State of Texas and finally
12 from Terry Devine from the Conference of Radiation
13 Control Program Directors. Do we have everybody on
14 the telephone?

15 DR. DEVINE: Terry Devine here.

16 CHAIRMAN RYAN: Good afternoon, Terry.
17 How are you? It's Mike Ryan. And how about anybody
18 else?

19 MR. MAJOR: Bob may be an hour behind us.

20 CHAIRMAN RYAN: He's out of whack. Okay.
21 Well, that's fine. Without further adieu, let me ask
22 Tim Harris to give his presentation, the NRC's
23 perspectives on sealed source management. Welcome,
24 Tim. Thanks for being with us.

25 MR. HARRIS: Thank you. Good afternoon.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Well, I'm very happy to go first. My name is Tim
2 Harris and I'm Section Chief for the Materials and
3 Safety Inspection Branch in the Division of Industrial
4 and Nuclear Medical Safety in the Office of NMSS. I'm
5 here this afternoon to provide some NRC's perspectives
6 regarding sealed source management issues. I'll
7 attempt to set the stage for later speakers. We have
8 DOE and agreement states. So I'm not going to go into
9 too much detail on topics that they may cover in
10 fairness to them.

11 This presentation will provide information
12 regarding NRC's initiatives that were referred to in
13 recommendations one of three of the ACNW letter dated
14 October 17, 2002 on orphaned sources. Recommendation
15 two dealt with providing geopositioning technology to
16 facilitate tracking of significant sources. At this
17 time, none of those initiatives are currently being
18 actively pursued or considered.

19 Specifically, I'd like to provide some
20 information on the mandates or drivers involved in
21 controlling sources that are the reasons and
22 requirements for controlling sources. I will also
23 discuss some initiatives to implement the control and
24 tracking of sources and also discuss efforts that we
25 have to recover sources.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I will note that we have Michele Burgess
2 in the audience who is intimately involved in the
3 source recovery program and Merri Horn who is
4 intimately involved in the source tracking. So at the
5 end depending on the level of detail, I may ask them
6 to assist in answering questions.

7 The ACNW is well acquainted with NRC's
8 mission to protect the public health and safety.
9 Certainly, the NRC is concerned with the protection of
10 the public from harmful effects associated with using
11 and transporting sources, the effects associated with
12 potential accidents involving sources and the effects
13 associated with the loss of a source or that is when
14 it becomes orphaned. Following the events of 9/11,
15 the NRC has become more focused on controlling sources
16 to promote the common defense and security and to
17 limit potential use of sources by terrorists.

18 External factors such as the IAEA Code of
19 Conduct have contributed to NRC's efforts to control
20 and track sources. In part, the IAEA Code of Conduct
21 recommends the establishment of a national source
22 registry for high risk sources.

23 The NRC has been historically actively
24 involved in controlling radioactive sources. The
25 following initiatives are more recent examples

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 undertaken by the NRC to further enhance controlled
2 sources. I'll discuss the last three initiatives,
3 that is the National Source Tracking System, the
4 General License Tracking and orphaned source recovery
5 in a little bit more detail.

6 Since 1990, the NRC and the Department of
7 Energy have been working together to recover unwanted
8 sources with no disposal pathway. These sources are
9 typically in quantities that are at or near greater-
10 than-Class-C waste concentrations. Joel Grimm is here
11 and he'll probably provide more detail on that. So I
12 won't go into that any further.

13 The NRC has implemented a loss source
14 enforcement policy. We did that in 2001. This policy
15 provides initiatives to ensure that proper control,
16 transfer and disposal of sources by ensuring that
17 civil penalties outweigh the cost of disposal. That
18 is if you decide that you don't need a source and you
19 decided it's expensive to throw it away if we find out
20 that you were the one that threw it away, we're going
21 to charge you three times what it would cost to
22 dispose of it. So the thought is that it would
23 encourage people to dispose of sources properly.

24 The NRC also issued a proposed rule on
25 portable gauges and this went out for public comment

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 *in August 2003. The goal of this rule-making was to*
2 *increase the control on portable gauges in the field.*
3 *Typically, if you look at a vent report, it's not*
4 *uncommon to see a large number of gauges that get*
5 *misplaced or lost for a period of time. So these were*
6 *efforts to ensure greater control over the portable*
7 *gauges. The NRC staff has considered the public*
8 *comments and has provided the final rule to the*
9 *Commission for approval.*

10 *As I previously discussed, there are*
11 *several mandates or drivers that promote NRC to*
12 *enhance tracking of sources. These include the U.S.*
13 *Government's commitment to implement the IAEA Code of*
14 *Conduct. The NRC, DOE and the State Department all*
15 *participated in the development of the Code of Conduct*
16 *and are committed to its implementation.*

17 *The Code provides an infrastructure in*
18 *terms of legislative elements and regulatory programs*
19 *to be developed and promulgated by regulatory agencies*
20 *within IAEA member states. The principles of the Code*
21 *of Conduct are directed towards ensuring sources are*
22 *managed and controlled in a manner to minimize the*
23 *potential for unsafe management from a level at use*
24 *that is by terrorist. Currently, NRC regulations*
25 *don't require tracking of sources and we are underway*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to development a rule and I'll talk about that in just
2 a minute.

3 Before the rule is developed, the
4 Commission directed staff to taken an inventory of
5 sources. This is originally intended to be a snapshot
6 in time, a one-time effort. We were quite successful
7 in this voluntary effort. We looked at both sources
8 in agreement states and in NRC states. So it was
9 basically a national inventory. It was completely
10 voluntary and I think we got 99.9 percent response,
11 very high response. Is that right, Merri?

12 MS. HORN: Yes. We're down to three that
13 haven't responded.

14 MR. HARRIS: Yes, three that haven't
15 responded out of 2600 licensees. The Commission
16 knowing that we were going to develop the National
17 Source Tracking System felt that it was a good idea to
18 continue the interim inventory. So we're currently
19 underway in round two of the second year of the
20 interim inventory.

21 The interim inventory is limited to high
22 risk sources. Just to give you an idea for those of
23 you who may not be familiar with the different
24 categories, I'm sure some of you are, Tech Doc 1344
25 that was produced by IAEA ranked the sources in terms

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of potential risk associated with malevolent use
2 considering normal quantities. Category one sources
3 are typically used in practices like radiothermal
4 generators, irradiators and radiation teletherapy.
5 Category two sources are typically things like
6 industrial gamma radiography and high-to-medium dose
7 rate brachytherapy. Category three sources would be
8 typically involved in practices such as fixed
9 industrial gauges and well logging. Category four
10 sources are used in practices such as low dose rate
11 brachytherapy, some industrial gauges and also static
12 eliminators. Category five sources are typically used
13 in devices such as X-ray fluorescence devices and PET
14 check sources.

15 The interim inventory was used and is
16 being used to inform security advisories, additional
17 security measure orders, protective measure orders,
18 that are used to enhance security of radioactive
19 material. It also fulfills the IAEA Code of Conduct
20 commitment to develop a National Source Registry and
21 again this is kind of a interim thing while we're
22 developing the ultimate National Source Tracking
23 System.

24 As I stated in order to implement the
25 source tracking, current regulations do not require it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and through OMB in order to require that information,
2 we have to go through rule-making. The big picture
3 plan is to have the proposed rule to the Commission in
4 the spring of 2005 and have the final rule implemented
5 in July of 2006. Again, it will be a national
6 registry, that is, it will include NRC licensees,
7 agreement state licensees and also DOE facilities.
8 We've been working with Joel and other people in DOE
9 to facilitate that.

10 Primarily the tracking's going to be web-
11 based and it's intended to be cradle to grave. That
12 is when a source is generated at a source
13 manufacturer, he will catalog and input that source
14 into the registry and then the registry will track
15 transfers, that is, when it's sold to a licensee and
16 if that licensee transfers it, it will track
17 transactions. We believe that this will improve the
18 source accountability and give better information for
19 decision makers in the future.

20 Another measure that the Commission has
21 initiated to enhance security of sources was revising
22 its regulations to require that certain generally-
23 licensed sources be registered. Under NRC
24 regulations, a general license is authorized which
25 allows persons to possess certain quantities of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 materials without obtaining a specific NRC license or
2 an agreement state license.

3 Generally-licensed devices are used to
4 detect, measure, gauge or control thicknesses, density
5 level or chemical composition of various elements.
6 You typically see those in industrial practices, say,
7 in the tank to gauge the fullness of the tank. There
8 are approximately 600,000 generally-licensed devices
9 being used by approximately 50,000 generally
10 licensees. If we look at where these devices stand in
11 terms of the IAEA categories, there are mostly
12 category four and five devices, although there are a
13 few that raise up to category three.

14 NRC amended its regulations to require
15 that certain of these devices above specified
16 quantities be registered. These measures have
17 increased the tracking of generally-licensed devices
18 and increased the awareness of licensees who have the
19 generally-licensed device. Before we established a
20 tracking system, a specific license transfer the
21 device to a generally-licensee, but there was not
22 record-keeping. Given that some of these sources can
23 be category three, we implemented the tracking system.

24 Next, I'd like to turn to recovery of
25 sources. Some of the initiatives we've developed in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 *this area are an MOU with DOE on the management of*
2 *sources. This has been in place since 1999. The MOU*
3 *provides for assistance from the Department of Energy*
4 *on emergency recovery of sources as they become*
5 *orphaned. The Commission has also provided an open*
6 *forum for individuals who find a source to come*
7 *forward through the Guiding Principles and the Staff*
8 *Requirements Memo in April of 1998. This basically*
9 *says that if a non-licensee finds himself with a*
10 *source that they didn't seek to have, that the NRC*
11 *wouldn't hold them accountable for disposing of the*
12 *source.*

13 *In addition since 2001, the NRC has had*
14 *cooperative agreement with the CRCPD in their National*
15 *Orphan Radioactive Material Disposition Program. We*
16 *currently have a cooperative agreement with them since*
17 *2004 to fund their program for an another five years.*
18 *This has been quite a successful program with CRCPD.*
19 *If somebody doesn't want a source, they can post it on*
20 *the CRCPD website and that kind of facilitates*
21 *somebody who does want a source. They can go there*
22 *and provided that their license to use it, transfers*
23 *can be made. So it helps people that don't want a*
24 *source anymore find people that do want sources.*
25 *There's also a trilateral initiative between the U.S.,*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Mexico and Canada which started in 2002 for
2 notification when sources become lost near borders.

3 In summary, the NRC has implemented a
4 number of initiatives to control sources and is
5 currently considering changes to its regulations to
6 establish a National Source Tracking System. In
7 addition to implementing measures to control sources,
8 the NRC has been actively involved in recovering
9 sources. That concludes my presentation. I'd be
10 happy to entertain questions.

11 CHAIRMAN RYAN: Thanks very much. An
12 interesting presentation. Could you back up a slide?
13 I think it's the general license one. "Regulations
14 require registration notification." That's a forward-
15 looking program, right?

16 MR. HARRIS: That's ongoing.

17 CHAIRMAN RYAN: And how are you catching
18 up with sources that are out there in the world?

19 MR. HARRIS: Well, for --

20 CHAIRMAN RYAN: Or is this for new ones or
21 both?

22 MR. HARRIS: This is for NRC states only
23 and we've gone through, I think, the first round of
24 registration and as you can imagine, we weren't as
25 successful as the interim inventory in tracking down

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 all of the sources. We were going through a risk-
2 informed process whereby we're identifying those that
3 we follow up on based on the transfer of device to the
4 generally licensee and the quantity of material.

5 CHAIRMAN RYAN: But it would seem to me
6 that that catch-up on the history of all of those
7 generally-licensed sources is probably where the
8 action is. Is that right?

9 MR. HARRIS: Well, we're registering plus
10 tracking down the historical sources as well.

11 CHAIRMAN RYAN: Yes. That's not what I'm
12 asking. Is that where the hard work is? I mean are
13 you having much success there or not? Tell me about
14 that.

15 MR. HARRIS: It's a little slower going
16 than the interim inventory.

17 CHAIRMAN RYAN: And I guess just thinking
18 about generally-licensed sources, what would you guess
19 your batting average might be on finding them and
20 registering them all? That's maybe a hard and unfair
21 question, but I'm just curious to get your insight.

22 MR. HARRIS: No. I would say if we get 50
23 percent I would consider that a success measure,
24 although my manager may not consider it. But that's
25 about what we're running.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RYAN: *Fifty percent, that's*
2 *interesting. And your source of information on how*
3 *many generally-licensed sources are out there comes*
4 *from?*

5 MR. HARRIS: *The manufacturers and the*
6 *distributors are required to submit periodic*
7 *notification of who they transferred the device to.*
8 *So it's basically transfer reports. I see Michelle*
9 *raising her hand.*

10 MS. BURGESS: *I'm Michele Burgess. I work*
11 *in the same branch that Tim does and I guess to put it*
12 *into perspective is in GLTS (General License Tracking*
13 *System) it's taking the old inventory is where they*
14 *had to report whenever they did a transfer and it's*
15 *bringing it up to speed and then moving forward. So*
16 *our success rate as we move forward would be much*
17 *higher.*

18 CHAIRMAN RYAN: *Right. Oh, sure.*

19 MS. BURGESS: *And part of the problem,*
20 *it's not with the 50 percent. It's not 50 percent of*
21 *the sources are out there and we can't find them.*
22 *It's reconciling them off of that old data. The data*
23 *might not be right either because it was transferred*
24 *correctly, but they failed to put the information into*
25 *the database. So it's getting all of that baseline*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and then being able to move forward. I just wanted to
2 make sure that that 50 percent was clear.

3 CHAIRMAN RYAN: So the 50 defect may not
4 be a source that's not under control, but one that's
5 not properly tracked in terms of its paperwork.

6 MS. BURGESS: Right.

7 CHAIRMAN RYAN: As well as one that may be
8 not controlled properly.

9 MS. BURGESS: Right.

10 CHAIRMAN RYAN: Okay. That's more
11 helpful.

12 MR. HARRIS: We've gone through
13 information outreach to notify generally-licensees
14 that if you have a source that fits into this category
15 you need to register in addition to following up on
16 old transfer reports. Again, I'd like to note that
17 it's not all generally-licensed devices that are
18 required to be registered, only certain ones that need
19 a certain threshold.

20 CHAIRMAN RYAN: That was going to be my
21 next question. Could you give us an idea of what the
22 spectrum of the sources that you are requiring to be
23 registered are? Is it thickness gauges above some
24 many curies of cobalt or what?

25 MR. HARRIS: You know it's in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 regulations and I didn't write down the number. But
2 it's 31.5. Is that right? I can get that to Rich,
3 but it's millicurie amounts.

4 MS. BURGESS: They're millicurie of
5 ranges. I don't have the numbers offhand, but it's at
6 a 31.5. The goal was the gauges not the little tiny
7 things.

8 MR. HARRIS: Right.

9 MS. BURGESS: Not what, the 31.3. It was
10 more the 31.5 types.

11 CHAIRMAN RYAN: Okay.

12 MR. HARRIS: Which may not mean anything
13 to you unless you're --

14 CHAIRMAN RYAN: Oh, it means a lot to me,
15 but I think it would be helpful for the other members
16 of the Committee to have a sense of we're talking
17 about tens of curies or millicuries and what the uses
18 are.

19 MR. HARRIS: Yes, I can get those
20 quantities to Rich.

21 CHAIRMAN RYAN: The instrument, level
22 gauges. There's a whole spectrum of kinds of things
23 that are generally-licensed just so we could get a
24 feel for that.

25 MR. HARRIS: Typically, they are fixed

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 devices that measure thickness, density.

2 CHAIRMAN RYAN: Right. Flow rates. All
3 that kind of stuff.

4 MR. HARRIS: Material. Right.

5 CHAIRMAN RYAN: The reason I ask that
6 question is that some of those tend to be the ones
7 that show up in steel mills.

8 MR. HARRIS: Exactly.

9 CHAIRMAN RYAN: Steel mills of one sort or
10 another. So I just wonder about that correlation.

11 MR. HARRIS: Well again, there was a
12 number of initiatives that the Commission has
13 undertaken to make sure that when somebody, if we find
14 out who threw it in the steel mill, they get penalized
15 three times the disposal cost. Transferring something
16 to Barnwell is expensive. Three times that is --

17 CHAIRMAN RYAN: Very expensive.

18 MR. HARRIS: -- very expensive.

19 CHAIRMAN RYAN: Okay. Thanks. Again,
20 that information will help in informing the Committee,
21 I think, in what the world is out there that are in
22 the generally-licensed area. If you could give us
23 some additional stuff as follow-up, that would be
24 great.

25 MR. HARRIS: Yes, I tried to put it in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 context of the IA categories. They are mostly fours
2 and fives.

3 CHAIRMAN RYAN: Right.

4 MR. HARRIS: And I don't have that
5 information in front of me as far as that.

6 CHAIRMAN RYAN: That's fine. You can
7 follow up, but again that's the category what we have
8 in the world and the U.S. Now you said this is
9 generally-licensed under NRC. I wonder what agreement
10 states do.

11 MR. HARRIS: Well, the agreement states,
12 when NRC changed its regulations, they were required
13 to change their regulations in three years. Is that
14 right, Steve?

15 AUDIENCE MEMBER (STEVE): Yes, three
16 years.

17 MR. HARRIS: Yes, three years. Sorry.
18 The gentleman from Maryland.

19 CHAIRMAN RYAN: So it's actually getting
20 in line with this generally-licensing program.

21 MR. HARRIS: Right. So as far as I know,
22 a number of states have done that.

23 CHAIRMAN RYAN: Right.

24 MR. HARRIS: So they would have a parallel
25 type of system where they're going to track generally-

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 *licensed devices.*

2 *CHAIRMAN RYAN: Okay. Thanks.*

3 *MEMBER HINZE: Did I understand you to say*
4 *that you had no category one or two in your tracking*
5 *system?*

6 *MR. HARRIS: In the generally-licensed*
7 *devices?*

8 *MEMBER HINZE: Right.*

9 *MR. HARRIS: That's correct because what*
10 *a generally-licensed device is I as a manufacturer who*
11 *has a specific license manufacture a pipe flow gauge*
12 *and I can transfer it to you and you don't have to*
13 *have a license. You have a general license on a*
14 *specific license and you're as part of the transfer*
15 *required to do lead testing and other things.*

16 *MEMBER HINZE: That's helpful.*

17 *MR. HARRIS: The category one and two*
18 *sources are tracked by the National Source Tracking*
19 *System. Those are the significant ones.*

20 *MEMBER HINZE: Right.*

21 *MR. HARRIS: The generally-licensed*
22 *devices I think were important because there was no*
23 *specific license that tracked those.*

24 *CHAIRMAN RYAN: Bill, anything else?*

25 *MEMBER HINZE: That's it.*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RYAN: All right. Allen.

2 VICE CHAIR CROFF: Just to get some
3 perspective, about how many category one and two
4 sources are there?

5 MR. HARRIS: Do you know, Merri?

6 MS. HORN: Off the top of my head,
7 approximately about 6,000 in the database. That
8 numbers is a little low because you allow --

9 CHAIRMAN RYAN: Would you mind using the
10 microphone so you get it on the record? Thanks.

11 MS. HORN: Yes. My name is Merri Horn.
12 I'm the NRC Project Manager for Source Tracking and
13 it's for the initial, for the interim database. There
14 are probably about 5,000, 6,000 sources category one
15 and two that were initially reported. That's a little
16 low because we allowed irradiator licensees to treat
17 the irradiator sources as a single source to ease the
18 reporting because it was a voluntary effort. The same
19 way with some of the medical facilities, for instance,
20 the gamma knife usually made up of 100, 150, sources,
21 we allowed them to treat it as one source. So the
22 category one sources will actually be much higher.

23 When we actually get the National Source
24 Tracking System up and running, they will have to
25 report each individual source. But for this interim

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 *thing since it was a voluntary effort and we wanted*
2 *some information, we did allow them to do that. So*
3 *you're probably talking maybe 10,000 total once they*
4 *report completely.*

5 *VICE CHAIR CROFF: That's a lot of curies.*

6 *CHAIRMAN RYAN: That's kind of interesting*
7 *what you have. You have all the curies. You may just*
8 *have them aggregated in some way.*

9 *MS. HORN: Yes.*

10 *CHAIRMAN RYAN: Okay. That's helpful.*
11 *Ruth.*

12 *MEMBER WEINER: When a source is returned*
13 *to you for disposal, what do you do with it?*

14 *MR. HARRIS: I don't think we do anything*
15 *with it. I don't think anybody gives us any sources.*

16 *MEMBER WEINER: Oh.*

17 *MR. HARRIS: DOE recovers sources, but I*
18 *don't think the NRC.*

19 *MEMBER WEINER: So you depend on licensee*
20 *to take care of the disposal in some way.*

21 *MR. HARRIS: Correct. Or like I*
22 *mentioned, the CRCPD initiative where if you have a*
23 *source that's useful and you no longer want it, you*
24 *can post it on their website. They are facilitating*
25 *people that have unwanted sources with people that*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 want sources.

2 MEMBER WEINER: Thank you.

3 DR. DEVINE: Excuse me. Tim?

4 MR. HARRIS: Yes.

5 DR. DEVINE: Terry Devine here. May I
6 point out that we don't identify sources on our
7 website. The website has an invitation to call me if
8 I might be able to help in finding an outlet or making
9 an introduction, but we don't list materials or
10 locations of them on our website.

11 MR. HARRIS: I stand corrected, Terry.
12 Thank you.

13 CHAIRMAN RYAN: Anyone else? I guess let
14 me just pursue that generally. I'm a general
15 licensee. I have flow meter. I decided I'm out of
16 the flow meter business. What do I do with the source
17 and maybe you can tell me what I used to do with my
18 source ten years ago and what I have to do now.

19 MR. HARRIS: I think you're still doing
20 the same thing. My generally-licensed devices are
21 returned back to the manufacturer.

22 CHAIRMAN RYAN: Okay.

23 MR. HARRIS: That's the terms of
24 conditions in most generally-licensed transfers which
25 is different from, say, a smoke detector which when

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you're done with it you can pitch it in your trash
2 can.

3 CHAIRMAN RYAN: Right. That's interesting
4 because Sears used to say, "Send it back to Sears" in
5 the early days. But I guess I just wonder if that is
6 a place in the system that needs attention.

7 MR. HARRIS: As far as getting rid of it?

8 CHAIRMAN RYAN: Well, some of these gauges
9 that have shown up in steel mills and that's not a
10 trivial number that have had impacts on steel mills
11 have been in service for a long time and ended up for
12 whatever reason getting scrapped with whatever was
13 being demolished and ended up in a steel mill. Now
14 steel mills have gotten real smart about that. They
15 have all these great plastic scintillator detectors on
16 the truck ramps coming in.

17 MR. HARRIS: Right.

18 CHAIRMAN RYAN: And they do a real good
19 job of identifying sources and/or voids in the load
20 and all kinds of stuff. But I just wonder if it makes
21 any sense to think about tighter controls on
22 disposition and I guess the penalty of three times the
23 cost to dispose it is really the bite that you now
24 have in place to address that.

25 MR. HARRIS: Right. I think once the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 *Generally-licensed Tracking System gets a little*
2 *farther along, we'll get a better handle on what's*
3 *happening to sources. Certainly that ones that are*
4 *required to be tracked, we'll do that annually so*
5 *we'll know. If somebody stops reporting that they had*
6 *a source, we'll question what happened to it.*

7 *CHAIRMAN RYAN: Gotcha. That's*
8 *interesting. I think that's helpful because you'll*
9 *find out if a custodian either quit or retired and*
10 *there's a new person. It gives you a tickler to put*
11 *it on somebody else's radar screen rather than forget*
12 *about it perhaps.*

13 *MR. MAJOR: Just a quick one. How far*
14 *away do you think you are from a national tracking*
15 *system? A year of rule-making before you have it?*

16 *MR. HARRIS: For the bigger national*
17 *source tracking?*

18 *MR. MAJOR: Yes.*

19 *MR. HARRIS: I think the idea is that it*
20 *would be in place, it was in the slide --*

21 *MS. HORN: The proposed rule-making will*
22 *be going out for public this next summer in 2005.*
23 *It's due to go up to the Commission sometime in the*
24 *spring. ACNW will probably see it for review and*
25 *comment like any other proposed rule I'm guessing in*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 *the January timeframe.*

2 *CHAIRMAN RYAN: Great. So real soon.*

3 *MS. HORN: In January.*

4 *MR. MAJOR: Not that's the rule-making,*
5 *but before the system itself gets there.*

6 *MS. HORN: The system itself we hope to*
7 *have it up and running, the initial implementation,*
8 *December 2006 and then full implementation in March*
9 *2007.*

10 *CHAIRMAN RYAN: And again, just to*
11 *recognize the voluntarily aspect of what you've done*
12 *here if I'm getting that right, you really feel like*
13 *you've accounted for 99.9 percent of the curies in*
14 *this category, too.*

15 *MR. HARRIS: That's the interim inventory.*

16 *MS. HORN: That's the interim.*

17 *MR. HARRIS: Which will continue until the*
18 *rule-making is in place and the National Source*
19 *Tracking System is up and running.*

20 *CHAIRMAN RYAN: The interim. Okay.*

21 *MS. HORN: The interim inventory was a*
22 *voluntary effort. They, the licensees, didn't have to*
23 *respond to it.*

24 *CHAIRMAN RYAN: But you said you got a*
25 *very, very high.*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. HORN: We got a very good because we
2 did a lot of follow-up effort and we did get a very
3 high response rate.

4 CHAIRMAN RYAN: Sure.

5 MS. HORN: The National Source Tracking
6 System will not be voluntary. It will be required.

7 CHAIRMAN RYAN: Oh, absolutely. I
8 understand that, but it's interesting. You have a
9 jumpstart on your knowledge base with the voluntary
10 program.

11 MS. HORN: Yes, and we'll use that for the
12 initial loading of the National Source Tracking
13 System.

14 CHAIRMAN RYAN: Sure.

15 MS. HORN: It will make licensees giving
16 us that initial inventory for that system a lot
17 easier.

18 CHAIRMAN RYAN: You should give
19 participants a waiver on their first year's fee.

20 (Laughter.)

21 MS. HORN: They would like that I'm sure.

22 CHAIRMAN RYAN: States wouldn't, but the
23 NCR licensees probably. But anyway, that's great. I
24 appreciate the presentation.

25 MR. HARRIS: Thank you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RYAN: Any other questions from
2 *staff or members? Oh, yes. On the phone, any*
3 *questions or comments from Texas and/or Kentucky?*

4 DR. DEVINE: No. Thank you.

5 CHAIRMAN RYAN: Do we have Texas online
6 *yet?*

7 *(No response.)*

8 CHAIRMAN RYAN: Okay. Well, on we go.
9 *Next, we're scheduled to hear from --*

10 MR. HARRIS: Thank you.

11 CHAIRMAN RYAN: You're welcome. Thank
12 *you. From Joel Grimm from the Department of Energy.*
13 *Joel, welcome and thanks for being with us.*

14 MR. GRIMM: Thank you, Chairman Ryan. I'm
15 *Joel Grimm from the Department of Energy. I'm a*
16 *Program Manager in the Global Radiological Threat*
17 *Reduction Program. Just by way of introduction, I'd*
18 *like to say that when I last addressed your Committee*
19 *three and a half years ago, this was the program I'd*
20 *overseen. It was seen as a waste management operation*
21 *at Los Alamos National Laboratory overseen by the*
22 *Albuquerque Operations Office. A lot of things have*
23 *changed since then especially in the last year.*

24 *The Radiological Threat Reduction Program*
25 *is now managed by DOE's National Nuclear Security*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Administration (NNSA) as part of the nonproliferation
2 program. The mission is to reduce global threats
3 posed by high-risk radioactive materials on a global
4 basis mainly by identifying and securing materials in
5 place and recovering and storing them where that's
6 more appropriate and even disposing of them where
7 that's possible.

8 There are some differences in how this
9 mission is accomplished in the international sector
10 versus the domestic sector. I'll address some of
11 those details in the next couple of slides. NNSA has
12 a number of program offices dealing with various
13 aspects of nuclear security in the country. The
14 nonproliferation program has a new program office
15 created last spring that deals with radiological
16 threats.

17 The Global Radiological Threat Reduction
18 Program and the Global Nuclear Material Threat
19 Reduction Program handle two different aspects of
20 this. In NRC's lingo, the Global Radiological Threat
21 Reduction Program basically deals with byproduct
22 materials whereas the Global Nuclear Material Program
23 deals with special nuclear material especially high-
24 enriched uranium fuel at research reactors world-wide.
25 Within the Global Radiological Threat Reduction

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Program we have an international program office and
2 the domestic. I will be concentrating today
3 discussing the domestic program largely because I
4 think that's what you're most interested in and it's
5 the one that I am specifically involved with.

6 The Programs' efforts are truly global.
7 When this activity was started a little over three
8 years ago, the emphasis was on securing special
9 nuclear material and other radioactive materials
10 associated with Russia and former the Soviet Union's
11 weapons programs, but it has branched out
12 significantly in those last couple of years to now
13 over 40 participating partner countries. Once again,
14 I'll be concentrating on the domestic effort today.

15 There are some differences between the
16 strategic approaches of the two programs. First of
17 all, in the domestic program, we stress identifying,
18 recovering and securing excess and unwanted sealed
19 sources that could be used in radiological dispersal
20 devices (RDDs). Now traditionally, our thresholds and
21 our attention in this area were related to excess and
22 unwanted materials that exceeded the low-level waste
23 classification for Class C waste, better known as
24 greater-than-Class-C waste. Those thresholds and
25 priorities have shifted somewhat in the aftermath of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 *terrorists' attacks and again, I'll address some of*
2 *those details in a few minutes.*

3 *In the international program, the emphasis*
4 *in partnership with other countries is onsite,*
5 *physical security upgrades and securing materials in*
6 *place. The United States does not recover and take*
7 *back materials from other countries except in rare and*
8 *case-specific examples. The emphasis is on security*
9 *in place especially for materials that are in use.*
10 *Consolidation of materials in secure facilities where*
11 *they are not being used, it incorporates bilateral*
12 *cooperation with individual nations and also multi-*
13 *lateral relationships involving partner countries and*
14 *the IAEA.*

15 *Historically, the domestic program has*
16 *been dealing with excess and unwanted sources for over*
17 *ten years now. Originally, this began in concert with*
18 *the NRC and the states to deal with excess and*
19 *unwanted materials that were exceeding Class C*
20 *criteria on a case-by-case basis. This really only*
21 *dealt with a few sources and a few licensees a year*
22 *mainly because we didn't have the funding to do a more*
23 *proactive effort.*

24 *Secondly, another reason was that through*
25 *the '90s more and more sealed sources that are*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 *qualified as greater-than-Class-C were becoming excess*
2 *and unwanted mainly on account of economic shifts in*
3 *the country especially in oil and gas exploration*
4 *industry and the shifts from domestic exploration and*
5 *production of oil to international overseas production*
6 *efforts. It was geared toward environment safety and*
7 *health concerns. That is to say accidental exposures*
8 *of workers and the public to excessive and unwanted*
9 *materials.*

10 *We deal with identifying and recovering*
11 *excess sources and they are managed as greater-than-*
12 *Class-C waste and stored that way once they're*
13 *recovered in route to a DOE facility. Given our new*
14 *national security emphasis and focus, we're expanding*
15 *beyond those greater-than-Class-C definitions by*
16 *including additional isotopes that normally wouldn't*
17 *be considered greater-than-Class-C and also by*
18 *shifting thresholds for assessment and action.*

19 *Most recently, the program has been moved*
20 *out of DOE's Environmental Program and into the NNSA*
21 *nonproliferation program as I already said. This is*
22 *allowing us to optimize and leverage the resources of*
23 *DOE's National Security Mission by incorporating this*
24 *with the International Radiological Threat Reduction*
25 *effort.*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 What have we accomplished? Well,
2 especially beginning in fiscal year 2001, the
3 programs' activities have resolved in removing over
4 10,000 radioactive sealed sources from the licensed
5 sector and moving these materials into storage at DOE
6 facilities mainly Los Alamos National Laboratory.
7 Interagency coordination has been required for this.
8 We have a formal MOU that Tim mentioned a few minutes
9 ago that addresses the roles and responsibilities of
10 the NRC and the Department in this area.

11 The MOU is really only necessary where
12 specific emergent situations are developing. The DOE
13 program is mature enough and proactive enough that we
14 conduct most of our sealed source recovery activities
15 without direct involvement and requests by the NRC.
16 However, there are situations where regulators whether
17 it's the NRC or the states become aware of situations
18 that require a higher prioritization and a more rapid
19 response.

20 Some of these examples include four large
21 strontium-90 sources that we recovered from the
22 Houston area just prior to the Super Bowl last winter.
23 These were seen as at-risk materials in light of such
24 a big national event. Another example was an
25 emergency request from NRC to deal with a bankrupt

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 licensee in Pennsylvania last spring, abandoning
2 nearly 500 sources at their facility. This was the
3 first time we had dealt with any significant quantities
4 of cesium and cobalt sources by the way.

5 Traditionally, we'd been dealing with the greater-
6 than-Class-C isotopes, largely actinides like
7 americium and plutonium.

8 We've also supported the Department of
9 Homeland Security and are working with the NRC and
10 others helping conduct radiological security pilot
11 projects. This involved assessing the security status
12 of medical facilities in the New York City area prior
13 to, excuse me, New York and Boston, prior to the
14 political conventions this year and it also resulted
15 in us prioritizing recovery of 68 sources from 55
16 different sites in these cities during the summer
17 before the conventions commenced.

18 CHAIRMAN RYAN: Just a clarification. You
19 say "removed." Do you mean removed permanently?

20 MR. GRIMM: That's correct.

21 CHAIRMAN RYAN: Okay.

22 MR. GRIMM: These were excess and unwanted
23 materials that we packaged and removed to Los Alamos.

24 CHAIRMAN RYAN: Other sources may be of
25 similar type or size or under control or in use, they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 were okay.

2 MR. GRIMM: That's correct.

3 CHAIRMAN RYAN: All right. Thank you.

4 MR. GRIMM: To put a graphic emphasis on
5 this, this map portrays the most recent data managed
6 at Los Alamos regarding sources recovered. There are
7 several items of good news in this map. First is the
8 cumulative number of sources recovered. This goes up
9 on a weekly and monthly basis. The downside of that
10 cumulative number is now that we're over 10,000, it's
11 hard to make a big splash anymore. Hitting 100 here
12 or 500 there doesn't seem like that big of deal.

13 The other good aspect of this map is that
14 it demonstrates that large numbers of sources are
15 consolidated by the companies that make the sources or
16 the devices that use them. That's why you see
17 concentrations of numbers in specific states. The bad
18 news of course is that there remain excess and
19 unwanted sources scattered all over the country. By
20 the way, I'll show a map at the end of the
21 presentation about sources that are on our database
22 now still awaiting recovery.

23 These are some pictorial demonstrations of
24 the types of situations that DOE and its contractors
25 encounter across the country. The first picture is a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 well-logging truck abandoned by its owner at a
2 junkyard in Illinois during the 1990s. This is a
3 company that was trying to get rid of their materials,
4 had noticed pools of outlet, was trying responsibly to
5 deal with their material for quite some time and
6 finally gave up. The owner of the well-logging
7 company retired and moved out of the country and then
8 notified the government where his truck was with the
9 plates removed. The second example is just a backyard
10 in a rural lot in Oklahoma with pipes sunk down into
11 the ground storing well-logging sources. Very little
12 monitoring. Very little security.

13 The traditional scope of our domestic
14 program has involved both large and small americium
15 sources largely used in the oil and gas well-logging
16 industry and used in portable and fixed gauges and
17 calibration sources. Plutonium-238 neutron sources
18 and heat sources, the heat sources were largely used
19 in cardiac pacemakers.

20 MR. BLAKE: I hope that's what that guy is
21 holding.

22 MR. GRIMM: That's a pacemaker. That's
23 right. We often times give our Los Alamos contractors
24 a hard time for giving us pictures of people holding
25 sources without a glove on, but we were assured that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 was not a LANL employee's hand.

2 CHAIRMAN RYAN: It doesn't matter whose
3 hand it is. It's a hand.

4 MR. GRIMM: And then finally Plutonium-239
5 neutron sources which were an outgrowth of the Atomic
6 Energy Commission's Atoms for Peace loan/lease program
7 dating back to the 1950s. Over 2400 neutron sources
8 were distributed to colleges and universities through
9 the '50s and '60s for nuclear engineering research and
10 education programs. Those programs have been
11 abandoned going back quite a period of time and the
12 Department have been taking those sources back from
13 those loan/lease arrangements.

14 I mentioned a little while ago that both
15 our list of isotopes and our thresholds for
16 prioritization have changed given the new national
17 security emphasis of the program. This slide is
18 intended to provide some brief information about that.
19 Strontium-90 recoveries as I mentioned commenced in
20 2004. That top picture shows four strontium-90 RTGs
21 with about 60,000 curies of activities in them being
22 delivered into a storage shift at Los Alamos National
23 Laboratory.

24 One of our next big projects is removal of
25 over 1,000 curies of cobalt-60. That's Department of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 *Energy owned out of a research irradiator at the*
2 *University of Hawaii. I'm sorry. We already have*
3 *enough volunteers to go on that trip.*

4 *Finally, we're developing some contracts*
5 *with private sector companies to remove cesium-137*
6 *irradiators from high schools and colleges throughout*
7 *the United States. We have about 16 of these on our*
8 *database.*

9 *Traditionally, firms that manufacture*
10 *cesium-137 sources or devices that use them have taken*
11 *these irradiators off of licensees' hands, but their*
12 *asking price is pretty high and many people have seen*
13 *fit to sit on them hoping for a better deal and they*
14 *are about to get it from the Department of Energy. It*
15 *will be free. We're hoping to recycle the cesium with*
16 *the same manufacturers, but it's yet to be seen*
17 *whether that will actually happen.*

18 *CHAIRMAN RYAN: How many source*
19 *manufacturers are there in the United States of*
20 *significant size? Two or three or a dozen?*

21 *MR. GRIMM: I suspect it's less than a*
22 *dozen. I can only name three companies that sell*
23 *sources. Whether they actually manufacture them here*
24 *is a different matter. I believe one of the larger*
25 *neutron source manufacturing for the oil industry is*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 about to call it quits and go out of the business
2 largely because of the lack of the supply of americium
3 for new manufacturing.

4 This slide demonstrates radionuclides of
5 concern and thresholds for assessing security needs
6 and then definitively taking action. This is the
7 threshold list that was developed by our international
8 program which we are adopting for the domestic
9 program. There are some similarities and some large
10 differences between these thresholds and the
11 traditional greater-than-Class-C thresholds. They
12 also don't necessarily compare well with the IAEA's
13 categorizations and code of conduct.

14 CHAIRMAN RYAN: Just a word about that
15 concentration limited to Class C.

16 MR. GRIMM: Yes.

17 CHAIRMAN RYAN: That to me is a critical
18 point. I mean the concentration limit really doesn't
19 assess the risk per se.

20 MR. GRIMM: That's correct.

21 CHAIRMAN RYAN: And of course risk is more
22 attuned to the quantity involved. So maybe you can
23 expand on your thoughts there.

24 MR. GRIMM: Sure.

25 CHAIRMAN RYAN: Because I agree with you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and I understand why, but I'd like to help us talk a
2 little bit about that.

3 MR. GRIMM: I understand. Perhaps the
4 Waste Management staff here at NRC could address this
5 better than I, but my take on the greater-than-Class-C
6 limits is that they represent levels of activity in
7 waste that will remain dangerous in a shallow-land
8 burial facility beyond the 500-year performance period
9 of that disposal facility.

10 CHAIRMAN RYAN: Not quite. The classic
11 one that is based on the intruder scenario would be an
12 agricultural farmer growing stuff in Class C waste.
13 That's really what it boils down to.

14 MR. GRIMM: Okay.

15 CHAIRMAN RYAN: You know Class C waste can
16 be anything from strontium-99 eye applicator to a very
17 small amount of strontium-9 going up in the generators
18 we just talked about.

19 MR. GRIMM: Right.

20 CHAIRMAN RYAN: So there is this broad
21 range of activity level, but still Class C. In Class
22 C waste, there is no discerned dose rate up to 10,000
23 R per hour. So I'm not sure I see it as a an
24 excellent measure of the risk. In fact, I see it as
25 a poor measure of the risk.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. GRIMM: I understand.

2 CHAIRMAN RYAN: I mean I understand you
3 have grabbed on to that as an issue in part I guess
4 because DOE has an obligation to manage greater-than-
5 Class-C by the current law, but from the risk
6 perspective it doesn't get you there I don't think.

7 MR. GRIMM: I agree. These assessment and
8 action levels were developed by DOE's National
9 Laboratories based on an assumed radiological
10 dispersal device attack using various assumed
11 parameters including the amount of land area
12 contaminated the average dose rate to the public from
13 that event and then working backwards to sealed
14 sources sizes that would result in those parameters.

15 The reason that the top six are colored
16 white and the rest are yellow is because the top six
17 represent what is traditionally considered to be
18 greater-than-Class-C isotopes and the bottom four are
19 the new isotopes that are added to our list of
20 concerns under our national security emphasis. You'll
21 also see that the stark difference among the data are
22 that the actinides or the long-life alpha emitters
23 have considerably different action levels than the
24 beta-gamma emitters.

25 VICE CHAIR CROFF: You mentioned this,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I'll call it, a scenario analysis or whatever. What
2 kind of a risk or a dose or something corresponds to
3 these action or assessment levels?

4 MR. GRIMM: Two rems per year.

5 VICE CHAIR CROFF: For which ones?

6 MR. GRIMM: For all of them based on EPA's
7 protective action guides for, I think, Phase II clean-
8 up and recovery actions. Two rems per year was seen
9 as the top dose in those protective action guides and
10 those are the data that were used to work backwards to
11 source sizes shown here.

12 VICE CHAIR CROFF: Okay. Thank you.

13 MR. GRIMM: I'd like to discuss briefly
14 the approach that we've taken as we went from a case-
15 by-case project to a proactive project dealing with
16 excess and unwanted sealed sources domestically. We
17 tried to recover sources that are registered with us
18 as quickly as possible. We work with the NRC NMSS
19 staff on developing methodologies to prioritize
20 recoveries. It's principally based upon the amount of
21 material at a facility and either perceived or known
22 security postures at those facilities.

23 Our contractors at Los Alamos have
24 developed and employed a number of new technologies.
25 The first is a special form overpack capsule that can

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 be closed manually in the field without welding,
2 meaning you don't have to take welding equipment in a
3 hot cell with you when you're dealing with sealed
4 sources. We've also developed and certified for
5 transport, long-term storage and disposal at WIPP
6 assuming that that were to be an available outlet
7 someday multi-function drums, containers, that are
8 capable of providing long-term interim storage for
9 various types of sealed sources. The picture you see
10 here is drum called the S-100 which is specifically
11 designed and shielded for neutron sources. It uses
12 high density polyethylene shielding in the annulus of
13 the pipe component to provide the shielding.

14 We dispose of sources where possible. The
15 only clear path forward to disposal is for Plutonium-
16 239 because we manage it as defense transuranic waste
17 which has always been owned by the Department of
18 Energy even though it was out on loan/lease. We do
19 generate a small number of Plutonium-238 and americium
20 sources from the Defense sector, largely from the
21 naval reactors program. And finally, we integrate
22 these efforts with our new cohorts in the
23 international program. We are now looking at
24 developing a take-back policy for U.S. origin sources
25 in countries overseas.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And finally to sum up to put this in
2 perspective for the coming year or two, this slide
3 demonstrates no matter how many sealed sources we
4 recover, there are always more on the database to get.
5 Our database has gone over 5,000 during some years.
6 Currently, our database is somewhere around 2200. Our
7 numbers of actinides are going down because that's
8 what we've actively been recovering since 2000. We've
9 been encouraging licensees with beta and gamma
10 emitters to register those on our database.

11 The way the registration works, they
12 contact our staff at Los Alamos. They can do it on
13 phone, by email. They can do it online, register
14 points of contacts and types of materials they have.
15 It is entered into a database at LANL which is
16 secured. It is not online. It is not shared with
17 typically not even me and then we employ the
18 methodology we worked with the staff at NMSS to
19 prioritize those recoveries.

20 We use subcontractors through Los Alamos
21 to consolidate sources at commercial facilities,
22 mainly at a firm in Houston because it's centrally
23 located for the oil and gas industry. Then Los Alamos
24 delivers the sources to DOE storage from those
25 consolidators. The only routine situation where LANL

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 packages the sources onsite themselves and moves them
2 directly to a DOE facility is the Pu-239. Are there
3 any more questions?

4 CHAIRMAN RYAN: It's interesting to
5 compare your two maps. I was just looking at North
6 Carolina and Minnesota and Texas about the exchanges.
7 Maybe that coincides with the three manufacturers you
8 mentioned.

9 MR. GRIMM: Right. Minnesota and Florida
10 stick out on the recovered map because there were
11 firms there that made Pu-238 pacemakers and there are
12 virtually none of those left in the country except for
13 those that are removed from patients when they get
14 more modern ones or when they pass away.

15 Obviously, the concentration in Texas is
16 in account of the petroleum industry. There is a
17 handful of large oil field service companies that
18 conduct their international well-logging operations
19 out of Houston and that's where they bring their
20 excess sources back to.

21 CHAIRMAN RYAN: As opposed to, say,
22 Oklahoma or some of the other oil states.

23 MR. GRIMM: That's correct.

24 CHAIRMAN RYAN: And Louisiana is
25 obviously part of the Texas picture as well.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. GRIMM: That's correct.

2 CHAIRMAN RYAN: Interesting.

3 MR. GRIMM: Some of the other
4 concentrations of notably North Carolina is based upon
5 a single large portable gauge manufacturer.

6 CHAIRMAN RYAN: Interesting.

7 MR. GRIMM: Anything else?

8 CHAIRMAN RYAN: What is your biggest
9 challenge?

10 MR. GRIMM: Money. While the program was
11 seen by the Environmental Management Program DOE, it
12 was not seen as directly related to clean-up and
13 closure of DOE's major legacy facilities. So it got
14 dwindling attention as the last couple of years have
15 gone by. When we were adopted by NNSA a year ago, it
16 was pretty late in the fiscal year `05 budget cycle
17 and the best estimate at that time was \$5.6 million
18 required for the program. That's the number that stuck
19 in the `05 budget request from the White House and
20 that's what we got for `05. We are significantly
21 raising that budget request for `06 to over \$12
22 million largely to deal with the new infrastructure
23 that's going to be required to deal with new isotopes.

24 CHAIRMAN RYAN: Gotcha. Jim, questions?
25 Ruth.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 *MEMBER WEINER: I'd like to return for a*
2 *moment to your slide the table of five radium amounts*
3 *of concerns on it.*

4 *MR. GRIMM: Yes.*

5 *MEMBER WEINER: And you said that the*
6 *action level that these were geared to a dose of two*
7 *rem per year.*

8 *MR. GRIMM: I believe that's correct.*

9 *MEMBER WEINER: Can you say what kind of*
10 *dispersion you're looking at and what kind of exposure*
11 *time, any kind of detail? How do you get that two rem*
12 *per year and is this the remming dose or does this go*
13 *to the maximally-exposed individual or what?*

14 *MR. GRIMM: I'm going a little out of my*
15 *depth here, but I will attempt to answer this. I*
16 *believe that our consultants at the national labs had*
17 *many disagreements on how to approach this and they*
18 *went relatively non-conservative so that everybody*
19 *would agree. This is based upon an even distribution*
20 *of radioactive material over a 500 acre area from an*
21 *RDD.*

22 *The reason 500 acres was chosen was*
23 *because smaller areas, there were arguments during the*
24 *analysis how big an area was seen as a national*
25 *security impact. I think we all know that we could*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 pick one or two acres to contaminate and have a
2 significant national security impact, but there was
3 argument over that small an area.

4 MEMBER WEINER: Do you know what kind of
5 dispersion modeling, what modeling, they used to look
6 at that?

7 MR. GRIMM: I don't believe they used any
8 dispersion modeling at all. They assumed an even
9 distribution over the area.

10 MEMBER WEINER: So they assumed that the
11 source, just to get this straight in my mind, was
12 evenly distributed over 500 acres.

13 MR. GRIMM: I believe that's correct.

14 MEMBER WEINER: And then this was an
15 external dose to somebody who sat for a year or what?

16 MR. GRIMM: I don't know exactly what the
17 exposure time was for individuals, but I think it was
18 assumed to be residents.

19 MEMBER WEINER: With no shielding?

20 MR. GRIMM: No shielding.

21 CHAIRMAN RYAN: Ruth, I think we had heard
22 something about this previously and I guess my view of
23 it is it's not a scenario that's designed to be an
24 accurate representation of any one person's dose.
25 It's a metric.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. GRIMM: I believe that's correct.

2 CHAIRMAN RYAN: It gives you some kind of
3 a way to scale and rank on a relative basis what you
4 should pick up first and you've explained your program
5 to prioritize sources. Well, I think I would never
6 take away from that metric a dose. A dose is nothing
7 more than a benchmark on the wall. If it's here,
8 that's important to us. Now it's real important now.
9 If it's below, it's low in priority. Then you're done
10 in terms of your ranking. Is that a fair summary?

11 MR. GRIMM: I think so. I don't believe
12 that the, well, first of all, EPA's protective action
13 guides are not hard and fast about exactly what number
14 should be chosen for dose limitations during the
15 second phase of clean-up that is after the emergency
16 response evacuation.

17 CHAIRMAN RYAN: Through the recovery,
18 right.

19 MR. GRIMM: This is during the recovery
20 phase. I believe site and case-specific situations
21 can be taken into account on determining dose limits.

22 CHAIRMAN RYAN: You know I think to me the
23 key point is that if you look at the sources, let's
24 just take the beta emitters and alpha emitters, it
25 ends up with a resuspension inhalation model. If you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 look at the gamma emitters, it's a direct exposure.
2 It may be a little bit of inhalation and so forth. So
3 I don't know if you changed your parameters and your
4 scenario, you would come up with anything different in
5 terms of their ranking substantively. One may shift
6 with another one next to each other, but I guess I
7 want to agree with and recognize that the exercise is
8 not to calculate doses. It was to rank importance.

9 MEMBER WEINER: I wasn't criticizing. I
10 was simply trying to clarify in my own mind. I have
11 another question though. WIPP can take its defense
12 generated transuranic flights.

13 MR. GRIMM: Correct.

14 MEMBER WEINER: So is there any way to,
15 you mentioned it was disposal only for Plutonium-239.

16 MR. GRIMM: Correct.

17 MEMBER WEINER: Could you put the other
18 actinides in there or what is interfering with that
19 that they are not defense generated?

20 MR. GRIMM: The only thing that's
21 interfering right now is a programmatic presumption
22 that americium, Plutonium-238, other actinides and
23 transuranics in the licensed sector must be managed as
24 greater-than-Class-C waste. They are not DOE-true
25 waste and if they were DOE-true waste, would they be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 defense waste? Okay.

2 I personally was responsible for shifting
3 our paradigm on the Pu-239. There was an operating
4 assumption that since licensees had those sources for
5 decades that they were greater-than-Class-C waste. I
6 challenged that and said, "No. DOE always owned them.
7 They are transuranic waste. It's not a coincidence
8 that they were manufactured from weapons-grade
9 plutonium from Savannah River" and I succeeded at
10 making an argument with the Environmental Management
11 Program and our general counsel that they should be
12 managed as defense-true waste.

13 Now one of my initiatives for the next
14 year is to take that same white paper and try the same
15 thing for our americium because I think most of us
16 know that it's a decay product of plutonium in the
17 weapons production stream or in weapons components
18 themselves. The only difference between that and the
19 Pu-239 is that we separated purified and sold the
20 americium in the commercial market. It's not DOE
21 owned, but that's the only difference. So the
22 question is when the government recovers those
23 materials, which waste label do we put on it? I would
24 like to say "defense-true."

25 CHAIRMAN RYAN: Allen.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 VICE CHAIR CROFF: Talking about the
2 scenarios, is there a report or whatever where this
3 analysis is laid out?

4 MR. GRIMM: If there is, it's probably
5 classified.

6 VICE CHAIR CROFF: Okay. And the list of
7 radionuclides in your left column, how was that list
8 picked? Why are those there and others not there?

9 MR. GRIMM: This was picked by NNSA and
10 National Laboratory staff as isotopes of concerns that
11 would make effective radiological dispersal devices
12 and by "effective," we mean materials that would after
13 the emergency response deny access and open use of a
14 contaminated area. This isn't geared toward
15 radiological exposure or injuries during the RDD event
16 itself, but in the long-term exposures in the
17 aftermath.

18 VICE CHAIR CROFF: Okay. Thanks.

19 MEMBER HINZE: Briefly, Joel, I realize
20 you're just talking about sealed sources and that's
21 your domestic program, etc. and we're dealing here
22 with control and tracking of sealed sources, but what
23 about unsealed sources? I've had an occasion to have
24 chunks of carnotite land on my desk from former
25 friends. There are regulations in place, I believe,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in some states that one cannot leave cores of uranium
2 ore laying on the ground. What's being done about
3 controlling unsealed sources?

4 MR. GRIMM: I'm not really sure I can
5 address your question. We have routinely only dealt
6 with sealed sources. I think most materials that are
7 used in unsealed form typically can be used and
8 disposed of at low-level waste facilities. They don't
9 exceed regulatory criteria that require the
10 government's intervention and action.

11 MEMBER HINZE: But they are not required
12 to go into a low-level waste storage.

13 MR. GRIMM: You're talking about NORM.

14 MEMBER HINZE: Yes, right.

15 MR. GRIMM: Or at least in part.

16 CHAIRMAN RYAN: We have an additional
17 comment from the staff.

18 MR. HARRIS: Yes. Tim Harris from the
19 NRC, just to put a perspective on NRC licensees, 10
20 CFR Part 20 requires licensees to control their
21 radioactive material. So the regulations require
22 control of all radioactive material. I think we're
23 talking today about sources and tracking sources.
24 Just because we're not tracking non --

25 MEMBER HINZE: NORM, if you will.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. HARRIS: Well, NORM is a different
2 issue. But not a sealed source, bulk material, the
3 regulations still require control of that material.

4 MR. GRIMM: Tim would an example be things
5 like brachytherapy seeds or are those all sealed?

6 MR. HARRIS: Those are sealed.

7 CHAIRMAN RYAN: They are little, but they
8 are sealed.

9 MR. HARRIS: Right, but brachytherapy
10 seeds we're not tracking. They don't meet the
11 threshold.

12 MR. GRIMM: Things like carnotite are not
13 regulated because they are naturally occurring
14 radioactive material.

15 MEMBER HINZE: Right.

16 MR. GRIMM: Not by NRC.

17 MEMBER HINZE: But don't put them on my
18 desk.

19 CHAIRMAN RYAN: Well, I think it's an
20 interesting area, but I just wonder as you point out
21 if maybe it doesn't meet the test of being a sealed
22 source concern at this point. I don't know. It's
23 interesting to think about.

24 MEMBER HINZE: Yes.

25 CHAIRMAN RYAN: Other questions.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. GRIMM: Any interesting aspect of your
2 question is that as you can see from the bottom of the
3 chart we have radium on the list. Traditionally, the
4 government has not concerned itself very much with
5 radium.

6 CHAIRMAN RYAN: The Federal Government.

7 MR. GRIMM: The Federal Government.

8 CHAIRMAN RYAN: State governments concern
9 themselves with it all the time.

10 MR. GRIMM: This is a new thing for us and
11 believe it or not, we've taken so much americium off
12 the market that we now have sealed source
13 manufacturers asking if they have some of it back
14 because the DOE plants have stopped separating and
15 purifying americium. The supply of clean americium
16 for two new sources has dwindled considerably. We'd
17 like to say yes, but in a nonproliferation program,
18 it's difficult to start handing out the stuff that
19 you've been picking up.

20 MEMBER HINZE: Thanks, Joel.

21 MR. GRIMM: You're welcome.

22 CHAIRMAN RYAN: I guess I just speculate
23 that if you did recycle the material into some new and
24 improved source control program maybe that's the path
25 forward. Who knows.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. GRIMM: Well, recycling excess and
2 unwanted material would be in compliance with the
3 NRC/DOE working group study on security of sealed
4 sources. It remains to be seen what the government's
5 role is in managing that recycling.

6 CHAIRMAN RYAN: But that's interesting.
7 That is part of the MOU.

8 MR. GRIMM: Another interesting aspect of
9 this is that the radioactive source market has become
10 global which means, I'll use a specific example. A
11 firm in California wants americium, but it's their
12 sister corporation in the Czech Republic that actually
13 manufactures the sources. So that means we have to
14 put our foot into the export/import market and all the
15 rules that regulate that. I personally fear that if
16 anything goes wrong in that arena, fingers are going
17 to point at us. So it bears some careful thought.

18 CHAIRMAN RYAN: Latif.

19 MR. HAMDAN: Joel, what is the status of
20 the generic EIS that DOE Department of Environmental
21 Management are preparing on dispose of greater-than-
22 Class-C waste?

23 MR. GRIMM: DOE's Environmental Management
24 Program committed to the Senate in a hearing, I think
25 it was in October, to begin a NEPA process for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 developing greater-than-Class-C waste disposal
2 options. The Environmental Management Program Office
3 is responsible for that and is preparing to issue an
4 advanced notice of intent to start the scoping process
5 for that.

6 I believe the advanced notice of intent is
7 scheduled to be issued this month or in January. The
8 purpose of the advanced notice is to provide a little
9 extra time for the public to identify important issues
10 before the actual public scoping process starts.

11 MR. HAMDAN: Joel, just a follow-up. Will
12 the EIS cover only the commercial greater-than-Class-C
13 waste or will it also include the greater-than-Class-C
14 waste covered with the Department of Energy and
15 Department of Defense also?

16 MR. GRIMM: There was discussion on this
17 topic over a year ago and I believe there was a move
18 in DOE especially in the Environmental Safety and
19 Health Program to incorporate those other problematic
20 and no-disposition path type waste streams. I don't
21 know if EM is going to take that approach and include
22 things like non-defense transuranic waste or if they
23 are strictly going to limit it to the license sector
24 of greater-than-Class-C.

25 CHAIRMAN RYAN: Other questions?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Comments? Joel, thanks very much. Very informative
2 presentation.

3 MR. GRIMM: You're welcome.

4 CHAIRMAN RYAN: You have a lot of work
5 behind you and a lot of work ahead of you.

6 MR. GRIMM: Good work.

7 CHAIRMAN RYAN: Thank you. Theron, why
8 don't I suggest we take maybe a ten minute break and
9 that way you can work on reestablishing the forum and
10 so forth before our Maryland presentation. We'll come
11 back in about ten minutes. Off the record.

12 (Whereupon, the foregoing matter went off
13 the record at 2:16 p.m. and went back on the record at
14 2:32 p.m.)

15 CHAIRMAN RYAN: Okay, if we could have
16 everybody's attention, please. We're now going to
17 hear from the Maryland Radiological Health Program,
18 Roland Fletcher, the Program Director. Is that
19 correct?

20 MR. FLETCHER: Program Manager.

21 CHAIRMAN RYAN: Program Manager, and
22 Raymond Manley from the Program also will be here to
23 talk. And, Roland, you're going to lead us off.

24 MR. FLETCHER: Yes.

25 CHAIRMAN RYAN: Welcome. Thank you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. FLETCHER: First of all, I'm very
2 pleased to have this opportunity to speak before this
3 committee and to present information that the CRCPD
4 has been engaged in for some time, especially in the
5 area CRCPD programs and radioactive materials control,
6 recovery, and disposition.

7 Let me point out that this material that
8 I'm going to be using was provided primarily by Terry
9 Devine of the CRCPD, who we're trying to make contact
10 with so they can make sure that I say it right. And
11 it is based on experience, as I said, that CRCPD has
12 had with the states over some time.

13 I'm going to begin the presentation, but
14 at a point about midway, I'm going to turn it over to
15 Ray. I'm going to be covering the CRCPD aspects of
16 these programs. Ray is going to be talking about
17 Maryland's experience in the same area.

18 Let's talk first of all about the
19 conference. I don't know how many of you know what
20 the Conference of Radiation Program Directors is.
21 It's essentially an organization of state regulatory
22 programs advised by agencies of the federal
23 government, including the NRC, EPA. And what we do is
24 we put together working groups based on the
25 experiences of the staffs of these various programs,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 so that we can jointly develop consistent regulations,
2 so that we can look at issues and concerns within the
3 regulatory community, come up with position papers,
4 resolutions that deal with those particular things.

5 We also kind of act as a clearinghouse for
6 information. We exchange staff. You'd be surprised
7 at how many people have gone from one state to another
8 to participate in another staff based upon their
9 experience in an opening that might appeal to them.

10 During the past four years, the CRCPD has
11 worked with the NRC in their National Orphan Source
12 Program to address the vital issue in this country.

13 Since 1987, CRCPD has invited custodians
14 of discarded or otherwise unwanted radioactive
15 materials to call for assistance in finding
16 affordable, legal solutions for the control of these
17 orphan sources. Thousands of these requests have been
18 satisfied by continually expanding a list of
19 alternatives. Radioactive materials were mostly
20 produced over 30 years ago and have been long retired
21 from use. In many cases, records from the materials
22 have essentially been lost. We need to find an orphan
23 source, as we've been talking about, something with no
24 record, no trace, no identifiable characteristics, and
25 no ownership.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 *The material that we have dealt with may*
2 *have had a valuable application at one time, but it's*
3 *better controlled here than in prolonged storage where*
4 *you may not even know where it is.*

5 *The contract invites contact with people*
6 *who wish to adopt these sources, someone who wants to*
7 *take control, someone who has a use for them. Over*
8 *the years we have been able to fill hundreds of these*
9 *requests. Success of these projects can clearly be*
10 *seen in the yearly request for Radium sources. These*
11 *sources are available - as indicated in the previous*
12 *speaker - Radium is one of the areas that is*
13 *identified by many states where a lot of these sources*
14 *are found, and we find those who want to take control*
15 *of it.*

16 *Many of these activities are funded, in*
17 *part, by the NRC, and in previous years, by EPA and*
18 *DOE. In eight cases, funding was provided through the*
19 *CRCPD from the above sources for disposition of*
20 *radioactive materials in agreement state programs.*
21 *Currently, four more of these projects are underway,*
22 *so the agreement states have taken full advantage of*
23 *the opportunity to get rid of some orphan or unwanted*
24 *sources. And Ray is going to go into a lot more*
25 *detail of what we've done in Maryland about that.*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 What has been working? The adoption of
2 RAM at no charge has accommodated tens of kilocuries
3 of Cobalt-60, kilocuries of Cesium-137, and
4 approximately a gram of Radium-226. Some
5 manufacturers accept retired devices at affordable
6 prices for recycling or disposal. This process has
7 been successful with Tritium signs, Americium-241,
8 Radium-226 smoke detectors, certain Cesium-137 and
9 Cobalt-60 gauges, and virtually all Krypton-85
10 devices.

11 CRCPD appreciates the DOD Waste Office
12 acceptance of radioactive material devices, mostly
13 luminous devices, at no charge, and in a reasonable
14 time frame. The DOD Off-Site Recovery Program, OSRP,
15 is the only significant outlet for Plutonium,
16 Americium, and their Beryllium Neutron sources. They
17 have taken several kilograms of Plutonium and several
18 kilocuries of Americium, approximately 10,000 items,
19 since the program has been implemented.

20 OSRP is now expanding to consider Cesium-
21 137, Strontium-90, Cobalt-60, Radium-226, may be
22 considered for sources where burial as low level
23 radioactive waste is excluded or would be prohibited
24 due to expense. Sixteen Cesium-137 devices currently
25 targeted for collection from high schools and colleges

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 are in the 3.6 kilocurie range. Strontium-90 from
2 thermal electric generators is about one megacurie.

3 What else works? Brokers who secure and
4 handle most of the orphan sources are generally
5 competitive in pricing, utilizing federal outlets and
6 manufacturer acceptance, and cooperate with each other
7 in fully utilizing waste packages. Brokers can be
8 contracted to recover a source or device in response
9 time between hours and several days. But we do have
10 some concerns.

11 First of all, device distributors continue
12 to become Superfund sites. U.S. Radium in
13 Pennsylvania, two luminous dial firms in, 120 grams of
14 Radium devices at Radium Chemical Corporation,
15 examples of defunct and problematic. Atomic Energy Act
16 material licensees include Golf Nuclear in Texas,
17 Neutron Products in Maryland, and Berthold Scientific
18 in Pennsylvania.

19 With just tens of milligrams of Radium
20 contamination, entire buildings are disposed of under
21 low level waste criteria. Over a megacurie of Cobalt-
22 60 is in storage in defunct or otherwise closed
23 facilities with neither a commercial market, or an
24 affordable disposal option. And dozens of Lithium and
25 Beryllium Neutron sources with five to fifteen curies

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of Plutonium or Americium remain to be collected by
2 OSRP. These are some of the concerns, some other
3 concerns.

4 A dozen greater than 100 milligram Radium
5 Beryllium devices remain in long term storage because
6 the disposal is either unaffordable or prohibited.
7 Expansion of DOE support has been slow. DOE financial
8 support for the OSP program has been erratic. Limited
9 disposal of Plutonium-239 was halted in 2001. The
10 program was expanded in 2001 to include Plutonium-238,
11 Americium-241, and associated Beryllium Neutron
12 sources, but progress is slow.

13 Radium orphan sources are again in need of
14 disposal. Four states have accumulated a few drums of
15 Radium, Radium trash, mostly luminous items that will
16 need disposal. Funding of approximately \$60,000 is
17 needed. Between 1964 and 1982, EPA accepted 145 grams
18 of Radium for disposal.

19 More concerns. Relief should be
20 considered under current regulations regarding
21 disposal of short-lived medical patient waste, norm
22 scale, and Radium luminous dials. Agreement states,
23 NRC, EPA, and DOE need to cooperate and organize a
24 more prompt and cost-effective deal with discovered
25 radioactive devices.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Here are some examples of specific
2 concern. Questions on responsibility of responding
3 agencies to secure and dispose of a discarded or
4 discovered RAM. This has happened in several
5 instances where something happens, we become aware of
6 it, and there's an unidentified, unwanted source, and
7 it may not be in an agreement state, or it may have
8 been in an area where previous ownership was not
9 determined. And no one really wants to go out and say
10 I'll take it. I'll take it over. I'll take it under
11 control. Sometimes you have to come to difficult
12 situations.

13 Two hundred twenty milligrams of Radium in
14 therapy devices found at landfills, most expensive
15 alternative for evaluation and disposal. Sometimes we
16 find it and the ebb and cry is let's get rid of it,
17 let's do something. And rather than plan how to take
18 charge or how to get rid of it, whatever works quick
19 is usually pursued, and that's normally the most
20 expensive.

21 Examples of concern. Forty milligrams of
22 Radium-226 was found in an unoccupied house.
23 Radioactive material remained at the site weeks later
24 while negotiations for disposition continued.

25 In two cases, 70 millicuries of Strontium-

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 90 and 70 millicuries of Cesium-137 were held several
2 months by scrap dealers that reported finding them,
3 while authorities arranged for disposition.

4 An agreement state is currently struggling
5 for three months to dispose of 1.3 curies of Krypton-
6 85 gauge. The shutter was stuck open, and is still
7 being held by the manufacturer. The manufacturer has
8 agreed to the return of the device, funds are
9 available, but state attorneys are still holding the
10 matter under consideration.

11 Now we want to give you some perspectives
12 and experiences from the field, and I'm going to turn
13 this over to Ray, who's going to talk specifically
14 about things that have occurred in Maryland.

15 MR. MANLEY: Good afternoon. Thank you
16 for allowing me to speak with you today. I'd like to
17 start off by saying a little bit about accountability
18 in the State of Maryland. Where Maryland is going at
19 the moment, we are attempting to approve the
20 accountability of our generally licensed devices, so
21 I'd like to talk about that a little bit.

22 We have implemented a portion of the NRC
23 required regulation to improve the reportability from
24 manufacturers to Maryland so that we, along with the
25 NRC and other agreement states, will have better

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 *accountability as to final users for general license*
2 *devices.*

3 *We are working to establish a general*
4 *license database through the registration of devices.*
5 *I will tell you that there is some polite discussion*
6 *right now between some agreement states and the NRC*
7 *regarding how to establish that general license*
8 *database. You heard earlier some discussions on 10*
9 *CFR Part 31.5, which outlines that criteria by which*
10 *the NRC is establishing the threshold for the*
11 *registration of general license devices.*

12 *Maryland and a number of other agreement*
13 *states are considering whether we want to establish*
14 *the level of registration the same as the NRC. Some*
15 *considerations in that, perhaps, is if you say we are*
16 *only going to register such devices that are greater*
17 *than 10 millicuries of Cesium - well, does that mean*
18 *you don't want to register the 9 millicurie Cesium*
19 *sources?*

20 *If you are going to ramp-up a program like*
21 *we're going to do in Maryland, approximately 750 users*
22 *or 3,000 devices, approximately, for general*
23 *licensees, we would like to encompass a larger*
24 *proportion of our general licensed users in that*
25 *registration process.*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I believe where the question is currently
2 going is that the NRC regulation is a Compatibility-B,
3 which means that it must be adopted verbatim by
4 agreement states, and subsequently, that means that
5 agreement states are prohibited from registering
6 anybody else under the current NRC regulation.

7 Maryland is looking into evaluating its
8 resources for the purposes of inspecting general
9 licensees to a greater degree. Currently, I believe
10 we have the same policy that the NRC has during their
11 inspection process where if we inspect a specific
12 licensee and they have generally licensed items, we
13 will review those generally licensed items, or if
14 there is an event that occurs, of course, we take a
15 look at inspecting a general license. But right now,
16 if there is a user who is only using general license
17 devices, we're not getting out to do that, and we're
18 looking into that.

19 We have successfully or are currently
20 trying to train our licensees and the general public
21 on all those factors involved with general license
22 distribution, and general license registration, and we
23 have been and are continuing to develop good
24 coordination with local law enforcement. When you
25 have a recovery of a source, always it's very good to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 have a good relationship with those local responders
2 that are going out with you as a state agency to
3 establish control of a radioactive material.

4 Okay. Why are we interested in recovery
5 of radioactive material? Well, you never know who may
6 end up with a radioactive device. That particular
7 device, that gentleman, whoever he is, is holding is
8 a Nickel-63 ICAM. It's a generally licensed device
9 that's made in Maryland. And as we know, when you're
10 dealing with orphan sources, they're just so easy to
11 find out there in the waste train. They are just so
12 incredibly easy to find. And in the same sense,
13 they're always very easy to identify.

14 CHAIRMAN RYAN: Just out of curiosity,
15 what does that last one show?

16 MR. MANLEY: That is a Radium-226 source
17 that was found in ash. I believe that was found in a
18 situation in Pennsylvania.

19 Okay. A couple of things I want to talk
20 about that we've done, which we feel is important in
21 this recovery of lost sources. RHP does try to budget
22 money for disposal each year, but Maryland - and that
23 amount has been up to \$20,000 in the past for orphan
24 source disposal, but Maryland is in the same current
25 budget crunch as a number of other states, so that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 money is truly in jeopardy at the moment. But we try
2 to keep money available for the purposes of disposal.

3 Another thing that we've done which we
4 find very helpful is to have a place to take our
5 radioactive material when we've recovered it. To take
6 it out of the public domain, where do you take it? We
7 have an agreement with one of our licensees, the
8 University of Maryland at College Park. Here is an
9 example of one of the older signed agreements, but it
10 indicates this radioactive material is currently
11 present at College Park, and they say that Maryland
12 has made a commitment to resolve and to dispose of
13 that material, but it really is necessary if you have
14 a program for emergency response to have a place to
15 take the radioactive material and get it out of the
16 public domain.

17 Okay. When we recover radioactive
18 material, the first thing we try to do is return it to
19 the licensee. That works in a lot of cases. We also
20 deal with bad luck, you're stuck, I guess is the way
21 to put it. If you acquire radioactive material and
22 you don't necessarily -- you are the last one to have
23 it, you may end up with the responsibility of the
24 payment. And I think that's where the Orphan Source
25 Program from CRCPD comes in, try to help people in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 *this category.*

2 *CHAIRMAN RYAN: Raymond, just a quick*
3 *question, if I could.*

4 *MR. MANLEY: Sure.*

5 *CHAIRMAN RYAN: When you say that if they*
6 *can't pay, do you go through some of the*
7 *administrative process to examine that, or how do you*
8 *figure out they can't pay?*

9 *MR. MANLEY: That goes through our legal*
10 *process, and the administrative evaluation. It can go*
11 *all the way through the Director of our*
12 *administration, down to Mr. Fletcher, and so forth.*
13 *It also, of course, is going to depend on what*
14 *options, if any, are available to dispose of the*
15 *material.*

16 *We have, on occasion, impounded*
17 *radioactive material from bad actors, bad licensees.*
18 *Sometimes that material ends up at College Park and*
19 *needs to be disposed of, and if you have radioactive*
20 *material that's both in the public domain with no*
21 *owner determined, we take that to College Park.*

22 *What do we currently have located at*
23 *College Park? We have an Alphanon ionization vacuum*
24 *gauge. I had a heck of a time just finding out what*
25 *an Alphanon ionization vacuum gauge was, and I was*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 real happy to look it up on the sealed source and
2 device registry. And thought gee, I've really found
3 it, and there was just the first page of the device,
4 no other information, not even the amount of activity
5 in the device. But it has approximately 500
6 microcuries of Radium-226. That's currently on our
7 list to get rid of. And there's a Radium-226 Marine
8 compass. We tried to get creative and have one of our
9 licensees take it off our hands who has a health
10 physics museum. That didn't quite pan out when he
11 realized and we told him that yes, he could take it
12 off our hands, but yes, we would have to add it to a
13 specific license too, and he wasn't too pleased about
14 that. So as a result, it's still at College Park, but
15 there's a picture of the device.

16 Let me talk about our most recent
17 experience with a recovery and disposition of several
18 radioactive sources. There was an instance in
19 February `02 where we were notified in RHP of a 2
20 curie Cesium-137 source that was found in a steel
21 plant in Hartford, North Carolina. The owner of that
22 device was identified as a facility in Maryland, Jet
23 Blast, also known as Essex Chemical.

24 RHP went out and conducted an
25 investigation of the scene. It indicated that that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 particular facility had had four of those devices
2 installed in 1984. Two of the four devices were
3 located at that facility at Fairfield Road.
4 Interestingly enough, the management there didn't know
5 they had them, but they were located at that facility.

6 That still left one that was unaccounted
7 for. RHP went out and educated a number of the waste
8 dealers in the area to keep a lookout for the fourth
9 device, and it was found in the waste stream at United
10 Iron in Baltimore, Maryland. There was no damage to
11 the recovered devices and no leakage. All four gauges
12 were transported to Radiation Services Organization,
13 who is a licensed waste broker, and they were stored
14 and charges were made for storage from RSO. And
15 there's an indicator of the types of devices that we
16 found. They were four Texas Nuclear gauges.

17 So did we ship them back to the
18 manufacturer? Well, no, because it turns out that
19 Texas Nuclear wouldn't take them, so that's the first
20 thing. We did look into other options and it turned
21 out that there was a chance that Ohmart Vega would
22 take them back, or do we have them disposed at an
23 approved disposal facility? Who's going to pay for
24 all of this? Is it going to be paid for by RHP? Is
25 it going to be paid for by Jet Blast, or are we going

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to use the CRCPD Orphan Source Program? So basically,
2 we did use the CRCPD orphan material fund for this
3 disposition.

4 We reviewed our options. Legal review, as
5 you heard before, can be a problem. The State of
6 Maryland basically is taking liability for the
7 disposition of this material, so there is a legal
8 review that's involved. There is a request that's put
9 forth to the CRCPD, an agreement signed, a
10 confirmation of that agreement, the bidding process,
11 internal fiscal concerns.

12 Basically, even though money is coming
13 from CRCPD to pay for this transaction, Maryland had
14 to come up with a special budget amendment to procure
15 the money up front, and that's not necessarily an easy
16 thing to do within a state system. And then final
17 disposition.

18 Here is an example of the request that
19 goes from the agreement state to CRCPD, and that
20 request was put in September 20th, 2002. It was for
21 authority to accept reimbursement. It had to go
22 through the legal review before this letter could be
23 sent, and it indicates that Maryland will get the bids
24 and complete disposition of the radioactive material.

25 Then there's an agreement that is signed,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the reimbursement agreement. Here is an example of
2 that. It has to confirm that the licensee or the
3 individual with the radioactive material cannot pay,
4 that the entity holding the radioactive material did
5 so inadvertently, or the radioactive material is
6 abandoned with no owner.

7 It also indicates that the radioactive
8 material must pose a potential threat, and that MDE
9 has the responsibility for the transaction. Also, it
10 indicates that MDE has the liability for conducting
11 the actions involved with the disposition, and that
12 CRCPD has the responsibility of payment. And then
13 there's a letter back from CRCPD where they commit to
14 provide funds for the disposition. That was on
15 September 23rd, '02.

16 And again, here is the radioactive
17 material that was necessary to be disposed of. RHP
18 went out and got bids for the transaction. They're
19 all basically close in nature but, obviously, when
20 you're looking at these bids, it needs to be the
21 reasonable and best bid that's taken. In this case,
22 we chose the Radiation Service Organization bid, which
23 is their paperwork there. I'll go by that real quick.
24 And then there is the confirmation of shipment once
25 the disposition has occurred.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 *Lessons Learned, and I guess this is a*
2 *couple of comments by myself on Lessons Learned in*
3 *putting together this small talk here. And that is*
4 *that yes, we have a history in Maryland of dealing*
5 *with these type of orphan sources, and we do keep all*
6 *vital records, transmittals, the waste shipment*
7 *manifest. But what I found is that many subtleties of*
8 *those actions are easily lost. I have a feeling that*
9 *Maryland is going to be relearning its lessons over*
10 *and over again, so Lessons Learned we're attempting to*
11 *keep better quality of records.*

12 *Retirement of persons who maintain the*
13 *historical perspective. If my former boss were here,*
14 *Carl Trump, he would be able to probably talk for*
15 *another hour and a half on each one of these*
16 *instances, but he's not here any more, and now his*
17 *perspective has been lost.*

18 *Careful documentation of all events, to*
19 *me, is really necessary. From a historical*
20 *standpoint, in early 1989, Maryland did have a large*
21 *Radium shipment where there was a collection from a*
22 *number of licensees in Maryland. It was brokered by*
23 *the Radiation Service Organization. When it ended up*
24 *going to U.S. Ecology, it was about 1,153 milligrams*
25 *of Radium. And these are the licensees in Maryland*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that the Radium was collected from.

2 We did have a shipment in June of `97 of
3 two Cobalt-60 sealed sources, which RHP paid that
4 amount. And I guess I shouldn't admit this, but I
5 went looking for where those two Cobalt-60 sealed
6 sources came from and I couldn't find it in the
7 records, so that sort of goes back to the Lessons
8 Learned of keeping better notes at this point.

9 There was a shipment in March of `99 of
10 one millicurie of Radium dials, and other
11 miscellaneous sources. This shipment came about
12 because before Maryland had an understanding with
13 College Park, we had to have some way of taking small
14 little sources out of the public domain, so they would
15 come back to our office and be stored in our safe
16 under the appropriate controls, and labeling, and so
17 forth. But this shipment here was to get rid of those
18 sources that we were keeping in our office.

19 In April of `99, we transferred three
20 curies of Americium-241 from a well logging device.
21 Our department and Natural Resources had a well
22 logging license but was decommissioned, and as a
23 result, RHP ended up with that source and a need for
24 disposal of it.

25 And in January of 2000, we used the DOE

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 *Off-Site Source Recovery project to ship a moisture*
2 *density gauge to Los Alamos. And there's a picture of*
3 *the drumming and so forth that was involved. Do you*
4 *have any questions?*

5 *CHAIRMAN RYAN: Jim? Ruth?*

6 *DR. WEINBERG: I'd like to ask, if I adopt*
7 *an orphan source, what happens when I'm through with*
8 *it?*

9 *MR. FLETCHER: Once you adopt the source,*
10 *then you become the owner of that source. Then all of*
11 *the rules and regulations that apply to ownership go*
12 *into effect, so you would have to go through disposal.*

13 *CHAIRMAN RYAN: You can't borrow it, Ruth.*
14 *You've got to own it.*

15 *DR. WEINBERG: Got to own it. I can't be*
16 *a foster parent.*

17 *MR. MANLEY: Are you volunteering?*

18 *CHAIRMAN RYAN: I think that's why your*
19 *Radium dial clock wasn't adopted, because it was*
20 *permanent. Right?*

21 *DR. HINZE: A question that I'd like to*
22 *direct to Mr. Fletcher. One of your slides states in*
23 *one of the bullets, "The agreement states, NRC, EPA,*
24 *and DOE need to cooperate and organize for more*
25 *promptly and cost-effectively deal with discovered*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 radioactive devices." Could you expand on that a
2 little bit, and what it's going to take to get that
3 cooperation, what type of cooperation are you looking
4 for and organization?

5 MR. FLETCHER: Well, I can expand on it a
6 little bit. I don't know if Terry ever got on the
7 line or not, but --

8 CHAIRMAN RYAN: Terry, are you there?
9 Could you put the microphone over --

10 MR. FLETCHER: I did actually hear him
11 respond, but it was so low. I can start.

12 CHAIRMAN RYAN: Please.

13 MR. FLETCHER: I mean, we are all aware of
14 the problem with these sources. I mean we need to be
15 discussing at various meetings, the CRCPD annual
16 meeting, the OAS meeting, but we seem to have
17 different perspectives on how do we feel about
18 processing. When we've had situations within
19 Maryland, we've had to work within Maryland's
20 regulations and with Maryland's procedures, and work
21 with the CRCPD to get that done.

22 There doesn't seem to be a uniform
23 procedure that everybody buys into, to address this.
24 And I guess we're just going to have to keep meeting
25 --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. HINZE: Is that even possible because
2 of the varying state regulations and how they're
3 codified and so forth?

4 MR. FLETCHER: Well, I always think
5 anything is possible. Probable is another question.
6 And, particularly, when you talk about the naturally
7 occurring materials, which seem to pop up in many of
8 the conversations regarding these orphan sources,
9 because NRC regulations don't really deal with those
10 things, so bringing them into the discussion is a
11 little more difficult.

12 CHAIRMAN RYAN: Latif.

13 MR. HAMDAN: Maryland is an agreement
14 state, right?

15 MR. FLETCHER: That's correct.

16 MR. HAMDAN: So from what we heard this
17 morning, if you are an agreement state, then you
18 should have your own regulations.

19 MR. FLETCHER: We do.

20 MR. HAMDAN: So if you have your own
21 regulations, and you implement them, it's all the
22 State of Maryland, it seems to me.

23 MR. FLETCHER: Well, that's true, but the
24 question dealt with how you have kind of a coordinated
25 process where everybody participates. Because when

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you're talking about the disposal of these sources,
2 you're talking about a few disposal locations. And
3 a lot of the disposal brokers work in many different
4 states, some of them NRC states, some of the agreement
5 states. And I think what that particular comment was
6 geared to was to try to get something in common so
7 that the brokers, for example, can follow the same
8 procedures state-to-state.

9 CHAIRMAN RYAN: Latif, I think one of the
10 things we heard this morning - we did hear from Paul
11 Lohaus, the Agreement State Program, and he commented
12 how effective CRCPD is across the board, suggested
13 state regulations, this program and others, so I know
14 as a past chairperson of the conference that you
15 appreciate that that's recognized.

16 I think you've touched on a point you just
17 made that there's AEA material and non-AEA material.
18 I've heard over the years from many state program
19 participants that say Radium, is Radium, is Radium.
20 I don't care where it starts or who regulates it, we
21 have to deal with it at the state level.

22 I recall Mike Mobley's slide of
23 radioactive material is the box he regulates, and then
24 he shows the federal slide which has a bunch of
25 different boxes, and who does what, for whom, so

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 *there's that aspect to it.*

2 *I think it's important to recognize it's*
3 *not so simple, but is there a theme? And I think*
4 *that's your question, is there a theme?*

5 *MR. HAMDAN: That's right.*

6 *CHAIRMAN RYAN: And I guess the theme is*
7 *you always manage the material correctly. You may not*
8 *be able to sort it out in terms of where it's going to*
9 *go, or where it's going to be disposed, but public*
10 *health and safety is the theme, I think. At least*
11 *that's my perception. Tell me if I'm wrong, or if I'm*
12 *right, tell me how I'm right.*

13 *MR. MANLEY: I believe you're right. I*
14 *would like to mention three points that my staff*
15 *brought up, that I'd like to mention for your*
16 *consideration. These may have been brought up*
17 *previously. We've only been here for this afternoon.*
18 *And I've even had members of the public ask me this*
19 *question.*

20 *If you want accountability of sealed*
21 *sources, why can't there be insulations of GPS or low*
22 *jack systems in radioactive material devices to assure*
23 *accountability of devices. I've had the question that*
24 *- and for your consideration - should legislation be*
25 *enacted to make manufacturers more accountable for*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 radioactive material.

2 We had an example right there where Texas
3 Nuclear refused to take the device back. There's
4 nothing that makes them take it back. Just, again,
5 for consideration. And should legislative action be
6 enacted to prevent storage of unusable radioactive
7 material for extended periods of time? I'll just
8 leave you with those three. Any other questions?

9 CHAIRMAN RYAN: Actually, the middle one
10 was one that was in our October, 2002 letter to the
11 Commissioners, saying that consideration should be
12 given to the use of geopositioning technologies to
13 facilitate tracking of significant sources, so we're
14 on the same page with that one. It had much the same
15 ideas on tracking.

16 I think it will be interesting to see as
17 the staff brings forward their draft in January.
18 Maybe that's a focal point for all of us to revisit,
19 what the next steps seem to be shaping up to be. Yes,
20 Latif.

21 MR. HAMDAN: Yes. I just have one other
22 question. The Maryland experience, is it any
23 different than other states, or is it typical of what
24 goes on with sealed sources in other states? Do you
25 know?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. FLETCHER: Well, there's very few
2 agreement states, so the experiences are a lot
3 different from state to state depending upon the kind
4 of licensees they have. I think we're pretty active
5 in working with the CRCPD. I don't know how many
6 other states there are, but I think the number that we
7 had in the presentation were like 8 to 12, perhaps.
8 So of the 33, I know that 8 to 12 have worked with
9 CRCPD in this program. And I still don't know if
10 Terry can comment, but that's the experience I know
11 about. But different states have different licensees,
12 different kinds of licensees; and, therefore, they
13 encounter different problems.

14 CHAIRMAN RYAN: Terry, are you there?

15

16 DR. DEVINE: Yes.

17 CHAIRMAN RYAN: We can barely hear you.
18 We're going to try and fix that. Hang on just a
19 second. Our audio capability has been challenged this
20 afternoon.

21 DR. DEVINE: Many of the things that turn
22 up --

23 CHAIRMAN RYAN: If you could be quiet,
24 maybe we could hear, please.

25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. DEVINE: -- to be dealt with are 30 to
2 50 years old, and not only is the owner untraceable,
3 but manufacturers defunct. And I think that happens
4 with a good many of the things that turn up.

5 The problems in dealing with these
6 materials very often is in the first response to
7 assess the situation and decide what's to be done.
8 And that, as you just said, varies enormously from one
9 state to another. I think with byproduct materials,
10 the procedures are better established, the
11 alternatives are in place, and it works better. But
12 particularly with NARM and with Radium, at an incident
13 scene, a report of a find, there might be four or five
14 agencies with some degree of authority over the
15 matter, that have to rush out and try to push the
16 responsibility onto one of the others.

17 They have institutionalized a grave
18 concern not to take possession of materials, and I
19 think that's rather sad because well, with Radium -
20 now we have some outlet, and Roland mentioned a case
21 a while ago of 220 some milligrams of Radium. Radium
22 therapy devices are typically just 40 milligrams. And
23 that case was five or six of these devices in a little
24 box. And they all passed the responsibility back to
25 the person who was good enough to report it, who was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 quite prompt in getting a broker onto the scene within
2 hours who took it away.

3 I didn't hear about the case for more than
4 a year, I guess, and would have had an outlet at no
5 charge for them, just the cost of inspection,
6 packaging, and transportation. I think there's a
7 problem with developing these procedures and getting
8 them in place among all these different agencies.

9 Another case that Roland mentioned about
10 brachytherapy, Radium being found in a home that was
11 unoccupied. And it did remain there for some weeks.
12 There's an interesting nuance of that - I heard a few
13 days ago an anecdote that well, this pretty little
14 wooden box, very attractive little box, 50 years old
15 had been left there in the home. The realtor decided
16 that he'd have an open house and invite 200 people in
17 to see the property, so there I think is a risk that
18 fortunately nobody noticed that pretty little box and
19 carried it off. And it was there some time later for
20 a broker to take. But clearly, we need to work on
21 these procedures of getting things secured, changing
22 the attitudes and the policies towards that.

23 We will find disposition affordable. You
24 do need to fill a few gaps in that, and the Off-Site
25 Recovery Program is doing marvelous work to expand,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 but there's much work to be done.

2 CHAIRMAN RYAN: Terry or folks from
3 Maryland, could you help us understand a little bit
4 more about discreet Radium sources? I guess, I don't
5 really have a firm grasp on how they were licensed and
6 distributed in the very early period, say the post-war
7 period when they were much more popular in radiation
8 therapy and so on. Did doctors own them individually,
9 or how were they controlled and accounted for?

10 MR. FLETCHER: I think Terry was trying to
11 address that.

12 DR. DEVINE: I don't think they were. The
13 professional associations established some guidelines
14 and training on safety and use of the things, but I
15 don't think -- they predate the State Radiation
16 Control Act.

17 CHAIRMAN RYAN: Oh, sure. And I guess --

18
19 MR. FLETCHER: And I think --

20 CHAIRMAN RYAN: Go ahead.

21 MR. FLETCHER: I can only guess. A lot of
22 the regulatory controls of these devices was a lot
23 more cavalier. I mean, they weren't perceived, in my
24 estimation, as having the level of potential harm that
25 we now know they actually do, so I remember watches

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 with Radium dials, cars, compasses, and because they
2 glowed in the dark, people just thought they were
3 great, and now we know better. But as you said, in
4 the 40s and 50s, and I'm sure even in the medical
5 community, there wasn't that awareness. So some
6 instances with some of the Radium paint facilities
7 were starting to be revealed, but there still wasn't
8 that realization of what the total harm of these
9 things could be.

10 CHAIRMAN RYAN: Well, I think one of the
11 things you pointed out, Roland, in your slides was an
12 example - I forget the number - but a small number of
13 milligrams resulted in demolition of a complete
14 building because of contamination.

15 MR. FLETCHER: Right.

16 CHAIRMAN RYAN: So I think that aspect of
17 source -- now we've all heard stories about bank
18 vaults or safety deposit boxes where a source has been
19 found leaking, or things of that sort that become
20 remediation problems.

21 MR. FLETCHER: Projects, yes.

22 CHAIRMAN RYAN: Is studying remediation
23 projects of that type a way to get at sources, what's
24 been lost on a control? Is there information to mine
25 there? It would be interesting to see if you could

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 cast every remediation that's been a recovery effort
2 of some sort in the way you just described that one
3 building - X milligrams of Radium result in the
4 demolition of one building, and so on across a broad
5 spectrum of those kind of projects. It would be
6 interesting to see what that picture was like
7 nationwide. X number of hundreds of thousands of
8 dollars was expended by a state and contractors to
9 clean up a safety deposit vault or something.

10 MR. FLETCHER: Well, I mean, you could
11 take it even further. Think about the tons of dirt
12 that scraped up when contamination is found to be
13 above what it should be in certain areas. You're also
14 talking about tons of soil that are removed from
15 areas.

16 CHAIRMAN RYAN: Sure. Interesting.

17 DR. HINZE: If I may, what -- you
18 apparently have a good relationship with Maryland and
19 they will store your recovered items for some
20 temporary period. I think the terminology was. Do
21 they charge for this, or is this just out of goodwill?
22 How is this handled in other states where there may
23 not be as a benevolent university.

24 MR. MANLEY: Well, I hope -- we have a
25 good relationship with the Radiation Safety Office,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and I hope the word of the word "free" doesn't get
2 back to them, or we're liable to lose that. But yes,
3 it has been free of charge.

4 MR. FLETCHER: We try not to ask the
5 question.

6 DR. HINZE: I understand. Do you know
7 what transpires in other states? Do your colleagues
8 -- do you discuss this at all?

9 MR. FLETCHER: It's very isolated. I
10 mean, a few of the states do use their state
11 university. I mean, the University of Maryland and
12 the State Department of Environment, we essentially
13 have the same boss. We're both state government
14 facilities. That helps to facilitate doing this, and
15 I would venture to say that there are other states who
16 run into this problem who do the same thing. I think
17 Iowa might be a good example, but I couldn't itemize
18 it for you. I just don't know.

19 DR. HINZE: Well, that was your third
20 question, I think, regarding storage.

21 CHAIRMAN RYAN: Again, as a matter of
22 perspective, could you tell us in the spectrum of
23 programs in state, is Maryland a big program, medium,
24 small?

25 MR. FLETCHER: I think we're either --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MANLEY: We're sixth or seventh.

2 MR. FLETCHER: Yes.

3 CHAIRMAN RYAN: In size.

4 MR. MANLEY: In size, total number of
5 licensees.

6 MR. FLETCHER: We have about 600
7 licensees.

8 CHAIRMAN RYAN: So you're one of the
9 bigger programs, the top ten in the country then. So
10 your experience probably is across the spectrum of
11 what other states might see.

12 MR. MANLEY: I think experience, again,
13 has varied depending on what types of use and
14 companies are specifically located.

15 CHAIRMAN RYAN: Sure.

16 MR. FLETCHER: Our experience has been, we
17 have a lot of certain licensees - like gauge uses, et
18 cetera - some of the midwestern states have a lot of
19 Uranium mill tailings or industrial radiography
20 facilities and things. The concentrations vary. We
21 have a lot of medical licensees and a few other states
22 have a lot of medical licensees, but other states have
23 fewer, but they have a lot more radiographers. So the
24 kind of licensing will vary.

25 MR. MANLEY: Right. We have a large

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 number of research licensees just because being
2 located near Rockville and Gaithersburg, so a large
3 percentage are non-sealed sources, but are unsealed.

4 CHAIRMAN RYAN: Thank you. Terry, did you
5 have any other comments?

6
7 DR. DEVINE: On that question about the
8 other states, I would say that four or five states
9 have programs of taking in whatever turns up, and
10 eventually paying for the disposal. Several other
11 states have the arrangement that Maryland has with a
12 state facility to take it in, and eventually dispose
13 of it with their own waste.

14 A good many states have no program of that
15 type. They tell the operator of a facility, scrapper
16 trash facility, obtain appropriate container, chain it
17 to the building and store it and see if it decays. If
18 it doesn't, you'll have arrange disposal or something.
19 Now this is becoming a very widespread practice since
20 the pressure to install radiation detectors at
21 landfills. And we had probably ten cases a day or
22 more of alarm trips and radioactivity found in
23 municipal waste. And in almost every case, it is
24 short-lived, and does decay, and that storage
25 hopefully is a good idea. But in the case that it's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 *long-lived, then we have some problems that it's just*
2 *being left there on the site in need of attention.*

3 *And again, back to the Radium - it's a*
4 *therapy device. We heard about the acute fatal*
5 *injuries in other countries from tunnel therapy*
6 *devices, Cobalt and Cesium, but with Radium, the*
7 *device is about the size of a pack of matches or maybe*
8 *a kitchen match itself, so that can easily be carried*
9 *off or lost, broken. And it's not a good idea to have*
10 *those at just some local facility in a lock box, but*
11 *in many states that's the usage.*

12 *CHAIRMAN RYAN: Has the conference*
13 *produced a report on this by any chance, Terry?*

14
15 *DR. DEVINE: Oh, I think there's been some*
16 *articles in our newsletter over the years.*

17 *CHAIRMAN RYAN: If there's any of those*
18 *that are more recent, of recent vintage that kind of*
19 *summarize the conference's experience as a whole,*
20 *those would be helpful for us to have. If you could*
21 *maybe think about that and get back to us --*

22
23 *DR. DEVINE: Yes, I will.*

24 *CHAIRMAN RYAN: -- with some summaries,*
25 *that would be very informative for us.*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I've learned that Robert Free is not going
2 to be available on the phone link today,
3 unfortunately. He's been called away for other
4 activity, so the next item on our agenda is kind of a
5 general discussion. I guess the question is where do
6 we go from here? So maybe I'd thrown that open to any
7 and all participants, including our Maryland State
8 folks, or our other speakers from NRC staff, or DOE.
9 Any thoughts?

10 MR. GRIMM: This is Joel from DOE. One
11 thing we've tried to impress upon our new management
12 at NNSA, whether you're talking about permanent safety
13 or permanent security related to sources, disposal is
14 security. Typically, the National Security programs
15 don't want to be saddled with disposal projects, and
16 rightly so, but not having the disposition path, a
17 permanent disposition path is a major stumbling block
18 to proper management of sealed sources.

19 CHAIRMAN RYAN: That's an interesting
20 perspective. Do you have any thoughts on how to break
21 that conundrum?

22 MR. GRIMM: Well, thankfully DOE's
23 Environmental Management Program was officially named
24 the Owning Program Office for the greater than Class
25 E problem. I don't think there has ever been a formal

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 designation like that. When the Low Level Waste
2 Policy Amendments Act was issued in 1986, it was
3 signed in January of '86, the only real requirement
4 was for DOE to write a report. And the report was
5 written and there's been very little discussion of it
6 since, so I think it's a good step forward.

7 CHAIRMAN RYAN: That's a long way from
8 actually having disposal --

9 MR. GRIMM: It goes without saying that
10 writing an Environmental Impact Statement, a generic
11 Environmental Impact Statement for a disposal facility
12 is one thing. Getting it sited, approved, and built
13 is another. It's not a foregone conclusion that we're
14 talking about a new pristine site. Existing
15 facilities could be included in the EIS.

16 CHAIRMAN RYAN: Well, that's interesting
17 to think about the fact that the source term is an
18 inventory of curies on probably a top ten list that
19 you showed us on your slide, and that's a fairly
20 straightforward thing to make some assessment about.

21 MR. GRIMM: The inventories are not large.
22 The 10,000 sources we recovered are in 600 drums at
23 Los Alamos.

24 CHAIRMAN RYAN: Interesting. So that
25 might be the eye of the needle, is the disposal outlet

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 has to bring closure to the problem, rather than
2 ongoing management.

3 MR. GRIMM: I believe that's correct.

4 CHAIRMAN RYAN: Okay. Would you guys
5 agree with that from your state perspective?

6 MR. FLETCHER: I think so.

7 CHAIRMAN RYAN: It would be interesting if
8 that was available directly to states, that it didn't
9 have to go through a more complex collection step by
10 some intermediate program that's underway now, but if
11 there was a direct okay, yes - package it this way,
12 that one can go to disposal, or it can go to a broker
13 to accumulate for disposal, and on we go.

14 MR. CROFF: I have a clarification.

15 CHAIRMAN RYAN: Yes.

16 MR. CROFF: Which of the waste that you
17 collect don't you have a disposal outlet for?

18 MR. GRIMM: Nearly all of it. Most of the
19 sealed sources we recover are managed as greater than
20 Class C waste generated by the licensed sector. They
21 cannot be disposed of at DOE-owned facilities.

22 MR. CROFF: Ahh, that's what I missed.

23 CHAIRMAN RYAN: I think the one exception
24 that Joel highlighted was the Plutonium-239 at WIPP.

25 MR. GRIMM: There is one other exception,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 *depending on the origin of the material. We've now*
2 *disposed of three Strontium-90 RTGs, one at NTS, and*
3 *one at Hanford. They came from DOE operations, but*
4 *the precedent is established that large Strontium-90*
5 *sources can be disposed of at DOE facilities.*

6 *CHAIRMAN RYAN: It's interesting.*

7 *MR. GRIMM: They're just like greater-*
8 *than-Class-C RTGs.*

9 *CHAIRMAN RYAN: Well, I think one of the*
10 *problems that we face is that regulating it based on*
11 *its origin doesn't make as much sense as regulating it*
12 *based on the risk and the radioactive materials*
13 *involved.*

14 *MR. GRIMM: Regulating it by what it is.*

15 *CHAIRMAN RYAN: Right, instead of where it*
16 *came from.*

17 *MR. FLETCHER: I wanted to echo something*
18 *that Ray had talked about earlier; that is, it seems*
19 *like everything we use these days has a code. You can*
20 *be sitting in New York and you can find out where a*
21 *cell phone is being used in California. Why can't we*
22 *do the same thing with these materials? I mean, it*
23 *seems to me that if you want to preclude them being*
24 *lost or just being discarded, you have some form of*
25 *recovery where you not only know where the material*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is, but you know who had it last, who it belongs to,
2 and who needs to pay for its disposal. I think that
3 would really clear up a lot.

4 CHAIRMAN RYAN: I think in the forward-
5 looking direction for new sources, or new uses, or new
6 owners, that certainly seems to make a lot of sense,
7 and is consistent with our past recommendation in
8 October of '02. And, of course, you'd do that, I
9 think, for the significant sources. You may not want
10 to do that for every generally licensed device under
11 the sun, but certainly significant sources you could
12 reconsider that option.

13 As I understand it from the NRC staff,
14 we're going to hear in January - we'll see the
15 proposed rulemaking on this, so again, that's a focal
16 point, to me, for us to all reconvene on and see where
17 that's going. That will be interesting to see.

18 MR. HAMDAN: Mike, I have a question.

19 CHAIRMAN RYAN: Yes. Please.

20 MR. HAMDAN: Joel, clarify this for me.

21 Are you saying that DOE is or is not responsible for
22 disposal of commercial generated greater-than-Class C
23 waste, which includes some sealed sources? Is DOE
24 responsible for maintaining its disposal site or not?

25 MR. GRIMM: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. HAMDAN: *Okay.*

2 MR. GRIMM: *Specifically, from Public Law*
3 *99-240, which says "DOE is responsible to provide" -*
4 *that's the verb that's used.*

5 MR. HAMDAN: *Right.*

6 MR. GRIMM: *"Disposal for waste exceeding*
7 *Class C criteria."*

8 CHAIRMAN RYAN: *And there's no specificity*
9 *on buy it, generate it, new site, old site, existing*
10 *site. All those options are out there, because it*
11 *wasn't specified beyond provide.*

12 MR. GRIMM: *That's correct. Another*
13 *option is for the private sector to speculate,*
14 *speculatively design and get a contract and a license*
15 *for a disposal facility on their own. It's been*
16 *suggested, but it hasn't gone anywhere, largely*
17 *because of the up front commitment of funds required.*

18 DR. WEINBERG: *I have another question for*
19 *Mr. Fletcher, and this comes off of the Maryland*
20 *program that has the University of Maryland taking*
21 *orphan sources. Would it be possible for CRCPD to*
22 *basically monitor a recycling program? There are a*
23 *number of educational institutions that can really use*
24 *sources, small, medium-size sources. And certainly,*
25 *paying for both the source and its disposal costs more*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 *than just paying for the disposal. I've just been*
2 *through this.*

3 *And it seems to me that - this doesn't*
4 *address the disposal question - but it seems to me*
5 *that you could have a recycling program for some of*
6 *these sources, especially for educational*
7 *institutions. Has that been considered? I'm sure*
8 *that's what the University of Maryland does with them.*

9 *MR. MANLEY: Well, CRCPD through Terry*
10 *Devine, has -- as you talked before, if you want a*
11 *source, you can obtain it that way, if it's out there*
12 *and it's an orphan source. The sources at the*
13 *University of Maryland are not ones that can be used*
14 *as check sources and that type of items. We dispose*
15 *of a number of nuclear gauges, for instance, soil test*
16 *gauge that has long been defunct, and other*
17 *radioactive material that I don't believe would*
18 *necessarily be of any use even in a museum capacity.*

19 *CHAIRMAN RYAN: And the bar is raised too.*
20 *As I think Brian pointed out, if you adopt a source,*
21 *you're the parent. I mean, you have to agree then to*
22 *take on the obligation for ultimate disposal, and I*
23 *think my own experience with universities or schools*
24 *first to find out what the rate is going to be for*
25 *ultimate disposal - the shine kind of goes away from*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 *that star, and then they don't think about it much any*
2 *more, because it is a very expensive proposition, or*
3 *at least at its initial blush, expensive to what they*
4 *thought they were going to have for free.*

5 *MR. MANLEY: For a while, we actually sent*
6 *a number of our items out to Dr. Paul Frame and ORAU*
7 *at Oak Ridge, but eventually he said no more. I have*
8 *enough. He said one more Revigator and I'm going to*
9 *have a real problem.*

10 *MR. HAMDAN: Sealed source and greater-*
11 *than-Class C waste is really different than let's say*
12 *high-level waste or low-level waste because there*
13 *you're talking about large volumes of waste. And*
14 *here, the last projection I saw on the commercial*
15 *greater-than-Class C waste, 2,000 cubic meters*
16 *projected in 2055. So you would think with such a*
17 *small inventory, somebody would jump on this, since*
18 *it's such a problem for many states, and there are*
19 *thousands of sources. Do you think this would go to*
20 *the front burner and frankly, DOE would express a*
21 *solution to it. So what is --*

22 *MR. GRIMM: I can't speak historically. I*
23 *can only surmise that part of the problem with*
24 *addressing greater-than-Class C waste, even though the*
25 *responsibility was established in the law in 1986,*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 *this problem wasn't present at any single DOE*
2 *facility; so, therefore, there was no specific program*
3 *office in DOE that had the incentive to solve the*
4 *problem until there was an official designation made*
5 *by the Secretary this year.*

6 *When you talk about waste projections, the*
7 *only serious studies that were done for this were in*
8 *the report to Congress in 1987, and then by Idaho*
9 *National Engineering Lab in 1994. And they made some*
10 *assumptions and some statistical analyses that I think*
11 *we would question today, especially when you look at*
12 *volume projections for sealed sources. They were just*
13 *considering the sealed sources themselves, they*
14 *weren't considering packaging, and shielding, and*
15 *drums like that. It was a minuscule number, a cubic*
16 *meter, two cubic meters, something like that.*

17 *But there was another projection that*
18 *talked about other greater-than-Class C waste, which*
19 *is activated metals from power plants. It's much*
20 *different. I think those are likely to be remote*
21 *handled wastes. I think that's one of the reasons*
22 *that the utility companies were looking at entombment*
23 *in place as their decommissioning method a couple of*
24 *years ago. I don't know where that went. And dealing*
25 *with that material is going to be a lot different than*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 *dealing with sealed sources.*

2 *CHAIRMAN RYAN: I was going to say one*
3 *thing. I think Joel is on the right track to segment*
4 *the question, because irradiated hardware is 10,000 R*
5 *per hour in his Class C routinely disposed stellite*
6 *balls on their own on greater-than-Class C because of*
7 *the Nickel content that are in pools now, and in*
8 *sealed sources at a whole different spectrum.*

9 *And again, I think to me, one thing to*
10 *keep in mind, again, is that the concentration doesn't*
11 *determine the risk. It's not the concentration, it's*
12 *the amount. Strontium-90 eye applicators used by*
13 *ophthamologists calculate to be greater than Class C*
14 *waste, but they're a trivial amount of Strontium. The*
15 *way they're disposed is you average over the package*
16 *in which it is disposed, and then that concentration*
17 *basis is less than Class C, so there's a lot of*
18 *details about how you calculate a concentration,*
19 *whether it's the source itself, the source and the*
20 *capsule, the source, and the capsule, and the steel*
21 *container, or the drum. And how you look at that is*
22 *how you determine the classification often, so there's*
23 *a lot of detail that goes into that.*

24 *Again, from our perspective, I think just*
25 *looking globally about it, the amount is what*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 determines the risk, not the concentration. The flaw
2 in a concentration-based system is it's easy to apply
3 over the middle range. But at the very dilute end,
4 like dilute concentrations in bulk soil, it sort of
5 falls apart. And at the very concentrated end, which
6 are these very small, discreet sealed sources, a very
7 small mass but very high activity, it may not seem to
8 make the same logical sense. So tell me if I'm right,
9 or does that make sense? And I think maybe the
10 question is that the disposal strategy for these
11 highly concentrated discreet sources shouldn't be the
12 same disposal strategy that you think about for Class
13 A, B, and C waste in that middle of the range. I
14 don't know. I just throw that out for comment.

15 MR. GRIMM: The proposals that have been
16 drafted up for dealing with long-lived sealed sources
17 disposal would employ intermediate-depth borehole
18 technology, as opposed to a geological repository.

19 Your point touches on another dilemma,
20 though; and that is, just because a waste stream
21 classes out as Class C doesn't mean the disposal
22 facility will take it. I think the upper limit for
23 Cesium, for example, at Barnwell is about 30 curies in
24 a drum. If you just use simple division using the
25 Class C limit in 10 CFR 61, the definition for Cesium

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Class C waste is 3,500 curies per cubic meter. That
2 means about 700 curies in a drum, so there's a huge
3 gap between 30 and 700.

4 CHAIRMAN RYAN: Of course, then there's
5 the operational side of it.

6 MR. GRIMM: Right.

7 CHAIRMAN RYAN: What do you handle in an
8 operational setting from a radiation protection
9 standpoint for worker's point of view. And that gets
10 into the equation, as well.

11 MR. GRIMM: Correct.

12 MR. CROFF: I'd like to -- first, I found
13 the background provided by the many speakers very
14 interesting. I want to agree with what you said
15 before, in the sense that I don't think this issue for
16 the ACNW is quite ripe for a letter or further action
17 pending, as you said - one, the draft rulemaking,
18 seeing what it says, and what the staff proposes to
19 do. Number two, I think very closely related to it is
20 going to be this greater-than-Class C disposal issue.
21 What does the department propose to do as an outlet?

22 I think the NRC can do a lot of things on
23 tracking, but when they go to okay, we'll get orphan
24 sources back. What are we going to do with them?
25 Again, a lot of it is going to go to this greater-

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 *than-Class C outlet, and we don't even know what*
2 *they're going to propose yet, so all this wraps around*
3 *and becomes part of one rather knotty package.*

4 *And at the risk of complicating some*
5 *things even further, we're talking about looking a*
6 *little bit at Part 61, and there's some relationship*
7 *with Class C disposal potentially in there. It's not*
8 *a done deal. And even on the where issue, if you go*
9 *back and look what Congress has done, they're*
10 *basically talking about allowing disposal of greater-*
11 *than-Class C waste on-site on a case-by-case basis*
12 *again. And that is going to raise considerations of*
13 *what do you allow to be disposed on-site in the near*
14 *surface, and what are the criteria under which you*
15 *allow that? How much do you have to do to allow such*
16 *a thing?*

17 *CHAIRMAN RYAN: And I think the nexus of*
18 *all that is this question of quantity versus*
19 *concentration.*

20 *MR. CROFF: Yes.*

21 *CHAIRMAN RYAN: So I think that's --*

22 *MR. CROFF: And sorting through that.*

23 *CHAIRMAN RYAN: At all levels. Now again,*
24 *we recall this morning that the classification system*
25 *was based on an intruder probability of one, 100 years*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 post closure at a low-level waste site into the
2 highest concentration waste. That was the limiting
3 case that set the Class C limits. Why is Strontium-90
4 allowed to be at a higher level than Cesium-137 in a
5 Class C? Strontium-90, we've all been taught, is the
6 most restrictive radionuclide in a fission product
7 world.

8 Well, the reason is because the accidental
9 dose rate in the intruder scenario drove the dose
10 higher than intake of Strontium by internal exposure.
11 So if you want to go back to the root of it, how that
12 scenario is constructed, is important to understand,
13 to really understand what the implications are when
14 you say greater-than-Class C. Again, it's tied into
15 this difference between a concentration-based limit ad
16 a quantity limit in terms of what defines the risk in
17 what setting. Ruth.

18 DR. WEINBERG: Joel mentioned borehole
19 disposal and I thought Joel might be interested - the
20 Egyptian government is looking -- that really has only
21 sealed sources to dispose of, is looking at borehole
22 disposal in the desert as a disposal option. And
23 that's being quite extensively studied now, and I
24 would think that DOE would be interested in that.

25 MR. GRIMM: The IAEA is also working on a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 generic safety assessment for intermediate-depth
2 borehole disposal. They had a consultancy - no, it
3 was a technical meeting on that at the beginning of
4 November.

5 DR. HINZE: Well, I've heard all this, but
6 I still go back to a concern that I have about this
7 temporary storage. It leads to inefficiencies, and
8 inefficiencies can lead - not to Maryland, of course -
9 but can lead to cavalier approaches to the problem.
10 And I think that there's a disconnect with what we're
11 expecting out of the agreement states arrangement.

12 CHAIRMAN RYAN: Terry, you're on the phone
13 and have been quiet. Can we call on you for any
14 closing comments?

15 DR. DEVINE: Do I? No. Thank you,
16 though.

17 CHAIRMAN RYAN: Okay. Well, we appreciate
18 your participation, as we do all the speakers from the
19 staff and DOE, and from Maryland representing a robust
20 and important agreement state. And I think we're
21 well-informed to kind of see the draft regulations
22 that get proposed by the staff in January, and we'll
23 be back in touch.

24 Any other closing comments or questions?

25 DR. WEINBERG: Thank you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 *CHAIRMAN RYAN: Okay. Well, thanks again,*
2 *and we'll close our session on that happy note.*
3 *Thanks again very much. We appreciate your time and*
4 *participation.*

5 *(Whereupon, the proceedings in the above-*
6 *entitled matter went off the record at 3:49 p.m.)*

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1

2

3