

# Official Transcript of Proceedings

## NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards  
508th Meeting

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Thursday, December 4, 2003

Work Order No.: NRC-1223

Pages 1-221

**NEAL R. GROSS AND CO., INC.**  
**Court Reporters and Transcribers**  
**1323 Rhode Island Avenue, N.W.**  
**Washington, D.C. 20005**  
**(202) 234-4433**

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS (ACRS)

508th MEETING, DAY 2

+ + + + +

THURSDAY, DECEMBER 4, 2003

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

The committee met at the Nuclear Regulatory Commission, Two White Flint North, Room T2B3, 11545 Rockville Pike, at 8:30 a.m., Mario V. Bonaca, Chairman, presiding.

COMMITTEE MEMBERS:

MARIO V. BONACA, Chairman

GRAHAM B. WALLIS, Vice Chairman

GEORGE E. APOSTOLAKIS, Member

THOMAS S. KRESS, Member

GRAHAM M. LEITCH, Member

DANA A. POWERS, Member

VICTOR H. RANSOM, Member

STEPHEN L. ROSEN, Member

WILLIAM J. SHACK, Member

JOHN D. SIEBER, Member

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 ACRS STAFF PRESENT:

2 JOHN T. LARKINS, Director

3 SHER BAHADUR, Associate Director

4 RALPH CARUSO, Senior Staff Engineer

5 SAM DURAISWAMY, Technical Assistant

6 MEDHAT EL-ZEFTAWY, ACRS Staff

7 HOWARD J. LARSON, Special Assistant

8 MICHAEL SNODDERLY, Senior Staff Engineer

9 MARVIN D. SYKES, ACRS Staff

10 MAGGALEAN W. WESTON, Senior Staff Engineer

11

12 ALSO PRESENT:

13 MARY ANN M. ASHLEY, NRR

14 SUZANNE BLACK, NRR

15 JOE BIRMINGHAM, NRR

16 JAMES BONGARRA, NRR

17 SUSAN COOPER, RES

18 JOHN HANNON, NRR

19 PAUL LAIN, NRR

20 PAUL LEWIS, RES

21 GARETH PARRY, RES

22 J. PERSENSKY, RES

23 STUART RICHARDS, NRR

24 JOSEPH SEBROSKY, NRR

25

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

I-N-D-E-X

<u>AGENDA ITEM</u>	<u>PAGE</u>
Opening Remarks by the ACRS Chairman	4
Draft Final 10 CFR Part 52 Construction Inspection Program Framework	6
Proposed Revisions to SRP Chapter 18, Human Factors Engineering	87
Draft Final Revision to 10 CFR 50.48 to Endorse NFPA 805 Fire Protection Standard	178

P-R-O-C-E-E-D-I-N-G-S

(8:30 a.m.)

CHAIRMAN BONACA: Good morning. The meeting will now come to order. This is the second day of the 508th meeting of the Advisory Committee on Reactor Safeguards.

During today's meeting the committee will consider the following: draft final 10 CFR Part 52 Construction Inspection Program framework; proposed revisions to the SRP Chapter 18, Human Factors Engineering; draft final revision to 10 CFR 50.48 to endorse NFPA 805 Fire Protection Standard; recent operating events; and proposed ACRS reports.

A portion of this meeting will be closed to discuss a proposed report on safeguards and security.

This meeting is being conducted in accordance with the provisions of the Federal Advisory Committee Act. Mr. Sam Duraiswamy is the Designated Federal Official for the initial portion of the meeting.

We have received no written comments or requests for time to make oral statements from members of the public regarding today's session.

A transcript of portions of the meeting is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 being kept, and it is requested that the speakers use  
2 one of the microphones, identify themselves, and speak  
3 with sufficient clarity and volume so that they can be  
4 readily heard.

5           Before we move to the first presentation,  
6 I would like to point your attention to this document,  
7 Items of Interest. There are a number of speeches --  
8 actually, two -- from Chairman Diaz, some issues on  
9 operating plants, and in the back you have the NRC  
10 Strategic Plan 2004-2009. There is a copy of it, and  
11 that's an interesting one to familiarize yourself  
12 with.

13           I have an announcement also to make, which  
14 is Ms. Carol Ann Rowe, who has been with ACRS for 32  
15 years, is retiring on January 2, 2004. Her  
16 dedication, hard work, professionalism, and attention  
17 to details have been much appreciated by the ACRS  
18 Executive Director, the ACRS/ACNW staff, and the ACRS  
19 members.

20           We would like to thank her for her  
21 contribution to the ACRS and wish her good luck in her  
22 future endeavors.

23           MS. ROWE: Thank you.

24           CHAIRMAN BONACA: Thank you.

25           (Applause.)

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           And we will have a celebration for her  
2 tomorrow.

3           I have another announcement. Mr. Noble  
4 Green has joined the ACRS/ACNW staff as of December 1,  
5 2003. He will be Secretary to the Executive Director  
6 effective January 5, 2003. Prior to joining the  
7 ACRS/ACNW office, Mr. Green was Secretary to  
8 Commissioner Dicus.

9           Throughout the month of December, Carol  
10 Ann Rowe will be working with Mr. Green to ensure a  
11 smooth transition.

12           Welcome aboard.

13           MR. GREEN: Thank you.

14           (Applause.)

15           CHAIRMAN BONACA: With that, we are  
16 through with the announcements and introductions. And  
17 so we move to the first item on the agenda, which is  
18 Draft Final 10 CFR Part 52 Construction Inspection  
19 Program Framework, and Dr. Kress will introduce the  
20 presenters.

21           MEMBER KRESS: Thank you, Mr. Chairman.

22           I remind the members that the background  
23 information for this can be found under Tab 5 of your  
24 notebook, in case you want to refresh your memory.

25           This is about a framework. That's a key

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 word in this. And it's a framework on which to base  
2 development of inspection manuals, inspection manual  
3 chapters, related to what you do mostly about  
4 finalizing the certification and COL process. It  
5 requires an inspection program, and this is the basis  
6 on which that inspection program will be developed.

7 So, and I also remind you that this is a  
8 joint endeavor by Steve Rosen and myself. We work on  
9 this -- we worked on this issue together, so, you  
10 know, I'm just leading off is all.

11 So with that as almost a non-introduction,  
12 I'd like to turn it over to staff. And I'm not sure  
13 whether we start with Ann or with someone over here  
14 or --

15 MS. ASHLEY: No. I have the lead for  
16 this.

17 MEMBER KRESS: You have the lead. So  
18 we'll start with Ann. Could you introduce yourself,  
19 because I think this is the first time we've seen you  
20 here.

21 MS. ASHLEY: My name is Mary Ann Ashley,  
22 and I'm the team leader for the Construction  
23 Inspection Program development.

24 The purpose of my presentation to you  
25 today is twofold -- one, to provide information on the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 development of this program, and secondly to obtain  
2 any insights you might have on where we may have  
3 missed something, and generally about our overall  
4 approach.

5 In the audience today I have a number of  
6 members of the team who are -- have been on this  
7 project for much longer than I have. And the most  
8 important part of this is to note that we have  
9 individuals, not only from the regions but also from  
10 headquarters, who are supporting this effort.

11 We have a number of years of construction  
12 inspection experience. We have individuals from the  
13 New Reactor Licensing Group. We have individuals from  
14 the Organizational Effectiveness Branch in NRR. We  
15 have folks from the Inspection Program Branch.

16 We also have a diverse Steering Committee.  
17 Charles Casto from Region II, who is the Division  
18 Director in the Division of Reactor Safety. We have  
19 Stu Richards, who is a Branch Chief and my boss from  
20 the Inspection Program Branch in NRR. We have Jim  
21 Lyons who is the Program Director for new research and  
22 test reactors.

23 So this is a combined effort, has a wide  
24 variety of staff expertise involved with it, and we  
25 believe that will be key to the overall success of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 this.

2 As I've indicated, the development uses a  
3 team approach with regional and Steering Committee  
4 members. And also, the most important point here I'd  
5 like to stress is it builds on work that was begun in  
6 1996.

7 One of the issues that came up in previous  
8 construction was the need to have an understanding of  
9 where things worked well and did not work well in  
10 previous construction inspection programs. And in  
11 1996, a document was drafted that identified what the  
12 lessons learned were from the construction of  
13 Seabrook, Comanche Peak, South Texas, Watts Bar, and  
14 Bellefonte.

15 Several of the lessons included ensuring  
16 that inspection programs are properly completed. We  
17 found ourselves in many cases having to go back,  
18 searching through paper records, inspection reports,  
19 doing word searches, to ensure that we had, in fact,  
20 completed all we said was necessary in the  
21 construction inspection.

22 The second lesson was that we needed to  
23 have a plan for the transition from construction  
24 inspection to operations inspection well in advance of  
25 that point. A third was that we needed to be prepared

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 as an agency to address late-filed allegations.

2           Inspectors also needed to be able to have  
3 a simple method for recording inspection results. And  
4 last but not least, we needed to ensure that  
5 inspection requirements were made as objective as  
6 possible.

7           MEMBER LEITCH: Mary Ann, just help me.  
8 With the scope of the program, we're talking here  
9 about new construction, obviously. But is there ever  
10 a time when this program would cut in for repairs or  
11 modifications to existing plants?

12           For example, we heard of a plant recently  
13 that is planning to replace I think it was steam  
14 generators, pressurizer, and reactor head in one huge  
15 outage next year or the year after. I forget exactly  
16 when. Might this program be involved in that kind of  
17 an activity, or is it only brand-new construction?

18           MS. ASHLEY: The overall approach to  
19 construction under Part 52 licensing requires a  
20 different template for inspection. But when you get  
21 down to the last point here, the inspection  
22 procedures, they may be common to both.

23           Joe Sebrosky, do you have any insights?

24           MR. SEBROSKY: Yes. The only thing that  
25 I would add to that is this framework document is very

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 specific for new construction, if you look at the way  
2 the manual chapters are set up.

3 MEMBER LEITCH: Right.

4 MR. SEBROSKY: There has been some  
5 discussion as the prospects of new construction come  
6 forward that we may be able to use lessons learned  
7 from activities such as you just mentioned -- MOX fuel  
8 fabrication facilities, construction -- to help to  
9 update our inspection procedures.

10 So it's more us getting lessons learned  
11 from the construction activities that are taking place  
12 today to inform this. It is not -- this document is  
13 not meant to go the other way.

14 MEMBER LEITCH: Yes, okay. Okay. Thank  
15 you.

16 MS. ASHLEY: Stu, did you have something  
17 also to add?

18 MR. RICHARDS: I'm Stu Richards. I'm the  
19 Chief of the Inspection Program Branch. And I guess  
20 the straight answer is, no, that the modifications you  
21 were talking about are covered under the Operating  
22 Reactor Inspection Program and not this program,  
23 although, you know, we do share lessons learned.

24 MEMBER LEITCH: Sure. Okay. Thank you.

25 MS. ASHLEY: Okay. Continuing on, the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 program overview for the overall inspection program  
2 has a hierarchy of documents, one being a framework  
3 document, which will establish the rules going in  
4 about how we're going to use the various inspection  
5 manual chapters and inspection procedures.

6 We see the framework document as an  
7 opportunity for public involvement and discussion, and  
8 when it is done will provide general guidance and  
9 general assumptions that we've made for the  
10 development of the subsequent manual chapters and  
11 inspection procedures.

12 We did have an industry workshop to  
13 discuss the framework document in August. We have  
14 also had a public comment period to provide  
15 opportunities for the public to send in written  
16 comments about the document.

17 We anticipate that the final document will  
18 be issued in March or April of next year, once we've  
19 resolved all of the outstanding comments.

20 I want to stress that this is a work in  
21 progress. We have not yet resolved all of the issues,  
22 and we recognize that the nature of this document, and  
23 the fact that it pulls from other aspects of the  
24 construction program, may result in us not being able  
25 to resolve every issue.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           For example, the applicability of Part 21  
2           to applicants is a point of discussion. That's not  
3           necessarily an integral part of how you inspect, but  
4           it also is an important aspect of the program that  
5           will need to be ultimately resolved. So --

6           MEMBER POWERS: In your introduction you  
7           mentioned several challenges that you wanted to  
8           address as you went through and prepared this  
9           document. Not the only one, but certainly one of  
10          them, was late-arising challenges and contentions, and  
11          things like that, and the ease of recordkeeping and  
12          what not.

13          Could you discuss with us just a little  
14          bit on how you viewed the rather major revolutions  
15          that have occurred in electronic methods of  
16          recordkeeping? And I'm thinking not only of entry  
17          into computers but the ability of -- to carry around  
18          digital cameras and things like that, and how that is  
19          factored into your program.

20          MS. ASHLEY: In general, what we have  
21          identified is a need to have an electronic  
22          recordkeeping system that will combine not only NRC  
23          inspection information but also will tie that  
24          information to the applicable ITAAC, which is an  
25          integral part of the Part 52 licensing.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   And I have further discussion that I plan  
2                   on going through in one slide I think it is.

3                   MEMBER POWERS: That's fine. I can wait.

4                   MS. ASHLEY: Okay. Thank you.

5                   MEMBER ROSEN: Are you also thinking about  
6                   the new challenges for inspection of these new  
7                   generation of plants which will have equipment in them  
8                   that is different than -- very different than existing  
9                   plants, particularly digital instrumentation,  
10                  multiplexers, data highways, sometimes with safety-  
11                  related functions. All of that will be new challenges  
12                  for the staff inspection program.

13                  MEMBER KRESS: I think those will show up  
14                  in the new plant ITAACs.

15                  MS. ASHLEY: That's correct. That's  
16                  correct.

17                  MEMBER KRESS: And your plan is to inspect  
18                  the ITAACs.

19                  MS. ASHLEY: You're absolutely correct.  
20                  And if you look at the structure of the manual  
21                  chapters, what you will notice is that they are very  
22                  much tied to the constructions that will be necessary  
23                  to support licensing under Part 52, one of which is  
24                  2503, which is the ITAAC. So there is a large portion  
25                  of the inspection program that is designed to ensuring

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 ITAAC completion, successful ITAAC completion.

2 MEMBER ROSEN: So the details of the  
3 question I was asking about would be covered in a  
4 specific ITAAC.

5 MS. ASHLEY: What would be covered is our  
6 approach to inspecting ITAAC, and then the details  
7 about the individual inspections to support inspection  
8 of digital systems or to support other kinds of  
9 equipment inspections would be covered in the  
10 individual inspection procedures which support these  
11 manual chapters.

12 MR. RICHARDS: If I can jump in for a  
13 minute, I think a couple of points -- you know, some  
14 of the operating reactors have retrofitted their  
15 plants to bring some of the digital technology in. So  
16 the staff, you know, has been looking at some of the  
17 new technology as these things come into plants and go  
18 through licensing amendment. So we have some  
19 experience.

20 And then I think as part of the licensing  
21 review the new reactor licensing organization will be  
22 looking at new technology as it applies as part of  
23 their review.

24 When it comes to the actual construction  
25 inspection phase, you know, probably for the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 electronic components, because they typically come in  
2 modules or in cabinets that are landed in place,  
3 what's going to be important is, you know, the  
4 inspection aspects, to make sure they're wired up  
5 correctly to the rest of the plan and properly  
6 attached and, you know, mounted in their location.

7 But I don't --

8 MEMBER ROSEN: And the testing.

9 MR. RICHARDS: And the testing, that's  
10 correct. But, you know, when you -- you get into the  
11 testing and pre-op phase -- well, that's part of what  
12 we're going to do. But, you know, the fabrication of  
13 the cabinet and its applicability or its applicability  
14 in the design I think will be captured largely by our  
15 review here in NRR.

16 Joe, is that correct?

17 MR. SEBROSKY: Yes. This is Joe Sebrosky  
18 with the New Reactor Section. And as Dr. Kress knows,  
19 part of the standard certification review is a review  
20 of the ITAAC. So we, for the AP600, the APWR, and the  
21 System 80 Plus, which all use digital I&C, there was  
22 agreement and it was codified in our regulations on  
23 what those ITAAC are, what are the acceptance criteria  
24 for the digital I&C.

25 The issue that Mary Ann alluded to is we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 know what the top level requirements are. How we go  
2 about doing our independent inspections is something  
3 that we're working on.

4 MEMBER KRESS: With respect to these  
5 ITAACs, your framework document suggested that you  
6 probably would not be able to inspect in detail all of  
7 them, and that you're considering a statistical  
8 sampling process to at least limit some of the ITAACs  
9 that you have to look at.

10 I'd be interested in knowing whether or  
11 not you -- what kind of ITAAC you think would be  
12 amenable to that, or if you've come up with the  
13 statistical process that tells you how many samples  
14 you have to take, and the details of that.

15 MS. ASHLEY: Certainly, Inspection Manual  
16 Chapter 2503, which deals with the ITAAC, presents  
17 some major challenges for us, because it does  
18 represent the majority of the work. And it's -- we  
19 recognized early on that inspecting everything was not  
20 possible.

21 The sampling process is still very much  
22 one of those things that is a work in progress.  
23 Statistical sampling will only work with a homogeneous  
24 large population. So one of the things that we have  
25 identified is the need to come up with a process that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 will consider all of the important aspects and help us  
2 to identify what's most important to inspect.

3 And one of the things that we're looking  
4 at is risk, if there is a PRA associated with it, what  
5 is the risk associated with a particular component or  
6 a particular system.

7 We're also looking at opportunities for  
8 inspection. If there is only one time -- and it's  
9 important -- we need to make sure that we get our  
10 individuals there to inspect it. We're also looking  
11 at difficulty of inspection, where is it located  
12 within the plant, is it something that we actually  
13 have to see being put in place, or can we go back  
14 later and look at it.

15 MEMBER KRESS: Would you ever rely on just  
16 reviewing the -- what the licensee submits as a  
17 document for why they put something in or the QA or  
18 their drawings of a component or --

19 MS. ASHLEY: What we've discussed within  
20 the team is that that will probably be part of the  
21 mix, and there will be some things that will be of low  
22 enough risk, of low enough consequence, that it would  
23 be acceptable for us to do the review.

24 MEMBER KRESS: Now, I guess I was naively  
25 thinking if it ended up in an ITAAC it already was a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 high enough risk to be worried about. But maybe I'm  
2 wrong.

3 MS. ASHLEY: I think --

4 MR. SEBROSKY: This is Joe Sebrosky with  
5 the New Reactor Section. The ITAAC, when they were  
6 developed, are risk-informed. But you have to go back  
7 to the requirement that's in Part 52, and the  
8 requirement that's in Part 52 is the ITAAC -- if you  
9 complete the ITAAC, you've demonstrated compliance  
10 with all of the NRC's regulations.

11 So there are some ITAAC in there that are  
12 more risk-significant than others and --

13 MEMBER KRESS: It could fall under the  
14 category of an IT --

15 MR. SEBROSKY: Yes. And one of the things  
16 that we mention in the framework document is the  
17 concept that we will have touched every ITAAC. Some  
18 of it may simply just be a record review, but we'll  
19 try to predetermine that as much as possible in  
20 advance.

21 And we will also use techniques such as if  
22 you go with the modular construction, if a shipyard is  
23 welding piping for the CVS and the RHR, we may just  
24 look at RHR welding and say, if they welded that  
25 properly, chances are they welded the CVS piping

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 properly.

2 So our regulatory footprint in the  
3 Construction Inspection Program Information Management  
4 System, the basis for us finding the ITAAC acceptable,  
5 is that we did look at the welding that was done at  
6 the shipyard. They welded more than just RHR piping.  
7 They welded a bunch of different --

8 MEMBER KRESS: Well, did you actually go  
9 to the shipyard and watch them weld or wait until they  
10 delivered the product or --

11 MS. ASHLEY: Absolutely. One of the main  
12 challenges with the ITAAC and the anticipated  
13 construction methods to be used with Part 52 licensing  
14 is that there will be modular construction, that it  
15 will be very aggressive schedules, that things will be  
16 happening in multiple locations.

17 The estimates are that 60 to 80 percent of  
18 past on-site construction will actually be moved to  
19 other locations. Fabrication will occur wherever,  
20 perhaps offshore, and then be brought to the site as  
21 modules and installed there. So, yes, we have looked  
22 at that, and we believe that what we come up with will  
23 be sufficient because the inspectors will follow the  
24 construction wherever it happens to be.

25 MEMBER KRESS: Does that mean you would go

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to the firm that's doing the construction and review  
2 their QA program, QC program, or -- I'm not trying  
3 to --

4 MS. ASHLEY: Well, that --

5 MEMBER KRESS: I'm looking at how much,  
6 you know, is -- it sounds like a lot of work if you're  
7 going to go to that much --

8 MR. RICHARDS: That's one of the  
9 questions, you know, we're challenged with answering  
10 is how much is enough, and how far do you go. I think  
11 you're aware that, you know, presently there is a lot  
12 of components being fabricated in foreign countries  
13 for reactor head replacements and steam generators.  
14 And, of course, these same components for new plants  
15 may be fabricated overseas also.

16 So to what degree should we be looking at  
17 that work and their programs, those are just exactly  
18 the questions that Mary Ann's team is struggling with.

19 MEMBER ROSEN: Well, of course, you  
20 recognize, Tom, that it's the applicant's job to make  
21 sure that his supplier's quality assurance programs  
22 are adequate and meet Appendix B. He has to be fully  
23 convinced that that's happening, and, if not, to take  
24 -- to work with his supplier to correct the weaknesses  
25 in that supplier's corrective action program.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER KRESS: Well, it's the applicant's  
2 job to satisfy all of the ITAACs. But I think the NRC  
3 has a role in validating or verifying it.

4                   MEMBER ROSEN: That's right.

5                   MR. SEBROSKY: This is Joe Sebrosky with  
6 the New Reactor Section.

7                   MEMBER ROSEN: But only in a validation or  
8 verification role. That's --

9                   MR. SEBROSKY: Well, we have to find --  
10 the Commission has to -- it's in the Atomic Energy  
11 Act. The Commission has to find that the acceptance  
12 criteria has been met. It's in 10 CFR 52.103(g). And  
13 the thought is that that finding is not that much  
14 different than the finding that had to be made in the  
15 10 CFR Part 50 process before you gave them an  
16 operating license.

17                   MEMBER KRESS: Somebody like the EDO would  
18 have to sign something that says, "These ITAACs" --

19                   MR. SEBROSKY: Well, it's a Commission  
20 finding. So the Commission may -- may delegate that.  
21 We suspect that we had some discussion about how that  
22 was all going to work. But in the past, the way it  
23 worked was the inspection results were given to the  
24 Director of NRR.

25                   The Director of NRR then informed the EDO

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and the chain of command that he was going to make  
2 that decision. We suspect on the first couple of  
3 plants that the Commission will not delegate that, but  
4 that's up to them.

5 But the point that I was trying to make,  
6 the bottom line point, is this inspection process that  
7 we're developing feeds into that decision that the  
8 Commission must make that the acceptance criteria have  
9 been met.

10 CHAIRMAN BONACA: Some of the foreign  
11 suppliers do not have a quality assurance program like  
12 we have in the U.S. I mean, they have -- so,  
13 therefore, you have to establish equivalency  
14 judgments.

15 MEMBER KRESS: I think most of them have  
16 ISO 9000.

17 CHAIRMAN BONACA: Hmm?

18 MEMBER KRESS: Most of them have ISO 9000.

19 CHAIRMAN BONACA: Yes.

20 MR. SEBROSKY: But if you look at --

21 MEMBER KRESS: Which I think has been  
22 deemed equivalent.

23 CHAIRMAN BONACA: So there is already an  
24 equivalency established there.

25 MEMBER KRESS: Yes, I think so.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MR. SEBROSKY: This is Joe Sebrosky. If  
2 you look at the way the ITAAC are structured, though,  
3 and you look at the AP600 as an example, most of the  
4 large component manufacturing, the acceptance  
5 criteria, is that it meets the ASME requirements.

6 So that -- Westinghouse and General  
7 Electric and System 80 Plus, they knew ahead of time  
8 what their supplier list was going to be, and what  
9 commitments they were going to have to meet.

10 CHAIRMAN BONACA: Yes. Okay.

11 MEMBER KRESS: This framework document is  
12 supposed to be framework and guidance for developing  
13 manual chapters, and we should actually flesh it out  
14 more and put more detail in. Do you have a schedule,  
15 or will you people be the ones that develop these  
16 manual chapters also?

17 MS. ASHLEY: Yes, we will. The team is  
18 actually -- has many of the manual chapters already in  
19 draft to reflect some of the original thinking for the  
20 framework document. Those documents will be finalized  
21 once the framework has been finalized.

22 MEMBER KRESS: Do they go out for public  
23 comment?

24 MS. ASHLEY: They do not. Manual chapters  
25 are an internal document within the NRC that guides

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 our effort. So rather than put the manual chapters  
2 out, we use the framework document to get that public  
3 involvement in establishing the framework.

4 As you've all been noting, QA, of course,  
5 is an integral part of the success of this. We have  
6 talked to the industry at public workshops about their  
7 need to have good QA, good problem identification and  
8 resolution, and good records. That's an integral part  
9 that they can serve in the process as well.

10 We've also talked --

11 MEMBER LEITCH: Mary Ann, this Chapter  
12 2503 entails the inspection of ITAAC commitments,  
13 but --

14 MS. ASHLEY: That's correct.

15 MEMBER LEITCH: -- I have a question back  
16 on the previous one, 2502, which I guess is the  
17 combined license phase. And in the document it says  
18 that the application must also describe the ITAAC that  
19 are necessary to ensure that the plant has been  
20 properly constructed and will operate safely.

21 So it seems to me that back at that stage  
22 the ITAAC is established. What you're doing in the  
23 next phase is inspecting that those commitments are  
24 met.

25 Now, establishing of that ITAAC is no

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 small job, it seems to me, and I'm trying to picture  
2 what that is. Does that become something like an  
3 FSAR? I mean, does it describe pre-op and startup  
4 test programs, operator training programs, maintenance  
5 activities, procedures? All of those types of things  
6 that we were used to seeing described in the FSAR, is  
7 that basically what the ITAAC is? Is it that  
8 detailed?

9 MS. ASHLEY: Joe, would you like to talk  
10 about this?

11 MR. SEBROSKY: I guess Mary Ann is putting  
12 up an example ITAAC for the AP600. And as part of the  
13 design certification review for the AP600, this is the  
14 ITAAC for the normal residual heat removal system, one  
15 of the ITAAC, one of several ITAAC.

16 And it's meant as a representative example  
17 of what an ITAAC would typically look like. You have  
18 a design commitment in the left column, inspections  
19 test and analysis in the middle column, and in the  
20 right column you see the acceptance criteria, which in  
21 this case is the RNS pump provides at least 925  
22 gallons per minute to the in-containment refueling  
23 water storage tank.

24 Now, this was agreed to and approved by us  
25 as part of the design certification review for the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 AP600. And if you go back -- Mary Ann, if you could  
2 throw up the slide on the Part 52 licensing process.  
3 This is also in the framework document.

4 You see early site permits, standard  
5 design certifications, combined license, and then you  
6 see the reactor construction, verification of the  
7 ITAAC, and reactor operation. The ITAAC are  
8 established prior to granting the combined license.

9 What we don't know at this point is when  
10 a -- a licensee can choose to reference in a combined  
11 license, an early site permit standard design, both or  
12 neither. It's their option. So the review that's  
13 done at that combined license stage, if we -- if they  
14 want to reference the AP600, for example, they would  
15 say, "We're referencing this certified design."

16 The ITAAC -- the review that we did as  
17 part of that certification does not get relooked at by  
18 us. What would get relooked at -- would get looked at  
19 us -- looked at by us would be issues that were not  
20 resolved during that standard design certification.

21 Westinghouse are the people that did that.  
22 They did not know, for example, what the licensee's  
23 programs were going to be for fire protection, that  
24 kind of thing. So that would be reviewed at the  
25 combined license stage -- issues that we had not

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 previously reviewed. And there is a possibility that  
2 ITAAC would be developed from that review.

3 But when we get the combined license, the  
4 combined construction permit and conditional operating  
5 license -- that's what it stands for -- one of the  
6 conditions is ITAAC. It's attached to the license  
7 just like tech specs, and the condition of being able  
8 to load fuel is that you have demonstrated that the  
9 acceptance criteria have been met.

10 That's high level how the process works.  
11 So the inspections that we have in Inspection Manual  
12 Chapter 2502 are a little different than what you had  
13 suggested earlier. There's a mandatory hearing  
14 associated with the combined license, and we believe,  
15 just like what we're currently doing with the early  
16 site permits and the Inspection Manual Chapter 2501,  
17 that to support the granting of an early site permit  
18 we'll go out and look at, inspect how that application  
19 was developed, the quality assurance that went with  
20 that application, and we'll issue an inspection  
21 report, and that will feed into the Commission's  
22 decision on whether or not to grant an early site  
23 permit.

24 So there are inspections associated with  
25 early site permits -- that's 2501 -- with combined

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 license, which is 2501. The generation of the ITAAC,  
2 though, is really based on inspections as much as it  
3 is review, and what, based on that review, the staff  
4 believes is appropriate for the ITAAC.

5 MEMBER LEITCH: Is the term "final safety  
6 analysis report" passe, then, or --

7 MR. SEBROSKY: No, it is absolutely not.  
8 If you look at the --

9 MEMBER LEITCH: When does that come into  
10 play?

11 MR. SEBROSKY: Yes. If you look at --

12 MEMBER LEITCH: I didn't see that referred  
13 to in the framework document.

14 MR. SEBROSKY: I don't think that we put  
15 it in that framework -- in the framework document  
16 specifically. There is, for example, a final safety  
17 evaluation report that's associated with the early  
18 site permits, with the standard design certifications.

19 MEMBER LEITCH: So if I come in and say I  
20 want to build this certified design on this early site  
21 permit approved, I've got an early site permit and I  
22 want to build this standard design, certified design  
23 on it, do I then have to submit with that application  
24 something that looks like a final safety analysis  
25 report, absent those features related to the site

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 permit and the certified design?

2 MR. SEBROSKY: The short answer is yes.

3 And we would review --

4 MEMBER LEITCH: So I think that --

5 MR. SEBROSKY: The scope of our review is  
6 dependent on what they choose at a combined license  
7 stage. The scope of our review would be broader if  
8 they didn't reference a certified design in an early  
9 site permit.

10 MEMBER LEITCH: So things like the startup  
11 test program, the power accession program, and so  
12 forth, that -- it would be described in that --

13 MR. SEBROSKY: Well, there's portions --  
14 if you go back to the AP600 and the AP1000, which  
15 currently the ACRS is involved with reviewing the  
16 design certification, you will see -- and I think it's  
17 in Chapter 14 -- you'll see a description that  
18 Westinghouse puts in there of what the startup program  
19 and power accession program should be. They give the  
20 high-level tests that need to be completed.

21 So the types of information that you would  
22 expect in an FSAR --

23 MEMBER LEITCH: Would be --

24 MR. SEBROSKY: -- are already -- yes, as  
25 part of the AP1000 review, that's something that we're

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 looking at. The details -- there are things in those  
2 standard design certification reviews that are called  
3 COL action items. The actual specific test procedure  
4 -- development of the specific test procedure, the  
5 detailed test procedure, Westinghouse did not do.  
6 That's a COL applicant's responsibility.

7 So they'll -- they have a thing called a  
8 design control document. That portion of it, the  
9 Tier 2 stuff, looks like the final safety analysis  
10 report. And we have a corresponding final safety  
11 evaluation report associated with it.

12 MEMBER LEITCH: Okay. Thanks.

13 VICE CHAIRMAN WALLIS: Can we go back to  
14 your previous slide about RHR?

15 MS. ASHLEY: Yes.

16 VICE CHAIRMAN WALLIS: It seems to me that  
17 the flow rate you get in the system depends upon the  
18 conditions, and you have to have the reactor up to  
19 temperature, and you can't have it up to temperature  
20 without having it up to pressure. Flow depends upon  
21 the temperature of the water and all kinds of things.

22 So you've got to be more specific than  
23 just saying pump provides a certain flow rate.  
24 There's got to be at -- a whole lot of conditions.

25 MR. SEBROSKY: Yes. Dr. Wallis, this is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 Joe Sebrosky again. This is just a sub-ITAAC. You  
2 see, it's 9.d.

3 VICE CHAIRMAN WALLIS: Yes.

4 MR. SEBROSKY: If the design commitment in  
5 this particular case is that it provides heat removal  
6 from the in-containment refueling water storage tank,  
7 and it -- in the inspections test and analyses it  
8 gives you the high-level lineup, that the flow through  
9 the RNS heat exchangers when the pump suction is  
10 aligned to the IRWST and the discharge is aligned to  
11 the IRWST.

12 VICE CHAIRMAN WALLIS: But then the whole  
13 -- the reactor has got to be up in temperature and  
14 pressure.

15 MR. SEBROSKY: That's not in this -- the  
16 way the EP -- there's another test that does that for  
17 the --

18 VICE CHAIRMAN WALLIS: Okay. So it does  
19 925 gpm when it's cold, and then it does something  
20 else when it's --

21 MR. SEBROSKY: This is at recirc. This is  
22 in recirc to the IRWST. You're basically removing  
23 water from the IRWST and demonstrating that the pump  
24 provides sufficient flow back to the IRWST.

25 VICE CHAIRMAN WALLIS: Under what

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 conditions for the rest of the circuit, though?

2 MR. SEBROSKY: Well, this -- I guess from  
3 a high level, what we probably need to do is show you  
4 the entire RHR system. The only aspect -- it does not  
5 matter, because the reactor is not involved in this  
6 particular test, what the reactor conditions are.

7 VICE CHAIRMAN WALLIS: Doesn't it affect  
8 the flow rate, just on the temperatures around the  
9 circuit for the --

10 MR. SEBROSKY: In this particular  
11 condition, it's recirc back to the IRWST. So it does  
12 not.

13 VICE CHAIRMAN WALLIS: Okay. So it's all  
14 pretty cold, right? It's all pretty cold?

15 MR. SEBROSKY: Yes, that's correct.

16 VICE CHAIRMAN WALLIS: Okay. So this  
17 particular -- it doesn't -- even that depends on the  
18 temperatures. It doesn't make any difference whether  
19 it's 50 degrees Fahrenheit or 120.

20 MR. SEBROSKY: That's a true statement.

21 VICE CHAIRMAN WALLIS: So I think you've  
22 got to be careful that the thing isn't tested under  
23 some conditions, and then it won't meet the  
24 requirements under the real condition.

25 MR. SEBROSKY: I agree with the point and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 understand the point. The ITAAC are meant to be high  
2 level. This particular ITAAC is looking at one aspect  
3 -- the pump capability -- and flow in recirc mode for  
4 the IRWST. There's a discussion in the Tier 2  
5 document -- ITAAC are high-level commitments. The  
6 Tier 2 document will tell you specifics on how the  
7 test would be performed, the conditions that are  
8 assumed.

9 VICE CHAIRMAN WALLIS: I just want to make  
10 sure you're aware of these things. You have to be  
11 curious about whether the test is fully defined,  
12 realistically defined.

13 MR. SEBROSKY: That's something that the  
14 staff, the systems experts for the particular -- in  
15 the review of the ITAAC is part of the design  
16 certification review. The reviewer is responsible for  
17 looking at the FSAR material and also the ITAAC that  
18 come out of that. So it's taken in context, and the  
19 system experts look at that.

20 This particular example, I understand the  
21 concern. But if you look at the RHR system in total,  
22 you will see other testing that is done, and it's more  
23 specific on the exact conditions that you expect.

24 VICE CHAIRMAN WALLIS: Okay.

25 MR. SEBROSKY: One of the things that you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 will not see in ITAAC, though, is ITAAC are done prior  
2 to fuel load. So you don't see any testing that's  
3 done with fuel in the reactor vessel.

4 CHAIRMAN BONACA: Now, these ITAACs, I  
5 mean, they are derived from the vendor's plan for how  
6 it's going to test the reactor, right?

7 MR. SEBROSKY: That's correct.

8 CHAIRMAN BONACA: So --

9 MR. SEBROSKY: The vendor -- part of the  
10 requirements of the regulation is when the vendor  
11 submits the design certification application they  
12 provide the ITAAC.

13 CHAIRMAN BONACA: And you are going to  
14 define specific elements of that to determine or to  
15 validate certain criteria. Like in this case you want  
16 to validate the heat exchanger capacity, really. And  
17 then, of course, then, typically the vendor defines  
18 the temperature at which the test has to be done, and  
19 then provide the range of value for acceptability.

20 I mean, typically it is not just an  
21 absolute value. This must be a minimum value that you  
22 are using.

23 MR. SEBROSKY: It is. It says pump  
24 provides at least 925 gallons of fuel.

25 MEMBER ROSEN: This doesn't prove the heat

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 exchange capacity. All it proves is that the flow is  
2 adequate.

3 CHAIRMAN BONACA: The flow is --

4 MR. SEBROSKY: And there's another aspect  
5 associated with the heat exchange. It's one small  
6 portion, and the reason that we put it up there was to  
7 just give you an example of how -- what an ITAAC looks  
8 like. You can't take out of --

9 VICE CHAIRMAN WALLIS: The test components  
10 -- it's very tricky, because when you've got actually  
11 heat transfer occurring in the heat exchanger, this  
12 affects the frictional pressure drop. So it affects  
13 the flow rate, so it's very tricky to do sub-tests of  
14 just one part of the system without realistically  
15 modeling the whole system or making sure everything is  
16 representative of the operating conditions.

17 MR. SEBROSKY: I understand.

18 MEMBER ROSEN: Would you go back to the  
19 slide --

20 MEMBER LEITCH: I'm still concerned -- go  
21 ahead, Steve.

22 MEMBER ROSEN: Could you go back to the  
23 slide again that you had just before this, the one  
24 that shows the overall process?

25 MS. ASHLEY: Certainly.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           MEMBER ROSEN: Joe, in your remarks, you  
2 talked about the ITAAC stuff on the upper right, and  
3 you said that the ITAAC and the tech -- are like the  
4 tech specs in the license. They are mandatory  
5 completion kind of things.

6           But are the ITAACs like the tech specs in  
7 the sense that the tech specs live on with the plant  
8 as it goes into its lifetime? What happens to the  
9 ITAACs?

10          MR. SEBROSKY: It's banned at fuel load.  
11 After the Commission makes its determination in  
12 accordance with 52.103(g) that the acceptance criteria  
13 have been met, the ITAAC -- and there is no  
14 requirement that lives on.

15          There is, as part of the ITAAC, a portion  
16 of the design control document that's called Tier 1,  
17 and the Tier 1 material contains a design description.  
18 That design description lives on, but the ITAAC  
19 themselves do not constitute regulatory --

20          MEMBER ROSEN: So there are no  
21 requirements from the ITAACs that live on with the  
22 plant?

23          MR. SEBROSKY: That's correct.

24          MEMBER LEITCH: I'm still concerned about  
25 the interface between the scope of supply that is in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the certification package and the rest of the  
2 powerplant equipment. In other words, a design is  
3 certified, but there's a lot of associated systems  
4 that are not part of that certification package that  
5 are, nonetheless, important to support the operation  
6 of the plant.

7 MR. SEBROSKY: The way Part 52 is arranged  
8 it's for the -- it's for the complete design. So you  
9 see a discussion of the turbine building, for example,  
10 in the design certification reviews for the AP600,  
11 AP1000. What --

12 MEMBER LEITCH: So, then, at that stage  
13 all of the ITAACs, even including --

14 MR. SEBROSKY: Something like --

15 MEMBER LEITCH: -- if there is some  
16 turbine building cooling water, for example, is -- the  
17 acceptance criteria for those kinds of systems are  
18 agreed upon at that phase?

19 MR. SEBROSKY: Yes. And for many systems  
20 there are no ITAAC, because there are no regulatory  
21 requirements associated with that. So if you looked  
22 in the turbine building, for example, on the AP600, I  
23 think there's a fire pump that's in that turbine  
24 building. There is ITAAC associated with that, but  
25 very few ITAAC came out of the review of that turbine

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 building.

2 MEMBER LEITCH: Okay. But it --

3 MR. SEBROSKY: But it was part of the  
4 review.

5 MEMBER LEITCH: -- it was part of the  
6 review.

7 MR. SEBROSKY: And it was something that  
8 was looked at, and has the -- I guess the term is  
9 "issue preclusion" at the time that they go for a  
10 combined license.

11 MEMBER LEITCH: Okay. Okay. Thanks.

12 MS. ASHLEY: One of the challenges that we  
13 have is to prepare the people who will be conducting  
14 the inspections to actually do that work. We have  
15 been using the strategic workforce planning initiative  
16 in the Office of Human Resources to identify our  
17 current resources associated with history -- the  
18 history of the construction inspection program.

19 And what we have identified is that  
20 there's a limited number of staff who have had any  
21 experience in implementing a construction inspection  
22 program. And many of those are late in their careers.

23 But one of the problems that we have is to  
24 prepare those individuals who are remaining to do new  
25 construction inspection, and we're using existing

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 construction activities at the MOX fuel fabrication  
2 facility, enrichment facilities, and, of course,  
3 Browns Ferry Unit 1 restart, as a way of introducing  
4 new inspectors to construction activities as well as  
5 to refresh existing inspectors with processes that  
6 they may have seen once long ago in their career.

7 We also recognize that there's the need to  
8 implement formal training. The program that was  
9 previously in place to prepare inspectors has been  
10 mothballed for a number of years. And what we have  
11 done is to determine that the most likely scenario for  
12 preparing new inspectors will be to use commercially  
13 available programs offered by the Concrete Institute  
14 or other commercial -- commercial companies who  
15 provide components, and get that training from them.

16 And it has several advantages. One, it  
17 will provide an opportunity to have small numbers of  
18 inspectors trained rather than having a critical mass  
19 of 20 or 30 all at the same time. It will also have  
20 better timing for our purposes in that those courses  
21 are available currently, and we can begin to send  
22 individuals to that training if the need is  
23 immediately there.

24 One of the things that you asked about,  
25 Dr. Powers, is programs and processes in a computer

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 system. And we have -- that was one of the lessons  
2 learned from the previous implementation of the  
3 construction inspection program, and so we have been  
4 working to develop a construction inspection program  
5 information management system called CIPIMS.

6 The framework for this was laid out back  
7 in 1996 when all of that construction experience was  
8 fresh in everyone's mind, and they have identified  
9 what this program would need to do. And we actually  
10 have that information for the framework of the program  
11 loaded into a computer.

12 One of the key areas is that this  
13 information needs to be tied to ITAAC, so that we can  
14 look at the sum total of information that we've  
15 collected in inspections about a particular ITAAC.  
16 And that's necessary so that at the end we will be  
17 able to say, "Yes, we have looked at what is necessary  
18 and sufficient with regard to a particular ITAAC or  
19 series of ITAAC."

20 We also believe that this will help us to  
21 address one of those other issues that was identified,  
22 which is late-filed allegations. We will be able to  
23 use our recordkeeping as a primary source of  
24 information to research issues related to a particular  
25 allegation.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           MEMBER LEITCH: In the discussion you talk  
2 about some meetings you've had with architect-  
3 engineers and equipment suppliers regarding the  
4 interface between this program and their program. Do  
5 you see this as being primarily an NRC program using  
6 the same software as the architect-engineer would use  
7 or -- and how do you assure that those programs are in  
8 lock-step, that he doesn't -- you're using one  
9 software package and --

10           MS. ASHLEY: Right.

11           MEMBER LEITCH: -- and a couple of years  
12 down the road the architect-engineer changes his  
13 software package, and you're going in different  
14 directions? How does that --

15           MS. ASHLEY: In talking with the  
16 architect-engineers, and in talking with utilities,  
17 what they have told us is their primary vehicle for  
18 scheduling -- and that's what we would be dependent  
19 upon, both the industry and the architect-engineers,  
20 to provide to us -- is a program called Primavera.

21           MEMBER LEITCH: Primavera, yes.

22           MS. ASHLEY: And so we're working with  
23 them, and they understand our needs. Part of it is  
24 schedule that we would get from them, but another  
25 aspect of this is the recordkeeping side. So

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 certainly that is independent of the schedule.

2 MEMBER LEITCH: So you would probably be  
3 using Primavera as well?

4 MS. ASHLEY: Yes.

5 MEMBER LEITCH: But maintaining the system  
6 -- the NRC would have its separate system from the  
7 architect-engineer?

8 MS. ASHLEY: That's correct.

9 MEMBER LEITCH: But using the same  
10 software.

11 MS. ASHLEY: That's correct. It would  
12 provide information to us about schedule. We would  
13 download that information into our CIPIMS program, and  
14 would then use that to help us identify the timing for  
15 -- and perhaps location where particular fabrication  
16 is going to take place on a particular item related to  
17 a specific ITAAC.

18 MEMBER ROSEN: I'm somewhat familiar with  
19 Primavera at least, but it is only one of several  
20 different critical path construction techniques -- a  
21 schedule management technique. So are you going to  
22 stay flexible? What if an architect-engineer is hired  
23 by one of these applicants that doesn't use Primavera,  
24 he uses something else?

25 MS. ASHLEY: We're not locked into that,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 although that is apparently the preference right now.  
2 The most important part of this is -- interestingly  
3 enough, I don't believe it's the schedule so much, or  
4 rather the program so much -- it's ensuring that  
5 what's in the program and the schedule is consistent.

6 One of the main problems that we have  
7 identified is that there is a need to have a  
8 consistent coding schedule, so that when licensees get  
9 information from their fabricators, a particular  
10 component, particular piece of equipment always needs  
11 to be referred to the same way, or it doesn't matter  
12 what program we're using.

13 Our resources here at headquarters feel  
14 fairly confident that it's very easy to do the  
15 transfer with Primavera. They feel confident that  
16 they can also do it should other programs be used, but  
17 that the underlying problem is one of consistent  
18 coding is more important and more challenging.

19 MEMBER POWERS: One of the problems that  
20 we face in today's electronic era is that hardware and  
21 software systems for recordkeeping tend to evolve  
22 faster than the records decay and their utility. And  
23 you quickly end up with electronic media that you  
24 can't read. What do you do about that? I mean, you  
25 have -- for any given installation you have gigabytes

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 of inspection information, and your software systems  
2 are just going to evolve out from under you.

3 MS. ASHLEY: The most important part of  
4 this is that the actual results of inspections will be  
5 in inspection reports, and will be part of ADAMS. So  
6 will be retrievable through that vehicle.

7 What CIPIMS is going to do for us is going  
8 to allow us to pull information from the inspection  
9 reports and record it into database table form, so  
10 that we can say, where are the various inspection  
11 results related to a particular ITAAC? So we  
12 shouldn't -- as long as ADAMS is in existence, we  
13 should be able to pull the base information out.

14 Does CIPIMS need to be -- live forever?  
15 I'm not sure about that.

16 MR. RICHARDS: I think your concern is is  
17 that the utility or the -- they might be upgrading  
18 their software, and we don't, or the two systems don't  
19 communicate. Is that the question?

20 MEMBER POWERS: I mean, that's one aspect  
21 of it.

22 MR. RICHARDS: It's a good question, and,  
23 you know, I'm not sure we have an answer. On the plus  
24 side, I think the -- you know, the industry is looking  
25 at constructing these plants in a relatively short

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1       timeframe compared to past history. But we would have  
2       to enter into some kind of understanding with a  
3       utility to make sure our two computer systems would be  
4       able to talk to each other.

5               MEMBER POWERS: The other aspect of it is  
6       20 years from now, 20 years from the completion of  
7       construction, you may well need to go back and look at  
8       those inspection reports. And can you be able to do  
9       so? And what you're saying is that, yes, as long as  
10      ADAMS is around, I can. ADAMS presumably will evolve.  
11      God, I hope it evolves. But not that --

12             MEMBER SIEBER: It can only go up.

13             MEMBER POWERS: Oh, no. Oh, no. There's  
14      lots of down side potential here. It's just that we  
15      have -- I mean, among the national laboratories, we  
16      just have mountains of data that cannot be read by  
17      existing systems.

18             MS. ASHLEY: I understand your point, and  
19      it's a good one, and we'll have to take that into  
20      consideration as to how we would ensure that through  
21      the framework.

22             MEMBER KRESS: Do you have a program or a  
23      way to test this CIPIMS before you have to go  
24      through --

25             MS. ASHLEY: We are, in fact, working with

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Westinghouse, GE, and the folks at TVA to have them  
2 provide to us some schedules, so that we can ensure  
3 that the information can be transferred into the  
4 CIPIMS system and will -- and that the CIPIMS system  
5 will be able to hold the volume of information that's  
6 anticipated will go through it.

7 One of the issues now is -- it's a good  
8 one -- is when they provide information to us, some of  
9 that information on schedules is considered  
10 proprietary. So how do we protect that proprietary  
11 information that they're providing as part of a  
12 schedule update?

13 MEMBER LEITCH: The framework document  
14 refers to a pilot that will be run in the summer of  
15 '03. Was that pilot actually run or -- and, if so,  
16 what were the results? Is that what you're referring  
17 to?

18 MS. ASHLEY: That's what I'm referring to.  
19 We have not had an opportunity to do that, because  
20 some issues -- those issues about proprietary  
21 information were raised.

22 MEMBER LEITCH: I see.

23 MS. ASHLEY: In the development of the  
24 detailed inspection procedures, we recognize that  
25 those inspection procedures in many cases will have to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 be design specific. So by the very nature of the  
2 inspection procedures, they may have to wait until the  
3 specific application is received.

4           However, our intention is to make as many  
5 of the procedures technology neutral as possible, look  
6 for opportunities to complete development, and have  
7 those procedures ready to go as we are able. One of  
8 the estimates that was put in the SECY paper on future  
9 licensing indicated that the level of effort to  
10 actually complete the inspection procedure revision is  
11 between 10 and 12 FTE. So we'll have a lot of work to  
12 do when the application is actually submitted.

13           What we also know is the lead time for  
14 unique designs, such as gas-cooled reactors, because  
15 it represents a newer type of technology that we may  
16 not have any experience with, may take even longer  
17 than the 10 to 12 FTE.

18           MEMBER KRESS: With respect to gas-cooled  
19 reactors, one of the ITAACs are likely to be  
20 specification on the fuel quality. How would you  
21 inspect for that? Would you go to the plant that  
22 makes the fuel, which would be somewhere different  
23 than the site -- than the plant that's going to use  
24 it, and would you just audit their processes, or would  
25 you --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. RICHARDS: I hate to speculate on what  
2 we're going to do in the future. But I know in the  
3 past that some members of our technical branch in NRR  
4 that are -- you know, oversee the fuel aspects have  
5 made site visits to fuel fabricators. They have  
6 looked at not only the fabrication process but also at  
7 the --

8 MEMBER KRESS: The final product.

9 MR. RICHARDS: -- design and engineering  
10 work that goes into it. So we've done that in the  
11 past. We've gone to fuel fabricators, and we've  
12 provided them feedback on what we think they're doing  
13 right and wrong and gotten responses from them.

14 MEMBER LEITCH: There seems to be an  
15 implication in some of the framework document that  
16 some long lead time modules could be actually started  
17 to be manufactured prior to the issuance of the  
18 combined license. And I guess I'm wondering, is there  
19 a possibility that some important inspection  
20 opportunities may be missed if that is the case?

21 MS. ASHLEY: The answer to that is yes.  
22 In our discussions with the industry, we have talked  
23 to them about the need to inform us as soon as they  
24 possibly can, and their current thinking is that at  
25 least for the first reactor to be built under Part 52

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that they're not going to get too far ahead of the  
2 licensing process, and that they will probably wait.

3           However, they do indicate that once they  
4 have been through the process and feel comfortable and  
5 know how it's going to work, that the possibility that  
6 they could order large components ahead of time is  
7 there. And their indications to us now is that they  
8 recognize that keeping us informed is to their  
9 advantage. How that will actually play out, and to  
10 what extent they will keep us informed, and how they  
11 will do that, remains to be seen.

12           MEMBER ROSEN: It seems to me that's not  
13 the agency's problem. If a licensee or applicant  
14 chooses to do that, that's his problem. He takes on  
15 all the new risk. And if you want to --

16           MS. ASHLEY: That's exactly correct.

17           MEMBER ROSEN: -- inspect something that's  
18 already buttoned up, he just has to open it up. And  
19 I don't see that that is a problem that falls on your  
20 side of the table.

21           MR. RICHARDS: Well, I think we would like  
22 to work the details of how we'd approach that out on  
23 the front end, so if a utility wants to go forward and  
24 do that there's no surprise. I think we have an  
25 obligation to try and talk about that and see if we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 can come to some agreement.

2 MEMBER ROSEN: I agree with that, but --

3 MEMBER POWERS: I sure encourage you to do  
4 that, because even if you -- you have the right to  
5 demand they open it up as you say, you know there's a  
6 cat fight associated with that that --

7 MEMBER ROSEN: I just don't feel that the  
8 staff should be mousetrapped by that.

9 MEMBER POWERS: Okay.

10 MR. RICHARDS: Or you could have a  
11 situation where components are fabricated, and maybe  
12 a reactor vessel or a head is fabricated before they  
13 decide to, you know, come in for a license.

14 MEMBER POWERS: Just don't use high  
15 nickel/low copper alloy.

16 (Laughter.)

17 MR. RICHARDS: There are a lot of  
18 challenges about the timing of things that we don't  
19 have any answers for.

20 MS. ASHLEY: That's correct.

21 MR. RICHARDS: You make good points.

22 MS. ASHLEY: I just wanted to summarize a  
23 few of the issues that came up during the public  
24 comment that we received from the industry. One of  
25 them that was a topic that was reflected in the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 framework document but is not unique to the framework  
2 document is the applicability of Part 21 to  
3 applicants.

4 MEMBER KRESS: Who did you get comments  
5 from?

6 MS. ASHLEY: We got comments from NEI.

7 MEMBER KRESS: NEI, okay.

8 MS. ASHLEY: Other specifics had to do  
9 with public communication. The industry, by and  
10 large, would like to have as much specifics as we can  
11 possibly provide at this point. Included in that are,  
12 what is your protocol for inspection going to be?  
13 What are inspection reports going to look like? How  
14 are you going to record negative inspection results?  
15 What are they going to be called?

16 Those kinds of information is what the  
17 industry is seeking, and we're working on that. We  
18 don't know to what extent we're going to be able to  
19 legitimately provide that at this point, but we  
20 understand that there is a need to have that  
21 information.

22 And our current intent is to recognize in  
23 the framework document that we just don't have enough  
24 information to make a judgment at this time, but that  
25 in the future that information will be provided, and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 identify where that information will be made publicly  
2 available and in what form and format.

3 MEMBER ROSEN: Mary Ann, this may be the  
4 time for me to ask my question about negative results.  
5 You raised the issue in response to the public  
6 comments. On page 16 of the document, the framework  
7 document, there is a discussion of negative SAYGO  
8 ITAAC conclusions.

9 And it is clear that a negative conclusion  
10 would have to be corrected by the licensee if  
11 something was -- if you couldn't make a positive  
12 conclusion, the licensee would have to go in and  
13 correct what it is that deficiency was.

14 It seems to me that -- and such a  
15 condition could only happen if the licensee's  
16 corrective action program hadn't fixed it before you  
17 got to the point where you were trying to make a  
18 conclusion. So it seems to me there's two issues  
19 here. One is to correct whatever the deficiency is,  
20 but more broadly -- and I don't see this -- more  
21 broadly, to correct the licensee's corrective action  
22 program deficiencies that led to that -- you being  
23 forced to make a negative SAYGO conclusion.

24 And, furthermore, having said that, not  
25 only requiring the licensee to correct the corrective

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 action program weaknesses that led to the negative  
2 conclusion, but to examine the extent of the generic  
3 implications to the whole process that that corrective  
4 action program weakness or weaknesses reveals.

5 And so I don't -- on page 16, under  
6 negative SAYGO ITAAC conclusions, I don't see anything  
7 about the broadening -- the need to broaden that  
8 important -- I mean, if you're going to make a  
9 negative SAYGO ITAAC conclusion, that ought to -- the  
10 earth ought to move. I mean, it really shouldn't  
11 happen.

12 MEMBER KRESS: Does that imply that the  
13 corrective action program has to be an ITAAC before  
14 you --

15 CHAIRMAN BONACA: Well, that's a good  
16 question. That was -- because, I mean, many licensees  
17 did not build their plants under the corrective action  
18 programs. I mean, it was really under the AE or/and  
19 the vendors' programs, which were not --

20 MEMBER KRESS: It's not part of the  
21 licensee's corrective --

22 CHAIRMAN BONACA: -- part of the  
23 licensee's, that's right. I think it's a good  
24 question insofar as the corrective -- somebody, I  
25 mean, has the responsibility for correcting those. I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 believe, however, it falls into the AEs and vendors'  
2 structures, and they don't have a formal corrective  
3 action program. I mean, they --

4 MEMBER ROSEN: Vendors? Sure. They are  
5 Appendix B suppliers. They've got to have --

6 CHAIRMAN BONACA: At least be sure. But  
7 I'm talking about --

8 MR. RICHARDS: I think you've made a very  
9 good point, and it's something that we've flagged as  
10 a, you know, critical element in our construction  
11 inspection program -- is the role of quality  
12 assurance, both from -- the utility has quality  
13 assurance over all of their contractors and the  
14 vendors and how they implement that.

15 So if their program is robust and  
16 functioning well, I think you're right, it -- you  
17 know, it shouldn't happen. And if it does, it brings  
18 into question how come their oversight and their  
19 quality assurance program allowed that to happen?

20 MEMBER ROSEN: Right. And how broad is  
21 this problem?

22 MR. RICHARDS: Yes. What do we do if we  
23 get in that situation? So that's a very good  
24 observation.

25 MEMBER ROSEN: So you might want to go

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 back to that page 16, Section 2, that talks about  
2 these negative SAYGO ITAAC conclusions and  
3 substantially beef it up in that area in terms of the  
4 broader implications.

5 MR. RICHARDS: We appreciate the comment.

6 MEMBER KRESS: Yes. Well, I -- on the  
7 same token, I don't think it's realistic to believe  
8 that there will always be only positive findings.

9 MR. RICHARDS: Of course.

10 MEMBER KRESS: Even if they have a good  
11 corrective action program. So it may -- it may be --  
12 a metric might be how many of these you have as to  
13 whether you go back and look at it. I mean, if you  
14 have one or two of them, maybe it's not a sign it's a  
15 bad corrective action program, it's just things happen  
16 when --

17 MEMBER ROSEN: Because there may be  
18 something very unique about the particular deficiency.  
19 But the fact that it wasn't corrected by the  
20 corrective action program --

21 MEMBER KRESS: They didn't find it  
22 themselves.

23 MEMBER ROSEN: -- that they didn't find  
24 it, that it had to be found by an inspector and then  
25 forced you to make a negative -- into a position where

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you're making a negative SAYGO ITAAC conclusion.

2 MEMBER KRESS: Yes. For the benefit of  
3 some of the members, could you give us an explanation  
4 of what SAYGO is?

5 MS. ASHLEY: Yes, I can. SAYGO stands for  
6 sign as you go. And the idea was is that, if you look  
7 at the ITAAC, some of the ITAAC, particularly for  
8 large components, may span a long time. And the idea  
9 was that we would be able to go and look at the  
10 activities as they are occurring and would be able to  
11 sign off as we complete a particular section of the  
12 inspection, which would connote that we would not be  
13 going back to relook at that unless we got some  
14 additional information that would cause us to  
15 reexamine our finding.

16 And it was viewed as a vehicle for us to  
17 be able to say that's complete, we can move on, and  
18 know that we've come to some degree of closure on that  
19 aspect.

20 MEMBER KRESS: Would that be part of your  
21 CIPIMS input then? Or you would track that and --

22 MS. ASHLEY: That's correct. It would  
23 allow us to sign -- we've signed off on this, and the  
24 CIPIMS would have an ability -- would have a  
25 capability to record that we had reached a conclusion

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to that point.

2 MEMBER KRESS: However, it would be the  
3 role of the inspector to sign off on the SAYGO?

4 MS. ASHLEY: That's correct. The  
5 inspector would have to sign off and say everything is  
6 fine to this point.

7 MEMBER KRESS: When everything else, then,  
8 is done on that ITAAC, who signs off on a given ITAAC?  
9 The inspector goes in or --

10 MS. ASHLEY: The licensee sends us a  
11 determination letter that says, "We believe we're  
12 complete," and then we would have to reexamine what we  
13 have done and would have to either not concur or  
14 concur with that. And then that would be -- the SAYGO  
15 record would be a record that would help us to make  
16 that determination whether or not we agree or not.

17 MEMBER ROSEN: Do you have a specific  
18 differing professional opinion or differing  
19 professional view process built into this process  
20 separate from the overall agency's? Or would you rely  
21 on the overall agency's process? I mean, I'm thinking  
22 of an inspector who doesn't like something, and  
23 everybody -- the licensee, the applicant, and the rest  
24 of the staff don't agree with him or her. And you  
25 need to have a process to resolve those kinds of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 things.

2 MS. ASHLEY: We do not -- the answer to  
3 your question is we do not have a separate program for  
4 that. We had not considered it and --

5 CHAIRMAN BONACA: I think it's an  
6 important area, because from what I've seen it's  
7 peculiar here. You have a vendor that built the  
8 plant, and you have a project that belongs to the  
9 utility. That really should hold them accountable for  
10 delivering, you know, within spec.

11 However, the project often times gets so  
12 much under pressure within its own house that they  
13 tend to accept barely conforming components or systems  
14 or tests, because they are pressed for time. So you  
15 have a buyer that accepts somewhat, you know, marginal  
16 tests or things of that kind. There are other  
17 possibilities.

18 I mean, I have seen it, and so that's  
19 important -- that there is an opportunity for what Mr.  
20 Rosen is referring to.

21 MR. RICHARDS: I see that as kind of two  
22 issues. One is for NRC inspectors that have an  
23 opinion that their supervisor doesn't agree with, how  
24 is that addressed? And I think that the -- you know,  
25 the existing agency program for DPVs and DPOs would

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 take that on board and deal with that.

2 For licensees, it's one of the points that  
3 Mary Ann touched on at the very beginning of the  
4 presentation. But we need to talk with the industry  
5 about what they are going to do with their employees  
6 to ensure that they are open to employee concerns. We  
7 would much rather have the utility dealing with those  
8 issues rather than having those people having to come  
9 to the NRC. So --

10 CHAIRMAN BONACA: Yes. Because I've seen  
11 many resolution of issues like this with statements  
12 from the AE's acceptance. I mean, they go back to the  
13 AE when you have a non-exact conformance, and the AE  
14 makes a determination. He documents it. Often times  
15 there isn't a significant basis behind why acceptance  
16 is acceptable. And so it's an area that is open to --  
17 at least in the past has been open to a lot of  
18 questions.

19 MR. RICHARDS: I think, you know, the  
20 inspection program will have elements in it to go out  
21 and check how corrective actions are dealt with and to  
22 see what -- that they're answered. So that will be  
23 part of the inspection process.

24 And on the utility side, I think what we  
25 would like to see is that they have some kind of a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 hotline program or employee concerns program, like  
2 most operating reactors do, so that, you know, if  
3 construction personnel feel that something is not  
4 going right they have a venue to go to to bring up  
5 their concerns.

6 And, of course, if -- you know, if the  
7 utility doesn't respond, then there's always the NRC  
8 allegation process.

9 MEMBER ROSEN: Yes. Well, the takeaway  
10 from this discussion I think for you ought to be that  
11 you ought to think about and review the existing  
12 processes and see if they are adequate for this new --  
13 you know, for taking on a significant -- as  
14 significant thing as new construction.

15 MR. RICHARDS: Okay. We'll do that.

16 MEMBER ROSEN: It may very well be, but,  
17 you know, it certainly would pay -- pay back a pass or  
18 two through that, through the OGC perhaps, and through  
19 the senior management, to have another look at that.

20 MR. RICHARDS: I agree. It's -- you know,  
21 both with NRC inspectors having concerns that weren't  
22 addressed in a timely fashion in past construction,  
23 and with craft concerns that came up late in the  
24 project, both caused a lot of trouble with the --

25 MEMBER ROSEN: Right.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. RICHARDS: -- construction path.

2 MEMBER ROSEN: Safe team approaches and  
3 all those things that ended up having to be put in  
4 place. It was quite a difficult time for the industry  
5 and the agency. The point of all this is to try to  
6 get out ahead of that if you can.

7 MR. RICHARDS: We agree. It's a good  
8 comment.

9 MEMBER RANSOM: Is there still an N-stamp  
10 program for qualifying suppliers of nuclear grade  
11 equipment?

12 MR. RICHARDS: I think under ASME all of  
13 those requirements are still in effect.

14 MEMBER RANSOM: So does your inspection  
15 include verifying that all of the suppliers are  
16 qualified under that program?

17 MR. RICHARDS: Maybe Joe can respond to  
18 this a little more. But I think in their application  
19 the licensee has to identify what codes they're going  
20 to build various components to. For something that's  
21 built under ASME, I think the -- you know, the  
22 requirements to qualify a vendor are pretty stringent.

23 When you get into some other components  
24 like cables or, you know, something that isn't a  
25 mechanical component, it might not be quite as rigid,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and we'll have to look at, you know, what our  
2 inspection process is to look at those vendors.

3 Joe, can you add to that?

4 MR. SEBROSKY: What you said was correct,  
5 Stu, that as part of the design certification reviews  
6 they -- Westinghouse, GE -- say what those various  
7 components, what code criteria they're built to. And  
8 in some cases the ITAAC contains a specific code.

9 MEMBER RANSOM: So not all components  
10 would necessarily be built by --

11 MR. SEBROSKY: No.

12 MEMBER RANSOM: -- people holding an  
13 N-stamp.

14 MR. SEBROSKY: As a matter of fact, if you  
15 look at the passive safety systems, which we're  
16 starting to review, a much smaller portion -- the RHR  
17 system, the emergency diesel generators -- are not  
18 safety-related on the AP1000. So there are criteria  
19 for what they're constructed to, but there's not a  
20 requirement to have an N-stamp.

21 That's one of the things that the vendors  
22 have told us with the passive designs is they build a  
23 plant, it's going to be global, it's not going to  
24 necessarily come from vendors that we have experience  
25 with in the past. A lot of the components don't

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 require N-stamps.

2 MEMBER RANSOM: But some do I guess,  
3 right?

4 MR. SEBROSKY: Yes. And those are --  
5 again, getting back to your original question, and  
6 what Stu indicated is true, the criteria to what they  
7 are constructed to is part of the design certification  
8 reviews. And some of the components --

9 MEMBER RANSOM: All of the pressure  
10 boundaries and --

11 MR. SEBROSKY: Yes. For the AP600,  
12 AP1000, there are still plenty of N-stamp components.

13 MEMBER LEITCH: Most of your discussion  
14 this morning concerns ITAAC, the Inspection Manual I  
15 guess 2503. You also briefly touched upon 2504,  
16 preparation for operation. I guess the thinking there  
17 is perhaps not quite as well developed yet?

18 I mean, when you read the framework  
19 document, it talks about emergency plans and technical  
20 specifications. But it seems to me there is much,  
21 much more necessary in that preparation for operations  
22 than just those two documents. There are many things  
23 -- the radiological environmental monitoring program,  
24 the training program, the maintenance program,  
25 emergency procedures, many -- I mean, there's a whole

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 litany of things that are not mentioned here.

2 So you're still doing more work in that  
3 area, is that correct? In other words, 2503 is top of  
4 the Hit Parade at the moment, and this will come  
5 later, is that a correct perception?

6 MS. ASHLEY: That's correct. And that  
7 will -- 2504 will address inspections after fuel load  
8 but prior to transitioning to the reactor oversight  
9 process.

10 MEMBER LEITCH: Right.

11 MS. ASHLEY: It will be inspections in  
12 support of non-ITAAC activity and programmatic  
13 inspections.

14 MEMBER LEITCH: But there are many  
15 categories of issues other than just emergency plans  
16 and technical specifications, which are the only two  
17 specifically mentioned in the framework document.

18 MS. ASHLEY: You're correct.

19 MEMBER LEITCH: Okay.

20 MS. ASHLEY: We anticipate -- I think that  
21 you -- the issue that you've brought up, also I want  
22 to make sure that I highlight for you that these  
23 plants are not covered by the ROP, will not be covered  
24 by the ROP until such time as they are operational.

25 MEMBER SIEBER: Commercial, yes.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MS. ASHLEY: And we have some experience  
2 that we're drawing from to address one of those  
3 lessons learned I mentioned earlier, which is, how do  
4 you get from construction to operation? And how do  
5 you translate that inspection program?

6 And we're looking to our experiences with  
7 D.C. Cook right now and Davis-Besse and Browns Ferry,  
8 and their return to operation, to help us to  
9 understand what the best path is for that.

10 MEMBER LEITCH: Yes. All of those plants,  
11 though, have staff that are familiar with operations.  
12 I mean, the challenge here is going to be, you know,  
13 a completely new utility staff, perhaps a new type of  
14 powerplant, a new design, and so the transition to  
15 operations can be a very challenging time. And it  
16 just looks to me like this whole section is not  
17 thoroughly fleshed out in that regard yet.

18 MR. SEBROSKY: I think that's a good  
19 point, and we'll take another look at that.

20 Correct me if I'm wrong, Joe, but I think  
21 that the three applications we've gotten for early  
22 site permits are all for existing sites. So that  
23 there will -- you know, there's the challenge of  
24 having perhaps, you know, new designs, maybe a  
25 different technology.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           On the other hand, it looks like it's  
2           likely that there will be people on site who have  
3           experience operating plants, and they'll have a  
4           trained department, and they'll have, you know, people  
5           that have background in those areas. They just --  
6           they have to come up to speed on this -- the new  
7           design and new technology. So it --

8           MEMBER LEITCH: For example, I -- we  
9           talked a bit earlier about the quality assurance  
10          program. We had a quality assurance program for the  
11          construction phase, and then there was a different  
12          quality assurance program for the operations phase.

13          How that transition occurs is just one of  
14          those things that needs to be managed during that  
15          period of time.

16          MR. SEBROSKY: That was clearly a lessons  
17          learned I think from before. Hopefully, we won't have  
18          quite the challenge. I think you're aware there were  
19          some utilities that they built their first nuclear  
20          powerplant, and they had no operational experience  
21          when they went into operation 20 or 30 years ago.

22          I don't think we'll be faced with quite  
23          that challenge, but there are elements of that that  
24          we'll have to face.

25          MEMBER LEITCH: Yes, okay.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MS. ASHLEY: So the only thing that I have  
2 left to tell you is what comes next for us, what do we  
3 still need to do. On the top of our list is to  
4 finalize the framework document by resolving the  
5 outstanding issues that were brought up by the public  
6 comment and by our own discussions in-house.

7 A major challenge for us is to test  
8 CIPIMS. We have recognized its importance to our  
9 overall success, and so we're going to be working on  
10 that aggressively.

11 We're also looking for additional  
12 opportunities to observe construction in progress,  
13 both here and abroad. We particularly want to be able  
14 to look at modular construction. We have no  
15 experience with that on a large scale, so we need to  
16 be very familiar with that.

17 We need to complete our manual chapters,  
18 and that will flow naturally from the completion of  
19 the framework document. And our goal, if we can't  
20 complete the revisions to inspection procedures, and  
21 we know that in some cases we won't until we have a  
22 design, we want to be able to identify what needs to  
23 be changed.

24 The challenge that faces me as the leader  
25 of this group is that I have a team of people, many of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 whom are going to be retiring soon. And the challenge  
2 is to get as much information out of their heads and  
3 onto paper before they leave as possible.

4 So the desire that I have is to at least  
5 have them tell and record what needs to be done, so  
6 that if they retire I still have the value of their  
7 thinking and their experience over the years that  
8 they've been doing inspection.

9 MEMBER ROSEN: You know, EPRI has worked  
10 on this issue with knowledge management and has done  
11 some interesting things with just exactly that  
12 problem. You might want to talk to some people there.

13 MS. ASHLEY: Thank you.

14 MEMBER ROSEN: I have one more comment on  
15 -- and this is on Appendix C, which is inspection  
16 sampling, talking -- where you talk about inspection  
17 sampling. And in that appendix there's a discussion  
18 of the ITAAC for AP600. And I'm not -- you know, I  
19 wasn't responsible for AP600 licensing. I wasn't on  
20 ACRS at the time it was, so I can feel free to  
21 criticize what happened.

22 And I'm not sure what the history is, but  
23 what we have here in front of us is a statement that  
24 the emergency diesel generators -- for example, an  
25 AP600 -- are non-safety-related.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. SEBROSKY: Right.

2 MEMBER ROSEN: However, it says here,  
3 there are ITAAC associated with the emergency diesel  
4 generators, because of their risk significance. So  
5 what we have is highly -- assuming risk-significant  
6 equipment that's not -- that are not safety-related in  
7 the AP600. Do you follow me so far?

8 MR. SEBROSKY: I think we follow you.

9 MS. ASHLEY: Yes.

10 MEMBER ROSEN: They are risk-significant,  
11 but they're not safety-related. What is it about this  
12 picture that bothers me? I just don't get it, and  
13 you're being forced to deal with that. You make ITAAC  
14 up for non -- for risk-significant systems, which is  
15 a good thing.

16 But it's -- but they're not safety-  
17 related, so my -- my feeling is that risk-significant  
18 systems ought to be safety-related, or maybe you  
19 should do away with the whole safety-related concept  
20 and not have that, just have what's risk-significant  
21 and what's not. And the things that are risk-  
22 significant should be carefully dealt with.

23 CHAIRMAN BONACA: I think the important  
24 thing here may be, you know, the quantitative  
25 statement. I mean, what does it mean in the context

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 of AP1000 risk significance? I mean, I believe  
2 that --

3 MEMBER ROSEN: AP600. Because we haven't  
4 gotten to this problem on AP1000 yet.

5 CHAIRMAN BONACA: Okay. But, yes, anyway.  
6 If I understand it, I mean, because of the reliance on  
7 passive systems, there was no idea -- this is just a  
8 backup, and I don't know quantitatively how they  
9 estimate this.

10 MEMBER KRESS: You're exactly right. They  
11 certified AP600 under the adequate protection route.  
12 They didn't certify it under risk regulations, and  
13 they didn't need these to meet their design basis  
14 accidents. And they relied on only passive systems.  
15 But when they went to the PRA, they showed that it had  
16 some risk significance and --

17 MEMBER ROSEN: In fact, they are risk-  
18 significant.

19 MEMBER KRESS: Yes.

20 MEMBER ROSEN: That's what their PRA says.

21 MEMBER KRESS: Yes.

22 MEMBER ROSEN: So now --

23 MEMBER KRESS: Yes. So the question is:  
24 how do you -- I mean, they meet all of the licensing  
25 requirements without making it risk-significant.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 CHAIRMAN BONACA: So they still have value  
2 because it may be either 10 to the minus I don't know  
3 what, but --

4 MEMBER ROSEN: What I think you're saying  
5 -- we're having a discussion here that has very little  
6 to do with the construction inspection program. But  
7 it has to do with how AP600 may have been licensed --  
8 certified, rather.

9 MEMBER KRESS: Yes.

10 MEMBER ROSEN: And what I gather from this  
11 is that the discussion is that these diesel generators  
12 don't need -- aren't needed to meet any design basis  
13 accidents. However, when you get into severe accident  
14 space, they have important functions to reduce the  
15 severity of the accident.

16 MEMBER KRESS: And we recognize this, the  
17 staff recognizes this, so they came up with what was  
18 called RTNSS, regulatory treatment of non-safety  
19 systems. This was one of the components with that,  
20 and they have a whole procedure for what they're going  
21 to do about these things. And they're not going to  
22 forget about them.

23 And they will get inspected, they will get  
24 tested, they will get -- etcetera, etcetera, under  
25 this RTNSS program.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BONACA: But if you measure it  
2 quantitatively, I don't -- I'm not familiar now with  
3 the members. Probably they are -- except in maybe  
4 terms of quantitatively, it is not a large  
5 contribution. It's simply because the core damage  
6 frequency for the plant is so far -- so low.

7 MEMBER KRESS: It's so low.

8 CHAIRMAN BONACA: It's so low. So,  
9 therefore, they --

10 MEMBER KRESS: But still, it's risk-  
11 significant in terms of that low --

12 CHAIRMAN BONACA: That's right.

13 MEMBER KRESS: -- you know, it contributes  
14 a significant amount to that low CDF.

15 CHAIRMAN BONACA: And the whole concept  
16 there of a passive system is the one of --

17 MEMBER KRESS: It's a different measure of  
18 risk significance.

19 CHAIRMAN BONACA: -- measure of active  
20 components you have to qualify under a nuclear  
21 program.

22 MEMBER SIEBER: Well, the design  
23 certification process is deterministic.

24 MEMBER KRESS: It's deterministic,  
25 exactly.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER SIEBER: Yes. And so you need to  
2 develop a design basis that meets a certain set of  
3 criteria. Once you do that, then you need to go out  
4 and do a PRA and say, "I can enhance the safety of the  
5 plant having these other systems, but the design basis  
6 says you don't need them." Okay? And so that's why  
7 you end up with -- in this sort of never never land  
8 where you have risk-important systems out there that  
9 are active that are not relied upon to meet the design  
10 basis accidents.

11                   MEMBER ROSEN: Well, I appreciate my  
12 colleague's explanations for this, because I -- it's  
13 very helpful to me. I feel much better about that,  
14 but I feel -- I still feel pretty awful about the  
15 whole idea --

16                   (Laughter.)

17                   -- that you end up with risk-significant  
18 systems that are not safety-related. I mean, it just  
19 -- I mean, it just seems a way of contorting the whole  
20 process, the whole thing. It makes it much more  
21 difficult to --

22                   MEMBER SIEBER: Well, you have my sympathy  
23 for --

24                   MEMBER ROSEN: This is an irrational  
25 process made for irrational --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BONACA: But you could keep  
2 adding layers of these, and still they will be risk-  
3 significant. The only issue is, what does it mean  
4 quantitatively? Maybe, you know, contributing to a  
5 sequence to reduce it from  $10^{-7}$  to  $10^{-8}$  is still risk-  
6 significant. But, you know, so you have to stop at  
7 some point I think.

8 MEMBER ROSEN: But see, Mario, I wouldn't  
9 call that risk-significant.

10 CHAIRMAN BONACA: Well, because --

11 MEMBER ROSEN: When you -- it's only risk-  
12 significant when you're talking about -- when you get  
13 your microscope on and looking at the individual  
14 ADAMS.

15 CHAIRMAN BONACA: Because you're implying  
16 a cutoff point and --

17 MEMBER ROSEN: Yes.

18 MEMBER SIEBER: There is a practical  
19 difference, too, in the AP600, or the AP1000 even more  
20 so. You have a small break LOCA, and you use the ADS  
21 system, you know, you're going to have a messy  
22 containment when you're done. It would be far better  
23 to employ an active system where all you really had to  
24 do in the cleanup was deal with what the small break  
25 LOCA was.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER KRESS: That's their plan. That's  
2 their plan.

3                   MEMBER SIEBER: And so, you know, it's  
4 nice -- if I had one, I'd like to have those active  
5 systems there, even though I might not rely on them.

6                   MEMBER ROSEN: For your safety case, to  
7 make the safety case.

8                   MEMBER SIEBER: Yes, right.

9                   MR. SEBROSKY: This is Joe Sebrosky. If  
10 you'll look at the AP600 final safety evaluation  
11 report, and the draft safety evaluation report for the  
12 AP1000, there's a chapter dedicated to regulatory  
13 treatment of non-safety systems. It's either  
14 Chapter 21 or 22, and it provides the background on  
15 the staff's philosophy on how they determined what  
16 systems needed regulatory treatment and what that  
17 regulatory treatment was.

18                   MEMBER SIEBER: Right.

19                   MEMBER ROSEN: Well, if I was king of the  
20 world, I would just reclassify them as safety-related  
21 and get on with it.

22                   MEMBER SIEBER: Okay.

23                   MEMBER ROSEN: And then the whole thing --  
24 problem goes away, but that's why I'm not the king.

25                   MEMBER KRESS: Then you wouldn't have this

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 chart with four different categories.

2 MEMBER ROSEN: Right. I wouldn't have a  
3 chart at all. I'd actually have the PRA before you --  
4 once you get the design, then you decide what's risk-  
5 significant, and you apply your QA programs to that  
6 and make sure those come out right, work fine, and  
7 you're done.

8 MEMBER KRESS: Did you call him a  
9 rationalist, Dana?

10 MEMBER ROSEN: Don't answer.

11 MEMBER POWERS: In a kind mode, yes. And  
12 I think you're doing violence to defense-in-depth with  
13 your autocratic approach there.

14 MEMBER ROSEN: No, not really. I have the  
15 highest regard for defense-in-depth, because I know I  
16 don't know everything. And the things that I don't  
17 know --

18 MEMBER POWERS: Now that's a revelation.

19 (Laughter.)

20 MEMBER ROSEN: I think I'll just reference  
21 Donald Rumsfeld's remarks about knowns and unknowns.

22 MEMBER KRESS: At this time, we're going  
23 to -- I think you're basically finished?

24 MS. ASHLEY: I am.

25 MEMBER KRESS: Yes. I wonder if an NEI

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 representative wants to make any comments. You're  
2 welcome to.

3 MR. BELL: Thank you, Dr. Kress.

4 Good morning. My name is Russell Bell.  
5 Hello, again. I appreciate the committee's interest  
6 in this important topic. It's clear from the  
7 discussion that you appreciate the importance of the  
8 construction inspection program, and in particular the  
9 ITAAC verification element of it. I mean, this is for  
10 the Part 52 rubber meeting the road.

11 I just wanted to underscore the priority  
12 that the industry places on this -- these issues for  
13 just a moment. It came up somewhat today, but just to  
14 remind ourselves, the whole reason for ITAAC -- or a  
15 fundamental purpose of ITAAC is that questions  
16 material to whether or not an ITAAC acceptance  
17 criteria is met formed the scope of the post-  
18 construction ITAAC hearing.

19 Now, the intent of that hearing -- the  
20 intent of Part 52 is to resolve as many issues up  
21 front at the COL as possible, and to have a very  
22 narrowly focused hearing, if necessary, at the end  
23 focused on, again, whether these -- this set of  
24 acceptance criteria was met or not.

25 You bet we're pressing Mary Ann and the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 staff for as much clarity on the key aspects of the  
2 construction inspection program and the ITAAC  
3 verification process as we can. I mean, just to be  
4 perfectly frank, the predictability and the certainty  
5 that's expected of Part 52 derives from this whole  
6 process.

7 So you bet we're very interested, and we  
8 provided substantial comments to the staff on  
9 October 30th on their framework document and look  
10 forward to followup discussions on that. I can  
11 certainly -- if the committee doesn't have that, I can  
12 certainly provide -- provide that to you.

13 And just for a couple of minutes I could  
14 underscore what I think are -- there are a number of  
15 comments that we made back, but they all relate to a  
16 central concern, that I'd just like to paint that  
17 picture for you.

18 If you say that questions material to  
19 whether an ITAAC acceptance criteria form the scope of  
20 the post-construction hearing, it becomes critical  
21 what you consider material to the determination that  
22 an ITAAC has been met.

23 Now, the CIPIMS is going to be a powerful  
24 tool that -- take the RHR pump example. I have no  
25 doubt it will be able to spit out all of the NRC

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 inspections related to that RHR pump. Okay? Now, in  
2 addition to the flow rate test that showed it pushed  
3 925 gallons per minute, I have no doubt that the  
4 CIPIMS could print out vendor audit results, receipt  
5 inspection, storage warehousing issues, the routing of  
6 the cables to the pump, the qualification of personnel  
7 running the test that we're talking about. These are  
8 all important things.

9 CIPIMS is going to be so powerful I guess  
10 our caution to the staff has been you need to be  
11 careful how you use it. The concern is that while,  
12 you know, vendor audits, receipt inspection, how you  
13 store the pump while it was waiting to be installed,  
14 how you routed the cables, the qualifications of the  
15 guy routing the cables, while those things are all  
16 very important, they are not directly material to that  
17 test and the result that shows that the 925 gallons  
18 was moved by that pump against a certain head.

19 So those other matters are relevant, but  
20 not directly material -- relevant to the pump, but not  
21 directly material to the ITAAC. And this distinction  
22 is the one that we think needs to be carefully  
23 sustained.

24 Now, so we need to be careful in designing  
25 the ITAAC verification program and in documenting the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 bases for ITAAC conclusions. If we're not careful, we  
2 may find ourselves litigating the post-construction --  
3 the critical post-construction phase issues that are  
4 not material to the ITAAC conclusions and were never  
5 intended to be part of that carefully-focused  
6 opportunity at the end of the process.

7 The NRC and ITAAC verification process  
8 needs to distinguish between the large number of  
9 inspection activities that, while important and  
10 worthwhile, are not inspection activities that are  
11 directly material to the ITAAC. That distinction  
12 needs to be made.

13 Put simply, the ITAAC verification process  
14 needs to respect and sustain the distinction between  
15 Tier 1 and Tier 2. That was recognized in the  
16 certifications.

17 I'd like to have more discussions with the  
18 staff -- and we will -- on whether this is an  
19 administrative recordkeeping issue in terms of  
20 distinguishing between how, you know, inspection  
21 reports are characterized when CIPIMS spits them out.  
22 Is this administrative, or is it a deeper  
23 philosophical difference?

24 I mean, do we not agree that receipt  
25 inspection process is relevant but not material to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that ITAAC example you showed? If we have a  
2 philosophical or substantive issue there, that's what  
3 we're trying to get at as quickly as possible and  
4 resolve that.

5 MEMBER ROSEN: You know, Russ, you're  
6 confusing me a little bit --

7 MR. BELL: Okay.

8 MEMBER ROSEN: -- with your use of the  
9 word "relevant." If you said "related," I would be  
10 more comfortable.

11 MR. BELL: I'd be happy to. That's my  
12 intent. I think that's the right interpretation.

13 MEMBER ROSEN: Because if it's relevant,  
14 then I think you probably have to deal with it. But  
15 if it's related, it may not be. You know, the way you  
16 stored the pump, you might be embarrassed and  
17 surprised -- and wish you hadn't done it that way.  
18 But once you put it in the plant and it meets the  
19 ITAAC, the discussion should be over I think.

20 MR. BELL: There would be a number of  
21 thing related to that pump that are not material to  
22 the conclusion that that ITAAC was met. I'd be happy  
23 to amend my rhetoric. I think it's clearer that way.  
24 And that is -- but if you're getting that, you're  
25 getting our concern.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I didn't think that that concern -- I  
2 wanted to be sure to put that concern before you while  
3 you were -- had this on your radar screen. The staff  
4 has been doing exactly the right thing in preparing  
5 the framework document, putting it out in draft,  
6 holding the workshop.

7 We had a discussion -- continue to have  
8 discussions on this issue. We met just last month.  
9 And so we are happy with that thought process, and we  
10 look forward to continuing to work on these issues,  
11 which are just so important to the predictability and  
12 the certainty that Part 52 is intended to provide.

13 Thank you.

14 MEMBER SIEBER: I might just point out  
15 that when you use the pump storage as an example, you  
16 know, there is a requirement you rotate the shaft  
17 through a quarter turn every so many weeks to keep the  
18 bearings from getting messed up. That probably is not  
19 particularly relevant to whether the pump will pump  
20 when it's finally installed and tested.

21 But there are other situations -- for  
22 example, the storage of cable. If you store the cable  
23 outside and don't bother to keep the covering on the  
24 cable reel, the cable will probably function when you  
25 install it. But you've already taken some life out of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that cable by the way that you store it.

2 So each one of these things, in my  
3 opinion, has to be judged on its own individual merits  
4 and not necessarily saying, you know, it's related but  
5 not relevant. And I think the inspectors in the  
6 agency need to be able to view each one of these  
7 situations on its own merits. So that would be my  
8 only comment. But I agree with you that some of these  
9 things -- the relationship is -- is remote.

10 MEMBER KRESS: Okay. Any other comments  
11 from members? If not, I'll turn it back to Mario.

12 CHAIRMAN BONACA: Thank you.

13 MEMBER KRESS: Thank the speakers for a  
14 good presentation.

15 MS. ASHLEY: Thank you.

16 MR. SEBROSKY: Thank you very much.

17 CHAIRMAN BONACA: Thank you. Any  
18 additional questions or comments from the public?

19 Thank you very much for the presentation.

20 Before we take a break, since we are ahead  
21 of time, I would like to look at the reconciliation of  
22 ACRS comments and recommendations. The evaluations  
23 are all saying that there are -- the answer is  
24 acceptable, but let's go through them one by one.

25 The first one has to do with Draft Final

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Regulatory Guide XXXX, "An Approach for Determining  
2 the Technical Adequacy of the PRA Results." We have  
3 Mike Snodderly here that has performed an evaluation  
4 of that.

5 Mike, do you want to tell us as to the  
6 acceptability of the response? Dr. Apostolakis is not  
7 here yet.

8 MR. SNODDERLY: Yes. As you said, Mario,  
9 George isn't here yet, but I found the response to be  
10 acceptable. The key is if you look at the last  
11 sentence, they committed to developing guidance for  
12 performing uncertainty and sensitivity studies, and  
13 we're awaiting that -- that guidance. That's really  
14 the key scheduled in the future activities, and we  
15 should expect that in early 2004.

16 CHAIRMAN BONACA: Okay. But they have  
17 agreed to our recommendations in general.

18 MR. SNODDERLY: Yes.

19 CHAIRMAN BONACA: And they have included  
20 also comments in their document --

21 MR. SNODDERLY: Yes.

22 CHAIRMAN BONACA: -- so fine.

23 The second response we got was regarding  
24 the review standard for extended power uprates, and I  
25 believe Ralph Caruso performed an evaluation of that.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. CARUSO: It was a positive letter to  
2 the staff, and the staff responded appropriately. And  
3 we'll get a chance to see how well it gets applied  
4 with Vermont Yankee. And as I pointed out here, there  
5 are some early indications that the staff got the  
6 message in terms of the fact that Vermont Yankee took  
7 a very -- are we on the record?

8 MEMBER SIEBER: Yes.

9 MR. CARUSO: They took a position about  
10 testing which was not as rigorous as one would hope,  
11 and the staff responded --

12 MEMBER SIEBER: Appropriately.

13 MR. CARUSO: -- appropriately to that lack  
14 of rigor. So I think that they got the message.

15 The issue of the test -- the independent  
16 analysis, though, is open. And I've not heard much  
17 about any development of any analysis program. That's  
18 a non-trivial effort, and it has never gotten much  
19 support. But other than that, I think we're fine.

20 CHAIRMAN BONACA: And the third letter  
21 response to us is regarding Generic Issue 186, heavy  
22 load. And, Jack, you were the author of the letter,  
23 and I don't know who performed --

24 MS. WESTON: Magg. And I'm here. Yes.  
25 The -- as you know, the committee's conclusion and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 recommendation was to support the staff's  
2 recommendations. And there were four action items  
3 that the staff recommended that they thought would  
4 enhance current guidance, and the committee supported  
5 that.

6 The EDO's response indicated that the  
7 first three items would be dealt with with NRR in  
8 terms of evaluating the capabilities of these rigging  
9 components, endorsing the ASME code, and reemphasizing  
10 the need to follow and reinforce NUREG-0612. And the  
11 other will be looked at in the Office of Research.

12 So the response was satisfactory. They  
13 are going to follow through with the staff  
14 recommendations.

15 CHAIRMAN BONACA: Okay, good. All right.  
16 We're done with this. I think we should take a break.  
17 Come back at 10:45.

18 (Whereupon, the proceedings in the  
19 foregoing matter went off the record at  
20 10:18 a.m. and went back on the record at  
21 10:45 a.m.)

22 CHAIRMAN BONACA: Okay. We are back into  
23 session, and we now are going to hear a presentation  
24 on proposed reviews to SRP Chapter 18, Human Factors  
25 Engineering. And Mr. Rosen will lead us in the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 presentation.

2 MEMBER ROSEN: Thank you very much, Mr.  
3 Chairman. We had an interesting subcommittee meeting  
4 earlier this week, and we'll -- I've asked the people  
5 who were at the subcommittee meeting from the staff to  
6 come back here and talk about a couple or three  
7 different things to highlight for the full committee  
8 what the issues were. And I'll turn it over to J to  
9 lead the -- to J Persensky to go through that  
10 discussion.

11 MR. PERSENSKY: Thank you.

12 Good morning. My name is J Persensky. I  
13 am the senior technical advisor for human factors in  
14 the Office of Research. We're here today to talk  
15 about a very large package, as you all know, but it's  
16 a package that has taken many years to come by. And  
17 actually, if you look at the very last two -- they're  
18 not slides, but attachments to your slide package,  
19 there's a series of NUREG/CRs which served as the  
20 technical basis for a lot of this work.

21 This work has been done on a very  
22 cooperative basis with our colleagues from NRR. It  
23 wasn't just a research product. Also, we spent -- we  
24 worked hard with our contractors. Our primary  
25 contractor on this has been Brookhaven National

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Laboratories as far as putting together the guidance  
2 documents and a lot of the NUREG/CRs.

3 Some of it is based on work that was done  
4 at Halden, some -- actually some original research  
5 that we did at the Halden simulator. The people that  
6 are here today that are -- have been involved with it,  
7 of course, are the speakers at the table, but also our  
8 colleagues from BNL are John O'Hara and Jim Higgins.  
9 Dick Eckenrode is here from NRR. Who else? Jill  
10 Kramer from Research, Gareth Parry. As I said, it's  
11 been a cooperative and long-term project on many of  
12 these.

13 The documents do contain a great deal of  
14 information. That was one of the things that came up  
15 at the subcommittee. But it is, again, based on a  
16 good deal of research, as well as use. Since these  
17 are revisions to existing documents, we made use of  
18 the information and feedback we've gotten from their  
19 use, both from our internal use as well as use by  
20 others.

21 And as I said, there was some original  
22 research. Some of it is based on stuff that we've  
23 taken from other agency standards, from international  
24 standards, but it has been distilled and adapted for  
25 use in the nuclear community as well as the -- outside

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 of the nuclear industry many people have been using  
2 it.

3           Oops. Let's go back one.

4           Our agenda, the introduction I'm doing  
5 now, we'll have a brief overview of the entire  
6 package, the SRP and the related documents that came  
7 with it. The subcommittee asked us to focus on some  
8 particular elements of this package, particularly  
9 NUREG-1764, and the risk-informed screening process  
10 that's part of that document, as well as some of the  
11 human factors engineering review criteria and how we  
12 made some selections and where things fit in the whole  
13 thing.

14           They also asked us to address some of the  
15 remarks that were made in the September 24th letter  
16 from the ACRS -- the September 24, 2002, which was a  
17 presentation that I was involved with as well as some  
18 of our HRA colleagues from Research.

19           Also, we received some public comments.  
20 Particularly, a speaker came to the subcommittee, an  
21 individual -- Dr. Rob Fuld, Robert Fuld -- and he made  
22 some comments that the ACRS -- the subcommittee asked  
23 us to address. We do have some slides to that effect.

24           And they were related in part also to your  
25 1995 letter on NUREG-0700. Mr. Fuld's comments were

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 primarily related to 0711.

2 And I'll make some closing statements, and  
3 then we'll have ACRS discussion. Not that I'm  
4 discouraging any discussion during the presentation,  
5 but we do have a lot of material to cover in a  
6 relatively short period of time.

7 The next slide gives you -- basically, our  
8 purpose is to ask for your endorsement of the four  
9 documents -- the SRP Chapter 18, NUREG-0711, NUREG-  
10 0700, and 1764. These documents will be used -- are  
11 intended for use by the staff to review applications  
12 for new reactors, applications for modifications to  
13 the control room, and also for changes in operator  
14 action.

15 The presenters -- myself, Jim Bongarra  
16 from NRR will be presenting next, and the overview of  
17 the package. Susan Cooper from RES, one of our HRA  
18 colleagues, will be talking about the screen -- risk  
19 screening method, and Paul Lewis will respond to the  
20 comments that were made from Dr. Fuld and from others.  
21 And I'll talk to the September 24th letter.

22 With that, Jim, you're on.

23 MR. BONGARRA: Thank you.

24 MR. PERSENSKY: Unless there are any  
25 questions over this part of it.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. BONGARRA: Good morning. My name is  
2 Jim Bongarra, and I'm the -- have been the NRR  
3 technical coordinator for the material that we're  
4 going to be presenting to you today. I'm also one of  
5 several users of the materials.

6 And, indeed, what I'd like to do is  
7 quickly just give you a brief overview of the standard  
8 review plan Chapter 18 itself and the several  
9 supporting documents that we have to discuss today.

10 Chapter 18 has been around since, really,  
11 at least the early 1980s. And it was originally  
12 formatted really to cover two -- the two major areas,  
13 two major topics that the agency was involved in at  
14 that point in time -- detailed control room design  
15 review and safety parameter display system.

16 We, of course, finished the reviews of  
17 those two areas back in the early '90s. Chapter 18 is  
18 the agency's principal human factors engineering  
19 guidance. It's a high-level source document. It also  
20 cross references to other chapters of the standard  
21 review plan that are related to human factors  
22 engineering. For example, Chapter 13 is referenced in  
23 Chapter 18, because there's a good bit of information  
24 in Chapter 13 that relates to training and staffing  
25 and qualifications.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           The most recent revision to Chapter 18,  
2 prior to the one that we're talking about today, was  
3 done in 1996. And the staff at that point revised  
4 Chapter 18 essentially to align it with the work that  
5 we were doing at that point in time related to  
6 advanced reactor design certifications.

7           The 1996 version of Chapter 18 was  
8 published as essentially a draft. It was a work in  
9 progress, and, therefore, really, to the best of my  
10 knowledge, was not reviewed by the ACRS at that point  
11 in time. It did, however, receive public comment.

12           Since 1996, there have been numerous  
13 updates to several of the documents that are  
14 referenced in Chapter 18. For example, we upgraded --  
15 NRR upgraded sections in Chapter 13 a few years ago to  
16 address issues related to license transfers. That was  
17 a topic that we were involved in a few years ago, and  
18 we had to make modifications related to that issue.

19           Also, since 1996, there has been much in  
20 the way of progress made to upgrading the guidance in  
21 both NUREG-0711 and NUREG-0700 to better address  
22 changes in technology that have occurred with  
23 relationship to human system interfaces.

24           The revisions to all of these documents,  
25 by the way, have been sent out or were sent out back

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 in 2002 for public comment. And as J mentioned, I  
2 think we indeed did receive public comments on the  
3 standard review plan and the related NUREGs, and those  
4 public comments were part of your package.

5 VICE CHAIRMAN WALLIS: Are these reviews  
6 essentially performance based? Do you have to have  
7 some measure of performance that has to be attained by  
8 the people?

9 MR. BONGARRA: To some degree, I would say  
10 that they are performed based. There are different  
11 criteria, really, to assess different aspects of the  
12 areas that we're looking at. It's not totally  
13 performance based. There are -- well, for example,  
14 there are some very, as the committee knows, detailed  
15 guidelines essentially in NUREG-0700 that are  
16 essentially -- again, it's guidance, but we do review  
17 to those guidelines -- human system interface design  
18 guideline.

19 VICE CHAIRMAN WALLIS: That would seem to  
20 be the guiding principle. And whether you need five  
21 people or four people to do a job is really based on  
22 how well four people can perform compared with five  
23 people. So that performance would seem to be the key  
24 thing, and the thing that's difficult is how to  
25 characterize, measure, and control, monitor, and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 everything, that performance.

2 MR. BONGARRA: I think I have a comment  
3 from John O'Hara.

4 MR. O'HARA: If I might. John O'Hara from  
5 Brookhaven Lab. Just to maybe say this a little  
6 differently than Jim said it. I think as the review  
7 proceeds earlier in the design, the evaluations are  
8 more based on comparison to guidelines and that type  
9 of material.

10 And then, as the design matures, there is  
11 more and more performance-based evaluation, so that  
12 actually the culmination of that is an integrated  
13 system validation which is performed, you know, prior  
14 to design certification. And that is performance  
15 based, using performance criteria and using  
16 simulations and things like that.

17 VICE CHAIRMAN WALLIS: Thank you.

18 MR. BONGARRA: Next. Second slide.

19 Okay. What changes have we made to the  
20 standard review plan? Essentially, we have revised  
21 the draft from 1996, and we've modified review  
22 elements and acceptance criteria to agree with the  
23 latest changes that have been made to NUREG-0711. We  
24 added review criteria for plant modifications, and we  
25 added a risk-informed, graded approach to address

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 amendment requests to credit human actions. These are  
2 the major changes essentially that have been made to  
3 Chapter 18 since 1996.

4 Next?

5 Why did we make the changes? Well, in  
6 addition to wanting to make the -- make certain that  
7 the staff is prepared to meet the future challenges of  
8 -- to human factors engineering posed by digital  
9 technology, the changes also reflect feedback  
10 essentially that we received from the public and  
11 stakeholders.

12 Over the years also since we were involved  
13 in the -- in completing the evolutionary reactor  
14 reviews, we have also learned some lessons, and we've  
15 attempted to incorporate the results of those lessons  
16 learned into our guidance document.

17 We have also received feedback from  
18 experience with foreign countries that have used the  
19 standard review plan and the related guidance  
20 documents in upgrading their plants or in designing  
21 new ones. We have also incorporated results from  
22 various research efforts into the revision -- research  
23 in the area, for example, of hybrid control room, soft  
24 control design and development, and computerized  
25 procedures.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           The Halden reactor project, for example,  
2           has been a source of information for us over the  
3           years, and we have been attempting to reflect that  
4           input from Halden into our --

5           MEMBER POWERS: Is there something that I  
6           can look at that summarizes the utility of the Halden  
7           project for your effort?

8           MR. BONGARRA: J, do you want to --

9           MR. PERSENSKY: Well, it depends on what  
10          level of detail you're talking about. We have a --

11          MEMBER POWERS: Not very detailed.

12          MR. PERSENSKY: -- list of those Halden  
13          reports that have been incorporated into the various  
14          guidelines documents.

15          MEMBER POWERS: You have that list  
16          already, or is that one that --

17          MR. PERSENSKY: Pretty much. I think John  
18          had put that together in the past for us.

19          MEMBER POWERS: I'd sure like to see that.  
20          That's probably the level of detail that I'm looking  
21          for right now.

22          MR. PERSENSKY: Okay.

23          MEMBER POWERS: Okay. I just -- I mean,  
24          as you know, I have to communicate why the program is  
25          useful.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. PERSENSKY: I understand. Thank you.  
2 We'll get that to you.

3 MR. BONGARRA: To quickly summarize, SRP  
4 Chapter 18 has been used by the NRR for over 20 years.  
5 It was revised in 1996 as part of the NRR's effort to  
6 address advanced reactor design reviews. It's a  
7 principal high-level source document for human factors  
8 guidance in the NRC.

9 It relies on several detailed source  
10 documents for guidance to perform human factors  
11 engineering reviews, and we've also upgraded the  
12 chapter to include a risk-informed screening method to  
13 better evaluate licensing amendments that credit human  
14 actions.

15 Moving on to NUREG-0711, which is the  
16 human factors engineering program review model, 0711  
17 was originally characterized, or identified rather, as  
18 the program review model. And it had its origins in  
19 the early days of advanced reactor design reviews, the  
20 early 1990s.

21 NUREG-0711 is the NRC's principal human  
22 factors engineering source document. The program  
23 review model was first published as NUREG-0711 in  
24 1994, once again to support the advanced reactor  
25 reviews that the staff was conducting. It was again

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 revised in 2002.

2 It's designed to be applied to a variety  
3 of human factors reviews, ranging from reviewing  
4 conceptual human factors engineering designs, as in  
5 the case of advanced reactor submittals, to discrete  
6 control room modifications.

7 The PRM is applicable to the plant's life  
8 cycle, and the elements of the PRM can be applied in  
9 reviewing a process and product as well. For example,  
10 with regard to, for instance, doing a task analysis,  
11 the PRM has guidance in it to allow us to look at the  
12 process that a licensee would use to conduct a task  
13 analysis as well as the final product of the task  
14 analysis.

15 Also, NUREG-0711's elements are used in  
16 other related applications. For example, our new  
17 NUREG-1764 tailors the use of several of the elements  
18 in NUREG-0711 using a graded approach to reviewing  
19 changes for human actions.

20 This next slide is -- really illustrates  
21 the overall structure of the program review model, the  
22 12 elements, and the major design review areas that  
23 each element is related to. The two newest elements  
24 are highlighted under the implementation and operation  
25 portion of this graphic.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. PERSENSKY: And, Graham, to get to  
2 your point, the -- particularly the two last columns  
3 on that would address the performance issues more  
4 thoroughly.

5 MR. BONGARRA: Changes from the prior  
6 revision to NUREG-0711 are really shown on this slide  
7 in some detail. The applicability of the guidance has  
8 essentially been expanded to again address all types  
9 of human factors design reviews.

10 The addition of the two elements that I  
11 previously mentioned and the changes that have been  
12 made were principally in the format and content of the  
13 four elements that were shown. Essentially, the  
14 technical nature of these elements did not change in  
15 this revision.

16 Next?

17 NUREG-0700 -- that is, the human system  
18 interface design review guideline -- this document  
19 dates back to about 1981. It has been used  
20 extensively by the NRC and the industry, certainly in  
21 the wake of TMI, to complete the -- at that point in  
22 time, again, the detailed control room design reviews  
23 and SPDS reviews.

24 It's the agency's principal document for  
25 reviewing human system interface design. And the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 major categories of the guidance are illustrated in  
2 this slide, and I won't go into specific detail on  
3 those.

4 Next?

5 Again, how did we change NUREG-0700 from  
6 the previous revision? We upgraded the guidance  
7 essentially to address digital technology. And, in  
8 particular, there are guidelines now that are  
9 incorporated in 0700 that relate to computer-based  
10 information system interfaces, soft controls,  
11 computer-based procedures, and issues related to  
12 essentially -- we call it interface management and  
13 navigation.

14 VICE CHAIRMAN WALLIS: What do you mean by  
15 "information system interfaces?" Is that something  
16 like a GUI? I mean, is that interface between people  
17 and the computer, or is it within the computer itself?

18 MR. BONGARRA: It's really a combination  
19 of the two, a combination of the two. We are -- we  
20 have guidelines that identify, for example, techniques  
21 to enhance the way information is presented to users,  
22 guidelines that would envelope a broader spectrum in  
23 terms of how information should be presented on a --  
24 you know, on a screen as well as interacting with it.

25 Next?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   VICE CHAIRMAN WALLIS: I just wonder how  
2                   -- again, are there measures for that? And in the  
3                   case of the performance of a mechanical device like a  
4                   pump, you have measures of performance. Do you have  
5                   ways of measuring the effectiveness of the  
6                   communication of information by computer to people?

7                   MR. BONGARRA: Well, a good -- I think a  
8                   good part of the way that would be identified would be  
9                   through essentially the exercise of -- you know, of  
10                  the actual interfaces.

11                  VICE CHAIRMAN WALLIS: Do you try them and  
12                  see which works best?

13                  MR. BONGARRA: You try them. There is the  
14                  -- the element, of course, within the overall program  
15                  review model a verification and validation, although  
16                  that comes at the very -- typically comes at the very  
17                  end of the entire process.

18                  There is also -- that is also an iterative  
19                  process. It takes place during the design, or it's  
20                  meant to take place during the design as well.

21                  I see my colleague John also has -- John  
22                  O'Hara has further elaboration on this.

23                  MR. O'HARA: I apologize, Jim.

24                  MR. BONGARRA: That's okay.

25                  MR. O'HARA: A lot of the guidance that's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 in NUREG-0700 is based on performance. For instance,  
2 we did a lot of research ourselves, to give one  
3 example, on alarm systems and types of alarm  
4 processing. That knowledge was gained through things  
5 like doing simulation studies, varying the types of  
6 processing, varying the types of displays, looking at  
7 the impact of those changes on the operator's use of  
8 the alarms and the alarm information.

9 And that cuts across the board for all of  
10 these areas. And what we did as part of the technical  
11 basis is developed this knowledge about how design  
12 characteristics impact performance. Then we abstract  
13 out of that principles that can be used to actually  
14 just review the designs themselves. But those  
15 principles reflect impact on performance.

16 CHAIRMAN BONACA: There was an extensive  
17 amount of this kind of verification in design -- in  
18 control room designs.

19 MR. O'HARA: Yes.

20 CHAIRMAN BONACA: Okay. So I imagine that  
21 you also utilize a lot of those insights.

22 MR. O'HARA: Oh, absolutely. The research  
23 that this work is based on is not just NRC research.  
24 It's the tremendous wealth of research that is  
25 available through conferences, papers, a lot of them

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 done by vendors because doing performance-based  
2 evaluations now is a common design practice, given  
3 that engineering simulators are so sophisticated.

4 And we basically look at all of that  
5 research, and we look for the common threads, and we  
6 abstract out that which is justifiable based on the  
7 research. We don't just make this -- you know, it's  
8 not just made up. It's based on what the research is  
9 telling us.

10 MEMBER POWERS: When I first got to the  
11 point of interacting on this human factors area,  
12 J Persensky gave me what I continue to grasp onto as  
13 keen insight he has on this overall field. And that  
14 is that it's a huge field, it's an enormous field, and  
15 NRC can't possibly expect to do things to dramatically  
16 impact the whole thing.

17 We have kind of a full-time job just  
18 keeping track of everything that's going on,  
19 collecting that, and then distilling out that fraction  
20 that will aid the agency's processes, and whatnot.

21 It's very -- it's a very interesting kind  
22 of research area for the NRC, and somewhat different  
23 than many of the other research areas, like reactor  
24 fuels. I mean, we could be the world's experts in  
25 reactor fuels. It's more incumbent on these people to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 keep a breadth view than it is a specialized view, and  
2 at the same time keep the finger on what -- the line  
3 organizations that the NRC needs to get out of all of  
4 that.

5 He told me he had a tough job, and by the  
6 time he was done I actually believed him.

7 (Laughter.)

8 MR. BONGARRA: Next?

9 The next item is 1764, NUREG-1764, which  
10 is guidance for the review of changes to human action.  
11 This is the latest edition to the guidance supporting  
12 our human factors engineering views, and I know that  
13 the committee is interested in --

14 MEMBER ROSEN: I want to be sure you said  
15 addition, not edition. This is an addition.

16 MR. BONGARRA: Sorry. NUREG-1764 is a  
17 risk-informed, graded guidance document, and its  
18 purpose is to help human factors engineering reviewers  
19 to consistently determine the appropriate level of  
20 review effort to put into evaluating license amendment  
21 requests that essentially credit human action.

22 In the recent past, NRR has been reviewing  
23 many of these types of requests. Licensees  
24 essentially are examining their design and licensing  
25 bases now, and they're coming up with modifications

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that many times involve manual operator actions to  
2 sometimes supplement equipment modifications or as  
3 compensatory manual actions.

4 Susan Cooper and Paul Lewis will explain  
5 in more detail the specifics of NUREG-1764. I just  
6 really want to kind of set the stage for it at this  
7 point.

8 Next slide.

9 By the way of a quick overview of 1764,  
10 the guidance consists of really three portions.  
11 There's a risk screening portion, there's guidance for  
12 human factors reviewers to use in actually evaluating  
13 the submittals, and there is a portion or criteria  
14 essentially that assists in making a final decision on  
15 the -- determining the acceptance of that change  
16 request.

17 MEMBER ROSEN: And, Jim, you didn't  
18 mention -- it's on your slide, though -- that when  
19 you're doing the risk screening it's different for a  
20 risk-informed submittal from a non-risk-informed  
21 submittal.

22 MR. BONGARRA: Indeed. That's true. I  
23 was just going to mention that. NUREG-1764 is indeed  
24 structured to address these two types of submittals --  
25 either a risk-informed or a non-risk-informed

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1       submittal. And there is a -- the screening process is  
2       somewhat different depending upon what type of  
3       submittal is presented to us.

4               1764 is perhaps a first-of-a-kind  
5       document, in the sense that -- I think anyway -- it's  
6       an attempt that the staff has made to apply risk  
7       methods to human performance issues that have been  
8       traditionally -- that is, the methods have been  
9       traditionally applied to systems and equipment  
10      performance.

11             And, again, I will -- won't belabor the  
12      overview here, but we're looking at this as -- and  
13      this is one of the reasons we've come before the  
14      committee -- is somewhat as a work in progress. It's  
15      -- you know, it's an attempt here at this point to  
16      really do something slightly different, and we're --  
17      we have confidence in what we have, and the staff will  
18      present the details to you in just a moment.

19             Next? I'm running out of time here.

20             Well, this last slide actually is really,  
21      again, just a graphic -- it reiterates the  
22      relationship of the various review areas within the  
23      standard review plan and how they are treated and  
24      addressed by the different supporting NUREG documents  
25      that we've just reviewed with you.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 With that, I'll stop and turn this to --

2 MR. PERSENSKY: Unless there are any  
3 questions, we'll turn it over to Susan.

4 Susan?

5 MS. COOPER: Susan Cooper, Office of  
6 Research, Probabilistic Risk Assessment Branch. As  
7 Jim mentioned, I'm going to be talking about one of  
8 three elements in NUREG-1764 -- that being the risk  
9 screening method. This is the method by which  
10 decisions can be made about grading, how human factors  
11 engineering reviews could be done, allowing the staff,  
12 then, to focus their resources perhaps better on the  
13 more appropriate actions.

14 Next slide. Oh, you're already there.  
15 Okay.

16 There are four major steps to the risk  
17 screening process, and they align with three inputs,  
18 and then an integration of those three inputs. The  
19 first step and first input is the determination of a  
20 risk categorization as it's been -- as performed by  
21 Reg. Guide 1.174.

22 The second input -- second --

23 VICE CHAIRMAN WALLIS: Excuse me.

24 MS. COOPER: Yes.

25 VICE CHAIRMAN WALLIS: Do you advise on

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 acceptable methods for calculating this change in risk  
2 due to human performance?

3 MS. COOPER: I'm sorry. I --

4 VICE CHAIRMAN WALLIS: Do you have  
5 anything to say about what are acceptable methods for  
6 calculating this change in risk due to human  
7 performance? If you changed human performance in some  
8 way, does it change in risk presumably? And the  
9 question is: how do you put this into the 1.174  
10 framework?

11 There has to be a method for going from  
12 some change in the control room or people or  
13 something --

14 MS. COOPER: Well --

15 VICE CHAIRMAN WALLIS: -- to calculating  
16 the change in risk. And I'm not sure that we have  
17 methods for doing that that are --

18 MS. COOPER: Well, this process is not  
19 really designed to do that per se. What it's -- the  
20 purpose of the process is to allow the staff to decide  
21 which of the different human actions or different  
22 license requests that involve human actions they ought  
23 to look at to make such an assessment.

24 Now, as part of the process, there are --  
25 I was just getting to step two where importance

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 measures are calculated for the human actions. And we  
2 do have a way to relate that to changes in core damage  
3 frequency, and then, therefore, make some different  
4 assignments based on that as to what level of review  
5 then should occur.

6 VICE CHAIRMAN WALLIS: So this change in  
7 risk is something that's submitted by a licensee  
8 saying that, "We want to do this, and this is the  
9 change which we calculate."

10 MS. COOPER: The license --

11 VICE CHAIRMAN WALLIS: Did you advise them  
12 on what you would accept as methods for doing that  
13 calculation?

14 MS. COOPER: Well, Reg. Guide 1.174  
15 already is out there and is being used by the staff,  
16 and the public knows about that. What is contained  
17 now in 1764 is then some calculations of importance  
18 measures, just getting to step two here and getting  
19 ahead, and that's consistent also with what's in Reg.  
20 Guide 1.174.

21 VICE CHAIRMAN WALLIS: That sort of  
22 assumes that you can calculate the change in risk.

23 MS. COOPER: Yes. I mean, there's no  
24 difference --

25 VICE CHAIRMAN WALLIS: That's the question

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I have is that there is -- I don't know that we have  
2 a good basis for calculating these changes in risk due  
3 to human performance changes.

4 MS. COOPER: I don't see any reason why --  
5 if something is calculated in the PRA, a human failure  
6 event, basic event probability, why you can't -- and  
7 you can -- make the same kind of calculation for that  
8 event as you can for a piece of equipment.

9 Now, you can make some arguments about how  
10 -- you know, uncertainties about it or the maturity of  
11 the methods that go into making that calculation.  
12 That's a different question, and we're not really  
13 dealing with that here.

14 MEMBER APOSTOLAKIS: I think that's the  
15 question, actually.

16 MS. COOPER: We're trying to work with the  
17 state of the art as it is and use it to the best that  
18 we can to try to make an informed decision about how  
19 to make good choices about focusing resources on  
20 reviewing licensee requests.

21 MEMBER APOSTOLAKIS: But there is huge  
22 model uncertainty, Susan, in human reliability. So  
23 even if you don't concern yourself with changes in  
24 risk, you use importance measures, I mean, those will  
25 have to use the probability that was calculated using

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 some model for the human action.

2 MS. COOPER: Well, we are -- I mean, we  
3 are using the inputs from Reg. Guide 1.174, which is  
4 a change in risk.

5 MEMBER APOSTOLAKIS: 1.174 tells you what  
6 to do after you calculate the change. The question  
7 is, in calculating the change, what model do you use?  
8 1.174 doesn't tell you that. 1.174 says use, you  
9 know, a good PRA. So --

10 MS. COOPER: And this guidance does not  
11 address that. That's not part of our job -- to try to  
12 look into those particular issues.

13 Now, with respect --

14 VICE CHAIRMAN WALLIS: It seems to me a  
15 scale of the whole thing, though. If you can't  
16 calculate the model -- if you don't have a good way of  
17 modeling this --

18 MEMBER APOSTOLAKIS: Right.

19 VICE CHAIRMAN WALLIS: -- then you're just  
20 playing games with --

21 MS. COOPER: Well, I don't know that I  
22 would -- I would agree with the fact that you -- we  
23 don't have a good way of modeling human reliability.  
24 There are some methods that may be better than others,  
25 and when you compare it to other aspects of PRA it may

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 not measure up.

2 But, I mean, you know, compare HRA to, you  
3 know, seismic risk analysis or some of the other areas  
4 where we have large uncertainties. And then, you  
5 know, you can get a better basis. But I don't even --

6 MEMBER APOSTOLAKIS: But I think the  
7 difference between seismic and HRA is that the seismic  
8 fellows have recognized that the uncertainties are due  
9 to models, and they are handling them explicitly. In  
10 HRA, different groups develop their own model, and  
11 they don't compare to what other people are doing.

12 MS. COOPER: Well, all I can --

13 MEMBER APOSTOLAKIS: One last point.  
14 There is a paper by Andre Pousse in the PSA conference  
15 of 1989 that shows a table of different people using  
16 the same method, and the same people using different  
17 methods, the results that they get for HRA. And they  
18 are scattered all over the place.

19 Now, this committee has seen a variety of  
20 models being used. In some of the power upgrades  
21 people say -- some licensees say, "Well, and we use  
22 the EPRI methodology." And then we find out that the  
23 NRC never really reviewed the EPRI methodology.  
24 Nobody knows, unless you are a member of the EPRI  
25 alliance, what it is.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           So it's these, really, issues that concern  
2 us. It's not -- I mean, the overall approach you are  
3 describing is fine.

4           MS. COOPER: Well, all I can say is that  
5 I think the approach does address the basic concerns  
6 about, let's say, maturity in HRA on uncertainties in  
7 the following ways. First of all, Reg. Guide 1.174  
8 and SRP Chapter 19 already talk about quality of PRA  
9 and quality of HRA and uncertainty. And that doesn't  
10 change so far as how the input from Reg. Guide 1.174  
11 in step one is done. So that's already there.

12           Then, we have this importance measure  
13 calculation, which, you know, we can argue about its  
14 robustness. But then we have a third step yet, and  
15 that's where we bring -- can bring in qualitative  
16 information to ingest further what we think is the  
17 appropriate level.

18           And then, as we can see when we get to the  
19 very end of the presentation, we have a table out of  
20 Reg. Guide -- I'm sorry -- NUREG-1764 that shows how  
21 we put all of these three inputs together and make  
22 decisions. And you can see, again, from the table  
23 that there are places where you can make adjustments.

24           And in the end, the worst thing that can  
25 happen, the worst consequence is that perhaps at the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 end of this process you should have gone to a higher  
2 level of review. And I guess I would argue that  
3 that's probably still not the last line of defense,  
4 because at the same time that the human factors people  
5 may be looking at a human action, the SPSB folks over  
6 in NRR are looking at the PRA side, and they still may  
7 find a concern and come back to the human factors  
8 people and say, "Look, we think that maybe you ought  
9 to spend -- you know, look at this pretty closely  
10 because of our concern."

11 So I still don't think this is the last  
12 line of defense.

13 MEMBER APOSTOLAKIS: You will talk about  
14 the --

15 MS. COOPER: And I think we have -- I  
16 think there are a number of levels here that we've  
17 built in.

18 MEMBER ROSEN: Yes. George, I think we  
19 could stipulate that there is a lot of uncertainty  
20 about the human reliability models and modeling, and  
21 let them go on with that, and then come back to that  
22 at the end and see how they use it.

23 MEMBER APOSTOLAKIS: Okay.

24 MS. COOPER: Okay. I think I'm still on  
25 slide 18, talking about step number two where the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 input there is the evaluation of risk significance of  
2 the human action not being performed correctly.

3 Step three, the third input then is  
4 qualitative information, qualitative evaluation of  
5 human action. And then step four is the integration  
6 of those three inputs. And I'll go through each of  
7 the steps with a little more detail.

8 Next slide.

9 In step one, as I said, the input here is  
10 from calculations done with Reg. Guide 1.174 where the  
11 delta CDF is calculated, and then an assignment is  
12 made into one of three regions.

13 For the purpose of this particular  
14 screening process, if -- okay, we're on the next  
15 slide. If the license change request involves --

16 MEMBER ROSEN: The "HA" means human  
17 action.

18 MS. COOPER: Human action. Only involves  
19 a human action, and the assignment from Reg. Guide  
20 1.174 is in Region I, we recommend that the most  
21 detailed level of human factors engineering review be  
22 done. If that's not the case, then we go -- proceed  
23 to step two, develop additional inputs to the overall  
24 screening process.

25 MEMBER APOSTOLAKIS: So let me understand

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 this. The first one says --

2 MEMBER ROSEN: Go back a slide.

3 MEMBER APOSTOLAKIS: -- what?

4 MS. COOPER: I'm sorry?

5 MEMBER APOSTOLAKIS: That you will do a  
6 detailed analysis?

7 MS. COOPER: Yes.

8 MEMBER APOSTOLAKIS: Region I is which  
9 one? Remind me.

10 MEMBER ROSEN: It's the high one.

11 MS. COOPER: Okay. Region I is the  
12 highest one in Reg. Guide 1.174. It is -- when Paul  
13 gets into his discussion, you'll find that there are  
14 also three levels of human factors engineering review  
15 where the Level 1 is the most detailed --

16 MEMBER ROSEN: This one basically says if  
17 it's a human action, and it's clearly risk  
18 significant --

19 MS. COOPER: Right.

20 MEMBER ROSEN: -- we're going to do a full  
21 review.

22 MS. COOPER: That's correct.

23 MEMBER APOSTOLAKIS: And delta CDF is in  
24 Region I.

25 MEMBER ROSEN: Right.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MS. COOPER: Right.

2 MEMBER APOSTOLAKIS: All right. Now,  
3 Region I is the rejection region?

4 MS. COOPER: That's not exactly the way  
5 Reg. Guide 1.174 states it. It's implied that there  
6 aren't going to be very many of those, but it does not  
7 say that it's an absolute rejection. So we -- this --  
8 for that reason, this NUREG must address the fact that  
9 that's a possibility.

10 MEMBER APOSTOLAKIS: But the human factors  
11 evaluation -- let's say, you know, you're doing it and  
12 you say it, "Well, we're happy with the way they did  
13 it," you are still in Region I. So who is going to  
14 decide now whether --

15 MS. COOPER: Well, I -- that sort of  
16 speaks to a process that's over in NRR, and I don't  
17 know that I could speak to that. But all I'm saying  
18 is that because Reg. Guide 1.174 allows for the fact  
19 that there can be a Region I assignment that's not  
20 rejected out of hand, we must also consider that.  
21 Otherwise, we've got a gap.

22 MEMBER ROSEN: I mean, a licensee can come  
23 in and propose a change. That has a very significant  
24 human action delta CDF. I mean, they can do it. It's  
25 not likely, but they --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER APOSTOLAKIS: They can do it. The  
2 question is: what do we do?

3 MEMBER ROSEN: Well, you're about to hear  
4 that.

5 MR. PARRY: Can I add -- this is Gareth  
6 Parry, NRR.

7 MEMBER ROSEN: If you'll listen long  
8 enough, you'll hear that.

9 MR. PARRY: I think, really, the way to  
10 look at it is that if -- remember, the setting it in  
11 regions according to Reg. Guide 1.174 is really the  
12 use of a calculation using PRAs. I think the only  
13 reason that you would have for not rejecting it is to  
14 say that there was something about that calculation  
15 that was extremely conservative.

16 So I think that's the direction it would  
17 go, but it would be conservative enough to -- to make  
18 you realize that that's probably not the right reason.

19 MEMBER APOSTOLAKIS: So we have here a  
20 reversal of roles. The licensee comes with an  
21 extremely conservative analysis, and the staff says,  
22 "No, you are too conservative. You really deserve the  
23 change."

24 MR. PARRY: No. I think they'd have to  
25 make that -- they'd have to make that argument.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MEMBER APOSTOLAKIS: That's kind of  
2 unusual, though.

3 MR. PARRY: They'd have to make that  
4 argument.

5 MEMBER ROSEN: It will be very unusual.

6 MEMBER APOSTOLAKIS: Very unusual.

7 MEMBER ROSEN: No, no. Let's get through  
8 this and get to the more usual cases of --

9 MR. PARRY: The Reg. Guide is for the  
10 licensee, remember, not for the staff. So that they  
11 would have to make the argument that the analysis --

12 MEMBER APOSTOLAKIS: I think Susan put it  
13 in the right way, that the guide doesn't say that you  
14 are rejected outright, but there is a hell of a strong  
15 implication --

16 MEMBER ROSEN: There's a burden -- there's  
17 a burden to be --

18 MEMBER APOSTOLAKIS: -- you'd better not  
19 come.

20 MS. COOPER: Right. Why don't we go on to  
21 the next slide and go to step number two, the second  
22 input in the process. Here the risk significance of  
23 the human action not being performed correctly is  
24 evaluated. The way this is evaluated is using two  
25 different types of importance measures -- the RAW and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Fussell-Vesely importance measures.

2 And the results of this process in  
3 determining the importance measures then makes a  
4 preliminary determination of the level of review which  
5 is going to be combined with the other inputs.

6 VICE CHAIRMAN WALLIS: This seems to be  
7 easy when nothing is -- it's a yes/no. I mean, either  
8 she has flipped the switch or she didn't. I mean,  
9 that's, yes, they did, yes, they didn't -- but when  
10 not correctly means something much more complicated,  
11 like they misunderstood the whole situation, they did  
12 something completely incorrect that no one  
13 anticipated, or, you know, there are all kinds of ways  
14 of being incorrect.

15 MEMBER APOSTOLAKIS: As has been found out  
16 many times, correct is --

17 VICE CHAIRMAN WALLIS: Yes. So I'm not  
18 quite sure how you do this. But maybe --

19 MS. COOPER: Well, it has to be based on  
20 whatever event is modeled in the PRA, and that will be  
21 defined --

22 VICE CHAIRMAN WALLIS: It's a yes/no  
23 thing. You go this way or you go that way.

24 MS. COOPER: The failure modes and the  
25 failure states are defined. You know, that -- so

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that's more or less a good --

2 VICE CHAIRMAN WALLIS: It doesn't take  
3 into account the human -- completely misunderstand the  
4 situation and doing something very inappropriate.

5 MS. COOPER: That rather depends on what  
6 they've modeled. I mean, it's possible that they  
7 could have modeled that.

8 VICE CHAIRMAN WALLIS: Sure.

9 MS. COOPER: I mean, it doesn't say that.

10 MEMBER ROSEN: It's the classic cognitive  
11 area you're talking about, where the human does the  
12 right thing for the wrong accident.

13 VICE CHAIRMAN WALLIS: When I get into  
14 trouble driving a car is not when I turn left instead  
15 of right; it's when I completely misunderstand the  
16 situation about what is going to do with his sports  
17 car. And, therefore, I do completely the wrong thing.  
18 And it's -- you know, anyway --

19 MS. COOPER: That's true. But this stuff  
20 does not get into any of the underlying layers of how  
21 the modeling was done. It's simply a mechanical test  
22 here at this point in time. The event, the basic  
23 event, is what it is in the PRA model, and this is a  
24 mathematical exercise to try to see how important this  
25 particular event is. The qualitative evaluation done

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 in the next step could possibly, you know, get into  
2 that.

3 VICE CHAIRMAN WALLIS: Okay.

4 MS. COOPER: All right? The next slide  
5 then goes into a little more detail about how the RAW  
6 importance measure is calculated. And the equation is  
7 shown here. I don't know that we need to go into --  
8 unless someone has a question, I don't know if we need  
9 to go into any more detail there.

10 MEMBER APOSTOLAKIS: You select the ratio  
11 method.

12 MS. COOPER: I'm sorry?

13 MEMBER APOSTOLAKIS: You say, "We select  
14 the ratio method." That's what the second bullet  
15 says.

16 MEMBER ROSEN: Right.

17 MS. COOPER: Yes.

18 MEMBER APOSTOLAKIS: What other method is  
19 there?

20 MS. COOPER: There is more than one way to  
21 express some of these importance measures.

22 MEMBER APOSTOLAKIS: I thought that was a  
23 definition of RAW.

24 MS. COOPER: Jim Higgins, please, will  
25 you --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. HIGGINS: Jim Higgins, Brookhaven Lab.  
2 There is also the interval method, where you do  
3 calculate the delta expressed that way. And if you go  
4 back to the original 1983 Bill Vesely NUREG/CR, he  
5 articles both an interval method and the ratio method  
6 of RAW calculation.

7 And I guess when we first started  
8 developing the methodology here, we were using the  
9 ratios because we were trying to correlate the delta  
10 CDF to the Commission's safety goal of delta CDF. And  
11 so we were using the interval method.

12 But because of just what you raised, there  
13 was a number -- a bit of confusion among people  
14 because it hasn't been used recently, and so we just  
15 shifted back to this.

16 MEMBER APOSTOLAKIS: Yes. This is the  
17 standard of --

18 MR. HIGGINS: Which is the standard, and  
19 so that's --

20 MEMBER ROSEN: That's why we use it, you  
21 know, when you're doing --

22 MEMBER APOSTOLAKIS: Yes. The goal is to  
23 use this, you know.

24 MEMBER ROSEN: It's the new CDF over the  
25 old CDF.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. HIGGINS: That's correct. Yes. And  
2 we actually expressed it in this format a little bit  
3 differently, because we're -- as Susan will get to,  
4 we're calculating the differences in the regions based  
5 on the change in delta -- on the delta CDF.

6 VICE CHAIRMAN WALLIS: So the best thing  
7 you can do is have a big baseline CDF. Then your RAW  
8 is smaller?

9 MEMBER ROSEN: Unfortunately, that's true.

10 MR. HIGGINS: Well, that's -- in fact,  
11 you'll see here that's why the curves are -- look like  
12 they do. We reduce it to account for that.

13 Go ahead, Susan.

14 MS. COOPER: Okay. We're here at the next  
15 slide. This is showing the -- how the different level  
16 assignments then can be made using the RAW importance  
17 level. This slide does not show -- actually print out  
18 the levels, but everything above is Level 1, between  
19 the two lines is Level 2, and Level 3 is then below  
20 the second line.

21 MEMBER APOSTOLAKIS: I don't understand  
22 this. For what delta CDF is this calculated? It's a  
23 function --

24 MS. COOPER: I'm sorry?

25 MEMBER APOSTOLAKIS: It's a function of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the baseline CDF.

2 MS. COOPER: It's a function of the  
3 baseline --

4 MEMBER APOSTOLAKIS: For a given delta  
5 CDF?

6 MS. COOPER: No.

7 MEMBER ROSEN: I didn't see this chart  
8 before. This is --

9 MEMBER APOSTOLAKIS: It has to be for a  
10 given delta CDF.

11 MEMBER ROSEN: This is Duane Arnold,  
12 Perry, Nine Mile Point, Salem, and what else? Some  
13 other -- Point Beach or what?

14 MS. COOPER: The data points I'm going to  
15 have to let Brookhaven speak to. But the purpose --  
16 the reason why this slide is here is to address a  
17 question that came out of the subcommittee meeting  
18 asking, you know, where did the level assignments come  
19 from from the importance measure calculations?

20 And actually, the next slide discusses the  
21 relationship, how this --

22 MEMBER ROSEN: Point of order. I don't  
23 get it.

24 MS. COOPER: -- was developed.

25 MEMBER ROSEN: Go back to that previous

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 slide. Why are you showing us data from these five  
2 plants?

3 MR. PERSENSKY: Ignore that. At this  
4 point, ignore the data. This was a convenient slide  
5 in order to respond to your comments.

6 VICE CHAIRMAN WALLIS: This is the only  
7 place where you present us data. Now, come on.  
8 Don't --

9 (Laughter.)

10 MR. PERSENSKY: And the data was part of  
11 the development of this in the first place. We were  
12 trying to just demonstrate that this is where the  
13 lines are and how we got -- and how the different  
14 levels would be affected.

15 The data was part of the testing that we  
16 had done at various times during the development of  
17 this process. It came from IPE data that --

18 MEMBER ROSEN: IPE data.

19 MR. PERSENSKY: Yes.

20 MEMBER APOSTOLAKIS: The question is:  
21 what does the curve, for example, that starts at 100  
22 on the left and goes down --

23 MS. COOPER: Actually, let's go back a  
24 slide.

25 MR. PARRY: I think that's delta CDF of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1        $10^{-4}$  is the top one.

2                   MS. COOPER:  If we could go back to --

3                   MEMBER APOSTOLAKIS:  So for a fixed delta

4 CDF --

5                   MR. PARRY:  For a fixed delta CDF, it's

6 the RAW -- it's the variation of RAW as you --

7                   MEMBER APOSTOLAKIS:  Which confirms what

8 Graham said, that you are luckier if you have a higher

9 CDF.  right?  Or a fixed delta CDF.

10                   MS. COOPER:  Right.

11                   MEMBER APOSTOLAKIS:  You increase the --

12                   VICE CHAIRMAN WALLIS:  That doesn't make

13 sense.  That doesn't make sense.

14                   MR. PERSENSKY:  No, because the absolute

15 change is the same.  The delta CDF is always  $10^{-4}$  on

16 that line.

17                   MEMBER APOSTOLAKIS:  Yes.  So if you take

18 the --

19                   MR. PARRY:  Yes.  But all that's telling

20 you is that the higher you have, the smaller your RAW

21 is to get the delta CDF --

22                   VICE CHAIRMAN WALLIS:  Right.

23                   MR. PARRY:  -- which doesn't actually make

24 you better.  In fact, if you -- I think it puts you on

25 a level playing field.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER APOSTOLAKIS: I don't think that  
2 curve really is very informative. Plotting it as a  
3 function of CDF doesn't really mean much.

4 MEMBER ROSEN: I don't know what that  
5 curve means either.

6 MEMBER APOSTOLAKIS: It's not a crime,  
7 but --

8 MEMBER KRESS: It means if you calculate  
9 a RAW for a given change in your human error action,  
10 or whatever, and your baseline CDF happens to be one  
11 times  $10^{-4}$ , then if that RAW you calculate is like --  
12 on this thing it looks like two or three, then it's --  
13 it's two, then it's not permitted, or you would  
14 question it.

15 MS. COOPER: Well, it --

16 MEMBER KRESS: Because it's too big of a  
17 change.

18 MS. COOPER: But it's supposed to function  
19 the same way the curves or the tables that are in Reg.  
20 Guide 1.174, except to use the information of  
21 importance measures. As a matter of fact, it's based  
22 on some on that material.

23 I think Jim Higgins has a burning question  
24 here or a comment.

25 MR. HIGGINS: Yes. Maybe just to -- it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 gets back a little bit to I think the confusion here  
2 is the reason we initially set up the acceptance  
3 criteria to be based on a delta CDF. It was incurred  
4 by failing the human action, and it was set up such  
5 that if you failed the human action that delta CDF  
6 would increase by no more than  $10^{-4}$ . And that was our  
7 cut between Region I and Region II for this. And  
8 then,  $10^{-5}$  was the cut between Region II and  
9 Region III.

10 But then there was a desire to convert it  
11 over to a RAW that people were more familiar with,  
12 namely the ratio method. So what we did is we used  
13 the same criteria -- namely, when you fail the human  
14 action, you don't want the calculated increase in risk  
15 to be more than  $10^{-4}$  for Region I.

16 So in order to compute what the RAW would  
17 then be, it has to vary depending on delta CDF to  
18 address the comment that was made over here. And so  
19 the curve -- what we did was we just used the equation  
20 and we presumed a delta CDF of  $10^{-4}$ . And then, for  
21 each of the CDF -- the baseline CDF values, we  
22 computed what the acceptance criteria were and  
23 generated that line.

24 MEMBER KRESS: What bothers me about it  
25 is, why does the curve convex instead of concave?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. HIGGINS: Because it's a log scale.

2 MEMBER KRESS: I know. But I would have  
3 thought that if you stick to the  $10^{-4}$ , it would be a  
4 straight line and not curve or turn up. This says  
5 you're still allowing a change in RAW if the CDF is  
6  $10^{-3}$ .

7 MS. COOPER: Actually, it's not saying  
8 that yet. It's just simply saying that --

9 MEMBER APOSTOLAKIS: This is just  
10 mathematics.

11 MS. COOPER: -- this is just mathematics  
12 to try to determine which -- which actions deserve the  
13 most attention. And we still haven't even gotten to  
14 that answer yet. That's simply the recommendation  
15 based on this particular calculation, and there's yet  
16 another one to be done here in step two. So --

17 MEMBER APOSTOLAKIS: So this is really the  
18 figure in 1.174 converted to a RAW.

19 MR. PARRY: No, not really. This is a  
20 "how bad could it get" if the human action fails on --

21 MEMBER APOSTOLAKIS: Yes. It's the  
22 boundary of  $10^{-4}$  in a --

23 MS. COOPER: Roughly, yes.

24 MR. PARRY: At  $10^{-4}$ , if you look at Reg.  
25 Guide 1.174, that top boundary is  $10^{-5}$ .

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MS. COOPER: This sort of takes --

2 MEMBER APOSTOLAKIS: For CDF is  $10^{-5}$ ,  
3 you're right.

4 MR. PARRY: The delta CDF. So this  
5 actually more -- corresponds more to the bands of the  
6 reactor oversight process.

7 MEMBER ROSEN: That's what it says on that  
8 slide.

9 MEMBER APOSTOLAKIS: Maybe the green line  
10 is a  $10^{-5}$ ?

11 MS. COOPER: Yes.

12 MR. PARRY: It is.

13 MEMBER APOSTOLAKIS: The green line is  
14 that figure in 1.174 converted to RAW.

15 MS. COOPER: Right.

16 MEMBER APOSTOLAKIS: As a function of CDF.

17 MR. PARRY: That's correct.

18 MS. COOPER: That's correct.

19 MEMBER APOSTOLAKIS: Instead of delta CDF,  
20 it's now RAW.

21 MEMBER ROSEN: And the dark line is where  
22 -- if you're above that dark line, you've got a red  
23 finding in the RLP.

24 MS. COOPER: That's right. And that's  
25 actually all stated on slide number 24, which is the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 next slide.

2 VICE CHAIRMAN WALLIS: But this slide  
3 doesn't help and makes it worse. When you've got a  
4 basic thing, which is  $10^{-4}$  delta CDF, that's  
5 understandable. When you put it into RAW and draw  
6 these curves, you're obfuscating something very  
7 simple.

8 MS. COOPER: Well, so far as understanding  
9 perhaps, maybe so. But the purpose is to have a tool  
10 for someone -- you know, in other words, NRR gets a  
11 submittal and there is PRA information that's  
12 provided, including maybe importance measures.

13 And NRR staff can take that information,  
14 plot that on this curve, and get their input  
15 reasonably quickly, because, really, all we're doing  
16 right now is we're not -- we're not even yet to the  
17 review yet. We're just trying to decide how much time  
18 am I going to put in the review. So --

19 MEMBER APOSTOLAKIS: These points are  
20 actually submitted?

21 MS. COOPER: No. I believe the comment  
22 earlier was made that these are IPE --

23 MR. PERSENSKY: No, this is part of a test  
24 of developing the -- where these things would fall.  
25 We took some information from existing IPEs. These

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 were not submittals in terms of submittals for  
2 changes. This is just stuff that we took in a  
3 hypothetical situation to apply, so we could see how  
4 it would fit within these ranges, so that we could see  
5 would it really discriminate.

6 MEMBER POWERS: Does it matter in your  
7 kind of qualitative description of that that the IPEs  
8 maybe aren't very reliable in this area?

9 MR. PERSENSKY: Again, this was -- these  
10 were probably generated almost two years ago when we  
11 were doing some -- this is not IPE. I'm sorry. Maybe  
12 I've got the wrong data.

13 MR. HIGGINS: Right, yes. Jim Higgins  
14 again. As part of the verification of the  
15 acceptability of the method and the usability of the  
16 method, we conducted a number of incremental tests  
17 along the process, some of which we did where we  
18 evaluated past submittals for changes to human  
19 actions.

20 Secondly, we evaluated some IPE data. And  
21 then, when we got up to this point, the most recent  
22 point, we actually used the current PRA data, current  
23 as of about a year or two ago, from plant PRAs that we  
24 actually gathered as part of the ROP SDP notebook  
25 development process when we went on the benchmarking

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 trips to the sites.

2 And for most of the plants we had  
3 available to us RAW and Fussell-Vesely information for  
4 all of the components in the PRA, particularly the  
5 human action. So we collected that, and for those --  
6 we selected five plants, and that gave us -- that data  
7 is actually 127 human actions that were plotted, so we  
8 could see the distributions for the human actions that  
9 were modeled in those PRAs, how they would fall out on  
10 the curves to help us evaluate if those acceptance  
11 criteria for the splits were reasonable.

12 MEMBER POWERS: I'm enthusiastic about  
13 this, because this is a step toward quantifying the  
14 question that we've asked -- maybe I've asked on this  
15 committee several times is, how good is human  
16 performance? And how good do you want it? I mean, I  
17 can see you moving in that direction here with this  
18 sort of approach.

19 MEMBER KRESS: It seems to me like also a  
20 benefit of using RAW and Fussell-Vesely versus actual  
21 CDF is that you to some extent incorporate the  
22 uncertainty in the model, because they tend to be a  
23 little more bounding than the actual calculated delta.

24 MR. HIGGINS: Right. In fact, that was --  
25 when we first did it, we were just using RAW, and one

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 of the reasons was because you don't -- a little bit  
2 of -- if you're concerned about what the HEP value is,  
3 this gets rid of that.

4 Now, you still have the modeling issues.

5 MEMBER KRESS: It doesn't get it out  
6 altogether.

7 MR. HIGGINS: Right. You still have some  
8 modeling issues, but it does -- and then, Gareth was  
9 one of the people that had suggested that we go a  
10 little bit further and also look at Fussell-Vesely,  
11 which is just --

12 MEMBER KRESS: Which is more bounding than  
13 RAW.

14 MR. HIGGINS: -- a different aspect of the  
15 risk. And we actually, when we got into developing  
16 the acceptance criteria, we initially tried -- it was  
17 suggested that we look at the NRC SERs that had been  
18 done for the risk submittals for South Texas and  
19 Comanche Peak.

20 And we utilized their -- tried to utilize  
21 the similar RAW and Fussell-Vesely combinations to  
22 incorporate into here, and then there were a number of  
23 issues that came up which we could get into if we want  
24 to, but we found that the -- empirically, by looking  
25 at a number of IPes, then, that the raw Fussell-Vesely

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 were not correlated, and you really were getting  
2 different information from the two of those.

3 So we ended up to -- we ended up making  
4 them two separate criteria -- RAW and Fussell-Vesely  
5 -- and the way we evaluate it is we take the more  
6 conservative of the two. It's an or.

7 MEMBER APOSTOLAKIS: So what is the result  
8 of this?

9 MS. COOPER: I was going to say let's move  
10 on forward and --

11 MEMBER APOSTOLAKIS: No, I'm mean --

12 MEMBER ROSEN: You'll get a fine graph  
13 of --

14 MEMBER APOSTOLAKIS: No, no, no. But, I  
15 mean, these are criteria for deciding what?

16 MS. COOPER: Deciding the level of human  
17 factors engineering review. Okay?

18 MR. PERSENSKY: This is how much review  
19 we're going to do from a human factors standpoint.

20 MEMBER POWERS: George, this is right on  
21 what we've been asking for.

22 MEMBER APOSTOLAKIS: Yes, I know.

23 MEMBER POWERS: We're saying, how bad is  
24 human performance? How good do you want it? Except  
25 they're casting it in terms of review.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER APOSTOLAKIS: Yes.

2 MEMBER POWERS: And I think that's what  
3 they should be doing. I mean, I think this is great.

4 MR. PERSENSKY: And we're trying to make  
5 use of existing agency's documents and existing  
6 procedures. We weren't trying to develop brand-new  
7 procedures here, and that's why we were --

8 MS. COOPER: We haven't gotten to the  
9 review until --

10 MEMBER POWERS: But, J, this is new to you  
11 guys. I mean, this is new to you guys.

12 MR. PERSENSKY: This is the way we apply  
13 our work.

14 MEMBER POWERS: I mean, it's -- and it's  
15 giving you a -- I mean, if you're looking for three-  
16 decimal precision, you're in the wrong field. Okay?  
17 But it's giving you a qualitative feel for, should I  
18 do a lot or should I do a little bit? I mean, I think  
19 it's great.

20 MEMBER APOSTOLAKIS: I'm trying to  
21 understand slide 24. Let's go back.

22 VICE CHAIRMAN WALLIS: We should move on  
23 I think. Really, the --

24 MEMBER APOSTOLAKIS: The Commission -- the  
25 goal of  $10^{-4}$  is for -- from all contributors. But now

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you seem to be applying it to human error only. Is  
2 that the correct perception here what's happening? I  
3 mean, shouldn't there be some reduction in this,  
4 because you are dealing with a specific item?

5 The Commission goal of  $10^{-4}$  is for all  
6 contributors -- seismic, fire, human error.

7 MS. COOPER: This is a delta CDF.

8 MEMBER APOSTOLAKIS: Well, that's even  
9 worse, because now you are adding it to the existing  
10 CDF. So if the existing CDF is --

11 MS. COOPER: Okay. I'm going to let  
12 Gareth field these questions. He thinks he's got this  
13 one.

14 MR. PARRY: I think all we're trying to do  
15 with this measure is to see how significant is that  
16 action to maintaining a safe level of risk. Okay?  
17 And if that were -- actually were to fail completely,  
18 then what we're saying is that there is a high risk  
19 significance.

20 And I take slight exception to what Dana  
21 said. I don't think this is a measure of human  
22 performance as such. It's more of a measure of where  
23 you want to put your effort to make damn sure that  
24 this thing doesn't fail.

25 MEMBER POWERS: But that's --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. PARRY: In the sense of RAW.

2 MEMBER POWERS: That is exactly what we've  
3 been asking for is some sort of an idea of where to  
4 put the -- how much and where to put the effort.

5 MR. PARRY: Right.

6 MEMBER POWERS: And, I mean, I -- to my  
7 mind, this is a breakthrough. I mean, it may not --  
8 like I say, if you're looking for three decimal point  
9 precision, it's not going to ever be here. But if you  
10 want something that says, do I work a lot, or do I  
11 work a little bit, do I worry a lot, do I worry a  
12 little bit, I mean, what more --

13 MEMBER APOSTOLAKIS: But I would worry --

14 MEMBER POWERS: -- can you ask for here?

15 MEMBER APOSTOLAKIS: I disagree with  
16 Gareth. I agree with the intent, but the "criterion"  
17 are -- in quotes -- of when I should worry should be  
18 lower than delta CDF  $10^{-4}$ .

19 MR. PARRY: I think the criteria to some  
20 extent are arbitrary, but I think maybe when they --

21 MEMBER APOSTOLAKIS: No, it's not  
22 arbitrary. Why is it arbitrary?

23 MR. PARRY: Let me finish. When they get  
24 to talking about the level of review, maybe that's  
25 when it makes sense to worry whether these are the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 right levels, because I think when you're talking  
2 about the highest level of review that's a very  
3 detailed review.

4 The  $10^{-5}$  is somewhat less, but it's sort  
5 of equivalent to what you do now is what I understand.  
6 And the third one is less than that.

7 MEMBER ROSEN: Yes. I've been pleading  
8 with you, George, to let her get through the whole  
9 story, and then I think you'll have an answer to your  
10 question, which is what it's being used for is  
11 really --

12 MEMBER APOSTOLAKIS: Okay.

13 MEMBER ROSEN: -- what makes it okay to do  
14 what it seems like it's not okay to do up front.

15 MS. COOPER: What I'd like to do is skip  
16 over the next few slides. I will simply say that the  
17 same calculations -- type of calculation is also  
18 performed with the Fussell-Vesely importance measure.  
19 A similar curve or a curve with levels is also  
20 generated.

21 And then, as Jim Higgins mentioned a few  
22 minutes back, and as noted on page -- slide 28, the  
23 most conservative of the two calculations, then, is  
24 supposed to be the output of this particular step, and  
25 then is the input to the overall process.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           So now we're on slide 29, which is the  
2           third step in the process. And in this particular  
3           step we're -- the intent is to do a qualitative  
4           evaluation of the human action, which allows, then,  
5           the reviewer to reduce or elevate the level of review  
6           or the recommendation for the review.

7           There are three different basic areas in  
8           which the evaluation is made -- personnel functions  
9           and task, design support for task performance, and  
10          performance shaping factors.

11          Then, the next slide --

12          MEMBER APOSTOLAKIS: Go back, back, back.

13          MS. COOPER: I'm sorry?

14          MEMBER APOSTOLAKIS: Now, this is where  
15          there should be a good discussion of model  
16          uncertainty.

17          MS. COOPER: No.

18          MEMBER APOSTOLAKIS: No. Why not?

19          MS. COOPER: Because it's not -- what  
20          we're looking for is human factors input and general  
21          performance information. The PRA is already going to  
22          be looking at that. That's their job.

23          This is for the purposes of the human  
24          factors folks to try to decide whether or not there  
25          are important issues that they need to look at that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 increases their need to look at this particular  
2 action. Now, they may get input from the PRA people,  
3 saying, hey, we're looking at this from the HRA side.  
4 We ought to be looking a little harder at this.

5 MEMBER APOSTOLAKIS: No, because you say  
6 the screener reduces or elevates. So if the screener  
7 is not familiar with the fact that --

8 MS. COOPER: Well, not overall.

9 MEMBER APOSTOLAKIS: Well, let me --

10 MS. COOPER: There is an integration of --

11 MEMBER APOSTOLAKIS: -- tell you what  
12 bothers me. We talk about -- you are not involved in  
13 that. Power upgrades -- I raise the issue of model  
14 uncertainty and human reliability, but somehow we all  
15 recognize it but we do nothing.

16 Then, in other regulatory matters, the  
17 same thing. And I'm afraid we're going to do the same  
18 thing here. Yes, we all agree there is -- there are  
19 large uncertainties, but --

20 MS. COOPER: You could say --

21 MEMBER APOSTOLAKIS: -- somebody else  
22 would worry about it.

23 MS. COOPER: -- to a certain extent that  
24 this qualitative evaluation is to address that. It's  
25 trying to address things that are not explicitly

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 modeled.

2 MEMBER APOSTOLAKIS: But that's my point,  
3 that -- does anybody understand why EDF, for example,  
4 has chosen to follow one route, and we are choosing to  
5 follow another one? And whether what they consider  
6 important should play a role here? Because that's  
7 human factors. They are not doing it as PRA analysts.  
8 They are saying, no, no, no, we think that the  
9 operator will develop a strategy what to do, right?

10 MS. COOPER: I think the answer is yes,  
11 but I don't think that's the point of this project.  
12 I don't think that's --

13 MEMBER ROSEN: Let me recognize Gareth.

14 MS. COOPER: Yes, Gareth has a comment.

15 MR. PARRY: It's Gareth Parry again. I  
16 think there is somewhat of a disconnect between human  
17 factors and human reliability analysis, as you know.  
18 The human reliability analysis models are one thing.  
19 They don't -- there's no direct relationship between  
20 the human factors.

21 The way I think that we should look at  
22 this is that what this -- what we're talking about  
23 here is what level of human factors review do you need  
24 to support a risk-informed application. Now, one of  
25 the inputs is the PRA, and one of the inputs to that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 is the HRA. And you're right, the uncertainties in  
2 that have to be addressed in the evaluation of which  
3 region you're in.

4 But what we're looking at here, the human  
5 factors review, I think is part of the supplementary  
6 information that goes into the integrated decision-  
7 making. It doesn't -- I mean, it could have an  
8 influence on the HRA, but it may not have. It may be  
9 additional information.

10 MEMBER APOSTOLAKIS: So there is  
11 another --

12 MR. PARRY: It's another input.

13 MEMBER APOSTOLAKIS: Is there another  
14 review of the HRA model? By whom?

15 MR. PARRY: That would be done by the HRA  
16 -- by the people reviewing the PRA --

17 MEMBER APOSTOLAKIS: Right. But I'm not  
18 talking about the quantification itself. I mean, the  
19 reason why there are different HRA models is because  
20 the human factors inputs are different. Different  
21 groups consider different things as being important.

22 MS. COOPER: In a broad sense, perhaps  
23 that's so.

24 MEMBER APOSTOLAKIS: Yes.

25 MR. PERSENSKY: I think if we go back,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 again, to the purpose of why we even have this  
2 screening process, right now we are getting in fairly  
3 routinely changes to licensing basis because of  
4 changes in operator action. Without this screening  
5 process, the decision is made on the amount of review  
6 that we do on a very subjective human -- or  
7 engineering judgment basis.

8 What we've tried to do by adding this  
9 screening process in here and using existing NRC  
10 documents and approaches was to give our reviewers a  
11 little bit of help from a risk standpoint, a risk-  
12 informed standpoint, as to whether we -- you know,  
13 what level of review.

14 As part of this, we, I think, are -- we're  
15 interacting more with the risk people. This gives us  
16 an opportunity to get back into that integrated review  
17 as the part of Reg. Guide 1.174 with some more  
18 specific information. But, you know, to date, without  
19 this system, it's purely a subjective way of deciding  
20 what level to do.

21 A lot of the questions you're asking have  
22 to do with, how do we improve Reg. Guide 1.174, and  
23 that's not the purpose of this document. And how do  
24 we approve HRA? Those are things that we agree need  
25 to be done, but for this purpose right now all we're

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 trying to do is say, can we use this as a way of  
2 reducing resource towards the amount of review that  
3 has to be done, or the amount of whatever is in the  
4 submittal? I think we're getting way off board on  
5 what the purpose of this document is.

6 MEMBER ROSEN: You're using it to try to  
7 be more effective in your --

8 MR. PERSENSKY: We're just trying to be  
9 more effective in how we do our work.

10 MEMBER ROSEN: That doesn't do away with  
11 your concerns about human reliability. It doesn't do  
12 away with our concerns about CDF and where you enter  
13 it and whether you have full -- modeling that's full,  
14 and whether you --

15 CHAIRMAN BONACA: Just one way --

16 MEMBER ROSEN: -- whether the PRA that  
17 defines the CDF has got all modes and seismic and fire  
18 in it.

19 This is something we argued yesterday --  
20 Gareth and I -- about. He thinks 1.174 is fine. I  
21 have a problem with 1.174. It may lead to non-  
22 conservative answers, if you're not dealing with full  
23 scope PRAs as we enter this process. So --

24 MEMBER APOSTOLAKIS: If I take a concrete  
25 example that came before this committee, in one power

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 upgrade request they concluded that the time available  
2 to the operators would be reduced for action from 42  
3 minutes to 39 minutes. And they used a non-reviewed  
4 human reliability model, and they calculated the  
5 change as being negligible.

6 Who in this process would catch -- not  
7 catch -- raise the issue of model uncertainty here?  
8 Your guys will not --

9 MS. COOPER: No.

10 MEMBER APOSTOLAKIS: -- because they will  
11 follow this.

12 MS. COOPER: The PRA folks would -- NRR.  
13 That's their responsibility.

14 MR. PERSENSKY: But what we would do is we  
15 would ask them, gee, if you're reducing the amount of  
16 time, what is the time necessary -- what is -- you  
17 know, what would be a reasonable time to accomplish  
18 that action based on the system's response?

19 And if it's well below 39 minutes, then we  
20 probably -- we wouldn't be so concerned about the  
21 risk, because if the operators in some simulator  
22 experiments, which we may have asked them to do, can  
23 do it all in -- in fact --

24 MEMBER APOSTOLAKIS: I agree. But the  
25 problem is that --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. PERSENSKY: -- what's the point of  
2 going that next step?

3 MEMBER POWERS: In fact, J, for the  
4 specific example, when asked they indicated they had  
5 run 50 tests over the years, and the operator  
6 experience was all less than 30 seconds.

7 MR. PERSENSKY: Right. So the difference  
8 42 minutes and 39 minutes is not a meaningful  
9 difference in that situation.

10 MEMBER APOSTOLAKIS: There was another  
11 case where it was seven minutes, went down to four.  
12 And that was not so obvious.

13 But, again, based on factors such as --  
14 how would you know? How would you know what they took  
15 into account unless you dug into the HRA model?

16 MS. COOPER: This is not to dig into how  
17 the HRA was modeled. This is simply to understand the  
18 action, the changes that the requests introduced, for  
19 the human factors --

20 MEMBER ROSEN: I need to take control of  
21 this session. We've got 15 minutes left, and I really  
22 do want to get done on time.

23 MS. COOPER: Okay.

24 MEMBER ROSEN: So let's -- we can't solve  
25 it here. We can express the concerns.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MS. COOPER: Let's move on to step four,  
2 slide number 30, and this is the integration of the  
3 three inputs in the risk screening process.

4 It takes the results from steps one, two,  
5 and three, and on the next slide it shows the table  
6 from the Reg. Guide -- the NUREG that illustrates how  
7 the decision-making process goes. From the --  
8 probably you can't read from your slides. I can't  
9 either, so I'm going to read from --

10 (Laughter.)

11 I'll try.

12 (Laughter.)

13 MEMBER POWERS: This is an example of a  
14 human factors --

15 MS. COOPER: It is a --

16 MEMBER ROSEN: Let's go on, please.

17 MS. COOPER: -- human factors problem  
18 here, yes. In any case, it shows you the inputs from  
19 step one, step two, and step three, and then shows --  
20 gives a recommendation on the far right column, then,  
21 as to what the level of review would be.

22 MEMBER ROSEN: Of human factors staff  
23 review of --

24 MS. COOPER: Of human factors staff review  
25 of that particular human action, taking those three

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 sets of inputs.

2 MEMBER ROSEN: Next slide. Now, we're  
3 finally to it.

4 MR. LEWIS: Now, after the risk screening  
5 process, the product of the risk screening process, is  
6 advice to the human factors people. What level of  
7 review do you do? A Level 1 is a detailed review,  
8 Level 2 is a moderately detailed review, and Level 3  
9 is a brief review. And what these -- how these are  
10 defined is expressed in the NUREG-1764.

11 The criteria from --

12 MEMBER ROSEN: Don't leave it at that.  
13 Just say, for example, what a Level 1 review contains.

14 MR. LEWIS: Well, it's basically all of  
15 the -- well, it's tailored from NUREG -- it's right  
16 down here, tailored from NUREG-0711. The 12 elements  
17 are selected from those.

18 MEMBER ROSEN: Yes. Throw them out. What  
19 are they? You are about to do a detailed review.  
20 What are the 12 element? Give me six.

21 MR. PERSENSKY: Procedures, staffing, HMI  
22 -- these are all the things -- and the question here  
23 is they're all the things that were back on the slide  
24 when we were talking about 0711. But each of them,  
25 depending on whether or not that element is affected

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 in some way -- if there was no change in the HMI, you  
2 wouldn't do an HMI review.

3 If there's a change in staffing or a  
4 change in procedures, then you would review their  
5 procedures in staffing at the levels indicated by  
6 the --

7 MEMBER ROSEN: Okay. So Level 1 you're  
8 going to look at most of the performance shaping  
9 factors.

10 MR. PERSENSKY: Most of the information,  
11 yes.

12 MEMBER ROSEN: Okay. That's what I was  
13 trying to get -- he's not listening, but I was --

14 MR. PERSENSKY: Whereas in Level 2 you  
15 would pick up fewer of them, and you would not  
16 necessarily go into as much depth in that review. And  
17 then, the Level 3 we talked about as being something  
18 that you make sure that everything is in place, and  
19 you do it -- it's not that there's no review, but  
20 there is a limited review because it is, in fact, the  
21 lowest risk category from both region -- the 1.174  
22 and --

23 MEMBER ROSEN: It's important that my  
24 colleague Dr. Apostolakis understands what these  
25 levels are, because that's what you're really

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 complaining about.

2           The Level 1 review is they're going to  
3 look at all of the performance shaping factors, you  
4 know, basically for that thing. Level 2, only some of  
5 them. And Level 3, hardly at all. And now when you  
6 get to saying that and you say, "Well, you've got all  
7 of the different modeling," I mean, surely the  
8 different models use the same performance shaping  
9 factors but ascribe different levels -- importance to  
10 each of the performance shaping factors.

11           But the point is that knowledgeable human  
12 factors professionals are going to look at all of them  
13 in trying -- in a Level 1 case in trying to decide  
14 whether this human action is likely to succeed.

15           MEMBER APOSTOLAKIS: But the point of  
16 model uncertainties are there are other people who  
17 don't even use performance shaping factors. We are  
18 doing this within THERP. See, that's my point. That  
19 other questions that other people have raised will  
20 never come up. People don't even want to touch the  
21 words.

22           So I want the reviewer to be sensitized to  
23 that. I don't want them to become experts on HRA.  
24 But why are other groups, reputable groups, doing it  
25 in a different way? What are the human factor

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 settlements that are different? And sensitize the  
2 reviewer. That's all I'm saying. I'm not asking you  
3 to develop an HRA model. That's somebody else's job.

4 MR. PERSENSKY: That's actually a response  
5 to one of your -- the questions that came up in the  
6 ACRS September 24th letter also.

7 MEMBER ROSEN: We're going to through that  
8 if we have enough time, but we're running out of a  
9 chance to do that.

10 MR. PERSENSKY: We'll get to that in a  
11 minute.

12 MEMBER APOSTOLAKIS: September 24th?

13 MR. PERSENSKY: Last year's letter.

14 MEMBER APOSTOLAKIS: Oh, last year.

15 MEMBER ROSEN: We're going to go back to  
16 last year's letter and try and see what's -- what  
17 their response is.

18 MEMBER APOSTOLAKIS: For a moment I  
19 thought we were having a meeting on --

20 MEMBER ROSEN: No. No, no, no. I would  
21 have let you know. I would have invited you, and you  
22 would have told me you couldn't come.

23 MR. LEWIS: Okay. Just to remind you,  
24 this --

25 MEMBER APOSTOLAKIS: I was waiting for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that kind of comment.

2 MR. LEWIS: This slide is --

3 MEMBER ROSEN: Go ahead.

4 MR. LEWIS: This review is performed by  
5 human factors people, not HRA people. And so it's a  
6 standard human factors review as opposed to an HRA  
7 type of review. And the whole list of --

8 MEMBER APOSTOLAKIS: Until when are we  
9 going to make that distinction?

10 MEMBER ROSEN: Which distinction?

11 MEMBER APOSTOLAKIS: Between the HRA  
12 people and the human factors people. Shouldn't there  
13 be -- the cowman and the farmer should be friends?

14 MR. LEWIS: Yes. But at the present time,  
15 the human factors people can look at a lot more things  
16 than human reliability people can quantify. And so  
17 the issues that we're looking at, just to answer your  
18 question, Mr. Rosen, in more detail, is back on  
19 slide 10. Those are the -- the entire list is there.

20 MEMBER APOSTOLAKIS: Let's not go back.

21 MR. LEWIS: Okay. No, let's go forward.

22 MR. PERSENSKY: But they are considered --  
23 in many cases are considered performance shaping  
24 factors, but not all of it.

25 MR. LEWIS: Yes, it's a laundry list.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Okay. So if we can go to slide 33, which  
2 we are at. So after the human factors review, then  
3 the human factors people make their decision, and that  
4 decision is submitted to the integrated decision-  
5 making process. This is the same sort of integrated  
6 decision process that's described in Reg. Guide 1.174,  
7 since this is a -- for a risk-informed submittal and  
8 to the human factors safety evaluation report.

9           Now I'll turn it over to J.

10           MR. PERSENSKY: One of the other things  
11 the subcommittee asked us to look at was the letter  
12 from September 24, 2002. That particular meeting  
13 actually was a meeting on the human factors and the  
14 human reliability program plan. If you recall,  
15 Erasmia and Bruce Hallbert came and talked a lot about  
16 some of the work that had been done at Halden, and how  
17 he used the staffing data to do some HRA.

18           MEMBER APOSTOLAKIS: That was one of our  
19 better meetings, wasn't it?

20           MR. PERSENSKY: Right. Next to this one,  
21 of course.

22           (Laughter.)

23           That letter had -- and what I've done is  
24 I've just put all of the remarks -- those things that  
25 are starred here were the things that came out as

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 formal recommendations. The others were really more  
2 remarks that were in the back.

3 Basically, at the time that these  
4 documents -- the question was: how have we used the  
5 input from the ACRS in the development of these  
6 documents? The first answer is: well, most of these  
7 documents -- these documents were pretty well done a  
8 year ago. They've just been going through the review  
9 process, so we couldn't have used a whole lot of it.

10 MEMBER APOSTOLAKIS: How long did it take  
11 to do them?

12 MR. PERSENSKY: To do what?

13 MEMBER APOSTOLAKIS: To produce the  
14 documents.

15 MR. PERSENSKY: Well, the total production  
16 time in terms of all of the technical basis and stuff  
17 was probably seven years, seven or eight years. But,  
18 you know, again, a lot of research went into it, a lot  
19 of other things, as far as putting it together in a  
20 final document. I mean, the review process takes over  
21 a year.

22 MEMBER APOSTOLAKIS: Yes, that's why I  
23 asked.

24 MR. PERSENSKY: And the review process  
25 internally, as well as we went to public comment with

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 it, things like that. So, but the answer is most of  
2 this was done before we got this letter.

3 However, and the other thing is we were  
4 talking about where we were going in the future as  
5 opposed to what we had. At that point, a lot of where  
6 we were going in the future aimed at more the  
7 monitoring aspect of what the NRC does as opposed to  
8 the licensing aspect.

9 The licensing aspect guidelines  
10 development is what we're addressing here today, not  
11 that monitoring, like looking at latent errors. And  
12 these are projects, some of which we have in fact  
13 ongoing or will be starting based on whenever Congress  
14 decides to give us a budget. But this was, again,  
15 long term.

16 Now, the first remark, though, was talking  
17 about generating guidance for use in inspection and  
18 review, and that's exactly what this is. The issue of  
19 team and individual performance was brought up. What  
20 we have used in this, for instance, is the fact that  
21 when we talked about -- one of the guidelines has to  
22 do with -- sets of guidelines has to do with review of  
23 displays.

24 But we did use research from team  
25 performance versus individual performance to look at

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the whole concept of how people work together when  
2 they have a single display to work from.

3 MEMBER APOSTOLAKIS: But the probabilities  
4 you will get from the PRA most likely did not consider  
5 these things.

6 MR. PERSENSKY: Most likely they did not.  
7 And if you get down to the last couple of bullets on  
8 this slide, I sort of separated those things that I  
9 consider to be human factors from human reliability.  
10 And where there's an overlap, they're in the middle.  
11 But I think your -- that last issue you were bringing  
12 up is the last bullet is to perform a critical review  
13 of HRA models. That was one of the things that you --

14 MEMBER APOSTOLAKIS: Has anybody done  
15 that?

16 MR. PERSENSKY: That has not been done.  
17 It is something that, again, it was -- it's been put  
18 into the budget process. As far as how far along it  
19 is, I can't really tell you.

20 MEMBER APOSTOLAKIS: About seven years, J?

21 MR. PERSENSKY: Well, I think there's a  
22 difference between doing that and coming up with a  
23 consolidated guidelines document. But basically, we  
24 haven't addressed a lot of these, but we are beginning  
25 to address them as part of our program.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MEMBER ROSEN: So what does the asterisk  
2 mean again?

3 MR. PERSENSKY: The asterisk was -- those  
4 were the formal recommendations. For instance, the  
5 one on simulators. We are, in fact, as part of one of  
6 our projects in the advanced reactor area looking at  
7 various simulators that are out there including the  
8 Halden simulator.

9 And tomorrow, as a matter of fact, Mr.  
10 Thadani will be visiting EDF to look at what's called  
11 a fitness simulator, which was a new simulator that  
12 they've developed and that our staff has already  
13 looked at and suggested that it was worth him going  
14 down to visit to see what it's like.

15 So, and we know --

16 MEMBER APOSTOLAKIS: And what is it?

17 MR. PERSENSKY: It's FITNESS -- pardon?

18 MEMBER APOSTOLAKIS: Where is it?

19 MR. PERSENSKY: It's Lyon.

20 MEMBER APOSTOLAKIS: Lyon.

21 MR. PERSENSKY: And we have -- in fact,  
22 Halden has used it in some of their work as well. So  
23 in any event, we have --

24 MEMBER APOSTOLAKIS: So the other  
25 statements there were in a discussion of the letter,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 is that what you mean?

2 MR. PERSENSKY: These were all in the  
3 discussion of the letter, yes.

4 MEMBER APOSTOLAKIS: So the starred --

5 MR. PERSENSKY: The starred ones were  
6 formal recommendations, and we did send back a formal  
7 letter responding to that dated December 9th. But as  
8 far as -- the subcommittee asked us to address how we  
9 used it in this document and --

10 MEMBER ROSEN: And the answer is --

11 MR. PERSENSKY: The answer is not much.

12 MEMBER ROSEN: Okay. It's a question and  
13 answer. Thank you very much.

14 MR. PERSENSKY: But we are doing some of  
15 these things or beginning to do some of these things.

16 MEMBER ROSEN: Well, what about the other  
17 letter? We didn't talk about that one.

18 MEMBER APOSTOLAKIS: What letter is that?

19 MR. PERSENSKY: Oh, the '95 letter?

20 MEMBER ROSEN: Yes.

21 MR. PERSENSKY: Paul is going to be  
22 addressing that in the --

23 MEMBER ROSEN: Well, I'd rather skip to  
24 that, and come back to Robert Fuld in a minute.

25 MR. PERSENSKY: To what?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER ROSEN: To the '95 -- our own  
2 letter first, and then we'll talk about the public  
3 comment.

4 MR. LEWIS: Okay. This is --

5 MEMBER ROSEN: I have a priority. First,  
6 I'll --

7 (Laughter.)

8 MEMBER ROSEN: -- we've got you here on  
9 slide 40.

10 MR. LEWIS: Okay. This is a comment in a  
11 letter by ACRS on its review of NUREG-0700. This is  
12 not 0711.

13 MEMBER ROSEN: From 1995, right.

14 MR. LEWIS: 1995, yes. And the comment in  
15 the letter was that NUREG-0700 might be overly  
16 prescriptive and may discourage the approval of  
17 equally qualified, acceptable alternatives. And kind  
18 of as a corollary to that, it might result in de facto  
19 regulation.

20 And so our response to that was that  
21 NUREG-0700 is used as a part of the NUREG-0711  
22 process, and NUREG-0711 encourages the use of vendor  
23 and licensee-specific style guide used in 0700. And  
24 the 0700 -- or 0711 process is flexible. They are  
25 guidelines, and so there is a certain amount of --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 there is flexibility in it, and licensees can come  
2 with alternative proposals with a justification.

3 And the guidelines in 0700 do reflect the  
4 best practices, and the human error discrepancy  
5 evaluation process uses guideline discrepancies only  
6 as a flag and -- for looking in more detail. And at  
7 the end of an evaluation, they'll look at the whole  
8 picture. Some of them will have human evaluation --  
9 human error discrepancies, and some won't. And some  
10 will pass.

11 So it is recognized that I&C and human  
12 factors engineering technology are rapidly changing,  
13 more so than other aspects of the plant. And so  
14 there's a need to address new technologies, and that's  
15 built into 0711, again.

16 Then, the items in 0700 are used to  
17 evaluate what technology is employed by the vendor.  
18 And the document does not suggest that the guidance  
19 areas included are expected to be included in the  
20 design. So this -- the document is a review document  
21 as opposed to a design document.

22 So, for example, the guidance for the  
23 review of computerized procedures is provided and used  
24 -- used only if a system is provided. So that's --  
25 the guidelines in 0700 are used only if applicable to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 this particular case.

2 MEMBER ROSEN: Okay. Well, we were  
3 concerned about -- that that weighty tone, which has  
4 gotten even weightier since 1995, being a de facto  
5 standard and you keep saying -- shaking your head no,  
6 no, no, and I know what it says on the front of the  
7 Reg. Guide, and that was what the discussion was about  
8 is when you put a book like 0700 -- do you happen to  
9 have a copy there --

10 MR. LEWIS: Yes.

11 MEMBER ROSEN: -- you could just show the  
12 committee? The rest of the committee who may not have  
13 seen it? You hit somebody over the head with that,  
14 they stay hit. So it's -- it's hard to argue with  
15 Mother Nature, so that was what the comment is about.

16 MR. PERSENSKY: One of the things about  
17 the weightiness of that particular document is,  
18 remember, we're -- this document includes the entire  
19 set of -- can be used for all of the plants that are  
20 out there. So it includes both analog information,  
21 digital information, things that would affect hybrid  
22 control rooms.

23 So 0700 was a fairly weighty document back  
24 in 1981 when it first came out. But what we've done  
25 is we've actually added to it as opposed to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 necessarily replacing it, because the plants haven't  
2 all changed yet. So we can't take out the stuff --

3 MEMBER ROSEN: Right. So it can be used  
4 to anchor even a larger boat than --

5 MR. PERSENSKY: -- later on, or we could  
6 separate it into 14 different volumes. But we tried  
7 to put it into one.

8 MEMBER KRESS: Somehow, a panel --

9 MEMBER ROSEN: All right. Now let's talk  
10 about Fuld. Dr. Robert Fuld came to talk to the  
11 subcommittee. He's a human factors professional from  
12 the public, and he had some comments that you -- I  
13 thought you --

14 MEMBER APOSTOLAKIS: Does he represent  
15 anybody?

16 MEMBER ROSEN: He represents himself.

17 MEMBER SIEBER: He's a public citizen.

18 MR. PERSENSKY: He doesn't represent the  
19 group Public Citizen. He is --

20 MEMBER APOSTOLAKIS: I understand that.

21 MEMBER ROSEN: He is a member of the  
22 public who has credentials in this area, and he had  
23 some views that I thought the committee might like to  
24 understand what they were.

25 MR. LEWIS: So the human factors

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 subcommittee asked us to address the comments by  
2 Robert Fuld, and that's what we've done beginning on  
3 slide 36.

4 So his first comment is that NUREG-0711 --  
5 his comments now are on 0711. The committee's  
6 comments were on 0700.

7 VICE CHAIRMAN WALLIS: This looks like  
8 some of our comments earlier. You're just describing  
9 qualitatively a process. You're not saying what  
10 method is acceptable.

11 MR. LEWIS: I didn't hear the comment.

12 VICE CHAIRMAN WALLIS: It sounds like what  
13 we said earlier on. I mean, just -- his comments look  
14 like some of ours. You have a process --

15 MR. LEWIS: Oh, yes.

16 VICE CHAIRMAN WALLIS: -- but then  
17 everybody has a different way of doing it, and they're  
18 all different. So how do you evaluate them?

19 MEMBER ROSEN: There's quite a bit of  
20 commonality between what he said and what this  
21 committee said in 1995. I don't know what --

22 MR. PERSENSKY: In 1995, you only reviewed  
23 0700. You did not review 0711.

24 MEMBER ROSEN: I see.

25 MR. PERSENSKY: And his comments are only

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 on 0711, not on 0700.

2 MEMBER APOSTOLAKIS: Do you remember when  
3 in 1995 the letter was issued?

4 MR. PERSENSKY: We have a copy of it.

5 MR. LEWIS: November 13.

6 MEMBER APOSTOLAKIS: Oh, so I was a  
7 member.

8 MR. PERSENSKY: Yes, you were there.

9 MR. LEWIS: November 13, 1995.

10 MEMBER ROSEN: Go ahead.

11 MR. LEWIS: Okay. So, yes, his comments  
12 were similar to your comments. His first comment is  
13 that NUREG-0711 is overly prescriptive, and our  
14 response is, again, we have to make very clear when we  
15 are making comments on 0711 that 0711 describes --  
16 does not describe a design process. It provides  
17 guidelines for the review of a design process.

18 So it's prescriptive in that sense. These  
19 are review guidelines, not guidelines for designing a  
20 nuclear powerplant.

21 MEMBER KRESS: The word "prescriptive"  
22 usually applies to rules instead of review documents  
23 or guides.

24 MR. LEWIS: I didn't -- I'm sorry?

25 MEMBER KRESS: When I think of the word

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 "prescriptive," I'm thinking it usually applies to a  
2 rule.

3 MR. LEWIS: A rule, oh, yes.

4 MEMBER KRESS: And not guidance or review  
5 documents or standards or --

6 MR. LEWIS: Yes, that's a good segue into  
7 my next slide. I'll get to that.

8 MEMBER APOSTOLAKIS: You're already there.

9 MR. LEWIS: Okay. Okay. We're there.

10 There's a hierarchy of NRC documents, and  
11 the Code of Federal Regulations is the most  
12 prescriptive. And by design, the standard review plan  
13 is less prescriptive, and the NUREGs are even less  
14 prescriptive, although the level of detail goes in the  
15 other direction.

16 So the NUREGs are very detailed, but  
17 they're not prescriptive. They are simply guidelines.

18 MEMBER ROSEN: Right. In the sense that  
19 you -- 10 CFR 50, you go to jail -- directly to jail,  
20 do not pass go, if you don't comply. Whereas NUREGs,  
21 you could just say, "I want to do it differently" and  
22 argue about it.

23 MEMBER APOSTOLAKIS: You go to exile.

24 MEMBER SIEBER: Well, the perfect example  
25 in 700 is it tells you --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER ROSEN: It's a figure of speech,  
2 George.

3 MEMBER SIEBER: -- you can paint it green,  
4 paint it red, paint it white. And if you paint it  
5 red, people will look at it. It doesn't tell you to  
6 paint it red.

7 MR. PERSENSKY: Exactly. Exactly. But it  
8 does tell you to be consistent in the way you're --

9 MEMBER SIEBER: You can either be the Navy  
10 or the coal fire guys, because they're backwards.

11 MR. LEWIS: Okay. There is a point on the  
12 previous slide, slide 36, that I think is very  
13 telling. And that is NUREG-0711 has already been used  
14 for the review of three advanced reactor designs, and  
15 those three advanced reactors are very different. The  
16 hardware is different, the control room is different,  
17 and what's more -- what's more, the process that they  
18 used in developing it is very different.

19 And NUREG 0711 was used for all of those  
20 and --

21 MEMBER APOSTOLAKIS: Which design were  
22 these?

23 MR. PERSENSKY: There were the  
24 evolutionary designs -- AP600, APWR.

25 MR. LEWIS: So given the fact that we are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 close to out of time, let's go to slide 38.

2 MR. PERSENSKY: I did want to just go back  
3 on the one slide 37. I think the first bullet there  
4 is also -- I mean, we've been talking about it from  
5 the standpoint of human performance, but this concept  
6 of prescriptiveness is an agency-wide problem. As an  
7 implementation, it's not what the document says, but  
8 it's the way it's implemented.

9 MEMBER APOSTOLAKIS: So you agree, then,  
10 that the detail, you wouldn't call it prescriptive.

11 MR. PERSENSKY: Right.

12 MEMBER APOSTOLAKIS: You disagree with his  
13 comments, and you say his comment is an agency-wide  
14 problem.

15 MR. PERSENSKY: I agree that the problem  
16 of interpreting things as being prescriptive when they  
17 are not is an agency-wide problem.

18 MEMBER ROSEN: People interpreting it as  
19 prescriptive.

20 MR. PERSENSKY: It's the way it's  
21 interpreted as opposed to the way it's actually  
22 written. I mean, we can only deal with how it's  
23 written at this point.

24 MR. LEWIS: Yes. So there is an important  
25 distinction between detail and prescriptiveness. 0700

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 is very detailed, is not prescriptive. You can -- if  
2 you have a good reason for doing it, otherwise you  
3 can --

4 MEMBER SIEBER: Then you don't have to.

5 MR. LEWIS: Okay. Now, are we ready for  
6 38?

7 MEMBER ROSEN: Yes.

8 MEMBER APOSTOLAKIS: You're going to  
9 define systems engineering, Paul?

10 MR. LEWIS: No.

11 MEMBER APOSTOLAKIS: Are you that brave?

12 MR. LEWIS: No. I wanted to avoid the  
13 definition of -- the purpose of the slide was to avoid  
14 getting entangled in a definition of systems  
15 engineering. We're saying how it is -- how we are  
16 using that in this particular document, so that we can  
17 ignore the particular term.

18 So what the commenter is referring to is  
19 our use of -- how we use 0711. And when I describe  
20 how we use 0711, I think you will agree that it's a  
21 reasonable approach.

22 How we are using 0711 is we consider those  
23 12 elements that are on slide 10, we decide which of  
24 those elements is applicable to the current  
25 application at hand, which is a reasonable thing to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 do, and then we use those elements to review.

2 So we think that that's a justifiable way  
3 of approaching it. And one of the reasons is the  
4 approach is quite general, as indicated by the fact  
5 that we've reviewed three types of advanced plant.

6 And, furthermore, this is the most widely  
7 used approach in the industry. This is the one that's  
8 taught in all of the schools. If we were to use  
9 something else, we'd really have to justify that.  
10 This is the standard approach.

11 MEMBER APOSTOLAKIS: Doesn't he have to  
12 justify his statement, though? What does it mean the  
13 use of systems engineering is not justifiable?

14 MR. LEWIS: That is a critique that Robert  
15 Fuld made at the --

16 MEMBER APOSTOLAKIS: Right, to justify his  
17 statement.

18 MR. LEWIS: No, that's my last point  
19 there. Not only did he not justify it, he did not  
20 really specify it. So it's kind of hard to respond to  
21 the comment.

22 MEMBER ROSEN: And he doesn't suggest an  
23 alternative is what --

24 MR. LEWIS: That's correct. Yes.

25 MEMBER ROSEN: All right. I think we've

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 given enough here on --

2 MR. LEWIS: Okay.

3 MEMBER ROSEN: If anybody wants to study  
4 this, the committee has the slides. We did have a  
5 responsible member of the public who feels strongly  
6 about his point of view. He was given a chance to  
7 address the subcommittee, and we would -- we made --  
8 I made the decision that the full committee should at  
9 least be made aware of his point of view.

10 With that, Mr. Chairman, I will thank the  
11 members of the staff who have done a great job getting  
12 us up to speed in this area. I think you, as Dana has  
13 suggested, have made some important strides forward.  
14 And we look forward to further discussion with you.

15 Mr. Chairman.

16 CHAIRMAN BONACA: Are there any further  
17 questions? If not --

18 MEMBER APOSTOLAKIS: Will there be a  
19 letter on this? Are we writing a letter on --

20 MR. PERSENSKY: Yes. One point in one of  
21 the slides we didn't finish up is that, in fact, we  
22 are asking for a letter, since we are asking for  
23 endorsement of these documents.

24 MEMBER ROSEN: This is a draft --

25 MEMBER POWERS: I guess I'm looking for a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 little qualitative feel. You're moving into a more  
2 quantitative approach on how to apportion your  
3 efforts, or helping other people apportion their  
4 efforts is what you're really doing.

5 How do you feel about that? It's a good  
6 idea? Bad idea? Going to work? Not going to work?  
7 Do you want to optimize it? Work on it?

8 MR. PERSENSKY: From the standpoint of how  
9 do we feel about it, I think it has some value to us.  
10 It will help us to prioritize our resources. However,  
11 as we saw from today's meeting, the uncertainty  
12 associated with some aspects of using those techniques  
13 sometimes takes up more time than actually doing the  
14 prescriptive approach.

15 But, in fact, if we use the existing  
16 tools, I think it is more valuable for us. I mean,  
17 it's going to help us out, and that's -- what we said  
18 in the September 2002 meeting is that there is an  
19 interaction between HRA and human factors. And part  
20 of that is them helping us to prioritize, but us  
21 helping to provide them data to do that.

22 So it's an iterative process, and we have  
23 been working more and more towards that over the last  
24 few years. And, in fact, I believe there is probably  
25 some suggestion that the two groups be merged.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. LEWIS: I believe, Hussein, did you  
2 want to be recognized? No? Okay.

3 MR. BONGARRA: I'd like to voice my  
4 opinion if I may for just a second, as a user. I feel  
5 very comfortable about the idea of trying to work  
6 within a more risk-informed framework here.

7 I think that what we've collectively  
8 attempted to develop here, as I mentioned earlier, is  
9 really kind of a first-of-a-kind effort. And I think  
10 I said it earlier in the subcommittee meeting, and I  
11 won't -- well, the bottom line is I see this really as  
12 a challenge not only to us to follow through with  
13 implementing it, but I also see it as a challenge to  
14 the industry to take a look -- and they have -- public  
15 comment has been made on it, and we did see the fact  
16 that there weren't a tremendous number of public  
17 comments that were critical of the process.

18 So that gives me, as a reviewer, further  
19 encouragement that this is something we should follow  
20 through on. So bottom line is I look at this in a  
21 positive light.

22 MEMBER POWERS: Let me ask you -- I mean,  
23 it seems to me my perception is -- and maybe I'm wrong  
24 about this -- that you go through and you say, what  
25 level should I be doing the review at? And what

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 you're doing in the past is all kind of Level 2, and  
2 now you allow yourself to go more detailed or less  
3 detailed or be the same thing. Is that a correct  
4 perception here?

5 MR. BONGARRA: I think that is indeed  
6 correct. What we're --

7 MEMBER POWERS: I think that's fantastic.  
8 I mean, I think that's what the Commission was looking  
9 for when they said, "Let's go with risk information"  
10 is they didn't know whether what they were doing right  
11 now was too much or not enough. And what you --  
12 you're allowing yourself is to go either direction.  
13 I think that's a great --

14 MEMBER ROSEN: And the answer is that it  
15 was both. It was --

16 MEMBER POWERS: Yes. I mean, I --

17 MEMBER ROSEN: In some cases it was too  
18 much, and in some cases it was not enough.

19 MEMBER POWERS: And I think they knew  
20 that, and a lot of people said, well, the risk-  
21 informed reduction is -- risk-informed regulation is  
22 for burden reduction. But, no, it wasn't. It was for  
23 burden focus, and I think you've done that here. I  
24 think that's terrific.

25 MR. BONGARRA: I'd just like to make one

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 quick mention as well because of the types of comments  
2 that were made earlier in questions with regard to the  
3 technical process itself. We do have a companion  
4 document that we're in the process of completing.  
5 Essentially, it's a technical basis document.

6 So some of the very detailed questions  
7 that were asked with regard to how the curves were  
8 generated, that information will be forthcoming in a  
9 technical basis document.

10 MEMBER ROSEN: I think the committee, and  
11 the subcommittee for sure, would be interested in  
12 looking at that.

13 MEMBER POWERS: Well, Dr. Rosen, I think  
14 this is one of the success stories we've got to  
15 highlight. I mean, I think this is something that  
16 comes across as a fallout in the move toward risk-  
17 informed regulation that a lot of people don't  
18 appreciate as -- wouldn't even imagine it could occur.

19 MEMBER ROSEN: All right. We'll take that  
20 -- we'll have some more discussions of that when we  
21 get to the research requirements. I think that's an  
22 interesting suggestion.

23 MEMBER POWERS: Yes.

24 CHAIRMAN BONACA: Okay. Any further  
25 questions for anybody? If not, thank you very much

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 for a very informative presentation.

2 We will recess until 20 after 1:00 for  
3 lunch.

4 (Whereupon, at 12:25 p.m., the  
5 proceedings in the foregoing matter went  
6 off the record for a lunch break.)

7 CHAIRMAN BONACA: The next item on the  
8 agenda is final revision to 10 CFR 50.48 to endorse  
9 NFPA 805 fire protection standard. And again, Mr.  
10 Rosen is leading us in the presentation.

11 MR. ROSEN: Well, I'm not going to do much  
12 leading. I'm just going to turn it right over to the  
13 fire protection guys from the staff.

14 DR. POWERS: Aren't you supposed to  
15 provide us prospective and context?

16 MR. ROSEN: You already have it.

17 DR. KRESS: Tell us what to listen for.

18 MR. ROSEN: Oh, I will if you insist.

19 (Laughter.)

20 You all understand that the fire  
21 protection rules of this Agency are deterministic and  
22 as such they place undue burden in some areas on  
23 licensees and the staff. Do more work than may be  
24 required.

25 To resolve this issue, the National Fire

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Protection Association and the staff have worked  
2 together to develop a new standard called NFPA 805.  
3 And the staff has proposed and the Commission appears  
4 willing to undertake a study of rewriting 10 CFR 50.48  
5 to allow NFPA 805 to be used as a voluntary  
6 alternative to the prescriptive rules in 10 CFR 50.

7 With that context, the gentlemen from the  
8 staff will brief us on where they stand on moving this  
9 issue forward to rulemaking.

10 MR. BIRMINGHAM: Thank you. I'm Joe  
11 Birmingham in the Office of NRR. I'm the project  
12 manager to help in the rulemaking. We believe we are  
13 now ready to move forward into the final rulemaking  
14 stage for NFPA 805.

15 Also presenting today will be Paul Lain  
16 from the Plant Systems Branch of the Fire Protection  
17 Group. Paul will be handling some of the technical  
18 structure of the rule and I'll be handling more of the  
19 programmatic.

20 First, I'd just like to note that we did  
21 meet with the Fire Protection Subcommittee in  
22 September. We had a chance to make a similar  
23 presentation at that time and we answered their  
24 questions that they had for us. Not very much has  
25 changed since then. We had a little bit of wording

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 differences that we worked out with OGC as far as the  
2 technical bases, but the substance of the rule hasn't  
3 changed.

4           The areas that we're going to cover today  
5 will be the background of the rule, how it originated,  
6 what the Commission direction was, some of the  
7 advantages of NFPA 805 over existing Appendix R and  
8 licensing conditions. As Mr. Rosen has said, our  
9 deterministic structure of NFPA 805, how we expect it  
10 to be implemented, some very basics on the rule  
11 structures and then we'll get into the status of the  
12 rulemaking and the schedule.

13           Paul, do you want to take over?

14           MR. LAIN: I'm Paul Lain from the Plant  
15 Systems Branch. I see you're familiar with this time  
16 line. I think Browns Ferry in 1975 woke a lot of  
17 people up. The staff developed Appendix R after that  
18 and put it into effect using 10 CFR 1048. There was  
19 a lot of lower tier documents that followed to try to  
20 soothe \* (1:22:13) the implementation such as Generic  
21 Letter 86-10 which instructed sites to sort of change  
22 their license condition to allow changes to the fire  
23 protection program as virtually affects a shutdown.  
24 But also it was considered very deterministic and  
25 quite a burden.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           So in the 1990s, the development of PRAs,  
2           PSAs and advancements in fire modeling gave us  
3           confidence that we could quantify the fire risk and  
4           reduce the deterministic departments. It was in 1998  
5           the Commission gave the go ahead to go ahead and  
6           develop NFPA 805, the national consensus standard with  
7           industry.

8           And sort of the later documents kind of  
9           show what Dr. Rosen kind of put in the subcommittee  
10          meeting that the glacial speed of this rulemaking --

11          MR. ROSEN: We knew which way it was  
12          going.

13          MR. LAIN: Yes. Okay.

14          MR. ROSEN: But you had to watch it for a  
15          while to see it move.

16          MR. LAIN: Yes, okay. The advantages of  
17          going with 805. During this whole process, the staff,  
18          industry and other interested parties worked together  
19          to develop the NFPA standard which has an agreed upon  
20          set of fire protection performance goals and criteria.  
21          I think that's one of the major parts of the 805.  
22          Therefore, I think the rule has a greater chance of  
23          acceptance instead of the staff just sort of  
24          developing it in isolation. And it's sort of goes  
25          along with the Agency's policies of working along with

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 industry.

2 So some of these other advantages, some of  
3 it's voluntary. It's an alternative to Appendix R.  
4 Facilities are happy with their fire protection  
5 program right now. They don't necessarily have to  
6 change to 805 which is -- uses performance-based  
7 methods. If licensees find that it's advantageous,  
8 then it's another way of handling issues.

9 That's sort of let's the licensees focus  
10 on or allocate resources for the more significant  
11 issues while fine tuning their fire protection  
12 programs away from spending a lot of time on the lower  
13 risk issues.

14 That's more of the meat of the new requirement.

15 There's a core program of minimum design  
16 requirements and fundamental design elements or  
17 program elements and we'll go more into that on the  
18 next slide. It's Chapter 3 of the standard. I'm not  
19 sure how many -- I think it was handed out previously  
20 in some of the pre-materials.

21 MR. ROSEN: I think when you're talking  
22 about the advantages of 805, I think you left out a  
23 key one. You get to it later on, but it's the  
24 analysis that goes to cold shutdown, right? Whereas  
25 current analyses only go to hot shutdown.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. LAIN: Yes.

2 MR. ROSEN: So in that sense the scope is  
3 broader. It establishes requirements more broadly.

4 MS. BLACK: And it covers shutdown as  
5 well.

6 MR. ROSEN: Shutdown.

7 MR. LAIN: Shutdown and low power also.

8 MR. ROSEN: Right. So it takes you all  
9 the way out in the modes whereas the current  
10 requirements are for power. So in that sense it's  
11 more regulatory comprehensive.

12 MR. LAIN: More comprehensive. So for  
13 transition purposes, 805 was developed sort of in a  
14 parallel structure. One side of it, 805, has a lot of  
15 the Appendix R deterministic requirements within it  
16 and the other side is sort of the performance-based  
17 requirements, so a facility may be able to transition  
18 using the deterministic side and then as they want to  
19 change their program or as issues arise, they'll be  
20 able to use performance-based methods to resolve those  
21 issues.

22 So it doesn't necessarily require a  
23 facility to go in and re-analyze from a performance-  
24 base their whole system. It does have a lot of the  
25 deterministic type requirements in it.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1           So that is I think another -- a good part  
2 of how it's structured is it's structured for existing  
3 plants to be able to transition without having to  
4 really start from ground zero and build a program up  
5 from that.

6           I'll talk a little bit about the core  
7 program fundamental elements and minimum design  
8 requirements. Ed Connell who was part of the staff  
9 worked hard as the NRC member on the Committee and he  
10 wanted to make sure that there was sort of a core fire  
11 protection program minimum program that the facilities  
12 will maintain.

13           As you can see, some of these items like  
14 fire suppression systems like a sprinkler system or a  
15 fire alarm system, Chapter 3 doesn't necessarily tell  
16 you where it has the system, it just kind of tells you  
17 sort of the design and installation requirements,  
18 whereas Chapter 4 where you go through your nuclear  
19 safety analysis, that kind of decides where you're  
20 going to need to protect these areas where you don't  
21 need to protect and that's the performance-based side  
22 --

23           MR. ROSEN:       From a nuclear safety  
24 perspective.

25           MR. LAIN:    Yes.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. ROSEN: Now you may choose and most  
2 licensees did choose to have much broader coverage  
3 than just the nuclear safety because they want to  
4 protect the asset as well for property damage reasons.

5 MR. LAIN: Yes. There are deterministic  
6 requirements within Chapter 3. Five-person brigade  
7 member is one of them that comes to mind. And it's  
8 something that the NRC sort of has had since the 1970s  
9 that is a minimum requirement of fire brigade members.  
10 But it also does put sort of a quality stamp on that  
11 that follows a different NFPA type standard.

12 Joe will talk a little bit later about how  
13 the rulemaking handles deviations or changes to  
14 Chapter 3 and how they'll be able to handle those.

15 Any questions?

16 Differences from Appendix R. Dr. Rosen  
17 talked a little bit about the cold shutdown. Appendix  
18 R sort of requires facilities to sort of design all  
19 the way to cold shutdown within 72 hours with recovery  
20 actions. NFPA 805 talks about bringing the fuel that  
21 needs to be brought to a safe and stable condition  
22 which is sort of hot standby. That's sort of makes  
23 the evaluation a little bit shorter, shorter within  
24 the first 24 hours, but also it sort of looks at all  
25 modes of operation also. So it's sort of -- it's not

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 a requirement to go all the way to cold shutdown, it's  
2 the more -- the performance criteria is to keep the  
3 fuel into a safe and stable condition.

4 Other ones are emergency lighting is now  
5 sort of in the guidance section of NFPA and basically  
6 you have to within your analysis you have to prove  
7 that sufficient lighting is available to perform the  
8 intended function and it's not necessarily a set  
9 requirement.

10 Alternate --

11 DR. APOSTOLAKIS: How is that determined,  
12 sufficient lighting?

13 MR. LAIN: I think when you go through  
14 your nuclear safety analysis and you have certain  
15 things you have to do for shutdown, you're going to  
16 have to prove that you have sufficient lighting. You  
17 mean what is sufficient?

18 DR. APOSTOLAKIS: So if it is small, for  
19 example, you will have to evaluate how much that --

20 MR. LAIN: That whole topic is also --  
21 it's being handled by a new rulemaking that's coming  
22 down the pike on the manual actions. It's sort of  
23 defining how are they going to be able to go about  
24 doing manual actions. I think that's going to give  
25 more of the guidance on where we're at. But within

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 805, I think it's still kind of left at a level of  
2 subjectivity and it's not necessarily a quantitative  
3 requirement. But it is though -- it's not necessarily  
4 they will have to have 8 hours of emergency lighting.  
5 If they have something that they need to do within the  
6 first hour, they need to prove that they have  
7 emergency lighting for that first hour and so they're  
8 not necessarily going to require to have 8-hour  
9 lighting throughout the plant.

10 MR. BIRMINGHAM: As Paul said, the Agency  
11 is looking at what are the feasibility criteria for  
12 things like recovery actions and emergency lighting  
13 under recovery actions, what's the effect of smoke and  
14 heat and so on on the people performing those  
15 emergency actions. But 805 does have criteria in it  
16 that talks about that you have to be able to  
17 demonstrate that the recovery action can be performed  
18 and in the environment that it's going to be performed  
19 in. It does have that criteria built into it,  
20 although it is built into an appendices which is not  
21 part of this rule per se, but it's a good point.

22 MR. LAIN: Alternate and dedicated  
23 shutdown are not necessarily defined as they are in  
24 Appendix R. The analysis document basically says that  
25 you need to have a safe shutdown path or method.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Recovery actions outside the control room  
2 are allowed within 805 within the performance based  
3 method where in Appendix R it was one success path had  
4 to be free of fire damage. So the analysis allows  
5 using the recovery actions.

6 805 does have some additional sort of  
7 radiation release criterias for fires like in maybe  
8 the rad waste areas which is a little bit more  
9 complete standpoint and also 805 covers the fire  
10 protection plan, sort of covers all modes of operation  
11 such as low power and refueling which Appendix R  
12 doesn't.

13 DR. APOSTOLAKIS: What happened to the 20-  
14 foot separation criteria in Appendix R?

15 MR. LAIN: That is within the  
16 deterministic requirement within 805. But if a  
17 facility does not necessarily meet that, they can use  
18 their performance-based method and determine whether  
19 it's --

20 DR. APOSTOLAKIS: Why do you call it  
21 performance-based? Is it risk-informed?

22 MR. LAIN: Yes, it has -- it uses risk-  
23 informed information along with fire modeling to be  
24 able to calculate the consequences of certain fires  
25 along with the risk information.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. APOSTOLAKIS: So is it possible then  
2 for a licensee who has complied with Appendix R 90  
3 percent, to use that and say now here we really don't  
4 have the 20-foot separation, but we will use 805 to  
5 prove to you that it's not necessary. So 90 percent  
6 of the time they use Appendix R and in other words are  
7 they allowed to pick and choose?

8 MR. LAIN: No. They're not necessarily  
9 allowed to pick and choose on their own. I think  
10 what's going to happen is they'll be able to use this  
11 methodology to send in for exemptions or license  
12 amendments.

13 MR. BIRMINGHAM: I was going to say it's  
14 probably helpful to look at the 805 approach.  
15 Licensees will need to do a self-assessment of the  
16 plan, determine what are the nuclear safety systems  
17 that have to be protected, how far -- if you have a  
18 redundant system and they're both in a fire area, and  
19 if for some reason they're not foot separated, first  
20 you look at can I meet it by a deterministic -- do I  
21 have the 20 feet?

22 If you can't meet the deterministic, you  
23 do have the option of looking at it from a performance  
24 based. Is there a reason to believe that in this room  
25 is it credible to believe that there's a possibility

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 of a fire that can affect both systems? And from a  
2 performance-based standard, you can apply the risk  
3 insights as well as the performance-based approach and  
4 if it turns out that you can -- to know if there's a  
5 credible fire you can have in that room that's going  
6 to last for 15 or 20 minutes, you don't need a 3-hour  
7 barrier, for example. You could get a lesser barrier.

8 MR. LAIN: And that's if they can do that  
9 on their own, if they're an 805 plant. If they find  
10 that they're becoming an 805 plant, then basically  
11 they can keep that evaluation on record and the  
12 inspectors will come through and question them on that  
13 and they'll be able to show them the evaluation there  
14 versus if they're an Appendix R plant, they would need  
15 to come in for an exemption.

16 DR. APOSTOLAKIS: But when they come for  
17 an exemption, can use 805?

18 MR. LAIN: Yes. We would expect to see  
19 some performance-based type exemptions coming through.

20 MR. BIRMINGHAM: Well, we currently have  
21 had some licensees come in and presented information,  
22 showed us that while they may not meet the Appendix R  
23 criteria at their plant for some reason or another,  
24 that something less than 20 foot is acceptable at  
25 their plant. And there are exemptions on the record.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. LAIN: On the record, plenty. A lot  
2 of those did not use as much risk information as they  
3 used more fire modeling and other types of approach  
4 there.

5 DR. APOSTOLAKIS: I thought that was one  
6 of reasons that the Agency supported the development  
7 of NFPA 805. There were too many exemptions to  
8 Appendix R using deterministic --

9 MR. LAIN: That there are 800 or over 800  
10 exemptions on the books now and they saw that the  
11 Appendix R deterministic criteria, if we have another  
12 issue like thermal lag or something of that sort, you  
13 end up with a lot of exemptions coming in. So this is  
14 one way a facility can figure out those exemptions on  
15 their own.

16 DR. APOSTOLAKIS: So if I take two plants  
17 that meet Appendix R criteria, and I do a risk  
18 assessment, will I find roughly the same contribution  
19 to CDF from fires?

20 MR. LAIN: I would think that's --

21 DR. APOSTOLAKIS: I'm not so sure.

22 MR. LAIN: You would think there's going  
23 to be a --

24 DR. APOSTOLAKIS: There would be a --

25 DR. POWERS: I would be sponged, George.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MR. LAIN: It would take an hour.

2 DR. APOSTOLAKIS: Does it bother anybody  
3 in the Agency that the risks are different, even  
4 though the appendix is met?

5 MR. LAIN: I'll have to talk with my  
6 manager.

7 MS. BLACK: I didn't quite understand the  
8 question. What were the two plants you were  
9 comparing?

10 DR. APOSTOLAKIS: Well, two plants that  
11 meet Appendix R and then I do a risk assessment and I  
12 calculate the contribution to CDF from fires. Now  
13 most likely these will differ.

14 MS. BLACK: Right.

15 DR. APOSTOLAKIS: Is that a cause for  
16 concern?

17 MS. BLACK: No.

18 DR. APOSTOLAKIS: Why not?

19 MR. SIEBER: I don't think it is because  
20 you can have two entirely different plants, a PWR and  
21 BWR, that are going to have different risk profiles  
22 and the contribution to the risk from fire will be  
23 different because of plant layout, plant  
24 vulnerabilities are different.

25 So it wouldn't bother me.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BONACA: Plus, I mean if they're  
2 both low --

3 DR. SHACK: If they are both acceptably  
4 low.

5 MR. LAIN: Right.

6 DR. SHACK: They can be different but --

7 DR. APOSTOLAKIS: But will they be  
8 acceptably low?

9 CHAIRMAN BONACA: Some of the earlier  
10 design, I don't know how you define acceptably low.

11 MR. ROSEN: Right.

12 CHAIRMAN BONACA: That's a big  
13 contribution for a fire, so on the latest designs fire  
14 is much less because they were designed with fire in  
15 mind.

16 MR. ROSEN: Right. But the Agency doesn't  
17 go in and set individual criteria for what portions of  
18 risk -- you can only have 10 percent to human actions.  
19 You only have 20 percent for fire.

20 DR. KRESS: Wait until you see the Option  
21 3 Framework.

22 MR. ROSEN: Well, maybe that's being  
23 considered in the future, but as of today, we do have  
24 requirements that plants meet the regulations and then  
25 there's an implied understanding that that means

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 typically a low enough CDF over all. But we don't go  
2 in and try to parse that CDF into pieces and then say  
3 -- and each piece must be less than a certain amount.

4 DR. APOSTOLAKIS: I agree with that, but  
5 first of all, J.S. wants to say something.

6 MR. HYSLOP: This is J.S. Hyslop from --

7 MR. ROSEN: You do have to introduce a lot  
8 of facts here.

9 MR. HYSLOP: I was just sitting here, but  
10 from my perspective it seems like you can fly with  
11 Appendix R in a couple of ways. There are several  
12 3(g)(2) criteria. You can -- some plants rely more  
13 than other plants on manual actions, so you would  
14 expect different risk contributions from plant to  
15 plant, at least from my perspective.

16 MR. SIEBER: That's another reason.

17 DR. APOSTOLAKIS: Would you then lead to  
18 CDF greater than  $10^{-4}$ ?

19 MR. SIEBER: Who knows?

20 MR. ROSEN: I don't think so. If you find  
21 one of those, then you go after that.

22 DR. APOSTOLAKIS: But you're not even  
23 looking there because you have satisfied Appendix R,  
24 so you don't --

25 MR. ROSEN: No, if someone suddenly has a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 revelation that they haven't properly assessed the  
2 safety of their plant and find themselves in 2 times  
3  $10^{-4}$ , 3 times  $10^{-4}$ , then they're obviously going to be  
4 doing something about it, especially if it's --

5 DR. APOSTOLAKIS: Did Quad Cities satisfy  
6 Appendix R?

7 MR. ROSEN: Yes. There was a Quad Cities  
8 data transient, I'll call it, where for a while they  
9 thought their fire risk was quite a bit higher than it  
10 ultimately turned out to be when they did the  
11 analysis.

12 DR. APOSTOLAKIS: It was not as high as  
13 they originally thought, but it was not negligible  
14 either.

15 MR. ROSEN: It wasn't negligible, when  
16 they got done doing it right, but originally they  
17 thought it was higher than that.

18 MR. BIRMINGHAM: One of the advantages of  
19 NFPA 805 is that it does require this assessment where  
20 the licensees do go through fire area by fire area and  
21 do determination, what their risk in that area, and by  
22 doing this additional look they will be better  
23 protected in some areas than they would have been  
24 otherwise. And by protecting themselves in  
25 relationship to the risk, the concern to nuclear

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 safety, their contribution to CDF could drop as  
2 opposed to what -- there's no reason for it to go up  
3 that I see, but it could drop.

4 DR. POWERS: Do we still --

5 MR. BIRMINGHAM: Fire area plants aren't  
6 required to even take that look.

7 DR. POWERS: Do we assume that each fire  
8 area is isolated from other fire area?

9 MR. BIRMINGHAM: Yes.

10 DR. POWERS: There is no probability that  
11 any of the barriers between fire areas would be  
12 breached by the fire itself?

13 MR. ROSEN: From a deterministic point of  
14 view, is that what you're asking?

15 DR. POWERS: Well, I'm really asking a  
16 probabilistic question, I'll have to admit.

17 MR. LAIN: I think in the Appendix R  
18 world, yes.

19 DR. POWERS: In an Appendix R world, yes,  
20 I agree. Do we still do that in a non-Appendix R  
21 world?

22 MR. LAIN: I think, yes. The evaluation  
23 is going from a fire area to a fire area.

24 DR. POWERS: We've got absolutely 100  
25 percent perfectly reliable fire barriers?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. LAIN: No, no. I think they're going  
2 to be evaluating fire barriers also.

3 MR. BIRMINGHAM: But we apply it  
4 consistently against the Appendix R plants and against  
5 the NFPA 805 plants that we assume that a single fire  
6 starts and the language in there is from a single  
7 fire. You're correct.

8 But that seems reasonable. A fire  
9 initiates and it can propagate unless it's taken care  
10 of quickly.

11 MR. ROSEN: Well, I think we have some  
12 operating experience that says that one fire can cause  
13 another fire in a remote area. I think that's what  
14 probably Dana is thinking about, but I hesitate to  
15 guess, but I think -- I know for sure that has been  
16 seen in the field but it's highly unlikely. Most  
17 fires that have occurred have not had that constant.  
18 It can happen, but it's like everything else. It's  
19 got a probability with it.

20 DR. POWERS: Let's see now, the Browns  
21 Ferry fire didn't propagate from fire area to another?

22 MR. ROSEN: No, I'm not talking about  
23 propagation. I'm not talking about propagation. I'm  
24 talking about a fire which has an effect which causes  
25 something else remotely to malfunction and that thing

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 can catch on fire. That has happened, but it's not  
2 typical of fires.

3 Now propagation is another matter. If you  
4 have a huge fire someplace, it can overwhelm a fire  
5 barrier, sure.

6 MR. LAIN: Implementation. NEI has been  
7 working hard. We've been working with NEI on  
8 implementation guide. I think Rev. D was handed out.  
9 They've had two pilots. One at Farley, Farley Station  
10 which reviewed the change control process and the  
11 other was at McGuire which covered the transition  
12 process. The staff has participation in both of those  
13 pilots and our detailed staff comments on those, on  
14 the Rev. D are presently in concurrence.

15 MR. ROSEN: Do you have a plan to endorse  
16 the implementation guide by Reg. Guide?

17 MR. LAIN: Yes. I missed that first  
18 sentence.

19 MR. ROSEN: It's not going to stand out  
20 there alone, the implementation guide?

21 MR. LAIN: No, our plan is to have a  
22 performance-based fire protection Reg. Guide and the  
23 first thing we're looking at putting in that is this  
24 implementation guide from NEI and we would like to  
25 endorse the implementation guide, so we are trying to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 work with NEI in getting a quality product that we can  
2 endorse.

3 MR. ROSEN: How close are you to that?  
4 You said you were in Rev. D. Is that right? Did you  
5 say that?

6 MR. LAIN: Right. And hopefully --

7 MR. ROSEN: There four revisions already,  
8 to me, right?

9 MR. LAIN: Right.

10 MR. HANNON: Let me try to respond to  
11 that. We anticipate -- I'm John Hannon, Plant Systems  
12 Branch Chief.

13 We anticipate that our comments will be in  
14 the latest revision, will be available to NEI by the  
15 end of the year and we anticipate that they should be  
16 able to wrap everything up in one additional revision  
17 after this.

18 So we're looking at one more revision to  
19 reach final.

20 MR. ROSEN: Will that guide be available,  
21 assuming the Commission acts, I think the Commission  
22 is going to be acting in the early part of 2004,  
23 assuming the Committee recommends this going up?  
24 We're going to need to have both the guide and the  
25 rule at the same time, right, in order to move

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 forward?

2 MS. BLACK: I'm Suzanne Black, Director of  
3 DSSA. Back several years ago, before I was even in  
4 DSSA, I think the decision was made to go ahead with  
5 this rule ahead of the guidance, although we've been  
6 slow writing the rule and we've been pushing the  
7 guidance, so they're probably going to come together,  
8 but we didn't want to hold the rule up or the  
9 guidance. And I think the paper -- what the proposed  
10 rule is due in March, I believe, to the Commission  
11 now? Is that the new schedule?

12 MR. LAIN: I think we'll go over that  
13 later. Right now, I think we've got a new date.

14 MR. ROSEN: But the rule is not much use  
15 without the guide and the guide is not much use  
16 without the rule.

17 MS. BLACK: Right.

18 MR. ROSEN: Fred Emerson?

19 MR. EMERSON: This is Fred Emerson with  
20 NEI. Let me add a little clarification.

21 We anticipate at least two more revisions.  
22 One to address the comments that we are going to be  
23 getting and the other is because we're not going to be  
24 seeing the final rule language until the March time  
25 frame, despite our requests otherwise, we're going to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 have to issue another revision after the rule is  
2 final, just to make sure that we pick up all the  
3 language of any changes that are being made to the  
4 rule language between the last time we saw it and the  
5 next time we see it.

6 So the final one will be issued at some  
7 point after the rule is final and that will be, I'm  
8 guessing, May-June next year.

9 MR. BIRMINGHAM: Fred, isn't it somewhat  
10 true that licensees, I mean -- they will have the rule  
11 available to them. We expect early sometime shortly  
12 after March when the Commission does approve it, but  
13 they will have the rule, the standard will be  
14 available to them and they will be able to begin to  
15 also have the draft of the implementing guidance and  
16 they'll be able to begin to look at their plants as  
17 far as that economic decision that they need to make  
18 to decide whether it benefits them to become an 805  
19 plant or to stay as they are as an Appendix R plant.

20 MR. EMERSON: Yes, what you say is true.  
21 They will have substantial information available to  
22 allow them to begin the decision making process, but  
23 because this is a pretty significant change in their  
24 licensing basis that they're contemplating, they're  
25 not going to make a final decision until after they

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 see the final rule and the final implementing  
2 guidance.

3 DR. POWERS: So we have the potential of  
4 having Appendix R plants, 805 plants, Branch Technical  
5 Position plants and Licensing Condition plants. Is  
6 this right?

7 MR. LAIN: Yes sir.

8 DR. POWERS: And we're going to have  
9 inspectors trained to do all four types, right?

10 MR. LAIN: Yes sir.

11 DR. POWERS: Challenging. This is burden  
12 reduction on the inspection force.

13 CHAIRMAN BONACA: Or permutations thereof.

14 DR. POWERS: Plus 803 exceptions. This  
15 sounds pretty easy to me.

16 MR. BIRMINGHAM: Well, we have the  
17 advantage of the rather experienced inspection force  
18 as far as looking at the Appendix R plan.

19 DR. POWERS: And they'll never retire, so  
20 you'll have --

21 (Laughter.)

22 MR. BIRMINGHAM: Yes, they will. You're  
23 right.

24 MR. LAIN: Something we've agreed to with  
25 NEI is to do comprehensive reviews of the initial

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 setups. I think our long term plan is to sort of have  
2 an administrative license amendment transitioned with  
3 the review of the transition with the efficiency and  
4 inspection staff, but initially the headquarters staff  
5 will be reviewing the first couple of transitions and  
6 we are hoping to sort of provide a template for others  
7 to follow and so that's something we've agreed to do  
8 with NEI.

9           The staff, with enforcement discretion,  
10 the staff wants to encourage the licensees to conduct  
11 these self-evaluations in transition to 805 so we're  
12 working with OE, the Office of Enforcement to develop  
13 an enforcement policy and also with ROP, the Reactor  
14 Oversight Process, to develop some incentives, I  
15 think, that NEI's been looking forward to.

16           We don't necessarily punish the licensees  
17 for finding old design issues. That's been an NRC  
18 policy, I think, in the past with OE. And so in the  
19 future the regions are going to continue to conduct  
20 regular inspections during the transition period, but  
21 they may focus their inspection, sort of concentrate  
22 on the transition and the progress of the self-  
23 evaluations.

24           DR. POWERS:     Now the regions' fire  
25 inspection capabilities --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. LAIN: I didn't catch that first  
2 couple of words.

3 DR. POWERS: There wasn't a couple, first  
4 couple of words. I began with a prepositional phrase.  
5 What I'm interested in is your last bullet here. It  
6 says the Reactor Oversight Process will monitor future  
7 changes and what not.

8 And what I'm interested in is this -- the  
9 capability of the regions to inspect the diversity of  
10 plants that we'll now have under this fire protection  
11 scheme.

12 MR. LAIN: I think the plan now is to sort  
13 of in next summer time period is to develop the  
14 inspection criteria. Right now we're looking at audit  
15 guidance on how to audit the first couple of initial  
16 submittals. I think there's going to be a few years  
17 before they've actually -- a few of them have actually  
18 transitioned. So I think during that time period  
19 we're going to be looking at ways to come out with the  
20 inspection criteria.

21 MR. BIRMINGHAM: Were there plans to have  
22 a temporary -- not a temporary, but a GI \* (1:54:37)

23 MR. LAIN: No, that's still to be  
24 determined.

25 DR. POWERS: Well, you've discussed the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 mechanics and I'm more concerned about the manpower  
2 right now.

3 In at least a few of our visits to the  
4 regions, they've complained to us about their being  
5 relatively at sea in the area of inspecting for fire  
6 protection, lacking the trained manpower, having to  
7 rely heavily on headquarters to provide that in  
8 specialized inspections. Is it your intention that  
9 these will be specialized inspections coming out on  
10 fire protection or are you just going to rely on the  
11 regions to do it in their normal inspection procedure?

12 MR. LAIN: My indication is we're going to  
13 rely on their normal inspection, inspection schedule  
14 and inspection process.

15 MR. HANNON: Dr. Powers, this is John  
16 Hannon. It's been some -- at least a year or more  
17 since we've had any requests from the regions to  
18 support their fire protection inspections from  
19 headquarters.

20 It's my current understanding is that all  
21 of our regions are staffed up and are capable of self-  
22 assessing --

23 DR. POWERS: I know you've been working in  
24 that direction and I just basically am asking is it  
25 successful and now you're going to rattle the drum

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 again with another change.

2 MR. LAIN: From there I'm going to let Joe  
3 talk about the rule.

4 MR. BIRMINGHAM: Okay, I'd like to talk  
5 about the rule's structure itself a little bit. What  
6 we intend to do is to add a paragraph 50.48(c) that  
7 will incorporate NFPA 805 directly into 10 CFR 50.  
8 That way NFPA 805 actually becomes part of 10 CFR 50  
9 if it is the rule. 10 CFR 50.48(a) will continue to  
10 apply.

11 DR. POWERS: Let me ask you a question  
12 about this strategy. You're going to incorporate this  
13 specific guidance by addition into the rule which  
14 means every time it gets updated you're going to have  
15 to go through a rule changing. Is that correct?

16 MR. BIRMINGHAM: Our intention is not to  
17 generally not to go through an update to the rule. If  
18 licensees see a specific advantage to a later edition,  
19 we would prefer or expect or plan for them to actually  
20 have to come in and request, take advantage of it,  
21 rather than actually pursue rulemaking.

22 MR. ROSEN: So this is not going to be  
23 like the ASME code 50.55(a)?

24 MR. BIRMINGHAM: No, it will not.

25 MR. ROSEN: That's not going to -- that's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 not the model to be thinking about here.

2 MR. BIRMINGHAM: Correct. it is not. It  
3 will not automatically update as new versions of NFPA  
4 805 come out in the future.

5 MR. LAIN: It's sort of my understanding  
6 with OGC is that basically that would be allowing NFPA  
7 to do rulemaking and the NFPA Committee could --

8 MR. ROSEN: But that's not the way it  
9 works for the ASME code either. The ASME Code  
10 Committee Committees can change the code, but then the  
11 NRC staff adopts approves the new provision. So it's  
12 a three-step process, with exceptions it's necessary.

13 When you're saying we don't intend, you  
14 don't intend to do that with 5048(c)?

15 MR. BIRMINGHAM: That's correct.

16 MS. BLACK: This is Suzanne Black again  
17 and I think if the Code Committee changed it to the  
18 point where it looked like it was worthwhile going  
19 through rulemaking, yes, we would, but once again,  
20 this decision to adopt this into the rule versus use  
21 something simpler in the rule was made years ago, but  
22 in hindsight, it might have been an incorrect  
23 decision, but it was made back when -- I don't know.  
24 I don't know if I even want to get into the history of  
25 why we decided to go this way versus that way, but it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 was modeled on the ASME code --

2 DR. POWERS: Process.

3 MS. BLACK: -- process back then and I  
4 think with hindsight now we probably -- I would have  
5 recommended another path, but I think it's too late to  
6 change courses.

7 DR. POWERS: Well, I would think about  
8 this horse a little bit. You've gotten a brand new  
9 rule, a brand new fire protection process here.  
10 You've run it through three plants, didn't exactly go  
11 the smoothest of any pilots that I've ever seen in my  
12 life. Those three plants are represented -- or two  
13 plants are representative of two plants. And now  
14 you're going to try it on some others. You might find  
15 a kink or two here and you're going to ossify  
16 yourself.

17 MS. BLACK: Well, I don't think the kinks  
18 are with the standards so much as like interpreting  
19 how to implement it and with a simpler rule you'd even  
20 have more of that.

21 We run into the struggle of how much  
22 detail to put into the rule with our legal staff  
23 because you need to have detail and criteria that  
24 anyone can look at and judge whether or not a licensee  
25 is meeting the rules or any informed person is what

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 OGC's standard is. And I think trying to come up with  
2 some general criteria to put in the rule would be very  
3 difficult and so at this point I think this is the  
4 best way to go.

5 MR. ROSEN: I think Dana's point is well  
6 taken. I think it's a big difference between the ASME  
7 PP&V code and NFPA 805 in terms of experience and  
8 broad scale implementation and use.

9 MS. BLACK: I think the code cases --  
10 those are constantly making changes, required changes  
11 that different code cases can be picked up.

12 MR. ROSEN: In the boiler and pressure --

13 MS. BLACK: Right, but in this, I don't  
14 envision that many changes because even though it's  
15 very long and detailed, it's pretty general. I think  
16 most of the changes we'd want to make, you could make  
17 through the guidance document at this point.

18 MR. ROSEN: Those are good arguments,  
19 we'll see what it turns out to happen actually.

20 MS. BLACK: Twenty-twenty hindsight in the  
21 future, right?

22 MR. ROSEN: We'll find out, if we're still  
23 around.

24 DR. POWERS: There's a saving Grace. It  
25 costs a fortune to change over to this so how many

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 people are actually going to do it?

2 MR. ROSEN: Well, that's a whole other  
3 question. I did read and I think it was the  
4 regulatory analysis that now the staff things that  
5 maybe 20 or 25 plants, I think it said, and I don't  
6 know whether that means units or plants, will  
7 ultimately adopt 805.

8 We had a representative from Duke here who  
9 said they had already made the decision at the  
10 subcommittee meeting. They had already made the  
11 decision for McGuire and I think he said Catawba, but  
12 they would make the transition. And he thought, as I  
13 recall what he said then, there are probably another  
14 dozen plants that their little working group had  
15 decided would likely benefit a great deal from moving.  
16 So one of the concerns of ACRS all along has been is  
17 that we'll give this party and nobody will come. And  
18 we would caution the staff to not make the barriers to  
19 entry so high that the benefits of this move couldn't  
20 accrue to the public's health and safety and to the  
21 industry and the Agency's resources, all of which we  
22 anticipate.

23 So now I'm still worried that as Dana  
24 suggested that they'll give this party and nobody will  
25 come, except the Duke guys who say they will.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   Can you say anything about that? What do  
2 you know? What's recently being heard?

3                   MR. HANNON: This is John Hannon. In the  
4 last NEI fire protection forum we asked that question  
5 and there was one hand in the audience. I turned out  
6 it was a plant in Region 1 who said they had already  
7 budgeted to make the transition to 805. They plan to  
8 do it in FY 05. That was the only response we got at  
9 that time.

10                  MS. BLACK: But back in 2001 when we  
11 almost didn't go forward with this rulemaking, we had  
12 a letter from NEI that said that they supported going  
13 forward with this because they thought it would be  
14 beneficial use of our resources and that people would  
15 adopt this rule.

16                  MR. ROSEN: Maybe the NEI representative,  
17 if he's still here, would be willing to give us a late  
18 update on that.

19                  MR. EMERSON: This is Fred Emerson with  
20 NEI. I think most plants are still adopting a wait  
21 and see attitude because we still haven't seen the  
22 final rule and we haven't seen the final guidance.

23                               I think over the last couple of years  
24 there has been a major shift from total skepticism to  
25 cautious optimism that this might actually be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 beneficial. But even if you completely optimize its  
2 benefits, there will still be some plants who don't  
3 see a cost benefit and moving forward with it and  
4 that's going to be a plant specific decision.

5 What we've been doing is working with the  
6 staff to try to remove as many unnecessary barriers to  
7 implementation as possible to improve the likelihood  
8 that plants who can benefit from it will see the  
9 benefits of going ahead and make that decision. And  
10 we're going to be putting out guidance that -- and  
11 have put out guidance that allows a plant to make some  
12 early decisions as to whether this is going to be  
13 beneficial or not when they do see the final paperwork  
14 coming out of the staff and out of the NEI.

15 DR. POWERS: Fred, so do you remember when  
16 were doing the fire protection functional inspection  
17 and people had to get their fire protection licensing  
18 basis in order? They were complaining vigorously  
19 because that was costing like a million dollars. How  
20 do they avoid that million dollars a plant?

21 MR. EMERSON: Well, the estimates that  
22 we've seen coming out for making a transition like  
23 this is on the order of one to two man-years,  
24 depending on how well the current licensing basis is  
25 documented and how good their PRAs.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. POWERS: See, it's the codicil,  
2 depending on how well the current licensing basis is  
3 documented and we know from the fire protection  
4 functional inspections that a lot of them have it  
5 scattered, shall we say?

6 MR. EMERSON: True, but I don't think it's  
7 in the area of a million dollars. I think it's more  
8 in the area of half a million or less.

9 DR. POWERS: I'm quoting the numbers that  
10 came out of the fire protection --

11 MR. EMERSON: I understand and I'm quoting  
12 numbers that came out of our pilots.

13 MR. ROSEN: Well, I don't know if we're  
14 going to get very much further with this line of  
15 questioning, but what we have is a lot of unknowns, I  
16 can see that and not a lot more clarify of the issue  
17 of just how many plants are going to actually make the  
18 transition. The only way to find out unfortunately is  
19 to go ahead.

20 If we don't go ahead, then we'll never  
21 know. If we go ahead, we might know.

22 MR. BIRMINGHAM: Sort of just following on  
23 to that, an observation is that those plants that are  
24 likely to be in operation for a longer period of time  
25 are more likely to benefit from the NFPA 805 --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. ROSEN: That's getting to be almost  
2 all of the plants now in terms of license renewal.

3 MR. BIRMINGHAM: License renewal. Yes, I  
4 think that's a good point.

5 The other thing is that NFPA 805, we are  
6 amending paragraph (f) of 50.48 to state that a plant  
7 that complies with NFPA 805 will be complying with the  
8 requirements of paragraph (f) for decommissioning.

9 Within the rule itself we're identifying  
10 seven exceptions. They were exceptions that we felt  
11 that the standard had written into it statements that  
12 the staff either wanted to clarify or that we just  
13 felt we weren't going to quite go along with as  
14 written. An example might be that the standard, for  
15 example, required flame-retardant coating on cables.  
16 I'm sorry, it required flame-retardant cables per se  
17 and our practice has been that you have flame-  
18 retardant cables or that you have applied flame-  
19 retardant coating or that you have a suppression  
20 system in place. We took an exception to that, for  
21 example.

22 I could relate some of the other  
23 exceptions --

24 MR. ROSEN: Well, I think you should make  
25 it clear that some of the exceptions were because

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 they're beyond the scope of NRC regulation, for  
2 example, the life safety goal.

3 MR. BIRMINGHAM: That's a good point. The  
4 two that we felt were the life safety goal, in  
5 general, and the plant damage goal were also -- those  
6 are the two that -- they're not within the scope of  
7 NRC regulatory structure, therefore we took exception  
8 to them, not because they're not good goals, not  
9 because we aren't glad to see them in NFPA 805, but we  
10 felt they're outside our regulatory structure.

11 We expect licensees to document their --  
12 there's a bullet missing.

13 (Pause.)

14 The last slide, the last bullet, the rule  
15 structure requires licensees to complete a plant-wide  
16 evaluation before changing any of their fire  
17 protection program.

18 Once they complete that, the licensees  
19 document that evaluation and will retain those records  
20 on site. They will be maintained, available for our  
21 inspectors to use as a basis for conducting their  
22 inspections.

23 We are going to require in the rule  
24 structure that alternatives to NFPA 805 and also any  
25 changes, deviations to the Chapter 3 elements and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 minimum design requirements will require license  
2 amendment. The NRC considers the Chapter 3 elements  
3 and design requirements to be of sufficient importance  
4 that we thought that was necessary and of course, we  
5 require that alternatives to NFPA 805 which we don't  
6 know what those alternatives are would be adopted by  
7 a license amendment.

8 In working with the rule and the  
9 rulemaking process, we determined that it's not  
10 necessary for NRC to pre-approve the use of methods  
11 such as fire modeling and fire PSAs. Licensees have,  
12 in the past, been allowed to use models somewhat at  
13 risk and that we believe licensees can do this.  
14 Because NFPA 805 contains within it a regulatory  
15 structure for the use of fire models, fire PSAs.

16 We provided for a decommissioning plants  
17 to comply with NFPA 805. There's -- although  
18 paragraph (f) describes the general qualities of a  
19 fire protection program, it doesn't have specifics  
20 built into it. Appendix R would be less applicable to  
21 a decommissioning plant because the nuclear safety  
22 aspects tend to diminish and you fall into the  
23 radiation release aspects concerns and we felt that  
24 well, NFPA 805 has an entire chapter devoted to how to  
25 move your plant towards a decommissioning mode.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           The reactor oversight process monitoring  
2 future changes, as we said, before you can make  
3 changes to your plant, you need to complete the plant-  
4 wide evaluation. Once you complete that, then you can  
5 begin to make these changes. Those are the types of  
6 changes that as they're made we expect the reactor  
7 oversight process will be able to, over time, be able  
8 to monitor. We don't expect 25 plants to come in all  
9 at once. This will be maybe four plants a year to  
10 come in and over time we will see up to maybe 20, 25  
11 plants. And it will give a chance for the triennial  
12 inspections to come in and look at the different  
13 plants and gain that inspection experience.

14           Also, the NRC may approve such things as  
15 risk-informed performance-based methods in the future  
16 which maybe used under NFPA 805 structure.

17           MR. ROSEN: But because you have to  
18 approve the transfer to 805 status, correct?

19           MR. BIRMINGHAM: Yes.

20           MR. ROSEN: You can control the rate at  
21 which licensees are allowed to make that transition.  
22 In other words, let's just assume for some reason  
23 everybody wanted to do it all at once. Well, you just  
24 say no. You'd set up a priority scale and do it  
25 consistent with your resources, right?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. BIRMINGHAM: Yes, not unlike what  
2 we're doing in license renewal. We're having to limit  
3 how many plants can come in for license renewal at one  
4 time. Which plants are a priority, which plants can  
5 identify the greatest need.

6 Plants are in their compliance for  
7 Appendix R. They don't need to make a change, so  
8 where it's not a penalty to them, it's going to delay  
9 --

10 MR. ROSEN: In a sense, it's less  
11 necessary than license renewal because at least in  
12 license renewal plants may be rerunning up against a  
13 hard stop in terms of the license \* (2:12:30). But  
14 here, that's not true at all. I mean they can  
15 continue in Appendix R forever, or for as long as  
16 their plant is licensed.

17 MR. BIRMINGHAM: Correct. Thank you.  
18 Current status of the rulemaking, the proposed rule  
19 was issued in November of 2002. The comment period  
20 ended in January of 2003. We've been working with OGC  
21 and with the Plant Systems Branch to resolve those  
22 comments, to work on reducing the need for license  
23 amendment requests for methods. We made some good  
24 progress in those areas and we think we're ready to go  
25 forward with the final rule now.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           The Federal Register notice for the final  
2 review has been reviewed by OGC and they told us that  
3 they had no legal objection to the Federal Register  
4 notice. The Rev. E of the implementing guidance is  
5 expected the first quarter of 2004.

6           Our current schedule is to brief the ACRS  
7 in December. We're here. This is on the final rule  
8 and we don't expect to see significant changes. OGC  
9 has given us their no legal objection. Staff doesn't  
10 plan any changes.

11           And the Commission is quite familiar with  
12 it. And in the January-February time frame, we will  
13 go through the office concurrence process. We'll see  
14 CRGR. CRGR will be an information brief. This is a  
15 voluntary alternative. It's not a requirement, so  
16 they should not have any problem with the -- there  
17 are no generic requirements.

18           MR. ROSEN: No backfit requirements. This  
19 is typically what they focus on.

20           MR. BIRMINGHAM: Correct. In March, the  
21 final rule will go to the EDO and then up to the  
22 Commission.

23           We expect the final rule to be published  
24 one month after the Staff Requirements Memorandum  
25 comes out and we don't know how long the Commission

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 will deliberate, but we really don't expect a lengthy  
2 deliberation. It hasn't changed that significantly  
3 from the proposed rules stage.

4 MR. ROSEN: Okay.

5 MS. BLACK: Steve, I'd like to clarify one  
6 thing and this is Suzanne Black again. I wanted to  
7 clarify the thing about the license amendment review  
8 because remember, this was supposed to be more or less  
9 self-implementing and the first few were going to  
10 audit to make sure that the implementation guidance is  
11 clear enough that everybody understands how licensees  
12 are going to transition into this new regulatory  
13 scheme. But we weren't going to review and approve  
14 these new fire protection programs. We were going to  
15 allow licensees to do it and then through the  
16 inspection program, eventually, we would review its  
17 implementation through the triennials.

18 MR. ROSEN: Okay, that's very helpful. I  
19 forgot that. So actually what will really happen once  
20 the rule is published is licensees that make a  
21 decision to do this will just send you a letter  
22 telling you they're doing it.

23 MS. BLACK: Right.

24 MR. ROSEN: And then you schedule your  
25 review activities in the field as you choose to.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MS. BLACK: Correct.

2 MR. ROSEN: Okay, I don't think this will  
3 happen, but in principle, you could get 50 letters one  
4 day. It's highly unlikely.

5 MR. BIRMINGHAM: Questions from the rest  
6 of the Committee? Comments?

7 MR. ROSEN: Well, if there are no other  
8 comments from any of the members, or members of the  
9 public, I want to thank you all very much and turn it  
10 back to you, Mr. Chairman.

11 CHAIRMAN BONACA: Thank you for the  
12 presentation. It was informative.

13 MR. ROSEN: I notice we're on schedule.

14 CHAIRMAN BONACA: You are absolutely  
15 right, so you are commended for that.

16 MR. ROSEN: I was fishing for that  
17 compliment.

18 CHAIRMAN BONACA: We're now moving and  
19 having a presentation from one of our members  
20 regarding recent operating events. That's a quite  
21 interesting presentation.

22 We can stay off the record at this point.

23 (Whereupon, at 2:16 p.m., the meeting was  
24 concluded.)

25

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701