

Official Transcript of Proceedings

NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards
514th Meeting

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Thursday, July 8, 2004

Work Order No.: NRC-1574

Pages 1-317

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

514th ACRS FULL COMMITTEE MEETING

+ + + + +

THURSDAY,

JULY 8, 2004

+ + + + +

The above-entitled Committee Meeting commenced at 8:30 a.m. in Room T-2B3 of the Nuclear Regulatory Commission, 11545 Rockville Pike, Rockville, Maryland, Dr. Mario V. Bonaca, Committee Chairman, presiding.

COMMITTEE MEMBERS PRESENT:

MARIO V. BONACA, Chairman

GRAHAM B. WALLIS, Vice-Chairman

STEPHEN L. ROSEN, At-Large

F. PETER FORD

THOMAS S. KRESS

DANA A. POWERS

VICTOR H. RANSOM

WILLIAM J. SHACK

JOHN D. SIEBER

NEAL R. GROSSCOURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 NRC STAFF PRESENT :
2 IQBAL AHMED
3 STEVEN ARNDT
4 JOSE CALVO
5 JOSEPH COLACCINO
6 GREG CWALINA
7 GEORGE DICK
8 CLIFF DOUTT
9 HUKAM GARG
10 CHRIS GRIMES
11 VICTOR HALL
12 WES HELD
13 DAVE KERN
14 ANDREA LEE
15 HULBERT LI
16 WARREN LYON
17 BILL MACOW
18 BARRY MARCUS
19 E.C. MARINOS
20 JOEL PAGE
21 LAUREN QUINONES-NAVARRO
22 PAUL REBSTOCH
23 JOHN SEGALA
24 DALE THATCH
25 JARED WERMIEL

I-N-D-E-X

1		
2	<u>Agenda</u>	<u>Page</u>
3	Opening Remarks by the ACRS Chairman	4
4	Proposed Generic Communication on the Use	
5	of Ultrasonic Flow Measurement Devices for	
6	Measuring Feedwater Flow Rates in Nuclear	
7	Plants	
8	Remarks by the Subcommittee Chairman	5
9	Briefing by and discussions with	9
10	representatives of the NRC staff	
11	Caldon Presentation and Comments	88
12	Westinghouse Comments	101
13	Final Safety Evaluation Report Associated with	104
14	the AP 1000 Design Certification	
15	(Cont'd from Wednesday Discussion)	
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

P-R-O-C-E-E-D-I-N-G-S

8:35 a.m.

CHAIRMAN BONACA: Good morning. The meeting will now come to order. This is the second day of the 514th meeting of the Advisory Committee on Reactor Safeguards. During today's meeting, the Committee will consider the following: Proposed generic communication on the use of ultrasonic flow measurement devices for measuring feedwater flow rates in nuclear plants; Future ACRS Activities, a report of the Planning and Procedures Subcommittee; reports by the Chairman of the Plant operations, Thermalhydraulic Phenomena, and future plant design subcommittees; reconciliation of ACRS comments and recommendations; status of the ACRS, members' assessment of the quality of selected NRC research projects and preparation of ACRS reports.

This meeting is conducted in accordance with the provisions of the Federal Advisory Committee Act. Mr. Sam Duraiswamy is the Designated Federal Official for the initial portion of the meeting.

We have received no written comments or requests for time to make oral statements from members of the public regarding today's sessions. A transcript of portions of the meeting is being kept,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and it is requested that the speakers use one of the
2 microphones, identify themselves and speak with
3 sufficient clarity and volume so that they can be
4 readily heard.

5 If there are no comments from members of
6 the public, I will move to the first item on the
7 agenda for this morning, which is the proposed genetic
8 communication of the use of ultrasonic flow
9 measurement devices for measuring feedwater flow rates
10 in nuclear plants. And Mr. Sieber you're welcome to
11 take us through this presentation.

12 MR. SIEBER: Thank you, Mr. Chairman.
13 This topic was assigned to the Plant Operations
14 Subcommittee, of which I am Chairman, and this
15 particular discussion has importance because the
16 instrument that is involved is used as a way to
17 determine and, in my view, the primary way to
18 determine what the reactor power output is. The way
19 that's done, if you go back 40 years when I was doing
20 it by hand, you would look at the enthalpy rise
21 between the steam and feedwater flow and multiply that
22 by the feedwater flow, which had a certain accuracy
23 associated with it, and then make some additions and
24 subtractions for pump feed input and radiative heat
25 loss and so forth. And that was the way that you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 determined reactor power.

2 And then you set the nuclear instruments
3 to agree with that number. And then the operator
4 would look at his nuclear instruments and determine
5 what the power output was, but that was a secondary
6 reading based on the calorimetric calculation that was
7 performed in advance.

8 So the key instrument here is basically
9 the temperatures of the steam in the feedwater and the
10 feedwater flow rate. And, of course, the instrument
11 here, the ultrasonic flow measurement system, measures
12 feedwater flow rate.

13 And so what I would like to do is we're
14 going to go through this discussion of problems that
15 can arise and may have arisen in the use of ultrasonic
16 flow measurements systems and the what the staff
17 intends to do about that. I would point out, however,
18 that the ACRS does not look at the legalities of how
19 the staff performs its function. It looks only at the
20 technical issues involved, and I think that this
21 subject is ripe with technical issues. So I would
22 caution all speakers to stick to the technical issues.

23 With that, we have with us Chris Grimes,
24 who we all know from license renewal work and a
25 multitude of appearances before us, who will introduce

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 this topic and the staff speakers. Chris?

2 MR. GRIMES: Thank you, Mr. Sieber. I am
3 Chris Grimes. I am the Deputy Director of the
4 Division of Engineering -- is that better?

5 MR. SIEBER: That's much better.

6 MR. GRIMES: And the staff has come before
7 the ACRS today to discuss a generic communication that
8 we are preparing. It is not yet complete. I want to
9 emphasize that we're sharing with the ACRS today our
10 thoughts and reflections on concerns and reflections
11 on operating experience regarding the accuracy of
12 ultrasonic flow meters, as Mr. Sieber described, are
13 used a principal input to a determination of plant
14 power.

15 In preparation for this meeting, we held
16 a public meeting on July 1 to share with interested
17 stakeholders the presentation that we are about to
18 give you today, and we received some valuable feedback
19 from our stakeholders. The generic communication that
20 we're preparing has been drafted as a bulletin, but we
21 have not yet vetted the proposed action through
22 Management review and the Committee for the Review of
23 Generic Requirements, but we welcome any feedback and
24 observations that the Committee can provide on the
25 technical matters, as Mr. Sieber described.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The significance of this issue is relative
2 to how accurate the power level can be measured but
3 still maintain the plant operation within the licensed
4 power level. The accuracy issues that we're going to
5 discuss today are very small in comparison to the
6 plant safety margins. So this is not an issue that is
7 an immediate threat to public health and safety. This
8 is an issue relative to public confidence in the
9 regulatory process, and so that is the underlying
10 motivation for the resolution of these concerns.

11 I also want to mention that this is a very
12 controversial issue. This issue has been under study,
13 debate and comment since the middle of 2000. And with
14 that, I'd like to introduce Angelo Marinos who is the
15 Section Chief of the Instrumentation and Control
16 Systems in the Electrical Engineering Branch. He is
17 going to provide a presentation, the staff's
18 presentation.

19 I also want to point out, Dr. Bonaca, I
20 believe that we have time on the schedule for a
21 representative from Caldon. I think you said that
22 there were no requests from the public for
23 presentations, but a representative from Caldon is
24 going to provide a vendor's perspective. And Jose
25 Calvo has time on the agenda where he's going to put

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the technical issue into perspective relative to how
2 we're proceeding with the resolution of these issues.

3 And so with that framework to the staff's
4 presentation -- and I'm peddling just a little bit
5 more until I see Angelos' slides come up on the
6 screen.

7 MR. SIEBER: Keep going.

8 CHAIRMAN BONACA: If it fails, we have
9 handouts and you can go to the presentation referring
10 to the pages. I'm saying that if it fails, I mean we
11 have handouts, so you can walk us through the
12 presentation.

13 MR. MARINOS: I can start with Slide
14 Number 2, which identifies the topics that we're going
15 to discuss --

16 DR. WALLIS: Do you have the microphone
17 on?

18 MR. SIEBER: Maybe the handheld microphone
19 would be better.

20 MR. MARINOS: Can I have the microphone,
21 please?

22 MR. SIEBER: Just for the record, we have
23 to use the microphones because the court reporter
24 needs to be able to hear --

25 DR. SHACK: It's better to put it on your

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 necktie up close.

2 MR. SIEBER: Is it turned on?

3 MR. MARINOS: Okay? Can you hear me now?

4 MR. SIEBER: Okay. You're in good shape
5 now.

6 DR. WALLIS: You have a bottle in the way.
7 It's an AP 1000 on the screen.

8 DR. SHACK: Would you take that bottle out
9 of the way?

10 MR. MARINOS: My Slide Number 2 is the
11 presentation of the topics that we're going to
12 discuss. Number 1, of course, is the thermal power
13 measurement, as Mr. Sieber, briefly mentioned, and the
14 various topics as we go along.

15 In Slide Number 3, I'll give you a quick
16 summary of the type of principal parameters that play
17 an important role in the calculations of thermal
18 power. In the PWRs, thermal power is called
19 calorimetric calculation, and I have listed the
20 principal parameters. Starting with Number 1 is the
21 feedwater flow, which provides about 80 percent of the
22 uncertainty that is attributed to the calculation of
23 the power, thermal power. And various other
24 parameters are listed down below.

25 With regard to boiling water reactors, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 calculation is called a heat balance calculation and
2 has similar parameters with the feedwater being again
3 the principal component that provides the maximum
4 uncertainty with regard to calculations of the thermal
5 power. Unless there's questions on this, I will go on
6 to the next slide.

7 Appendix K, Part 50, ECCS calculation
8 evaluation models, the Appendix K requirements that
9 have been imposed on licensees until recently, till
10 late 1999, was to assume the plant operating at two
11 times the power calculated to account for uncertainty
12 associated with instrumentation that measures the
13 parameters.

14 In late '99, the staff decided to
15 reevaluate, reassess the adequacy of that Appendix K
16 requirement in considering of new technologies that
17 were being presented to the staff with more accurate
18 instrumentation that could be utilized to measure
19 feedwater flow. So, therefore, the Item 2 in the
20 bullet was introduced into the Appendix K, and the
21 Appendix K was officially revised and published to
22 account and to allow for licensees to use more
23 accurate instrumentation and claim better accuracy and
24 more power generation. So, therefore, the penalty was
25 reduced to whatever the accuracy of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 instrumentation would allow it to become.

2 In my next slide, Number 6, I have a
3 typical depiction of a flow meter, ultrasonic flow
4 meter that introduced to industry for use in the
5 feedwater flow measurement. And this is a transit
6 time technology instrument proposed by Caldon
7 Corporation and is a clamp-on type instrument. This
8 instrument indicates how the flow is measured by
9 external transmitters and receivers at the other end
10 at some angle from the flow, and two signals are
11 transposed. One signal is going upwards, one
12 downward, and the difference of the two signals
13 received by the respective receivers will calculate
14 the velocity of the fluid. And then, of course, that
15 information will be put into the mass flow
16 calculations of the feedwater.

17 DR. WALLIS: Now, this method measures the
18 average velocity across a diameter, which is not the
19 same as the average velocity over an area --

20 MR. MARINOS: Correct.

21 DR. WALLIS: -- which is what you want.

22 MR. MARINOS: That with a correction
23 factors associated --

24 DR. WALLIS: There must be a correction
25 factor.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MARINOS: Correct. The correction
2 factor will be entered to calculate the average
3 velocity of the fluid, but this is merely the
4 velocity.

5 DR. RANSOM: Is the shape pulse -- what
6 sort of pulse, ultrasonic pulse do they use?

7 MR. MARINOS: I am not sure what type is
8 a continuous signal. I don't know if it's a --

9 DR. RANSOM: They measure time and flight,
10 I guess, as opposed to --

11 MR. MARINOS: The time, yes.

12 DR. RANSOM: -- phase shift.

13 MR. MARINOS: Not this one. It does not
14 measure phase shift in this particular time.

15 MR. SIEBER: Well, let me ask another
16 question. From zero flow to full flow, there is a
17 difference in the amount of time that it takes to go
18 from the transmitter to the receiving transducer.
19 What is that time difference? Is that in the
20 nanosecond range?

21 MR. MARINOS: As we indicated in the
22 slide, it's one microsecond for measuring the actual
23 flow. I don't know from lower flows to what would be
24 the time.

25 MR. SIEBER: From zero to full flow,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 microsecond.

2 MR. MARINOS: To my left, I'm sorry, I
3 didn't introduce Iqbal Ahmed. He is working with me
4 for a number of years under my supervision. We have
5 both of us reviewing the technologies that you're
6 presenting here. So we have a background.

7 MR. SIEBER: So part of the uncertainty
8 associated with measuring flow in this instrument is
9 the measurement of the amount of time that it takes
10 for the signal to go from transmitter to receiver.
11 And I would -- ignoring the fact that the flow is not
12 parabolic and that you really don't know what the flow
13 shape is as you open and close feedwater valves and
14 you have elbows in the pipe and all kinds of things
15 going on, I would presume that the measurement of that
16 time is one of the contributors, one of the major
17 contributors to the error, whatever error there is --

18 MR. MARINOS: That is the major, yes,
19 indeed.

20 MR. SIEBER: Okay. And the other one is
21 assumptions you have to make about what the flow shape
22 is.

23 DR. WALLIS: The correction factor that we
24 mentioned earlier must depend upon whether there are
25 elbows upstream and all sorts of things.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SIEBER: Well, it changes as you
2 change power level, because close to where you measure
3 feedwater is --

4 MR. MARINOS: Is the velocity purifier
5 that you're referring to. Yes, those things are
6 accounted for.

7 MR. SIEBER: It's the feedwater regulating
8 valve. And when the valve is closed, you get a
9 different shape than when it's wide open. And
10 depending on whether you have steam-driven pumps or
11 electric pumps, you're going to get a different
12 response.

13 MR. MARINOS: Those are plant
14 configurations that one has to account for.

15 MR. SIEBER: Yes. And with a single set
16 of transducers, that's pretty hard to do. I mean you
17 have to make a lot of assumptions to get there.

18 MR. MARINOS: Now, this instrument has not
19 been approved by the staff for application in
20 feedwater systems as it relates to Appendix K
21 relaxation.

22 MR. SIEBER: Okay.

23 MR. MARINOS: As I will discuss later on
24 in other slides, it was used for just merely to
25 accommodate the venturi.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SIEBER: Okay.

2 MR. MARINOS: So it was just merely used
3 for --

4 MR. SIEBER: So in this application, the
5 venturi is still the primary way to measure flow.

6 MR. MARINOS: Correct.

7 MR. SIEBER: Okay.

8 DR. WALLIS: Well, the next slide shows
9 one with several transit times, which makes more
10 sense.

11 MR. MARINOS: The next slide, yes. This
12 is advanced technology by Caldon, and this is an in-
13 line type instrument. Again, it's the transmit time.
14 The principle is exactly the same as the one we just
15 described in the previous slide. The only difference
16 here is, as you see, this is a spool piece, and the
17 transmitters are embedded into the pipe to, of course,
18 minimize the influences of the external pipe effects.

19 DR. WALLIS: But now they're getting
20 several slices. They're not getting one slice --

21 MR. MARINOS: Correct.

22 DR. WALLIS: -- they're getting eight
23 slices.

24 MR. MARINOS: This is the chordal design,
25 yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SIEBER: Well, it has the advantage
2 also of being able to accurately place the transmitter
3 receiver errors so that you really know the distance
4 as opposed to something you would actually clamp on
5 the outside of the pipe.

6 MR. MARINOS: That's the intent of that
7 design.

8 MR. SIEBER: Yes.

9 MR. MARINOS: And as I'm depicting over
10 here, I have two cylinders with a plus sign. This is
11 to enhance the accuracy and of course achieve better
12 power levels and get closer to the two percent penalty
13 of the Appendix K. So the one cylinder is called LEFM
14 Check and the combination is called LEFM CheckPlus,
15 which is down below, indication of the instrument. So
16 both of those configurations have been approved by the
17 staff, the single Check and the CheckPlus, for
18 implementation in the feedwater systems. And the
19 CheckPlus, of course, commands higher accuracy and
20 more power uprates, as opposed to the Check.

21 Now we come to another technology, which
22 is called the Cross Correlation, Cross flow, proposed
23 originally by CEABB and then purchased or taken over
24 by Westinghouse a couple of years ago. This
25 technology is different in the transit time in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 sense that the transmitters, of course, as you see,
2 are in a -- it's an external device, and it has a
3 transmitter and receiver on the other end
4 perpendicular to the axis, and it has two of them, of
5 course, one in transmitting and the other receiving.

6 The principle here is that the ultrasonic
7 signal will be modulated at the A point, at the
8 receiving end, at the transmitting end and received at
9 the bottom of the receiving end. And then the same
10 signal will be modulated again at -- not the same --
11 the eddys. There's eddys that flow in the pipe at
12 this particular force. When the flow is turbulent,
13 you will generate eddys. These eddys are modulating
14 the signal, and then when they pass through that
15 signal -- pass through that Point A to Point B,
16 they're received at Point B, then the signal will
17 again be modulated by the same eddys in a phase shift.
18 And, therefore, there will be reconciliation of the
19 two signals at the software to determine the delay
20 time of that eddy. So that, again, will be used to
21 calculate the average velocity of the fluid.

22 DR. WALLIS: And, of course, the eddys
23 move at different speeds, so there's a whole spectrum
24 of delay times, and there has to be some kind of
25 intelligence signal processing or something to figure

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 out what the errors are.

2 MR. MARINOS: There's a number of signals,
3 yes. There is a discrimination. The signal is
4 physically shifted by the particular eddy. So
5 whatever the receiving end of that instrument will
6 identify --

7 DR. WALLIS: It isn't a unique thing,
8 though. There are different eddys, so there's some
9 kind of smearing of the signal. They must be looking
10 for some maximum cross correlation or something.

11 MR. MARINOS: Cross correlation is exactly
12 what it is.

13 DR. RANSOM: There's an entire spectrum of
14 eddys across the pipe, so I'm wondering how do you
15 pick out which one?

16 DR. WALLIS: You don't. You get an
17 average of the whole lot, and then --

18 DR. KRESS: I think your signal would have
19 a perturbation time to it, and I think the perturbation
20 time may be small compared to 50 milliseconds.

21 DR. WALLIS: But you see what I mean.
22 Some of the --

23 DR. KRESS: That allows you to make sort
24 of an average --

25 DR. WALLIS: Well, some of the eddys take

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 40 milliseconds to cross, some of them take 60
2 milliseconds.

3 DR. KRESS: Yes. Yes. But the
4 difference, the 40 to 60 is small compared to --

5 DR. WALLIS: It may well be, it may well
6 be, but that's one of the sources of error.

7 DR. KRESS: Yes. It's an error source.

8 MR. SIEBER: On the other hand, to
9 interpret what the received signal means you have to
10 make assumptions about the flow shape and the velocity
11 profile.

12 DR. KRESS: It's a perturbation over the
13 normal signal you get.

14 MR. SIEBER: Yes.

15 MR. MARINOS: Again, the velocity profile,
16 it will be determined to generate the correction
17 factor that will be applied with the velocity to
18 generate the average velocity for the fluid.

19 DR. WALLIS: At the same point, if you
20 have this control valve just upstream, you might have
21 a jet along one wall, which would mean that --

22 MR. SIEBER: That's correct.

23 DR. WALLIS: -- the averaging is not very
24 good at all.

25 MR. SIEBER: Well, they make an effort to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 not have the measuring venturi in these devices close
2 to an elbow or a control valve. On the other hand,
3 the basic freshman college assumptions about how long
4 and how much distance it takes for flow to straighten
5 out are probably too simplistic for an application
6 like this.

7 MR. MARINOS: The delay time and the
8 calculation for the average velocity and ultimately,
9 of course, the mass flow rate of the fluid is
10 calculated before the instrument is placed on the --
11 they have a general idea where they're going to
12 install the instrument.

13 MR. SIEBER: Right.

14 MR. MARINOS: They calculate on some
15 assumed values, hopefully close to whatever the
16 conditions are of the fluid, and then the instrument
17 will be placed there and see whether they can match.
18 If not, they will have to evaluate more specifically
19 the parameters that they are assessing, so the
20 instrument may not be in the original place, may have
21 to be moved further away in order to meet those
22 expectations. So that's how it's adjusted.

23 MR. SIEBER: Yes. Just to give some
24 perspective, my recollection of the size of the
25 feedwater line, there is a line and a control valve

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 for each steam generator in a PWR, and you're
2 basically talking about maybe a 36-inch line. So this
3 is not a small device, and these components are not
4 small; they're big. And so when you talk in terms of
5 downstream pipe diameters, you're talking many, many
6 feet, which doesn't exist in any power plant that I
7 ever worked in. They try to jam ten pounds of stuff
8 into a two-pound box.

9 Could you use the microphone if you're
10 going to speak, please? There you go.

11 MR. AHMED: However, in the particular
12 part of this gas flow, revisions have been given that
13 could take care of all these. We cannot say in public
14 because all of them are proprietary.

15 CHAIRMAN BONACA: All right. So let's
16 move on.

17 MR. MARINOS: Non-power rate used for all
18 centimeters, as I indicated earlier, with the clamp-on
19 type of the transit time instrument. These
20 instruments were utilized extensively at plants for
21 just assessing the power level without requests for
22 relaxation of Appendix K requirements. And those
23 instruments have been used as a one-time venturi
24 calibration. We don't have any data on where they may
25 be right now or whether they have been used. We

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 believe that they have. Of course the ultimate
2 objective of the bulletin is to find out where they
3 have been used as a one-time venturi calibration. And
4 another area where these instrument have been used is
5 for power recovery for venturis, as we indicated.

6 We have been notified of various problems
7 with the implementation application of the system in
8 some cases. Maybe the instrument was not properly
9 placed or the instrument was not properly calibrated
10 there. My first bullet indicates the events that we
11 have been notified of and know of in the use of these
12 transit time clamp-on instruments. At River Bend,
13 there was approximately about two percent over power,
14 and at Palo Verde, more recently, we were notified
15 that the instrument was removed because of potential
16 over power between one to three percent. This has not
17 been confirmed yet.

18 DR. WALLIS: How do they know That?
19 They've compared it with something?

20 MR. MARINOS: I would say it has not been
21 really confirmed yet. The over power at River Bend,
22 two percent, was stated to us as a final conclusion.
23 With regard to Palo Verde, it is not clear yet whether
24 this --

25 DR. WALLIS: How do they know it? Do they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 compare it with some other measurement which is more
2 accurate or something? How do they know that it's two
3 percent over power?

4 MR. MARINOS: It's a surprise to me. I
5 really do not have the data on this how they
6 determine. We just accepted the fact that there was
7 an overpower, and the instrument was removed.

8 DR. FORD: So how do we know we have a
9 problem if you don't have a comparison with a more
10 accurate meter?

11 MR. MARINOS: As we go along, I will speak
12 to the instruments that we have as NRC-approved for
13 use, and then I can speak to this this way. This
14 particular application here was not approved by the
15 staff, so we just merely had received this information
16 on application of these instruments without approval
17 from the staff, so we don't have 100 percent --

18 MR. LYON: Warren Lyon. With respect to
19 River Bend, our understanding is they discovered the
20 problem with the clamp-on device when they were
21 upgrading to the more accurate in-line Caldon device.

22 DR. WALLIS: So they were comparing with
23 something which was a more accurate measuring device.

24 MR. LYON: That is correct. I believe it
25 was with the AMAG device, which, as you correctly

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 noted earlier, takes eight shots and gets basically
2 eight velocities and then feeds that in through the
3 profile to see where they are.

4 MR. SIEBER: Now, this is a way of putting
5 all this in perspective. If the feedwater flow
6 instrument reads low, that indicates that the reactor
7 is putting out less power than it perhaps actually is,
8 and so the operator would manually increase reactor
9 power. And if the amount that he increases it to get
10 his meter to read 100 percent, that could put him
11 outside the analyzed condition for Appendix K. Now,
12 that makes the licensee in non-compliance and in an
13 unanalyzed condition, which is a serious thing.

14 On the other hand, I think it's important
15 to understand what this really means in terms of
16 margin. Is the plant instantly going to melt down?
17 The answer is no. If you have an accident, are you
18 going to exceed the final acceptance criteria? That
19 depends on how much margin you have. On the other
20 hand, operating in an unanalyzed condition is
21 forbidden by law, okay? And so that's why this issue
22 becomes significant.

23 MR. MARINOS: With regard to the Bullet 2
24 of the cross flow clamp-on type utilization of Byron
25 and Braidwood, there we do have information. We

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 started to be concerned because of differences between
2 Byron and Braidwood. Byron and Braidwood are sister
3 plants and equally designed and expected to deliver
4 the same power, but they were significantly different
5 in power generation, so we started to look into that
6 in Byron and Braidwood.

7 I am. I am showing the old slides. How
8 did that happen?

9 MR. GRIMES: I think we should switch back
10 to the paper slides. Those are not the slides that
11 have been handed out to the ACRS.

12 DR. WALLIS: What's the difference?

13 MR. SIEBER: Looks the same to me.

14 MR. GRIMES: This is an earlier version of
15 the slides. There are subtle differences.

16 DR. WALLIS: Well, that's not a major
17 error. No safety implications.

18 DR. SHACK: Yes. If that's the biggest
19 problem we have --

20 MR. MARINOS: So far it wasn't a real
21 problem.

22 MR. DENVACK: Angelo? Angelo? My name is
23 Steve Denvack. I'm the Section Chief in charge of
24 Palo Verde here at NRC. I just wanted to add the
25 point you didn't know how Palo Verde knew their

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 instrument was inaccurate. Palo Verde was informed by
2 Caldon, the manufacturer of the instrument that there
3 may be a problem with their instrument. That's how
4 they knew.

5 MR. MARINOS: Okay. Thank you. I'm
6 sorry. So far it wasn't a serious problem.

7 So with regard to Byron --

8 DR. WALLIS: So wait a minute. This
9 wasn't necessarily measurement that said they were in
10 this condition, it's they were advised by the
11 manufacturer that they might be in this condition. Is
12 that it?

13 MR. MARINOS: Palo Verde?

14 DR. WALLIS: Yes.

15 MR. MARINOS: I guess. I received that
16 information a week ago. We entered it into the slide
17 for information to all of us.

18 MR. SIEBER: Well, that's what the
19 manufacturer is supposed to do when they discover a
20 defect, is to notify the licensee.

21 MR. AHMED: As far as we know, Caldon did
22 go to Palo Verde and they made the determination that
23 this instrument should be taken out because it's not
24 reading correctly.

25 DR. WALLIS: Thank you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MARINOS: And with regard, as I said,
2 to Byron, there was a mismatch between Byron and
3 Braidwood, so we started to look into that, and the
4 licensee did and did various tests using a --
5 actually, they used a tracer test to determine the
6 actual instrument performance. So they arrived at
7 these values of overpower.

8 MR. SIEBER: Okay.

9 MR. MARINOS: Again, this instrument was
10 not -- though this instrument has been approved since,
11 in the utilization at Byron it was not and it was
12 prior to the -- so the way it was installed and
13 commissioned it was not clear to us whether they have
14 met the criteria that we have stipulated.

15 DR. WALLIS: Well, if you have a clamp-on
16 thing, you've got to clamp the thing on so that the
17 ends are within this less than one percent or whatever
18 you want, the right distance apart, which may not be
19 so easy to get it there, less than one percent, the
20 right distance apart.

21 DR. RANSOM: And also you get dispersion
22 and attenuation through the pipe wall as well as in
23 the fluid. Are all of the details of how these
24 inaccuracies are sorted out proprietary?

25 MR. MARINOS: They are proprietary. You

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 have been given copies, I hope, of the proprietary
2 document that we reviewed year 2000.

3 DR. RANSOM: You mean you have those.

4 MR. MARINOS: I think we submitted copies
5 to the ACRS.

6 DR. WALLIS: We saw something several
7 years ago.

8 MR. MARINOS: No, for this meeting today.

9 DR. WALLIS: Oh, for this meeting.

10 DR. RANSOM: We have some reports from --

11 CHAIRMAN BONACA: Yes. One of them was
12 proprietary.

13 DR. RANSOM: Yes. Are these NRC reports,
14 I believe, right?

15 MR. SIEBER: It's hard to tell.

16 DR. RANSOM: The Allegation Task Group?

17 MR. SIEBER: It's hard to tell. You can't
18 tell just by looking at the document who wrote it.

19 MR. MARINOS: No. That's not what I'm
20 referring. I'm referring to the actual topical report
21 received by us for review, formal review in year 2000
22 by ABBCE for this estimate with the specific
23 formulations for addressing the issues that you are --

24 DR. RANSOM: I don't know. We haven't
25 seen those, I don't think.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SIEBER: Well, one of the unfortunate
2 things about this presentation is there was no
3 subcommittee meeting on this subject. And the
4 documents came piecemeal, the latest of which was this
5 morning. And so it's difficult for us to follow what
6 goes on in this meeting when there's no advance
7 preparation for it.

8 CHAIRMAN BONACA: Why don't we let them --
9 I mean do you have more information provided? I
10 understand they're not providing proprietary
11 information, but, certainly, you can give us general
12 statements about what kind of factors or parameters
13 you're taking account of or they are taking account
14 of.

15 MR. MARINOS: Well, we can tell you that,
16 yes, there's a determination of profiles that are
17 extremely proprietary. There are mathematical
18 formulations that are novel, and so we can -- that's
19 about all we really can say in an open meeting. In a
20 closed meeting, we can delve into more details about
21 how those things are addressed and the uncertainties
22 that you are referring to are accounted for.

23 CHAIRMAN BONACA: Well, then let's proceed
24 and then see if in fact this lack of information on
25 our part makes it hard for us to come to any

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 conclusion or if in fact the issues that you're going
2 to present here, and I understand you have several
3 presentations, are going to be -- we can deal with
4 them without specific information.

5 MR. AHMED: In a nutshell, it is about 85
6 percent proprietary.

7 MR. GRIMES: Dr. Bonaca? This is Chris
8 Grimes. I mentioned at the outset that this is work
9 in progress and that we know we've fed some
10 information to the ACRS in a piecemeal fashion.
11 Angelos is going to describe a certain amount of the
12 evolution and timing and the references, and we will
13 go back and we'll put together a more complete
14 chronology and reference list that we can provide to
15 the Committee that you can review in the future and
16 then let us know which specific matters that you want
17 us to present to the Committee at a later time.

18 DR. WALLIS: Well, Chris, what are we
19 being asked to do? It seems that you approved some
20 instrumentation which now may not be up to quite the
21 accuracy that you thought it was? Is that the
22 problem?

23 MR. GRIMES: Yes, sir.

24 DR. WALLIS: Now, what are we supposed to
25 do about that? Are we supposed to do a technical

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 analysis of these instruments?

2 MR. GRIMES: We're here to inform the
3 Committee about a generic communication in process.

4 DR. WALLIS: Okay.

5 MR. GRIMES: And we welcome your feedback,
6 but we're not requesting the Committee make a specific
7 recommendation or write a letter or take an action at
8 this point.

9 DR. WALLIS: So you want to know that you
10 are on sound technical grounds; is that what you're --

11 MR. GRIMES: We expect to find out whether
12 we're on sound technical grounds when we present our
13 final recommendation to the CRGR. And in the normal
14 process of a generic communication, we would then come
15 to the ACRS and present the final action that's
16 proposed. In this case, because the CRGR review and
17 decision would occur in August and the Committee
18 doesn't meet, we didn't want to unnecessarily delay
19 the completion of the generic communication, so we're
20 actually coming to you out of sequence, because the
21 Committee doesn't meet in August.

22 MR. SIEBER: And, basically, you've chosen
23 the generic vehicle to be a bulletin, which just asks
24 for information from licensees.

25 MR. GRIMES: The form of a generic

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 communication in a bulletin, it requires that the
2 licensee make an affirmative response in finding that
3 the staff can then follow up with verification
4 inspections where and if appropriate. If it were just
5 to inform the licensees of an issue that they need to
6 deal with, it would take the form of a regulatory
7 information summary or at the minimum an information
8 notice. And it's conceivable that during the course
9 of the evolution of this recommendation, as Jose will
10 describe, it may change its form. Right now we're
11 proposing a bulletin.

12 MR. SIEBER: Well, the other choice you
13 could have had was to use a generic letter, and even
14 though generic letters and bulletins do the same
15 thing, it seems to me back in the days when I was an
16 addressee that I read the bulletins first and then the
17 generic letters right after that. So there is an
18 implied degree of importance that goes to the choice
19 of what the staff decides to use to communicate with
20 licensees. And perhaps later on you could tell us why
21 you chose the bulletin as opposed to a generic letter.

22 CHAIRMAN BONACA: Okay.

23 MR. MARINOS: This is staff review of
24 topical reports, and I'm coming to you now about the
25 two technologies. First, we reviewed the Caldon in-

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 line type, the one that is in spool with the
2 instrument inside the pipe. We reviewed that report
3 in 1997, and we issued a safety evaluation report in
4 March of '99 approving the document demonstrating the
5 accuracy of the instrument, as submitted to us.

6 DR. WALLIS: And this is the one that just
7 has one ultrasonic beam and not a --

8 MR. MARINOS: This is the LEFM Check.
9 This is the spool type with the --

10 DR. WALLIS: The simplest one. This is
11 the simple one.

12 MR. MARINOS: No.

13 DR. WALLIS: Oh, this is the eight one?

14 MR. SIEBER: Four

15 MR. MARINOS: I will go back.

16 MR. SIEBER: But they didn't cross.

17 MR. MARINOS: How do I go back?

18 DR. WALLIS: The Check is the simple one.

19 The first one is just a simple one.

20 MR. MARINOS: If you look at the Slide
21 Number 7 --

22 DR. WALLIS: But the first one is the
23 simple one.

24 MR. MARINOS: -- it would be the LEFM
25 Check.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. WALLIS: That's the second one.
2 That's the second bullet. The first one is just
3 simple LEFM by itself.

4 CHAIRMAN BONACA: I mean you have an SER
5 for all of them, right?

6 MR. MARINOS: Not for this one. I'm just
7 putting it on the board.

8 DR. WALLIS: You don't? Because that's
9 what it says.

10 MR. MARINOS: This was not submitted for
11 approval by the staff, so we never did.

12 DR. WALLIS: Am I looking at the wrong
13 slide then? If it has a little checkmark, the written
14 check, it's the --

15 UNKNOWN: The CheckPlus is written, and
16 the Check is just checked.

17 DR. WALLIS: Okay.

18 MR. SIEBER: Obviously, you didn't read my
19 draft letter. I didn't know how to make a check on my
20 computer, so I spelled it out.

21 DR. WALLIS: Okay.

22 MR. MARINOS: We reviewed the LEMF Check
23 and we issued an SER in '99, March of '99, approving
24 the claim accuracy, and a follow-up report with the
25 CheckPlus, as I showed in the slide, with the two put

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 together more transmitters are placed there, so higher
2 accuracy is claimed. And we also approved that
3 particular accuracy claim in December of 2001.

4 Next, we reviewed the CEABB topical report
5 that was presented to us in August of '99, and that
6 refers to the technology, the cross correlation, which
7 is different technology than the Transit Time, and we
8 issued an SER in March of 2000 accepting the
9 documented accuracy.

10 DR. RANSOM: What were those accuracies
11 based on? Calibrations made at the manufacturer's
12 facility or -- I mean they must have had some primary
13 way of measuring the amount --

14 MR. MARINOS: There is a number of ways.
15 Some are proprietary. I can only say that for this
16 particular, the AMAG instrument, there's a number of
17 data that were collected from actual applications to
18 compare against venturi application in the in situ
19 tests.

20 DR. RANSOM: Comparison to venturis?

21 MR. MARINOS: Yes. Clean venturis with
22 the known accuracy, right.

23 DR. RANSOM: There was also some
24 implication that weight tank methods were used?

25 MR. MARINOS: Yes. Yes. Yes. And other

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 methods. I don't know how far we can go, Iqbal, in
2 proprietary space.

3 MR. AHMED: Well, in general, what we can
4 say that first they developed this family which are
5 all proprietary, theoretically. Then they established
6 that the curves follow on the lab, and then they also
7 tested at the power plants and the curves follow.
8 That is what --

9 DR. RANSOM: At the power plant, they
10 would use the venturi measurement, I guess, for
11 comparison?

12 MR. AHMED: No. First, they developed a
13 curve, theoretical curves. Then it was -- the only
14 thing I can say that there were the three steps. If
15 I go in detail --

16 MR. MARINOS: Yes. We'll delve into the
17 proprietary nature we're concerned about.

18 MR. AHMED: I told you 85 percent of this
19 is proprietary.

20 DR. WALLIS: So we get into the usual
21 situation where you give us slides which are a whole
22 list of historical events and letters and reports, and
23 there's no technical information and no data. So how
24 can we evaluate anything?

25 MR. AHMED: We were under the impression

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that this has been --

2 CHAIRMAN BONACA: Well, let's -- I think
3 you're finally talking about the public concerns, and
4 we understand the extent of the concerns and what has
5 been called the allegations, because we had two
6 allegation documents in our hands. So maybe we have
7 to go through those and see what those issues are.

8 MR. SIEBER: Well, one of the things we
9 don't have, or at least I can't find it in the package
10 of materials that I got today, is the SERs where the
11 staff approved these instruments in the first place,
12 and I think that would be helpful.

13 MR. MARINOS: You did not receive them,
14 the SERs?

15 MR. SIEBER: No. Well, I don't know. You
16 gave me a bunch of papers and --

17 MR. MARINOS: George Dick was the liaison
18 between your staff and us, and --

19 MR. SIEBER: Did I get that?

20 MR. DICK: I didn't bring that with me.

21 MR. SIEBER: Well, see, that's the
22 starting point. How did the staff make the
23 determination in the first place, what factors did
24 they consider and how valid was that determination?
25 Then I think we can go from there and look at what has

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 evolved since then.

2 CHAIRMAN BONACA: But the reason why I
3 would like to hear about the allegation is that
4 central to the whole issue from the perspective of the
5 ACRS is the safety issue. Is it a safety issue and
6 what significance do we assign to it? What errors has
7 been alleged to be introduced, what factors are there
8 that have been considered by the manufacturer as
9 conservatism, because I understand there were
10 assumptions made? And so at least we get a sense for
11 --

12 MR. MARINOS: We will address this as we
13 go along in our presentation.

14 CHAIRMAN BONACA: I would like to hear
15 that so at least I get a feeling for why a conclusion
16 was made at the beginning by Mr. Grimes that this is
17 not such the issue of immediate concern. And so I
18 would like to have an appreciation for that, and I
19 think you have enough information at least you can
20 communicate to us of the extent of that.

21 MR. AHMED: It may be helpful to put in
22 two sentences, that when we approved the topical
23 reports, we still believe that both instruments had
24 the accuracy. At the end of the presentation, you
25 will find that they have the application problems

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 which have come up, and because of those problems,
2 there were allegations on the application problems.

3 MR. GRIMES: Dr. Bonaca and Mr. Sieber, I
4 would suggest let Angelo go through the chronology of
5 the evolution of the concerns, and I've made a note
6 that we'll go back and look -- we'll make sure that we
7 provide you with a complete list of references, and
8 we'll point you at where you can find the technical
9 information associated with the accuracy issues in
10 those references that Dr. Graham referred to, and
11 we'll lead you to where the information is that you --

12 MR. MARINOS: The SERs are good road map
13 to guide you. Of course, it will refer to sections of
14 the document that are proprietary, but, unfortunately,
15 you don't have it.

16 MR. SIEBER: Well, on the other hand,
17 we're cleared for proprietary information. The SER is
18 important, the topical reports are important, because
19 you can't work with one without the other. And it
20 would be better if you provided us with copies of the
21 documents rather than point us. I'm too old to take
22 pointing very well.

23 MR. GRIMES: Mr. Sieber, I'm sorry. I
24 meant to say we'll provide you with copies of all the
25 reference materials and, in addition, show you where

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you can find the information so you don't have to
2 review all of it to find the information you're
3 interested in.

4 MR. SIEBER: Right. Well, don't give me
5 any more than I need.

6 (Laughter.)

7 Thank you.

8 DR. WALLIS: So what are we supposed to
9 do? Are we supposed to review all this stuff and make
10 a decision which is --

11 MR. ROSEN: I think what Chris Grimes just
12 asked us to do is to listen, and I would really like
13 to do that. I would like the other ACRS members --

14 DR. POWERS: I wonder if the leadership of
15 the Committee could speak with one voice instead of
16 two.

17 CHAIRMAN BONACA: Okay. I'm saying that
18 let's hear the rest of this presentation and then make
19 a judgment at that point.

20 MR. SIEBER: Okay.

21 CHAIRMAN BONACA: Because there is a
22 history of actions here that is being presented, and
23 they may address some of the issues we have discussed
24 her.

25 MR. SIEBER: Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MARINOS: This is Slide Number 12. It
2 just indicates the number of plants that have been
3 granted power uprates for both technologies. But
4 anticipating that we will have a number of licensees
5 taking advantage of these technologies and ask for the
6 relaxation of Appendix K, we engaged industry a number
7 of times in workshops and we developed regulatory
8 information summary where we identified specific
9 criteria and requirements that they should address for
10 us to make the evaluations more efficient and quick.
11 So we issued that regulatory summary in January 2002.

12 Subsequently, we have evaluated a number
13 of plants, and the second bullet identifies 21 plants
14 that presently employ the Caldon in-line instrument.
15 In some cases, the Check; others the CheckPlus. And
16 the bottom bullet identifies 12 plants that have been
17 using the AMAG cross flow clamp-on type instrument for
18 power uprates. They range between 1.4 to 1.7 power
19 uprate.

20 Public concerns of the UFM accuracy. On
21 March 8, 2000, the NRC met with Caldon at the request
22 of Caldon where Caldon expressed concerns with the
23 technology of the cross correlation, cross flow
24 instrument that Westinghouse -- pardon me, Combustion
25 and AMAG had submitted to us for review. Over the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 process of reviewing that instrument, they've known
2 all that, and raised concerns about the technology and
3 wanted to give us information ahead of time so that we
4 would consider it in our evaluations of the
5 technology.

6 DR. WALLIS: Now, this was a week before
7 you issued an SER which accepted the accuracy of the
8 --

9 MR. MARINOS: Correct.

10 DR. WALLIS: So this had no effect on the
11 SER.

12 MR. MARINOS: It had no effect on the SER.
13 Prior to March 8, they had communicated with us with
14 some public information technical documentation that
15 dates back to February 16, actually. I didn't place
16 it in this list because I didn't think it was that
17 important, but as early as February 16 is when Caldon
18 contacted the staff with some documentation of a
19 public technical information in a binder that was
20 provided to us. We evaluated that, and we granted
21 them a meeting of March 8, and they followed up with
22 letters reaffirming their position that this
23 technology has questions. On March 15, they restated
24 that the bounding value claimed by the Westinghouse
25 AMAG cross flow instrument of 0.5 percent is not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 accurate, and in a March 17 letter, they restated that
2 the instruments could be -- there are estimations that
3 could be as high as three percent inaccurate. And
4 then we issued the minutes of that meeting on March
5 17, internal documentation, and on March 20, we issued
6 that SER, as we indicated.

7 DR. RANSOM: What were those memos based
8 on? Now, Caldon is a competitor to Westinghouse; is
9 that right?

10 MR. MARINOS: Right.

11 DR. RANSOM: But they had done independent
12 testing of the Westinghouse meter?

13 MR. MARINOS: I don't think so. From
14 public pronouncements, it was stated -- we have it in
15 the chronology that they do not have much knowledge
16 about the cross flow. The statements that were made
17 prior to that and reported in the press it was that
18 they have knowledge of the cross correlation
19 technology but not about the cross flow. Cross flow
20 is a cross correlation but with specific technical
21 features that are specific to AMAG. So there are
22 those, so I really --

23 DR. RANSOM: And what did they base their
24 statements on?

25 MR. MARINOS: Their statements are that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the velocity profiles cannot well be defined. There's
2 too many uncertainties associated with this type of
3 technology to accurately account for uncertainties
4 associated in establishing velocity profiles for
5 correction factors to the time that we indicated
6 between the transmitters on the eddy.

7 DR. RANSOM: Is that just a professional
8 opinion or --

9 MR. MARINOS: In the meeting of March 8,
10 there was a number of technical consultants that were
11 -- Caldon brought a number of consultants to support
12 their claim that this technology cannot be implemented
13 accurately. And we listened to the technical
14 arguments and decided that we had, as Iqbal indicated,
15 85 percent of this technology is not publicly
16 available, it's proprietary. So how uncertainties
17 were accounted for we could not share that with the
18 public or any one of the consultants that participated
19 in the public meeting. So we decided that we were
20 satisfied with the information we had to issue the SER
21 accepting the technology.

22 DR. WALLIS: Well, I would think that
23 these uncertainties could be determined in the form of
24 some mathematical relationships, which would not be
25 proprietary since they could be deduced by anybody

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 with appropriate expertise.

2 MR. MARINOS: There are mathematical
3 formulations that they generated that are not
4 available in the public --

5 DR. WALLIS: But anybody with sufficient
6 knowledge should be able to deduce these mathematical
7 formulations.

8 MR. MARINOS: That's correct. But there's
9 also other data there that --

10 DR. WALLIS: So you could find a suitable
11 consultant who could do that.

12 MR. MARINOS: There is proprietary
13 information to clarify your question.

14 MR. SIEBER: Okay.

15 MR. MARINOS: This is a continuation of
16 the public concerns Caldon submitted to us in January
17 of 2002, an engineering report for ER 262 in which
18 they had identified a phenomenon that they had not
19 accounted for previously as it relates to their
20 instrument in the earlier Check instrument. And that
21 was the swirl velocity phenomenon that caused the
22 instrument to exceed its bounds.

23 MR. ROSEN: Would you say that again?
24 What phenomenon?

25 MR. MARINOS: Swirl velocity.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ROSEN: Swirl velocity.

2 MR. MARINOS: Correct. And led them to a
3 reevaluation of the instrument's performance and led
4 them into the reevaluation of the clamp-on type
5 instrument, which was not approved by the staff, and
6 realized that inaccuracies or uncertainties related to
7 the instrument based on that phenomenon could be
8 higher than they expected before. So they nullified
9 some of their licensees who were using the clamp-on
10 type instrument to either remove it or reassess the
11 application of the instrument.

12 They submitted this report, however, to
13 also notify us. It was voluntary information to us
14 that other clamp-on instruments, such as the cross
15 flow, would have the same -- would be affected equally
16 by this phenomenon, as they indicated. It was not
17 submitted to us formally for review for us to submit
18 -- to write an SER. We informally informed them back
19 that, yes, we agree with their conclusions that the
20 instrument -- the LEFM in-line instrument used for
21 power uprates could correctly account for this if the
22 bounding value for the instrument is placed correctly
23 in an alarm. So, therefore, we took no further action
24 with the report.

25 Caldon contacted us again and requested

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that we formally review this topical report, this
2 report of theirs, and the staff charged them for that,
3 because any formal review we do the licensees or any
4 vendors would have to be charged for it. We conducted
5 this review. In the meantime, this document was a
6 public document. Westinghouse voluntarily submitted
7 an unsolicited report challenging the conclusions and
8 insinuations, so to speak, by Caldon regarding the
9 cross flow instrument.

10 We evaluated that document also, and we
11 finally issued a formal safety evaluation report of
12 the ER 262 reaffirming our conviction -- conclusion
13 that the LEFM in-line instrument would not be affected
14 in its performance as Caldon applies it for power
15 uprates and at the same time indicated to them that
16 the phenomenon that they identified that affected
17 their instrument had no relationship to the AMAG cross
18 flow instrument because the technology does not --
19 that's it, I'm not going to say anymore.

20 MR. ROSEN: That is the swirl velocity
21 phenomenon.

22 MR. MARINOS: The swirl velocity.

23 DR. WALLIS: Well, it seems to me, I was
24 thinking here that if you have swirl in the pipe, that
25 it has everywhere a velocity component in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 direction of this transmitted beam, and therefore it's
2 bound to affect the reading.

3 MR. MARINOS: They identified that,
4 correct.

5 DR. WALLIS: Yes. And this has been
6 sorted out by some suitably competent expert? It
7 seems a very straightforward thing to do.

8 DR. POWERS: It definitely does not seem
9 like a straightforward thing to me to do.

10 MR. SIEBER: Let me ask an additional
11 question. The title of your slide and the previous
12 one is, "Public Concerns of UFM Accuracy." Now, in
13 the nuclear world, there are three people. One of
14 them is the licensee, another one is the staff, and
15 the third one, which encompasses everybody else, is
16 the public. But the documents that you showed here
17 seem to me to be an argument or letters between Caldon
18 and Westinghouse. Is there any other public interest
19 where you have gotten letters or what have you or are
20 these two entities the public of which you speak?

21 MR. MARINOS: Yes. I have no knowledge of
22 anybody else's --

23 MR. SIEBER: Okay.

24 MR. MARINOS: -- concerns.

25 MR. SIEBER: That helps me understand a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 little bit.

2 MR. AHMED: On the previous question that
3 was about the swirl not affecting the cross flow, it
4 is very clearly explained, defined in the proprietary
5 section of 15689 double gap.

6 MR. MARINOS: Again, we cannot discuss the
7 details because of the proprietary nature.

8 MR. SIEBER: Okay.

9 MR. GRIMES: Mr. Sieber, and I would like
10 to point out in addition to the controversy
11 surrounding the views of the two vendors involved,
12 there also have been throughout the course of this
13 dialogue some allegations raised by individuals who
14 work in the industry related to the performance of
15 these devices.

16 MR. SIEBER: Okay.

17 MR. GRIMES: So there is that source of
18 information as well.

19 MR. SIEBER: Okay. That's helpful. So
20 they're either licensee employees or vendor employees.
21 Who knows, right? Okay. Go ahead. Thank you.

22 MR. MARINOS: Staff concerns of UFM
23 accuracy. The agency, given all this background over
24 the number of years, decided to take an independent
25 review -- conduct an independent review of these

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 instruments of both vendors, and this task force was
2 commenced in February and issued the reports in mid-
3 April.

4 In June of 2004, the list of bullets
5 identifies their observations and recommendations. It
6 says Bullet 1, "Identify issues with regard to one-
7 time use of the instrument, power recovery and power
8 uprate applications." They have, based on the
9 information that they collected in meetings that they
10 had with Westinghouse, they identified sensitivity of
11 plant configurations and based on performance, of
12 course, at Byron. Byron demonstrated to the staff
13 that there were configuration situations where the
14 instrument will not perform as expected to if the
15 configurations were not properly accounted for or
16 bounded. More importantly stated is that they should
17 have been bounded.

18 And based on the limited time that they
19 had to do these evaluations -- as you understand, it
20 was only a few months -- they were left with the
21 impression that the instrument may provide the
22 expected accuracy if properly implemented. And so the
23 emphasis would have to be placed on the actual
24 implementation application and configurations that the
25 instrument is being applied at.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 They identified that some Caldon clamp-on
2 instruments had not provided the accuracy, as we
3 indicated, at some of the events that occurred with
4 the clamp-on type of the Caldon instrument. And the
5 Caldon LEMF Check and the CheckPlus appear less
6 sensitive installation and configuration clamp-on than
7 the clamp-on designs.

8 DR. RANSOM: One clarification on the
9 Caldon clamp-on. Is that just one single beam as
10 opposed to the Check which has three beams and the
11 CheckPlus has six beams?

12 MR. MARINOS: Yes, only one. Yes.

13 DR. RANSOM: But its clamp-on has just one
14 beam; is that right?

15 PARTICIPANT: No, that's not correct.

16 MR. MARINOS: Is that correct? Let me see
17 here what we have. I think we can -- yes. We may
18 have the wrong picture up, because when we had the
19 public meeting, Caldon informed us that this was a
20 generic --

21 MR. GRIMES: Herb, there's a microphone
22 right over there on the other side of the post.

23 MR. ESTRADA: Just to correct the
24 information, there are four, not three, beams -- Herb
25 Estrada of Caldon. On the facts, there are four beams

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in the LEFM Check and eight in the LEFM CheckPlus.
2 And in caldon external meters, which has been pointed
3 out are not used for uprates, there are typically four
4 beams. They're not obviously -- there are two
5 diagonal beams, usually located at right angles to
6 each other so that transfers to velocities do not
7 affect the measurement. And then there is a cross
8 path that's directly across two cross paths. The
9 purpose of that path is to get an accurate measurement
10 of the sound velocity unaffected by law, so to speak,
11 so that you can get an accurate reading.

12 The ACRS was correct earlier when they
13 said that type of meter is in fact sensitive to
14 velocity profile. You don't in fact require knowledge
15 of the velocity profile to translate those two
16 diameter readings of velocity into a volumetric flow.

17 DR. RANSOM: So the situation is somewhat
18 more complicated than simple views, I guess, right?

19 MR. SIEBER: It appears to be the case.

20 MR. MARINOS: Another observation the task
21 group named was that it did not information based upon
22 recent insights that demonstrates all UFMs are
23 providing accuracy, which leads us, of course, to the
24 recommendation at the bottom where a recommendation
25 was made that the bulletin be issued so that we can

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 resolve all these concerns that we have.

2 MR. SIEBER: Okay.

3 MR. GRIMES: Mr. Sieber, this is Chris
4 Grimes. The task group was headed up by Jerry
5 Wermiel. Jerry and two of the task group members,
6 Cliff Doubt and Warren Lyon, are here and can respond
7 to any particular questions about the review that they
8 did. But we want to emphasize that you'll notice that
9 their efforts extended from February in 2004 until
10 mid-April of 2004, and so the lack of information
11 available to them was primarily a result of the
12 compressed review time that they had to look at this
13 particular issue. And we want to make sure that the
14 point was clear in the task group findings.

15 MR. MARINOS: And you lead us to the last
16 slide, which is the recommendations for our bulletin.
17 We have identified key elements of the bulletin where
18 we advise the licensees that plant operating
19 experience at some installations has led to the staff
20 to conclude that both of the instruments may be -- we
21 have questions about the application and the
22 performance of the instruments.

23 MR. SIEBER: Let me ask a brief question.
24 Let's say I was a plant operator and I decided to buy
25 one of these instruments. Would that automatically

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 presume that I would use that instrument as the
2 primary and sole indication of feedwater flow for the
3 calculation of calorimetric power?

4 MR. MARINOS: If they want to use it for
5 the benefit of relaxation for Appendix K, yes, if I
6 were to buy the instrument, I will use it because of
7 the fact that the NRC has approved a certain accuracy
8 which is higher than the conventional instrumentation
9 that has been applied over the number of years. So it
10 is to their benefit to do exactly that.

11 MR. SIEBER: Okay. I can't think of any
12 other reason to buy one other than to use it as the
13 primary instrument. Did anyone buy one and not use it
14 in that fashion other than to experiment with it?

15 MR. MARINOS: Yes. Many plants have used
16 the instrument without having asked for relaxation of
17 Appendix K.

18 MR. SIEBER: Okay.

19 MR. MARINOS: So they use it in place of
20 the venturi just for recovery. The venturi, of
21 course, when it fouls it gives you false information
22 in a conservative direction, so you assume more power
23 than you're actually generating.

24 MR. SIEBER: Right.

25 MR. MARINOS: So it's extensively been

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 used, both technologies, for recovery from venturi
2 fouling. That's one significant application. But
3 other licensees that I listed in one of my slides,
4 they have asked for the relaxation for Appendix K.

5 MR. SIEBER: Okay. So you really don't
6 care about licensees who may own the instrument and
7 have applied it but don't use it for --

8 MR. MARINOS: We care very much right now,
9 and this is why we sent the bulletin, because, as we
10 indicated in the earlier slide, the instrument, if
11 misapplied, you could get the wrong values, and you
12 can overpower beyond the Appendix K penalty, which
13 covers all uncertainties. And this is where we
14 indicated earlier in the slide that we have events
15 like at Byron and at River Bend where they were using
16 the instrument for no power uprates and we have
17 realized they have been reporting to us --

18 MR. SIEBER: And still they ran over
19 power.

20 MR. MARINOS: And they run over power,
21 over the two percent penalty. So that is a concern to
22 us.

23 MR. SIEBER: Okay. That helps me
24 understand the scope of what the issues are. Thank
25 you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. GRIMES: Mr. Sieber, I thought I had
2 originally heard your question to be we don't care
3 about uses that are different or separate from
4 measuring power --

5 MR. SIEBER: That's right.

6 MR. GRIMES: -- and demonstration
7 compliance with the license. To the extent, we're
8 less concerned, but the generic communication is
9 intended to inform anyone who uses an ultrasonic flow
10 meter of the potential concerns regarding the intended
11 or achieved accuracy.

12 MR. SIEBER: Okay.

13 MR. GRIMES: And our focus here is to try
14 and take an affirmative action to have licensees
15 provide a demonstration of the achieved accuracy in
16 its installed condition. And that's what underlies
17 the recommendation for confirmation of the accuracy.
18 And that is a very controversial point in terms of
19 doing a comparison of this superior instrument to an
20 ASME flow nozzle or venturi which even in a clean
21 condition has its own accuracy. And so that's a part
22 of the controversy that we will continue to pursue.

23 MR. SIEBER: Okay. Thank you.

24 MR. MARINOS: And, furthermore, the task
25 group identified concerns with regard to the Caldon

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Check and CheckPlus instrument because of plant
2 configuration sensitivities also identified. As we
3 indicated before, the swirl velocity was another
4 indication of problems. The pump or valve alignments
5 may have created a configuration issue that the
6 instrument may be sensitive too and to some degree,
7 some technical data that can support instrument
8 performance. So based on all these considerations, we
9 felt that the Check and CheckPlus instruments of
10 Caldon should be included in the bulletin.

11 DR. WALLIS: But wouldn't you Bullet 3?
12 I mean it seems to me that to get a really good
13 measurement with an orifice, you have to have a huge
14 number of LOVD upstream and all this kind of stuff.
15 Are you going to insert this in the plant with all
16 these LOVD requirements. You can't do that, there's
17 no room to do it. It says in operational plant
18 conditions. You're going to put an ASME flow nozzle
19 in the plant?

20 MR. MARINOS: They are there.

21 DR. WALLIS: But you don't have all the --

22 MR. MARINOS: Okay. We've come to the
23 recommendations. Okay. The recommendations, we say
24 to them that every plant has either a nozzle or a
25 venturi, of course, because that's how they calculate

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 power presently prior to this instrument. And in the
2 case of Westinghouse's instrument, AMAG, that venturi
3 or nozzle is actually -- we apply a correction factor
4 to it, so the information coming out of the instrument
5 does not go directly into the calorimetric
6 calculations or the heat balance calculations. It
7 goes to a correction of the venturi, so it maintains
8 the proper flow.

9 With regard to the Caldon LEMF, in most of
10 the situations, they go directly to the calorimetrics.
11 However, again, the venturi is relied upon for allowed
12 outage times. When that instrument is not available,
13 the Caldon instrument will continually provide a
14 correction factor, and it will freeze at the point
15 where the instrument is no longer available for a
16 period of time that we have accepted in individual
17 licensee applications. So it's per licensee
18 application. So it may go from two days to three
19 days, four days or whatever the number is. I don't
20 have exactly what it is. So the venturi is relied
21 upon for the power calculations with a correction
22 factor fixed until the instrument is put back in the
23 line. So the venturis are there, or nozzles, for use.

24 DR. WALLIS: But they're not as accurate
25 as these other ones, and you're trying to check.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MARINOS: The knowledge we have -- I
2 beg your pardon? The knowledge we have of a venturi,
3 clean venturi, that's tested is between 0.25 to 0.3
4 percent accurate.

5 DR. WALLIS: That's upstream conditions
6 and everything, but you don't have that in the plant,
7 do you?

8 MR. SIEBER: No.

9 DR. WALLIS: You've got to be very careful
10 with a venturi or nozzle to have a straight pipe and
11 no swirl and no valves and all that kind of stuff, all
12 the things that you have in the plant.

13 DR. RANSOM: Do any of these installations
14 use flow conditioning or flow straighteners upstream
15 of the flow measuring device?

16 MR. MARINOS: I don't know of any. They
17 use -- do you have any knowledge of that?

18 MR. AHMED: In the plant, they could be,
19 because I have seen some reports where they created
20 the plant mockup where they have put these kind of
21 things. I cannot be sure.

22 DR. RANSOM: That would seem like an
23 approach that would tend to reduce effects of swirl
24 and asymmetry in the velocity profile.

25 MR. SIEBER: Yes. One of the problems,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 though, is it also introduces a pressure drop and that
2 costs money to overcome. You need a bigger pump to
3 put more energy into the pump. So if you generate one
4 extra megawatt per hour, that's \$34 or something like
5 that back in the days when I was doing it, and you
6 need to do that for a long time in order to start
7 talking about big money.

8 MR. GRIMES: This is Chris Grimes. First
9 of all, I'd like to clarify a point with respect to
10 the second bullet. The task group specifically
11 describes the laboratory calibration of the Check-
12 CheckPlus device, and the questions that they raised
13 relative to how well that information is used then to
14 demonstrate plant-specific installation. But they put
15 a lower priority on that and did not recommend a
16 specific action. So there is a distinction to be made
17 between the degree of demonstration of installed
18 capability between the Check and the CheckPlus device
19 and the clamp-on devices, which is described in the
20 task group report.

21 With respect to the confirmation of
22 installed accuracy for any ultrasonic flow meter,
23 Angelo has described a rationale that we've tried to
24 put together that is a means of trying to verify the
25 installed capability relative to the flow profiles and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 knowledge and capability that either or any of these
2 devices attempt to achieve and a means of trying to at
3 least do a sanity check, if you will.

4 This isn't the underlying technical basis
5 upon which the staff's evaluation concluded that these
6 accuracies are achievable, but the experience goes
7 back to has it been installed and is it being operated
8 consistent with the assumptions and the underlying
9 safety evaluation basis upon which the staff made a
10 finding that these accuracies are achievable.

11 And so to that extent, we're not trying to
12 now use an ASME nozzle anything more than a
13 referenceable standard in the way that you'd try to
14 use any referenceable standard to go back to verify
15 that you're doing things the way that you intended.

16 So there is also that distinction to be
17 made with respect to -- but this is a very
18 controversial subject with the industry in terms of
19 the costs and the effort involved and implementing
20 this kind of recommendation, but what we've come up
21 with is a means of trying to settle the controversy
22 about whether or not the as-installed, as-operated
23 conditions are at least close to what the expectations
24 were and the theory and the safety evaluation basis.

25 MR. MARINOS: And as we say, the bottom of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that recommendation, that we will acknowledge any
2 other standard of known accuracy. And one that we
3 know of is a tracer test that has been conducted in
4 other places. So if the nozzle or the venturi could
5 not meet the accuracy requirements to check the
6 instrument, there is other standards. I only brought
7 up tracer because I know tracers are other things that
8 may be available to them.

9 MR. SIEBER: What is that, a sodium test?

10 MR. MARINOS: Could be sodium, yes.

11 MR. SIEBER: Okay.

12 DR. WALLIS: And there's all kinds of
13 problems with tracer tests too, with axial diffusion
14 and all sorts of things.

15 MR. SIEBER: Well, every measurement you
16 take no matter what it is has some error associated
17 with it and some uncertainty.

18 MR. MARINOS: If we can reconcile the
19 error, we can normalize the values, of course, and you
20 can compare the instrument against that standard
21 knowing its accuracy, and then if the values come out
22 to be consistent with that accuracy, then -- with a
23 number of data, not just one -- then you can make
24 adjustments about the instrument's performance.
25 That's where we're really coming from.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SIEBER: Right.

2 DR. RANSOM: Is there any concern with
3 off-nominal operation of these devices or are you
4 mainly just interested in full power, full flow
5 conditions?

6 MR. MARINOS: It's a full flow condition,
7 I guess.

8 MR. SIEBER: Right.

9 DR. RANSOM: That's the main one.

10 MR. MARINOS: That's the main -- that's
11 the important thing for them, right.

12 MR. GRIMES: This is Chris Grimes. The
13 last bullet there refers to confirmation from the
14 licensee relative to full power operation. If they're
15 using the device at less than that, we don't have a
16 regulatory concern.

17 MR. SIEBER: I would imagine this device
18 is not suitable to use in a control system, because
19 during transience it will not perform as expected. So
20 there you would have to rely on a venturi or a nozzle
21 or an orifice or something like that to measure flow,
22 for example, the control of the feedwater valve. So
23 this is truly an instrument that has no control
24 function.

25 MR. MARINOS: Right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. RANSOM: Well, along that line, is
2 there any time-bearing change in the flow rate that
3 you control in terms of this power measurement?

4 MR. SIEBER: Not really. There are
5 certain -- when you make a calorimetric measurement to
6 adjust your nuclear instruments, you do some things to
7 the plant so that you can make the plant operate in
8 accordance with the assumptions that go into the
9 calculation of calorimetric power, you know, the
10 letdown rate, cooling water rates, and you keep the
11 plant as steady as you possibly can during that period
12 of time at a known, supposedly known power level at a
13 steady state.

14 DR. RANSOM: Is that a demonstration that
15 you just have to do once or periodically or --

16 MR. SIEBER: You can do it -- we used to
17 do it every day. Now with computers you do it all the
18 time. But in the old days, you had to walk around
19 with your clipboard and your copy of Keenan and Keys
20 and fill out a sheet and actually use a slide rule.

21 DR. RANSOM: If you're doing it hourly, it
22 could still be in a -- you do a little bit of load
23 falling, I guess.

24 MR. SIEBER: Now, you can fix the output
25 of the station. Very few nuclear plants do load

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 falling.

2 CHAIRMAN BONACA: I understand we have two
3 more presentations, maybe three.

4 MR. SIEBER: Yes. Are we done?

5 MR. MARINOS: I'm through if you have no
6 more questions.

7 MR. GRIMES: Unless there are further
8 questions, Jose Calvo has a presentation to put this
9 issue into perspective, followed by a presentation by
10 Caldon and their views about the nature of the problem
11 and the action.

12 MR. SIEBER: I'd like to thank the
13 speakers for their presentations. Thank you.

14 Will you need the microphone?

15 MR. CALVO: We can put it in just in case.

16 MR. SIEBER: Makes for a better
17 transcript.

18 MR. CALVO: My name is Jose Calvo. I'm
19 the Chief of the Electrical Instrumentations and
20 Control Branch. I would like to present for your
21 consideration a different approach other than the
22 bulletin for addressing the ultrasonic flow meter
23 issue that causes nuclear power plants sometimes to
24 operate above the licensed thermal power.

25 I believe that the proposed bulletin

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ratchets this issue to a level higher than is
2 necessary, and the NRC needs to portray a strong
3 regulatory position, but most importantly, the NRC
4 needs to be fair. Without being fair, the agency may
5 damage its credibility. Furthermore, the bulletin is
6 not needed, and it will not fix the problem to remedy
7 overpower conditions, as I will explain later.

8 There is no proprietary information
9 involved in my presentation, so you don't have to
10 worry. Next slide.

11 The topics for my presentation are here,
12 and I will address the following topics, which I hope
13 will place the issue of ultrasonic flow meters in
14 proper perspective.

15 Safety significance. First, the plant
16 process computer in boiling water reactors and in
17 pressurized water reactors in nuclear power plants are
18 used to calculate thermal power. The calculation is
19 displayed to the operator. There are no systems which
20 act automatically upon calculating thermal power
21 output by the plant computer. The operator verifies
22 independently of the PC, using other secondary plant
23 parameter readings and expected process values
24 correlated to thermal power, that the current
25 calculated thermal power output is acceptable and thus

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it will not exceed the licensed power level. The
2 operator can then increase or decrease the power level
3 very slowly in the boiling water reactors by --

4 DR. WALLIS: So he knows -- your fourth
5 bullet

6 MR. CALVO: I'm sorry?

7 DR. WALLIS: -- he will know -- if the
8 calculated thermal power is two percent too high from
9 the flow meter, the secondary plant information will
10 tell him that it's two percent too high?

11 MR. CALVO: I think it's a correlation
12 between thermal power and first stage pressure in
13 correlation, and they've got values knowing that by
14 that time for that first stage pressure this is what
15 my thermal heat --

16 DR. WALLIS: So he will see that there's
17 some inconsistency?

18 MR. CALVO: He will see some
19 inconsistency. And I will explain as I go later.

20 DR. WALLIS: Okay. You will. Okay.

21 MR. SIEBER: Have you asked operators --

22 MR. CALVO: Oh, yes.

23 MR. SIEBER: -- if they look at first
24 stage pressure to assure themselves the calorimetric
25 power is accurate?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. CALVO: After being involved with some
2 presentations by the licensees who came to the NRC to
3 discuss this, and they showed some curves, some
4 trends, and they're here today. If you wanted to get
5 a little more detail into that, they can tell you
6 about it. So this is something that I'm not saying.
7 It's a correlation, and I think to some degree it's
8 how accurate is that secondary plant variable, and I
9 think we can get to that one. What I'm trying to
10 bring out is the safety significance of this issue.

11 MR. SIEBER: Yes. I understand that. I
12 spent many years as a licensed operator, and first
13 stage pressure was not my prime indication of what
14 reactor power was.

15 MR. CALVO: Well, it becomes a correlation
16 to know that --

17 MR. SIEBER: I understand that, but I
18 would trust the calorimetric calculation before I
19 would trust first stage pressure.

20 MR. CALVO: In some kind of way you need
21 to verify that a calorimetric calculation is giving
22 you the correct value. You've only got one flow
23 meter, you've only got one plant computer, and, as you
24 know, no single channel -- and you can argue the fact
25 that they're also going to fail on a condition that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you always know.

2 MR. SIEBER: Just to let you know --

3 MR. CALVO: Yes, that's fine.

4 MR. SIEBER: -- I question your fourth
5 bullet.

6 MR. CALVO: That's fine.

7 MR. SIEBER: Thank you.

8 MR. CALVO: Okay.

9 DR. RANSOM: Well, one question would be
10 I thought I heard you say electrical output. Can the
11 electrical output be measured with good accuracy?

12 MR. CALVO: Yes. That's the one that you
13 put in the --

14 DR. RANSOM: Power output?

15 MR. CALVO: Yes, the megawatt hour meters.
16 That will give you some value.

17 DR. RANSOM: What kind of accuracy is that
18 known with compared to the accuracy that you're trying
19 to achieve in the thermal power?

20 MR. CALVO: If I may, you're all getting
21 ahead of me on this one. I'm changing courses later.
22 I'm just giving to you what I have. I think if you
23 bear with me for a minute, I will answer that
24 question, okay?

25 The boiling water reactors adjust to the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 speed of the reactor water pumps, and the PWR adjusts
2 to the turbine control valves or adjusts in the boric
3 acid concentration of the reactor via the letdown
4 omega system. The computer continuously computes the
5 thermal power and displays the output of the
6 calculation to the operator to verify that the power
7 adjustments provide the expected result.

8 You asked that question before, how often
9 do you calculate this thing, I understand based on the
10 information that I got from the licensee, sometimes
11 about eight seconds. When it's convenient you have
12 some kind of running average of all the variables and
13 you put them together and you come out with some kind
14 of smooth reactor thermal output. All of that factors
15 into the picture.

16 Keep in mind that if you want to go for
17 100 percent power to give you the 101.5, you poke it
18 just a little bit at a time, okay, and you see you've
19 got to wait a while until you get a feedback with your
20 calorimetric, and it will tell you how much the
21 thermal power is there. You know that the thermal
22 power is equivalent to 101.5 percent, so you can watch
23 for those things, okay? But the one correlation to
24 get there is the flow meter, the accuracy of the flow
25 meter, but you know that you're getting there into the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ballpark.

2 Now, like I said, you computer thermal
3 power and displays the output to the area. This
4 practice to verify independently the sanity of the PC
5 calculated are indicated in plant procedures and are
6 followed irrespective of whether the nuclear power
7 plant has a UFM or venturi delta P or both installed
8 in the nuclear power plant. That's what they do
9 today. I have discussed it in phone conversations
10 before this meeting with many licensees and that's
11 what they tell me they do. I don't really agree with
12 them to a point, and I'm going to bring that in a
13 minute.

14 So the accuracy of the UFM or the venturi
15 delta P cannot be assumed all the time. You've got
16 only got one sensor. I mean one sensor. That
17 particular UFM is not only the start point, you've got
18 computers, you've got hardware, you've got software,
19 you've got all kind of things in there, and there's no
20 assurance that some of this will fail and it will fail
21 -- it cannot fail in such a manner that's always fail-
22 safe. You cannot conclude that.

23 Now, you've got some diagnostics, you've
24 got some alarms, but those cannot work one day, all
25 right? However, when there's only one channel made up

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of single components, it cannot be concluded that all
2 the functions in that channel will lead to fail-safe
3 conditions. In the reactor protection system, we've
4 got four channels, sometimes two channels, and the
5 reason we do that is if we want a high degree of
6 availability and we're concerned about the safety
7 consequences, we put more than one so we can check one
8 against the other and you've only got two. However,
9 as I indicated later, I don't know if we can do that
10 or not.

11 However, since the operator makes the
12 final decision to manually increase or decrease power,
13 irrespective of the performance of the UFM or venturi
14 via independent means, it can be concluded that the
15 failure of the flow devices, including the loss of
16 accuracy, can be successively mitigated, and thus the
17 consequences of the failure have no safety
18 significance. That's the point I was trying to make.

19 MR. SIEBER: Well, if it fails, the
20 ultrasonic flow meter, if it fails, the operator
21 doesn't do anything. What happens is the calorimetric
22 power on the computer will go berserk, and he's
23 relying for minute-to-minute operation on the nuclear
24 instruments and not calorimetric power.

25 MR. CALVO: But you're postulating a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 failure. I don't know what kind of a failure. It
2 could be a failure that's two percent over power.
3 Some kind of way you've got to detect those failures.
4 There's only one channel, and you cannot depend on
5 that one channel. Maybe the flow meter is accurate,
6 the software is fairly complicated. They've got very
7 sophisticated algorithms in there.

8 Yes, I'm going back again. This is
9 important enough, the concern about overpower. We are
10 looking at only one channel. Maybe we should look at
11 more than one channel. That's what I'm saying.

12 Now, the other part of my presentation was
13 genetic implications. We heard what Westinghouse
14 product line and we also got Caldon product line.
15 With respect to Westinghouse, the overpower event at
16 Byron 1 and 2 and Braidwood was caused by an apparent
17 misapplication of the instrument. This is what he
18 told you a minute ago. The event at Fort Calhoun was
19 discredited by the tests in the proposed bulletin
20 because the expected accuracy of the UFM is required
21 to be confirmed during commissioning of the instrument
22 before the final acceptance of the UFM by the
23 licensee. This requirement is stipulated in the staff
24 SER for every power uprate application for each
25 nuclear power plant.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 As related to Caldon product line, the two
2 events have been identified at River Bend and Palo
3 Verde. These events have already been characterized
4 by members of my staff. No other plant information
5 was directly assessed by the UFM Allegation Task
6 Force. The Task Force closed the door to business in
7 mid-April 2004.

8 What I'm saying if you look at the
9 bulletin, the bulletin talks about the Byron and
10 Braidwood and the Fort Calhoun. It's mute on nothing
11 else, so I do not believe that there is sufficient
12 basis to justify a bulletin for either Westinghouse or
13 Caldon flow meters. Extrapolation for field
14 questionable events are not such good reasons to
15 propose a bulletin.

16 Now, it should be noted that Westinghouse
17 and Westinghouse owner's groups have provided
18 information since May 2004. I know the door was
19 closed in mid-April, but that demonstrated that there
20 are no generic implications with Westinghouse product
21 line. I'm sure that Caldon can make the same case
22 with its product line.

23 And I know you don't like to talk about
24 licensing basis, but I'm just going to go quickly
25 through them, because we are expending a lot of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 resources in here focusing to a problem. If the
2 problem is not what it's supposed to be, we cannot
3 move forward trying to resolve the problem. I think
4 you're wasting your time, and my staff is wasting my
5 time. And for four years a lot of wasting time. I've
6 been going through it trying to put this particular
7 issue in perspective.

8 Now, the procedures used by the operator
9 to verify that the licensed power level is not
10 exceeded based on secondary plant information from the
11 licensing basis. There are backfit implications to
12 enforce these procedures as requirements, and these
13 procedures were not addressed during the original
14 review of the application or the subsequent
15 amendments.

16 The equipment used to calculate thermal
17 power has always been considered non-safety related,
18 and as a result the staff reviews are very limited in
19 scope in some type of system. We had to focus our
20 resources on the important things, so we didn't focus
21 on this one in all the applications. I was the
22 reviewer, we never looked at these things. All we
23 know that those venturis was university calibrated and
24 that's it, and we accepted what was put in the
25 computers.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I used to work for Westinghouse many,
2 many, many years ago, and I say many, many, many. I'm
3 the one who programmed into the computer the product
4 250s, the calorimeters that you all are using today in
5 this power plant, and it was not very --

6 DR. WALLIS: Can I ask you about this non-
7 safety related. If you calculate your loss of coolant
8 accident with this two percent extra power and you
9 calculate that the temperature of the cladding, which
10 is 2199 degrees, and then you have an error in power,
11 so you've actually got more power and more decay heat,
12 it may well be that the temperature of the cladding
13 and a LOCA and the worst LOCA would reach 2205 degrees
14 and you'd not be in compliance with 50.46. And,
15 technically, there is a safety problem.

16 MR. CALVO: I'm saying --

17 DR. WALLIS: It's not real in terms of
18 this danger to the public, but in terms of satisfying
19 the regulations, there is a problem.

20 MR. CALVO: But I'm making a statement of
21 fact. It was non-safety related. Maybe after all
22 these things are put on the table you will determine
23 that maybe we should be doing more with these
24 particular overpower situations and do some other
25 things there, but we're going to have to put it in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 perspective.

2 DR. WALLIS: But they might not be in
3 compliance with 50.46. That's the issue, isn't it?

4 MR. CALVO: To a certain degree, yes, it
5 is.

6 MR. GRIMES: As I mentioned at the outset,
7 the accuracies that we're talking about here are small
8 in comparisons to the margins, even for best estimate
9 analysis.

10 DR. WALLIS: We know that, yes.

11 MR. GRIMES: So the underlying regulatory
12 interest here is compliance with the thermal license
13 power level.

14 DR. WALLIS: Absolutely. Absolutely.

15 MR. CALVO: And my question is that you
16 can get there from what you have today installed in
17 the power plants. You've only got one channel and one
18 channel only. If we are truly concerned about safety,
19 we'd better put more than channel, and we're going to
20 have to make that case.

21 MR. ROSEN: But we don't have a concern
22 about safety.

23 MR. CALVO: Well, I don't because I feel
24 there are other things to do it.

25 MR. ROSEN: And Chris Grimes seems to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 indicate he doesn't have a concern about safety
2 either. It's about compliance with the regulation.

3 MR. CALVO: That's fine. And the question
4 is what you have today you're complying with the
5 regulations. Otherwise you should be raising the
6 concern about all the plants out there not complying
7 with the regulations. So we are not going to issue
8 any order, so therefore we assume that they're
9 complying with the regulation. But, anyway, let me
10 continue.

11 DR. WALLIS: But it's like driving at 61
12 miles an hour in an 60 mile and hour speed limit.
13 There's no real danger to anybody, but you're still
14 illegal.

15 MR. SIEBER: And it's only \$141.

16 (Laughter.)

17 MR. CALVO: Let me continue for a minute.
18 The bulletin suggests that the licensees confirm UFM
19 accuracy by comparing the instrument performance in
20 operating plant conditions against a standard test of
21 known accuracy. That's what we do. Now, we have to
22 ask ourselves were these tests part of the licensing
23 basis? We've got rules that we've got to play with.
24 If they are not, is this an adequate protection case
25 or a compliance case? Now, you're getting into the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 adequate protection, how are you going to make the
2 case?

3 Anyway, these are the questions that we
4 should be asking ourselves. And, again, we came to
5 you out of sequence. The process that we had this
6 debate, information that is put on the table for your
7 consideration, that we should have had internally
8 before coming in here. So all I'm doing is telling
9 you what I should have been telling others when we go
10 to the CRGR.

11 Now, the possible solutions is ensure that
12 the accuracy of the secondary plant instrumentation
13 readings and expected process values correlated to
14 thermal power are accurate enough to verify the
15 accuracy of the calculated thermal power for the PC.
16 Now, the expected accuracy of the secondary plant
17 instrumentation that is used to validate the
18 calculated thermal power based on a venturi is the
19 same. With a venturi or UFM it's the same. Nobody's
20 going to put better first stage pressure, better delta
21 Ps or anything else.

22 The accident analysis, pursuant to 10 CFR
23 Part 50, assumes that the reactor can operate at this
24 rate, at 102 percent of licensed power level. The two
25 percent power margin, as you all know, is the power

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 uncertainty value that was intended to address
2 uncertainties related to heat sources in instrument
3 measurements. In June 2000, the Commission published
4 a rule allowing licensees to justify a smaller margin
5 for power measurement uncertainty. This margin has
6 been reduced today by the application of UFM. When
7 the thermal power is calculated by the plant computer
8 based on the UFM, a higher degree of accuracy from the
9 secondary plant instrumentation will be required to
10 ascertain whether the calculated thermal power level
11 is within approximately 0.5 percent from the overpower
12 limit.

13 Can this be accomplished? The staff
14 should ask the licensees that question. We're getting
15 close to the 0.5. I wouldn't be surprised today
16 you've got all the plants up there trying to get
17 within the 0.5. They may be over powering maybe by
18 one percent. Eventually, you will catch it. The
19 question is the little bit that you've got in there
20 that you cannot detect it because either your UFM has
21 malfunctioned or the software has a glitch in it and
22 it gave you that indication or you bounced some kind
23 of way they've been corrected by the software. How
24 can we determine those kinds of things?

25 We cannot depend on a single device to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 tell you everything that is going on in that
2 particular device. We've got to have something else
3 to do it. Now, if we can't depend on the operator,
4 then we should be insisting on something else. If
5 this is important enough for safety and we're worrying
6 about there is no other way to detect it, we should be
7 doing something else more than we're asking right now.

8 Another approach is to get another
9 redundant channel for calculating thermal power. I
10 will be killed by the licensee. The staff has no
11 regulatory basis to enforce such a requirement but it
12 sounds right. But I leave it up to them. If they
13 feel that the only way that they can ascertain that
14 accuracy and that comfort, not only that you read the
15 accuracy not only today, it has to be tomorrow, next
16 week and next month, next year.

17 MR. ROSEN: The problem with adding
18 another one is now if they don't agree, which one is
19 right?

20 MR. CALVO: Then you do the safe thing,
21 you do nothing. You have to have 100 percent power.

22 So I guess the whole thing was to the
23 staff needs to engage the licensees in a cooperative
24 manner, not in an adversary manner, and together we can
25 resolve the issue and at least clarify it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. RANSOM: I'm a little confused by what
2 you mean by secondary plant instrumentation. Do you
3 mean like steam generator instrumentation or --

4 MR. CALVO: First stage pressures, feed
5 balance, anything that you do today has --

6 DR. RANSOM: So you're dividing it into a
7 primary instrumentation and secondary instrumentation.

8 MR. CALVO: That's correct. And I'm told
9 that you maintain trends, where the thermal -- where
10 the reactor thermal output is. And they look at those
11 trends. Are you increasing small increments of power?
12 That's got to be controlled, because even if the UFM
13 is working, how do you know it's working? How do you
14 verify that it's working? Only got one channel, okay?

15 So, anyway, I think we're going to have to
16 have a dialogue with the industry.

17 DR. RANSOM: It sounds like we've got two
18 ways, at least: Electrical power output, you've got
19 secondary, what you call, instrumentation.

20 MR. SIEBER: You can't rely on that. If
21 you look at first stage pressure, the outside air
22 temperature and the humidity and all kinds of things
23 affect what that pressure means relative to the power
24 output. Same way with the electrical power. If you
25 run the reactor at 100 percent every day and then plot

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the electrical power, you'll see it go up and down
2 because the heat sink temperature goes up and down.
3 The amount of VARS that you're pumping through the
4 system goes up and down, and so these secondary ways
5 of measuring reactor power are not as good as doing a
6 secondary calorimetric calculation.

7 DR. RANSOM: Aren't there also steam line
8 nozzles or venturis?

9

10 MR. SIEBER: Yes, there are. All the
11 plants can't come equipped with them because you need
12 to have some kind of flow measuring instrument to feed
13 your three element feedwater control system. And so
14 your balance is steam flow against feed flow and then
15 biasing that by looking at steam generator level.

16 MR. CALVO: It is many ways to --

17 MR. SIEBER: Right. Yes, we can just move
18 on.

19 MR. CALVO: Conclusions. First of all,
20 there is no serious significance, there is no generic
21 implications. The proposed bulletin, instead of
22 focusing on compliance, brings into the arena the
23 inadequate protection issue. It is highly improbable
24 that the bulletin can be legally justified. It
25 doesn't address the potential causes of overpower

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 concerns. The proposed bulletin is an overkill.

2 MR. SIEBER: Has OGC reviewed the
3 bulletin?

4 MR. CALVO: No.

5 MR. SIEBER: Well, they will --

6 MR. CALVO: Not yet. Not yet. Not yet.

7 MR. SIEBER: -- tell us whether it is
8 justified or not.

9 MR. CALVO: But I think like Chris Grimes
10 told you before, we're out of sequence in the process.
11 We'll go back into sequence, and then we're going to
12 have the other -- now, it's like trying to kill a fly
13 with a cannon ball issuing the bulletin -- or a cruise
14 missile. That's the way I look at it. But, again, I
15 believe that what we should be doing is the generic
16 informative communication, such as like an information
17 notice, a letter of information summary that raises
18 awareness of the questions raised about the
19 applications of UFMs in nuclear power plants. It will
20 be more than sufficient.

21 Tell the licensee, "These are the problems
22 that we have. The basic responsibility for you, the
23 safety, is yours." You're trying to figure out how to
24 do it, because we can't tell them to do anything. We
25 can't tell them to do tests that was not a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 requirement. We're going to be at it for another four
2 years before we can resolve that. It's up to them.
3 They're responsible for safety. Let them know that
4 they are not exceeding the overpower limits.

5 The generic communication, you also
6 challenge the licensees to determine whether the
7 calorimetry surveillance intervals specified in the
8 technical specifications reflect the reduction in
9 monitoring. You're getting a small margin from on the
10 UFM based on the UFM and the 10 CFR Appendix K limit.
11 The system nuclear instrumentation today which
12 includes escort detectors, they're very inaccurate, in
13 PWRs and boiling water reactors are compared against
14 the computer calculated power. The previous plant
15 technical specifications surveillance was based on a
16 two percent drift. Now we're talking about 0.5
17 percent drift. So the calorimeter you were doing
18 before at a certain rate now some kind of way you've
19 got to do it faster because now you're going to get
20 out with a 0.5 percent. So you've got that problem.

21 Well, as you can see, there's a lot of
22 questions that need to be explained before the agency
23 moves forward with any type of generic communications.
24 As I said before, the staff needs to engage the
25 licensees in a cooperative manner and to get --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. WALLIS: How do you challenge the
2 licensees to determine something without sending out
3 something like a bulletin or a generic letter or
4 something?

5 MR. CALVO: Well, today, they got the --
6 the licensees on their initiatives they have formed
7 groups. I don't know about Caldon but Westinghouse
8 established a Westinghouse Owner Group, and they
9 established a task force who is looking into the
10 generic implications of the flow meters. And once the
11 information I heard a presentation given by them in
12 here, so they can sense the problem. Generic
13 communications you can't tell them a bulletin. You
14 don't have to hit them on the head with a hammer. You
15 tell them, "This is what has happened. This is your
16 plant. You've got a problem in here. If you don't
17 fix it and this continues this way, we're going to
18 have to do something else more than what you had."

19 So the responsibility is with them. We
20 have not had that kind of dialogue yet. We have taken
21 adversarial role and say, "Okay, there's something
22 wrong with it. We're going to show bulletin," but the
23 bulletin is only going to fix the problem for one day,
24 that one day that you do it. How do you know next
25 week or the next month or the next year how do you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 know that the integrity remains that way?

2 Anyway, that's my -- nothing I can get
3 into the accuracy but you've got to put into the
4 context that it's not only the accuracy. You're
5 worrying about other things in there, and because
6 you've got only one channel and one channel only, you
7 cannot conclude that all the failures on that channel
8 are going to be in a safe situation. So solving this
9 way you only solve it for today. Tomorrow, you've
10 going to continue to hit overpower conditions until
11 you fix the problem once and for all. And that fix
12 belongs to the licensee, not with the staff. That's
13 all. I complete my presentation. Thank you very much
14 for listening to me.

15 MR. SIEBER: Thank you. Next on the
16 agenda is Mr. Hastings from Caldon.

17 MR. HASTINGS: I hope you won't object if
18 I ask Herb Estrada, the Chief Engineer, to join me.

19 MR. SIEBER: No problem. We are behind
20 schedule, so if you could speak faster.

21 MR. ROSEN: Perhaps we could let him make
22 his presentation without interruption, and that would
23 speed things up.

24 MR. HASTINGS: Good morning. Can you hear
25 me? I'm Cal Hastings, the President and CEO of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Caldon. I'm pleased to have this opportunity to speak
2 before the ACRS this morning. I was seated in the
3 back of the room, and I could not see which of you is
4 speaking, but I became suddenly aware that some of you
5 have more knowledge about these matters than I do.

6 Caldon is a technology company
7 specializing in precision ultrasonic flow meters. As
8 you might expect, we have amassed a great deal of know
9 how in the design, application and performance of such
10 meters. I would like to use this time today to share
11 some of our perspectives on measurement uncertainty,
12 recapture uprates and the ultrasonic meters used to
13 achieve them.

14 To avoid the risk of misspeaking, I would
15 like to read from my notes that I prepared during some
16 quiet, thoughtful time. I would like to inject here,
17 however, that at the end of my remarks, you will see
18 that I was going to request an opportunity to come
19 before the ACRS at your next meeting and to provide an
20 in-depth technical presentation. It may be more
21 appropriate, from what I heard this morning, that we
22 come before your subcommittee. And if you would
23 kindly later advise me what you think might make more
24 sense, I will certainly accept your advice.

25 MR. SIEBER: Give us a chance to review

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the documents, and if that's appropriate, we'll let
2 the staff and you know.

3 MR. HASTINGS: Okay. Thanks. I have two
4 reasons for speaking today. First, at Caldon, we
5 regard an overpower incident as a serious event. The
6 licensees that we work with do too. This is not
7 because we believe the event itself necessarily brings
8 great risk to the safety and well being of the public.
9 It is simply because operating a nuclear plant over
10 its licensed thermal power limit is in violation of
11 the regulations.

12 To treat such events lightly undermines
13 the public perception of safety in the nuclear power
14 industry. It may even serve to undermine the practice
15 of safety within the industry itself by allowing
16 operation outside of analyzed conditions.
17 Consequently, we have worked hard to provide flow
18 meters to the nuclear power industry that are
19 calibrated accurately and whose errors remain within
20 clearly established and acceptable limits.

21 Second, I believe MUR uprates are
22 important to our nuclear power industry and to our
23 country. Many Americans, and my wife is one of them,
24 is still recoiling from the surges in prices at the
25 gas pumps this spring. We would like to reduce our

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 dependence on foreign oil, and if nuclear power plants
2 generate more power, they can help this objective.
3 These uprates are very important, and I believe they
4 can and must be achieved without violating important
5 regulations.

6 Two types of ultrasonic flow meters are
7 used to measure feedwater flow in nuclear plants.
8 Caldon produces both types. One type mounts
9 externally on the pipe. External meters measure the
10 velocity essentially in the middle of the pipe and
11 require that a factor be applied to determine the bulk
12 flow rate. The other type employs a flow element that
13 is welded into the pipe. It is known as a chordal
14 meter because it samples the velocity profile along
15 four chords and integrates it to determine the
16 volumetric flow. Chordal meters are inherently more
17 accurate than external meters, because the chordal
18 meter provides a direct measurement of the bulk flow
19 rate.

20 If I have counted correctly, external
21 ultrasonic meters are installed in 33 United States
22 nuclear power plants today. Eleven of these use
23 meters supplied by Caldon. The number of Caldon
24 external meters in service was greater but it has
25 declined as some of them have been replaced more

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 recently with chordal meters. Chordal ultrasonic
2 meters are installed in 26 U.S. nuclear power plants.
3 All of these are supplied by Caldon.

4 Licensee event reports, prepared since the
5 beginning of the year 2000, show that ten nuclear
6 power plants have gone over power because of errors in
7 ultrasonic flow meters. All of these were associated
8 with external ultrasonic flow meters. In two cases,
9 the error was as great as 2.7 percent. We know of no
10 case where rose because a licensee misapplied the
11 meter, and none of the overpower events was caused by
12 a chordal meter.

13 These incidents have raised two important
14 questions: What causes such errors in external
15 ultrasonic flow meters, and how can these errors be
16 bounded or contained within acceptable limits? The
17 answer to the first question is relatively simple.
18 External meters are very sensitive to velocity
19 profiles. Our chordal meters measure profiles. In
20 the past several years, we have learned that the
21 velocity profiles in feedwater lines are often
22 different from what traditionally has been assumed.
23 When the profile is different from the one assumed, a
24 bias error will result in an external meter.

25 We know that the velocity profile was a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 principal contributor in one of the plants where a 2.7
2 percent overpower incident occurred. And it is likely
3 that it is a major contributor in most of the other
4 overpower incidents. The errors were created when the
5 velocity profiles changed from their assumed shape.

6 The challenge for external meters is made
7 even more difficult because velocity profiles in
8 feedwater lines are not constant. Data from the past
9 several years show that velocity profiles often change
10 in feedwater lines, sometimes gradually and sometimes
11 suddenly. One nuclear plant recently withdrew its
12 request for an MUR uprate because of calibration
13 changes occurring in the external meter that was
14 installed. It is likely that the calibration changes
15 are the result of changes in velocity profile.

16 The second question regarding how to bound
17 the errors is not so easy to answer. Since external
18 meters cannot measure velocity profiles, they cannot
19 recognize if and when they are in error. Neither can
20 they determine the magnitude of their error at any
21 given time. And it is no easy matter to predict just
22 what the worst case errors might be.

23 At Caldon, we have believed for some time
24 that the calibration procedures we developed during
25 the early 1990s assured us that we could easily

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 contain the errors in our external meters within the
2 bounds of plus or minus one percent. The LERs, some
3 of which were caused by Caldon external meters, show
4 this to be wrong. We didn't contain them all. I will
5 come back to this question in a moment.

6 Chordal meters have a significant
7 advantage external meters with respect to the effects
8 of velocity profiles. In the first place, chordal
9 meters are less sensitive to velocity profile effects
10 by a factor of 20, and as I pointed out, our chordal
11 meters measure the velocity profile and consequently
12 recognize when they are operating under conditions
13 different from those under which they were calibrated.
14 They can also determine the magnitude of the actual
15 error.

16 The question on how to bound the errors is
17 much easier to answer for a chordal meter also. The
18 uncertainties in the flow measurements of this meter
19 can indeed be bounded reliably within tight limits as
20 small as plus or minus 0.3 percent. This can be
21 accomplished if a laboratory calibration procedure
22 traceable to NISD is followed, if a plant-specific
23 full-scale hydraulic model is employed for the
24 calibration and if the meter sensitivity to variations
25 of velocity profile is measured and accounted for.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Applying Caldon external meters to
2 measuring feedwater flow certainly has given us our
3 share of challenges. We now know that there is an
4 even greater requirement for basing an external meters
5 calibration on hydraulic models that mimic the plant-
6 specific piping. We now know that the models must be
7 more comprehensive than those used for chordal meters.
8 And we now know that the calibration procedure must
9 determine and take into account the sensitivity of the
10 meter to velocity profiles. But only if we do these
11 things can we be assured that the flow measurement
12 readings of Caldon external meters will be within one
13 percent of the true flow.

14 But where does this really leave us on the
15 matter of calibrating external meters and bounding
16 their errors in general? The NRC staff have been
17 trying to work through this issue for some time. They
18 have told us this morning something of the actions
19 they intend to take. We at Caldon support a number of
20 the ideas proposed; we disagree with some others.

21 For instance, we believe the staff should
22 require licensees to provide data and other
23 information that proves their external meters'
24 calibrations are valid and traceable and that their
25 meters' uncertainties are bounded and that when used

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 for MUR uprate that the size of the uprate is entirely
2 consistent with the meters' uncertainty balance. I
3 think this is a point of agreement.

4 We also believe that this is a big
5 challenge and a huge responsibility for licensees who
6 have only limited depth of experience in the hydraulic
7 and ultrasonic technologies that are necessary to make
8 these evaluations. We are prepared at Caldon to
9 provide the users of our external meters with the
10 data, the analyses and other support they may need.
11 This includes sharing our up-to-date knowledge in
12 calibration procedures.

13 As a vendor, Caldon has an obligation to
14 understand how our products work, how well they
15 perform and what their limitations are. We also have
16 an obligation to share this understanding with the
17 industries we serve. We should not give them a false
18 promise of performance that our meters cannot achieve.

19 The velocity profile issue is not new for
20 external ultrasonic meters. It is a generic issue.
21 It has been with us for many years, and I expect it
22 will remain with us for some time to come. While some
23 of us would prefer otherwise, we must understand and
24 accept that under the best of conditions, which do not
25 always exist in feedwater lines, the accuracy of an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 external meter might achieve is on the order of plus
2 or minus one percent.

3 During the preceding presentations,
4 mention was made of a possible overpower at Palo Verde
5 attributable to Caldon external meters. This is one
6 of those cases where we now know that the model we
7 used for the calibration was deficient. Fortunately,
8 we have results from more recently conducted
9 calibrations that provide the data to help us sort out
10 the magnitude of the flow meter error. This analysis
11 is still underway. It appears that the error and the
12 resultant overpower is approximately one percent,
13 which is at the outer bound of the meter's design
14 basis.

15 When we are finished, we will provide the
16 people at Palo Verde with a new calibration that
17 removes the bias error and we'll also give them the
18 documentation justifying the new calibration and
19 bounding the total meter uncertainty.

20 We also have a responsibility to the
21 licensees who use Caldon chordal meters, known as LEFM
22 Check and LEFM CheckPlus. We have already provided
23 them with comprehensive design basis documentation.
24 We have also provided them with meters that have not
25 experienced a single incident of exceeding their

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 design basis, nor they have caused any nuclear power
2 plant to go over power.

3 I believe there is no basis for including
4 these licensees in a generic 50.54 memo that the staff
5 is proposing. It is not appropriate that licensees be
6 just subjected to this burden when there is no
7 evidence that any problem -- that there is any problem
8 in the performance of the meters.

9 Measuring flow in feedwater lines is not
10 as easy as we would like it to be. In 1998, we
11 conducted a survey of reported sustained overpower
12 events occurring in the period from 1981 through 1997.
13 We were able to identify 51 such events. Thirty-three
14 of them were caused by errors in the flow measurements
15 from nozzles. There were at least four different
16 causes for the errors, and one error was as great as
17 three percent.

18 I am aware that there is much
19 misinformation and debate pertaining the use of
20 ultrasonic meters flying about at the moment. This is
21 not helpful and in fact places licensees in a terribly
22 difficult position. I've heard that some people claim
23 that the problem with errors in external ultrasonic
24 meters should not be addressed because it is site-
25 specific rather than a generic issue.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Of course, the magnitude of the errors is
2 site-specific, but the inability of external meters to
3 measure velocity profiles and their sensitivity to
4 velocity profile effects are inherent characteristics
5 of this type of meter. Velocity profile issues are
6 not new for external meters, and, as I think I had
7 said, they have been with us for many years and will
8 remain for some time to come.

9 I've also heard that some people believe
10 that nozzles can be used to check the calibration of
11 ultrasonic meters. There is a preponderance of data
12 showing that in general nozzles can only be counted on
13 to measure accurately within an uncertainty of plus or
14 minus 1.5 percent or so. This is of course is not
15 good enough for collaborating a calibration of meters
16 used for measurement uncertainty recapture updates.
17 To adopt such a practice would invite additional
18 overpower events. It is easy to make probabilistic
19 calculations that show this.

20 I've made statements here this morning
21 without providing evidence or analysis to back them
22 up. This was necessary owing to the time available to
23 me. I would like to request that Caldon be included
24 on the agenda for the September ACRS meeting or some
25 other subcommittee meeting. In particular, I would

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 like to have the opportunity for our Chief Engineer,
2 Herb Estrada, to give a technical presentation that
3 shows more clearly why LEFM Check and LEFM CheckPlus
4 systems should not be included in the generic
5 communication and why it is not a good idea to use
6 less accurate feedwater nozzles to verify the
7 calibration of ultrasonic meters. I might add, we
8 would be prepared to bring other material if there are
9 other questions that you would like to have addressed
10 in such a meeting.

11 And if I could make one more point that's
12 not in my written remarks, we do a lot of debating.
13 We're a small company, we're dominated by engineers.
14 And my wife has learned you get two or more engineers
15 in a room, you don't get much agreement. And usually
16 what happens, at some point, Herb Estrada will get up
17 and will be rather upset with the way the meeting is
18 going and he'll say, "Get out of my way, it's time to
19 make numbers." What Herb means is we're in a world at
20 times it gets very complicated, but as engineers the
21 way we must deal with this, we must deal with
22 theories, we must deal with data, we must deal with
23 calculations, we must make numbers. The bottom line,
24 that's the truth that we see. And so that's what I
25 would say I would like to bring to you the next time

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we come, the numbers that we make.

2 MR. SIEBER: Well, when you do that,
3 you'll be singing to the choir since I think most of
4 us are engineers. I appreciate your remarks. They
5 were very clear and straightforward.

6 UNKNOWN: Mr. Chairman?

7 MR. SIEBER: Yes.

8 UNKNOWN: May I make a statement, please?

9 DR. WALLIS: Can we ask this other man to
10 say something first before we hear the next one? Can
11 we say something about his presentation?

12 MR. SIEBER: Sure. Go ahead.

13 DR. WALLIS: What's frustrating me today
14 is I haven't really seen numbers. I haven't seen
15 scientific evidence, so it's difficult for me to make
16 any conclusions. What I do pick up, though, is what
17 I believe is that it doesn't really make much sense
18 what the staff is proposing which is to use nozzles
19 which are not accurate to test something which is more
20 accurate. It's just not a very scientific way to go
21 about things. Thank you.

22 MR. SIEBER: Sir, could you introduce
23 yourself?

24 MR. McINERNEY: Yes. Thank you. Thank
25 you for the opportunity to address the Committee. My

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 name is John McInerney. I'm the Director of Systems
2 and Safety Analysis for the Westinghouse Electric
3 Company. I'd like to make a comment relative to Mr.
4 Hastings' presentation.

5 First, I'll leave it to the Committee to
6 draw their own conclusions whether his remarks apply
7 to all kinds of external meters or not, but one point
8 I would like to clarify, he did indicate that one
9 licensee had withdrawn a submittal using the
10 Westinghouse external meter for an MUR uprate. That
11 isn't true fact. He also implied that they withdrew
12 because of velocity profile issues. That in fact is
13 not the reason for the issues for which that submittal
14 was withdrawn and in fact that utility is going to
15 make a resubmittal to the staff based on the work done
16 by Westinghouse, by AMAG and by that utility to
17 address the issue after detailed root cause
18 investigation.

19 Second comment I would like to make is
20 that Westinghouse stands behind the technology and the
21 integrity of the system and that Westinghouse, based
22 on our role in the nuclear industry, focuses on our
23 technology and its merits, and we choose not to
24 comment on the capability of our competitors, whether
25 it's a small competitor like Caldon or a large

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 competitor from France, relative to any type of
2 nuclear component or service, whether it's fuel, LOCA
3 analysis or whatever. Thank you.

4 MR. SIEBER: Any questions from the
5 Committee or any comments? If not, Mr. Chairman, I'd
6 suggest that we ponder what we've heard during this
7 session and discuss it during our letter and report
8 writing time as to what our position is. We are not
9 required to write a letter or a report, at least the
10 staff has not asked for one. On the other hand, I
11 think that we should develop a thought process of our
12 own to decide what it is our position would be when
13 the time comes for us to respond.

14 So with that, I would apologize for being
15 so late, and I turn the meeting back to you.

16 CHAIRMAN BONACA: Yes. I think that I
17 agree we should probably wait to decide whether or not
18 we're going to write something or -- and also what
19 further actions we want to have regarding
20 presentations and meetings on the subject.

21 With that, if there are no further
22 questions or comments from the staff or the public, we
23 will recess now for a break until ten after 11.

24 (Whereupon, the foregoing matter went off
25 the record at 10:51 a.m. and went back on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the record at 11:09 a.m.)

2 CHAIRMAN BONACA: Before we move to the
3 next item, AP 1000 --

4 DR. POWERS: Actually, I heard some live
5 protestation yesterday about how we were going to
6 reserve this fine period of time for an elaborate
7 introduction.

8 CHAIRMAN BONACA: We will get to that,
9 yes.

10 DR. POWERS: Oh, I see.

11 CHAIRMAN BONACA: We heard yesterday a
12 presentation from Ms. Sterrett and raised a number of
13 issues regarding the AP 1000 application, and we have
14 distributed information to the members and we read it,
15 and Dr. Kress is going to take us through discussion
16 of those items, and we can present our views and
17 distribution of those.

18 DR. KRESS: You have this letter in the
19 background information that was given to us yesterday,
20 and we've had a chance to look them over, I'm sure
21 you've read them.

22 We've had access to these issues in past
23 meetings and have discussed them in the past. We
24 haven't really brought forth the issues to the point
25 of having an expressed position on them in any of our

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 letters, although we have expressed positions on them
2 in meetings in our discussions on these. So now is
3 the time to look at these issues brought forth by Ms.
4 Sterrett and decide what our position is on these and
5 how to deal with them in our letter on AP 1000.

6 The issues that we have before us here are
7 basically three of them. One of them is if you look
8 at the letters, the effect of heat of solar radiation
9 on the passive containment cooling system. The second
10 one has to do with the proof that the fluid system
11 parameters and the design certification are what they
12 were set out to be. And the third one is a question
13 about the document control process.

14 These second two are what the ACRS calls
15 process issues, and we normally, as a Committee, don't
16 deal with those type of issues unless they represent
17 to us a real clear and significant safety problem.
18 And I think our judgment has been on those particular
19 two issues that they do not represent a significant
20 safety problem. So we prefer to leave that kind of
21 issue up to the staff to resolve, and so I think
22 that's basically the position we've taken on those two
23 issues.

24 The first issue, on the other hand, is
25 more technical and unclear whether it has safety

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 implications or not, and this is the issue of whether
2 or not solar radiation has an influence that's
3 possibly unacceptable on the containment passive
4 cooling system. As I see it, there are three possible
5 influences, and one is that the water that's used to
6 flood the outside of the containment is in a tank on
7 top of the containment, on top of the shield. And if
8 it absorbs a significant amount of solar radiation on
9 a hot day, then it could be hotter than the assumed
10 value that Westinghouse uses to calculate the
11 compliance with the Chapter 15 design basis accidents.
12 The figure of merit here, of course, is the internal
13 containment pressure.

14 The second possible influence that solar
15 radiation could have is on the inlet higher
16 temperature. If the shield gets significantly hot due
17 to radiation -- significantly hotter than the outside
18 air, then the air could naturally convect up, pick up
19 energy and enter the inlet to this passive containment
20 cooling system at a higher temperature than one would
21 -- than the assumption by Westinghouse.

22 And the third possible influence is that
23 the shield itself could get hot enough that the
24 internal temperature seen by the convecting air going
25 up is hotter than the calculations as shown by

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Westinghouse so that the cooling air heats up to a
2 higher temperature. Therefore, you have a lessening
3 of the effectiveness of the heat transfer from the
4 containment.

5 Now, with respect to those three possible
6 effects, what we've done is we've looked at the
7 staff's determination that the large quantity of water
8 in the tank above would have only negligible rise in
9 its temperature over the time that the solar heating
10 would be present. We found that, I think, to be
11 acceptable, that you make heat transfer calculation
12 and you can show that there's enough water there and
13 the absorption capacity is such that it won't get much
14 higher than the assumed 120 degrees fahrenheit, which
15 is a pretty conservative assumption in the first
16 place.

17 MR. ROSEN: Because even at the hottest
18 latitudes, the temperature is not high enough to drive
19 it above that level?

20 DR. KRESS: Not much above it. You know,
21 the question is how conservative do you have to be in
22 design basis space. I think we can dispense with that
23 part of it.

24 MR. ROSEN: Before we do, can we talk
25 about it a little bit?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. KRESS: Sure. That's what the purpose
2 of this meeting is.

3 DR. POWERS: When you do this calculation,
4 we assume the water starts at one temperature, you put
5 the solarplex on it and rises up to some other steady
6 state temperature. The next day do you bring it back
7 down to the starting temperature and do it again or
8 does it come down a little bit and then go up even yet
9 higher the next day, thinking of a five- or six-day
10 heat wave.

11 DR. WALLIS: It cools off at night,
12 presumably, too.

13 DR. POWERS: That's what I'm thinking of
14 is does it -- the argument for not going too high is
15 the large mass of water. Therefore, it's not going to
16 --

17 DR. KRESS: Well, the argument also
18 involves the fact that the solar radiation over and
19 above the outer temperature itself is only effective
20 for a given fraction of the day. It doesn't hit the
21 whole water tank, and the solar radiation goes away at
22 night, and it has time -- whatever solar radiation
23 over and above the 120 degrees assumed does have a
24 chance to reradiate to the cold atmospheric night air.
25 It's pretty clear that the reradiation rate over a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 time period that is in excess of what the solar
2 radiation is is going to exceed the effect of the
3 solar radiation. So the assumption is that the
4 nighttime radiation cooling would offset the daytime
5 solar radiation, that you would just go through a
6 fluctuation, even though we had an extended number of
7 days of heating.

8 DR. POWERS: Well, I think that's probably
9 true if you put the plant up in New Mexico here.
10 Based on my inspection of the nighttime temperatures
11 in recent days, suggests the reradiation term may be
12 negative.

13 (Laughter.)

14 MR. ROSEN: Well, I think -- let's follow
15 this now to its logical conclusion. Let's assume that
16 Dana's exactly correct, which is the wise thing to do
17 in his case, and that the tank heats up a little bit
18 in the daytime, it gets to 120 degrees and that night
19 it gets down to 119.5. The next day it gets up to
20 120.5 Now, it's outside its technical specifications,
21 am I correct?

22 DR. KRESS: Yes. And the technical specs
23 would require them to shut down or do something --

24 MR. ROSEN: Do something.

25 DR. KRESS: -- to bring it back into

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 compliance.

2 MR. ROSEN: The technical specs wouldn't
3 require a shutdown, it would require them to restore
4 the tanks to its range.

5 DR. KRESS: So there is a tech spec
6 control on the problem too.

7 MR. ROSEN: Right. And so how do they do
8 that? How is that done in the AP 1000?

9 DR. KRESS: Well, perhaps we could ask the
10 Westinghouse representative to --

11 CHAIRMAN BONACA: Yes, but the first
12 question I have is how do you get 800,000 gallons to
13 120 degrees --

14 MR. ROSEN: I don't want to address that
15 mechanistically. I just want to know what would
16 happen if. I mean how --

17 MR. SIEBER: Maybe I can help a little
18 bit.

19 MR. ROSEN: Well, why don't we let
20 Westinghouse gives us a fact first.

21 MR. SIEBER: All right.

22 MR. VIJUK: Yes. In normal operations,
23 there is a small recirculation flow rate through the
24 tank. I'm not sure whether we can cool the water, but
25 we can condition the water, so there is some --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ROSEN: What do you mean condition?
2 You mean polish it?

3 MR. VIJUK: Well, the main concern is
4 heating, keeping it warm, and I think we have a
5 minimum temperature on the water too.

6 MR. ROSEN: Are you balking the question?
7 The question is can you put in cool water, water from
8 a groundwater source or something?

9 MR. VIJUK: There are makeup sources and
10 you could let down and feed the tank to keep it at a
11 cooler temperature, yes, with demon water or water
12 from the fire system, for example.

13 DR. KRESS: So there is a way to bring it
14 back into the tech spec compliance.

15 MR. VIJUK: Yes.

16 DR. RANSOM: Well, is there really much
17 concern about the temperature of the water? I mean
18 the main cooling mechanism is evaporation when you
19 spray it onto the containment and get phase change,
20 which is a much bigger effect than just the sensible
21 heat.

22 DR. POWERS: Is that really the biggest
23 term?

24 DR. RANSOM: Huh?

25 DR. POWERS: Is that really the biggest

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 term?

2 DR. RANSOM: Absolutely.

3 DR. POWERS: I don't know that for a fact?
4 How do I determine that?

5 DR. RANSOM: Just the heat vaporization of
6 the water.

7 DR. POWERS: Well, I know what the heat
8 vaporization of the water is. I don't know that
9 that's the biggest term here.

10 DR. KRESS: This is a question of mass
11 transfer.

12 DR. WALLIS: It's kind of strange to me.
13 You're writing about a simple homework problem and
14 Lightfoot somewhere. Why just talk about it? It just
15 makes no sense to me. Calculate it.

16 DR. SHACK: Well, the analysis is done for
17 120.

18 DR. KRESS: The analysis is done for 120
19 degree inlet temperature and 120 degree water
20 temperature, and the question is how conservative do
21 you have to be in design basis space, because you know
22 the probability of that event actually occurring is so
23 low that the design basis space -- you know, you
24 always make these judgments in design basis space as
25 to how conservative you have to be. And that, in my

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 judgment, is a fairly conservative estimate.

2 CHAIRMAN BONACA: And to put your limit
3 there. I mean you have a risk as an operator that you
4 would have to shut down the plant.

5 DR. KRESS: Yes. You have control over
6 it.

7 MR. ROSEN: I don't think it would shut
8 down. I think it would simply cool it off.

9 CHAIRMAN BONACA: I think that the reason
10 why they use 120 is because they'll never get there.

11 MR. SIEBER: Yes. Let me put it in
12 perspective. In existing plants, there are some big
13 tanks that require temperature control, the most
14 important of which is the RWST, which is the injection
15 source for safety injection. And if you watch the
16 temperature of that tank, which operators do, through
17 the year, it doesn't go up and down day by day or day
18 to night to day to night.

19 DR. KRESS: It gets hotter in the summer
20 than it does in the winter.

21 MR. SIEBER: In the summer, the tank gets
22 warmer; in the winter, the tank gets colder. And I
23 havE never in 30 years seen the tank over 100 degrees.
24 In fact, we would have had to shut down had it gotten
25 that hot.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. KRESS: But you weren't in Phoenix,
2 Arizona.

3 MR. ROSEN: That was just one plant you're
4 talking about.

5 MR. SIEBER: Yes, but I think the effects
6 are not so much latitude driven as air temperature
7 driven, okay?

8 MR. ROSEN: But we're prepared to -- we're
9 getting ready to certify this plant for a location in
10 all places except certain seismic areas with no
11 control on --

12 MR. SIEBER: Okay.

13 DR. KRESS: And it seems to me like the
14 120 degrees cover a pretty --

15 MR. SIEBER: Hundred and twenty is pretty
16 high.

17 DR. KRESS: Pretty high.

18 MR. SIEBER: Pretty high, because I think
19 the air temperature has more to do with it than the
20 solar absorption.

21 DR. KRESS: Well, let's look at the other
22 two possible effects. One of them is does the inside
23 surface temperature of the shield see the outside
24 problem enough to affect the heat transfer? I made a
25 quick calculation there using square root of alpha T

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to see how long it would take to penetrate -- the
2 shield is three-foot thick, and if you had a quick
3 change in the surface temperature over a ten-hour
4 period, you would penetrate halfway through that
5 three-foot concrete. So that doesn't seem to be a
6 problem to me, using guesses for the alpha for
7 concrete.

8 DR. POWERS: So I guess -- I mean, again,
9 what you've done is a calculation that says, okay, we
10 have one day and then everything resets at the
11 beginning of the next day. I'm just not sure you can
12 do that.

13 MR. SIEBER: It will cycle over an entire
14 year's time. In the summer, it's hot; in the winter,
15 it's cold. But why do you care? I agree with Vic
16 that evaporation, the phase change is the biggest
17 influence, and all the air does is remove all this
18 excess humidity. You can go in the inlet and out the
19 outlet or vice versa as long as you're pouring water
20 on it.

21 DR. SHACK: But still you're looking at a
22 licensing basis, so you do have to make that concern.

23 MR. SIEBER: That's true.

24 DR. SHACK: But I agree with Tom. It just
25 seems to me the likelihood of doing that, maybe if you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 were building this in Madraz, you might have a
2 concern, but there's certainly a wide range of places
3 --

4 DR. KRESS: There are things like this in
5 all the licensing design basis accidents, and a lot of
6 these are judgment as to are you conservative enough?
7 And the question is 120 degree assumption on the water
8 and the inlet air a conservative design basis
9 assumption? I think it is, but this is a judgment
10 based on some of these type of assessments about how
11 long it takes to heat up the water and how long it
12 takes to penetrate through the thick shield concrete
13 and the effect of natural convection on the inlet air
14 temperature itself, and the fact that you're not
15 likely to have these kinds of temperatures in very
16 many sites very long and by the fact that you have a
17 tech spec control over it.

18 DR. POWERS: And when we worked on the
19 California aqueduct, the Central Valley of California
20 is a concrete ditch, runs the length of California,
21 and it gets hot enough in that ditch that when you
22 measure things you have to measure the temperature of
23 the measuring device because it gets longer than what
24 you think it is, and you have to put a correction on
25 it. And it was not uncommon for the temperature of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the concrete there to be 140 degrees. Our chaining
2 thermometer went to 160, and we broke it one day.

3 MR. ROSEN: I'm going to ask the analogous
4 question to the one I asked about the water tech spec.
5 Is there a concrete temperature or an air inlet
6 temperature tech spec?

7 DR. KRESS: No, I don't think so. We can,
8 once again, ask Westinghouse to -- I don't think there
9 is on that.

10 MR. VIJUK: I'm sure there's not one on
11 concrete temperature. I think we have a site
12 temperature, air temperature restriction. I know the
13 one percent exceedance value or something like that
14 for a site.

15 MR. ROSEN: So if the air temperature
16 entering the passageway exceeded whatever that
17 temperature is, you would have to take corrective
18 action of some kind, which --

19 MR. VIJUK: Well, you would determine this
20 at the siting time. You couldn't site in a place that
21 had one percent exceedance. Wet ball temperature I
22 think is the way they usually specify it above the
23 stated value.

24 DR. KRESS: So you couldn't site at this
25 location Dana was talking about where the --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. VIJUK: Well, I don't know what that
2 location is. I don't know the specifics on that.

3 MR. ROSEN: But at least conceivably,
4 there are some locations where the air temperature
5 exceedance values might be too high given this
6 concern. Okay. So there is a control there.

7 MR. VIJUK: I believe so.

8 DR. KRESS: Well, I think Dana's point on
9 the concrete was that it wasn't the air temperature
10 that got it up to 140, it was the fact that it was
11 sitting out there in the sun, which was sort of
12 conservative.

13 DR. POWERS: Yes. I mean the truth of the
14 matter is the heat capacity of the concrete per unit
15 mass is just a heck of a lot less than the heat
16 capacity of air per unit mass.

17 DR. WALLIS: Yes. This is a lot of mass.

18 DR. POWERS: Well, it's a lot of mass,
19 yes.

20 DR. RANSOM: The other aspect of this is
21 that you're always going to get the solar radiation on
22 one side. It's either directly over the maximum
23 conditions or on one side or the other. And so one
24 side is not seeing the solar radiation and will be
25 cooler. So that will cause asymmetric flow within the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 passages, which --

2 DR. POWERS: Solar swirl.

3 DR. WALLIS: It's all going to be swamped
4 by the water running down, which is going to --

5 DR. RANSOM: And it's going to be 212
6 degrees that you're producing there or somewhere
7 around that maybe. But it seems like a simple enough
8 effect that maybe Westinghouse ought to have taken a
9 look at this. Now, we'll put these kind of fears to
10 rest, I would say, a day or two of work on the part of
11 an engineer could pretty well quantify what you're
12 going to see.

13 DR. KRESS: Do we let that influence what
14 we say about our letter, though?

15 DR. POWERS: Well, if somebody can point
16 to me where the analysis of the behavior of this
17 natural convection occurs in the Westinghouse
18 analysis, other than the statement that we did this by
19 the Gothic Code, I would be delighted to finally read
20 this. I've asked three times for this. Each time I'm
21 told it's there. Enormously lengthy documents are
22 delivered and so far all I've ascertained is they do
23 it with the Gothic Code. But things like inlet
24 resistances, fiction factors and stuff like that, that
25 presumably are input to that Code, I'll be darned if

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I can find them.

2 DR. KRESS: I think you're right. It was
3 done by the Gothic Code.

4 MR. VIJUK: That's correct.

5 DR. POWERS: Well, of course, then the
6 question comes up is there any reason to believe the
7 Code is correct?

8 MR. ROSEN: Well, is there any reason to
9 believe the Code is applicable to those circumstances?

10 DR. POWERS: Yes.

11 MR. ROSEN: I thought Gothic was for
12 subcompartment analysis. I'm not sure --

13 DR. POWERS: I think you can use Gothic
14 Code to analyze everything short of the big bang if
15 you're willing to go in and horse with the input and
16 notarization.

17 DR. KRESS: Well, you can get down to
18 about half a second with a big bang too.

19 DR. POWERS: You probably can get down to
20 within a half a second. As we know, after the big
21 bang, everything else was thermalhydraulics.

22 DR. KRESS: That's right.

23 MR. ROSEN: I think that, Tom, your
24 question is a good one. I mean how should we
25 condition this approval based on this or is there some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 other way to get someone to provide us with some sort
2 of response to the question of what happens here? Not
3 the water question, but the air question, the concrete
4 temperature question.

5 DR. KRESS: Well, my feeling is personally
6 that when design basis space was analyzed by the NRC-
7 approved code that we reviewed and said was okay and
8 the conservatisms that are there are appropriate
9 conservatisms for design basis space. So it should
10 not, in my mind, influence our approval -- I don't
11 think approval is the right word -- but our acceptance
12 that AP 1000 --

13 MR. ROSEN: Should be certified.

14 DR. KRESS: -- should be certified.
15 That's personally my opinion. I appreciate us
16 bringing this point up, and I think it's a good point,
17 but I think it does not change my opinion that AP 1000
18 does not pose undue risk to health and safety of the
19 people. And so I think the staff is a bit remiss in
20 not addressing the issue properly. I think the staff
21 should have done more on this particular issue. We
22 shouldn't penalize the certification of AP 1000
23 because the staff didn't do their job on this one
24 issue.

25 MR. ROSEN: But I think -- and this is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 also a site-specific issue.

2 DR. KRESS: It's site-specific.

3 MR. ROSEN: Because if you --

4 DR. POWERS: Can we keep --

5 MR. ROSEN: -- go to a site in Minnesota,
6 this is probably not a problem.

7 DR. POWERS: Can we keep track of the
8 number of one issues that we find that the staff
9 doesn't do a good job on so that we can have the
10 integration?

11 MR. ROSEN: Let me finish up. If that is
12 a site-specific issue, and I think we'd all agree that
13 it is, can we have a discussion of this as the COL
14 stage when the site is picked? I mean should we
15 suggest to the staff that that is an appropriate
16 matter for the COL? I don't know how we'd do it. I'm
17 not sure we'd do it in our letter but at least in some
18 other way?

19 DR. KRESS: I don't know if it's called
20 part of the COL, but I think our site parameters would
21 have to be met. I don't know if you'd call them at
22 the COL stage or what.

23 MR. ROSEN: Early site permitting. But an
24 early site permit doesn't specify the design, so you
25 wouldn't say early site -- not every site -- this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 wouldn't matter for some designs. It only matters for
2 a site in a very hot region for the AP 1000, maybe.
3 So I'm searching for a regulatory hook, something that
4 --

5 DR. WALLIS: I've calculated the
6 insulation on this containment, and I got two
7 megawatts when the sun is shining brightly. I mean a
8 kilowatt per square meter over 2,000 square meters is
9 quite a lot of energy.

10 DR. KRESS: You just did the square root
11 of alpha T?

12 DR. WALLIS: No, no. I didn't do any
13 alpha T. I just did the solar constant and area of
14 the thing. I was a bit surprised to get to megawatts.
15 I mean that's a --

16 DR. KRESS: Did you use 360 degrees?

17 DR. WALLIS: I just took the rough exposed
18 area perpendicular to the sun.

19 DR. POWERS: I don't know. I bet you'd
20 probably have to be reasonably careful about how you
21 argue that one side's shielded and one side's not,
22 because the adjacent buildings would reflect on to the
23 concrete and so --

24 DR. WALLIS: You get a bit more --

25 DR. POWERS: -- you get a bit more than

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 saying only half is illuminated.

2 DR. WALLIS: I mean it's solar.

3 DR. KRESS: Well, what does the Committee
4 wish to do about this particular issue?

5 DR. FORD: It seems that there's two. One
6 is raise it in relation to the COL in the letter or
7 this issue, lessons learned that we're talking about
8 is not AP 1000-specific, which relates to various
9 submissions done by the staff.

10 MR. LARKINS: There's another option. I
11 think you could always forward these comments to the
12 staff and ask the staff to respond to these issues.

13 DR. WALLIS: But they already have.

14 CHAIRMAN BONACA: Well, they really
15 haven't.

16 DR. POWERS: They have them and they
17 haven't.

18 MR. ROSEN: They judge it negligible.

19 DR. KRESS: Well, they just looked at the
20 water temperature.

21 MR. ROSEN: Yes. And I don't think the
22 water temperature is an issue because of the tech
23 spec.

24 CHAIRMAN BONACA: No. No.

25 DR. KRESS: I really don't think it's an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 issue either. Some of the things they didn't recap
2 here.

3 DR. WALLIS: What's a kilowatt on what
4 grounds?

5 DR. POWERS: You mean relative to this
6 space? Depends on what your --

7 CHAIRMAN BONACA: Well, I think that's all
8 we should be doing. I think we should address it to
9 the staff.

10 MR. LARKINS: Yes. I agree with Tom that
11 I don't think you want to necessarily raise this in
12 the certification letter. I think it ought to be
13 something you put in as an aside or as part of the
14 appendix to it. Or I wouldn't even do it that way, I
15 would just send it over under a separate heading,
16 maybe a Larkins-gram.

17 CHAIRMAN BONACA: Asking that they deal
18 with this, review this.

19 DR. KRESS: Well, I think, certainly, Ms.
20 Sterrett's contributions will be referenced on the
21 list of references.

22 CHAIRMAN BONACA: In fact, in her
23 presentation yesterday, it did not address effect of
24 concrete wall temperatures.

25 DR. POWERS: Tom, you certainly quoted

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 accurately the way we view most process issues, but I
2 think there is an issue in understanding how AP 600
3 documentation relates to AP 1000. I mean one is an
4 evolution from the other, and I would presume that
5 there's probably a pretty good care there, but I think
6 the documentation in 1000 has been decidedly superior
7 to what we saw for 600. Just for our own edification,
8 it would be nice to know just exactly how all that --
9 I mean staff usually does not make a mistake in that
10 sort of thing, but it's nice to know do we upgrade,
11 have we upgraded any of these or are we maintaining or
12 keeping track of things and stuff like that. It's
13 confused on my mind. I know I certainly --

14 DR. KRESS: I must say I'm a little
15 confused on that too.

16 DR. POWERS: Yes.

17 MR. ROSEN: But it is a process issue,
18 like you said.

19 DR. KRESS: It's a process issue.

20 MR. ROSEN: And we are not either capable
21 or prepared to delve into those to the degree that you
22 need to to get to the bottom of it. I think that's
23 the staff's job.

24 DR. KRESS: Well, where are we?

25 DR. POWERS: Oh, I think we ought to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 absolutely reject the SER till all the issues,
2 including those raised by outsiders, are clarified,
3 with special emphasis on those dealing with iodine.

4 DR. KRESS: I say we've discussed this
5 enough --

6 CHAIRMAN BONACA: I think so too.

7 DR. KRESS: -- and I will accept any
8 suggestions on what to do in the letter when we're
9 getting to write it and read it.

10 MR. ROSEN: And that's the only thing
11 we'll do, and we're not going to send a separate
12 communication to --

13 DR. KRESS: Well, I'm willing to do that
14 too as part of it.

15 CHAIRMAN BONACA: Send communication to
16 the staff.

17 MR. ROSEN: That says that the answer --
18 that they did not address this worthwhile question on
19 solar heat load on concrete, and they need to do
20 better than that.

21 DR. KRESS: I think that's probably the
22 thing to do.

23 CHAIRMAN BONACA: And I think I could be
24 on record, and, actually, this is our record.

25 DR. KRESS: Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BONACA: All right?

2 DR. KRESS: Thanks for the guidance.

3 MR. EL-ZEFTAWY: Are you satisfied with
4 the COL action items that the staff has proposed on
5 sump?

6 MR. ROSEN: Yes. We want to understand
7 the 6.3.8.2. What does that refer to? What is that
8 numbering? What document is it from?

9 MR. COLACCINO: This is Joe Colaccino of
10 the staff. This is DCD, Westinghouse's DCD, Section
11 6.3.8.2. It's in the combined license information
12 that Westinghouse will provide, and just to refresh
13 everybody's memory, last night Westinghouse proposed
14 modifying this combined license action item to
15 incorporate any subsequently approved NRC guidance
16 with regard to the sump strainer issue. So they
17 provided us that information this morning, we brought
18 it to the staff and to assess its acceptability, and
19 the staff says that this change is acceptable.

20 MR. ROSEN: I think that resolves my
21 concern too.

22 CHAIRMAN BONACA: All right. So we will
23 write a letter to the staff for this issue.

24 MR. ROSEN: On the concrete issue.

25 CHAIRMAN BONACA: On the concrete issue.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ROSEN: We're mixing things up here.

2 CHAIRMAN BONACA: Okay. So at this stage,

3 I believe we can get off the record.

4 (Whereupon, at 11:41 a.m., the ACRS Public

5 Meeting was concluded.)

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701