

Official Transcript of Proceedings

**NUCLEAR REGULATORY
COMMISSION**

Title: Advisory Committee on Reactor Safeguards
 517th Meeting

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Friday, November 5, 2004

Work Order No.: NRC-092

Pages 1-52

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS (ACRS)

517th MEETING

+ + + + +

FRIDAY

NOVEMBER 5, 2004

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

The meeting was convened in Room T-2B3 of Two White Flint North, 11545 Rockville Pike, Rockville, Maryland, at 8:30 a.m., Dr. Graham B. Wallis, Chairman, presiding.

MEMBERS PRESENT:

GRAHAM WALLIS	Vice Chairman
RICHARD S. DENNING	ACRS Member
F. PETER FORD	ACRS Member
THOMAS S. KRESS	ACRS Member
VICTOR H. RANSOM	ACRS Member
STEPHEN L. ROSEN	ACRS Member-at-Large
WILLIAM J. SHACK	ACRS Member
JOHN D. SIEBER	ACRS Member

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

NRC STAFF PRESENT:

SAM DURAI SWAMY Technical Assistant,
ACRS/ACNW, Federal
Designated Official

MED EL-ZEFTAWY

1	<u>AGENDA ITEMS</u>	3
2	Opening Remarks	4
3	Status of Early Site Permit Reviews	
4	Remarks by Member Kress	5
5	Briefing By and Discussions with	
6	Representatives of the NRC Staff	
7	Regarding the Status of the Staff's	
8	Review of the Early Site Permit	
9	Applications	6
10	End of Open Session	52
11		
12		
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

P R O C E E D I N G S

(8:16 a.m.)

1
2
3 VICE CHAIRMAN WALLIS: This is the second
4 day of the 517th Meeting of the Advisory Committee on
5 Reactor Safeguards. I am Graham Wallis. I'm going to
6 chair the meeting this morning.

7 Our Chairman, Mario Bonaca, is at the Navy
8 Yard representing the ACRS at the retirement ceremony
9 for Admiral Bowman, who is stepping down from in
10 charge of the submarine fleet and now will be Chairman
11 of NEI.

12 During today's meeting, the Committee will
13 consider the following: status of early site permit
14 reviews, assessment of the quality of selected NRC
15 research projects, Ground License Renewal Subcommittee
16 report, future ACRS activities, report of the Planning
17 and Procedures Subcommittee, reconciliation of ACRS
18 comments and recommendations, and the preparation of
19 ACRS reports.

20 A portion of the meeting will be closed to
21 discuss safeguards and security matters.

22 This meeting is being conducted in
23 accordance with the provisions of the Federal Advisory
24 Committee Act.

25 Mr. Sam Duraiswamy is the Designated

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Federal Official for the initial portion of the
2 meeting.

3 We have received no written comments or
4 requests for time to make oral statements from members
5 of the public regarding today's sessions.

6 A transcript of a portion of the meeting
7 is being kept and it is requested that the speakers
8 use one of the microphones, identify themselves, and
9 speak with sufficient clarity and volume so that they
10 can be readily heard.

11 We will now proceed with the meeting. The
12 first item on the agenda is the status of early site
13 permit reviews. I'd ask my esteemed colleague Tom
14 Kress to guide us through that please.

15 MEMBER KRESS: Thank you, Mr. Temporary
16 Chairman.

17 (Laughter.)

18 MEMBER KRESS: I refresh your memory that
19 several are planning on taking advantage of rules that
20 allow them to come in and essentially bank a site for
21 a new reactor of unspecified design and concept.

22 And in order to do the site suitability
23 assessments that have to be done before we can approve
24 a site, they're using a concept that you remember as
25 a plant parameter envelope which tends to take a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 number of reactor types and designs that they know of
2 and use the various elements of that that effect the
3 site suitability criteria and use bounding values from
4 this matrix of plants and so that the final result
5 would allow you to use any of these particular designs
6 on the site because they've already assessed the site
7 suitability based on the bounding values.

8 We wrote a letter on this and approved or
9 agreed with that as an appropriate way to do a site
10 suitability evaluation. And I think now the staff has
11 received at least three applications for such early
12 site permits.

13 And today they're going to -- and they've
14 also developed, I think, a review standard on how to
15 go about reviewing these.

16 So today they're going to give us a status
17 report on where they stand on this process and on
18 these three applications. And I don't think we're --
19 this is a briefing and a status report. We're not due
20 to have a letter unless somebody has a burning desire
21 to have one.

22 So with that, I'll call on Laura Dudes of
23 NRR to introduce us to this.

24 MS. DUDES: Thank you. Good morning.
25 I'm Laura Dudes, Section Chief from New Reactors.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Good introduction. I was going to say
2 similar in that this is our first foray into actually
3 using our Part 52 ESP process.

4 We're about a year into this technical
5 review. We're identifying issues, working through
6 those. And I think we've had a pretty good year. And
7 I know the staff is going to give a status.

8 A couple high level things to keep in the
9 back of your mind as we're going through this that
10 have struck me over the past year.

11 First and foremost, these ESPs have a
12 mandatory hearing associated with them. This is the
13 first time we're actually going through a mandatory
14 hearing for a Part 52-related product.

15 In addition, just for everyone's
16 information as I'm going to reiterate or be the news
17 service for today, something we've been waiting for or
18 looking out for in New Reactors in quite awhile, a
19 press release was released yesterday from the
20 Department of Energy indicating that they're going to
21 fund two potential COL applications coming out soon.
22 So these ESPs and the reviews are very important.

23 With that, I'm going to turn it back over
24 to Mike Scott.

25 MR. SCOTT: Good morning. Can everybody

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 hear me okay? Okay, great.

2 As Laura said, I'm Mike Scott. I am one
3 of three Project Managers at the NRC for review of
4 early site permit applications. I am the Project
5 Manager for the North Anna Dominion application.

6 To my left is Raj Anand. Raj is the
7 Project Manager for the Grand Gulf ESP application.

8 And to my right is Nan Gilles who is the
9 Project Manager for the Clinton Early Site Permit
10 application.

11 As you're probably aware, all three of the
12 ESP applications that we have are for sites that are
13 adjacent to existing operating reactors.

14 Next slide. The purpose of the
15 presentation this morning, as was referred to already,
16 is to brief the Committee on the status of the
17 application reviews.

18 As Laura mentioned, we are in a new
19 process and some interesting issues have arisen as a
20 result of the reviews. And we are going to discuss
21 three of those, the three that perhaps have gotten
22 more staff time recently than the assorted myriad
23 questions that have come up during the reviews.

24 We're also going to discuss with you the
25 future milestones for the reviews, including Committee

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 involvement, and that now is very near term. We'll
2 talk to you about that.

3 Of course, we'll answer your questions and
4 comments. As also was stated earlier, we are not
5 seeking a letter from the Committee at this time.
6 We're only a few months away from being in that
7 position but this is, at least from our perspective,
8 is a status update only.

9 Next slide. We plan to talk about, as I
10 mentioned here, review status issues, milestones, and
11 then answer your questions. And here's what we assume
12 would be a good time allotment for that.

13 As I mentioned, we have received three
14 applications. We received two of them on the same
15 day, September 25th of 2003. And Grand Gulf came in
16 about three weeks later on October 17th, '03.

17 Because of resource constraints, the staff
18 informed the applicants at that time that we were
19 going to stagger our reviews, that is we would do
20 North Anna first because they had basically provided
21 us the information as to when they were going to come
22 in and came in on that date.

23 And then we were going to do the Clinton
24 review two months later. And the Grand Gulf review
25 two months after that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So all the review products essentially
2 would follow two months from the first one and then
3 two months to the final review.

4 We are now nearing completion of the draft
5 safety evaluation report for the North Anna ESP
6 application. As you can see on the slide, we are
7 scheduled to provide that document to the applicant on
8 December 20th of this year and we are on schedule to
9 do that.

10 Next slide. We have identified some
11 issues, as I mentioned earlier.

12 MEMBER KRESS: On that draft SER --

13 MR. SCOTT: Yes?

14 MEMBER KRESS: -- is that the next item on
15 our list to review?

16 MR. SCOTT: Yes, it is.

17 MEMBER KRESS: And we'll review it in this
18 December time frame?

19 MR. SCOTT: No, a little later than that.
20 And I will -- I'll have the dates here in the slide
21 show as we go through. We're actually planning -- we
22 will issue the document to the applicant on December
23 20th.

24 And there will be a 14-day hold period for
25 proprietary review by them. And then we will issue it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 publically and we will get the document to you. And
2 then about a month later, we'll ask for a Subcommittee
3 review and then a full Committee review.

4 MEMBER KRESS: Okay.

5 MR. SCOTT: The issues that we'd like to
6 talk to you about this morning involve tornado wind
7 speeds, seismic analysis, and emergency planning.

8 Next slide. We do have a review standard
9 at RS-002, which we have briefed the Committee on. We
10 issued it final in May of 2004.

11 And one of the subjects that it addresses
12 is tornado wind speed. And we found some let's say
13 different guidance out there regarding how to handle
14 tornado wind speed analyses for siting.

15 Regulatory Guide 1.76, which is a fairly
16 old document, calls for a 360-mile-an-hour design wind
17 speed, tornado wind speed east of the Rockies.

18 VICE CHAIRMAN WALLIS: Is that the speed
19 of the wind or is that the speed of missiles that are
20 propelled by the wind?

21 MR. SCOTT: I believe that's the
22 rotational speed of the wind but I can get -- Brad's
23 nodding yes. Okay.

24 VICE CHAIRMAN WALLIS: It's just the wind.
25 So if you have a missile propelled by the wind, you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 have to compute its speed somehow or other?

2 MR. SCOTT: Brad would you step forward?
3 You're going to plumb the depth of my knowledge
4 quickly so I've got Brad Harvey who is our reviewer
5 for tornado wind speed today.

6 MR. HARVEY: Yes, I'm Brad Harvey, NRR.

7 The missiles. I believe, are assumed to be
8 a certain percent of the wind speed.

9 VICE CHAIRMAN WALLIS: A certain percent
10 is?

11 MR. HARVEY: Seventy percent.

12 VICE CHAIRMAN WALLIS: Seventy percent?

13 MR. HARVEY: Yes.

14 VICE CHAIRMAN WALLIS: Okay.

15 MR. SCOTT: Okay? Thank you, Brad.

16 As I mentioned, Reg Guide 1.76 has one
17 figure. We have a 1988 Interim Staff Position on the
18 same subject that had either 300 or 330 miles an hour
19 east of the Rockies, depending on the specific
20 location. Basically the eastern United States was
21 divided into several regions. And depending on where
22 your region was, you'd have either 300 or 330 miles an
23 hour.

24 And, of course, RS-002 says that the
25 applicant can provide any tornado wind speed that it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 can justify that is based on site-specific analysis.

2 There is other information out there,
3 however, SECY-93-087, which was a SECY related to
4 advanced reactor design, accepted use of 300 miles per
5 hour for a design of advanced reactors.

6 So we had several different numbers out
7 there. Of course, all of the applicants that we have
8 now are east of the Rockies so they would all fall
9 under the Interim Staff Position, either in the 300-
10 or the 330-mile-an-hour range. However, as was
11 mentioned here, we have the design document, design-
12 related document SECY-93-087, which accepted use of
13 300 miles an hour.

14 So we got into a discussion about what the
15 right guidance should be. The staff here -- next
16 slide -- developed a SECY paper in response to
17 Commission direction that said that the staff would
18 reevaluate maximum tornado wind speed based on new
19 information.

20 And the staff also recommended to the
21 Commission development of a risk-informed approach for
22 tornado wind speed analysis. That SECY is now in
23 Commission review.

24 When the results of the re-analysis are
25 available, they will be information to be used in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 early site permit reviews.

2 VICE CHAIRMAN WALLIS: How do you risk
3 inform a wind speed? Do you have a spectrum of wind
4 speeds and probabilities and things like that? Or
5 what?

6 MR. SCOTT: That's correct. Cliff -- or
7 Brad, can you give us some more remarks on that?

8 MR. HARVEY: Brad Harvey here once again.
9 Risk informed is not exactly my specialty but you are
10 right, a certain probability of a certain wind. And
11 you look at that effect on the plant. And at
12 particular structures and components. And if they
13 were to fail, what the consequences would be to the
14 systems -- to the reactor.

15 MEMBER KRESS: You assume the probability
16 of one that the tornado will hit the plant?

17 MR. HARVEY: No, there's a certain strike
18 probability based on historic data for the region --
19 site region.

20 MEMBER KRESS: At the site?

21 MR. HARVEY: So we would look at a maybe
22 two degree latitude/longitude square centered on the
23 site in question and look at the history of tornado
24 occurrence within that and come up with a strike
25 probability.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER KRESS: Are tornados like
2 lightening? They don't strike twice at the same
3 location? I was being facetious. Just ignore me.

4 (Laughter.)

5 VICE CHAIRMAN WALLIS: Is there a -- when
6 you talk about 300 -- between 300 and 360 miles per
7 hour, which has been talked about, what is the
8 sensitivity of -- presuming delta CDF, if that's the
9 ultimate metric, what is the sensitivity to that range
10 in miles per hour?

11 MR. HARVEY: Well, I think you're looking
12 at the kinetic energy of the missile that is being
13 propelled and that's, I believe, a function of
14 velocity squared.

15 VICE CHAIRMAN WALLIS: Okay.

16 MR. HARVEY: So it is quite sensitive to
17 small changes because you are looking at the velocity
18 squared.

19 VICE CHAIRMAN WALLIS: Well, the real
20 point is presuming there is a damage threshold. And
21 it may be that 300 is below the damage threshold, 360
22 is above --

23 MR. HARVEY: Yes.

24 VICE CHAIRMAN WALLIS: -- in which case
25 it's a cliff rather than a continuum.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SCOTT: What -- if you look at this
2 from a licensing perspective, what the concern from
3 the applicant's perspective is they would like to cite
4 one of these standard designs on their site. And they
5 would like to say well if the design tornado wind
6 speed for the site is 290 and the plant is designed
7 for 300, then we're good to go.

8 So when it is the other way around, when
9 they design the plant for 300, when the vendor has
10 designed the plant for 300, but the design tornado
11 wind speed of the site is 360, then additional
12 analysis is needed in order to certify that or to
13 determine that the site is acceptable for that design.

14 And so clearly the applicant's interest is
15 that the design number bound the site number. And
16 depending on how the issue is ultimately resolved by
17 the Commission, hopefully this will not turn out to be
18 a major issue at ESP stage.

19 VICE CHAIRMAN WALLIS: This is of a detail
20 but when you say maximum speed, is that very
21 conservative because this is the maximum speed ever
22 recorded anywhere? Or is it a --

23 MR. SCOTT: There is a confidence -- I'm
24 sorry -- there is a confidence level on it. Brad can
25 --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 VICE CHAIRMAN WALLIS: So it is a
2 percentile of some sort?

3 MR. SCOTT: Yes.

4 MR. HARVEY: We're looking at like ten to
5 the minus seven per year probability. So it's
6 actually beyond what the maximum recorded wind speed
7 because you've got maybe 50 years of historic data but
8 you're looking at ten to the minus seven.

9 VICE CHAIRMAN WALLIS: So it's very
10 conservative?

11 MR. HARVEY: Yes.

12 MR. SCOTT: Any other questions on that
13 subject before we move on?

14 (No response.)

15 MR. SCOTT: Okay. The next subject we'd
16 like to talk to you about is seismic analysis. Two of
17 the three applicants, that is North Anna and Clinton,
18 advanced what they've referred to as a performance-
19 based approach for determining the safe shut down
20 earthquake for the site.

21 The goal of that approach is that the mean
22 annual frequency -- is to have a mean annual frequency
23 of ten to the minus fifth of unacceptable performance
24 of SSEs as the result of seismically-initiated events.

25 This methodology, which is new to the NRC,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is described in a draft ASCE standard.

2 Next slide. The problem that we have with
3 it is that, of course, we have not reviewed the
4 acceptability of this new approach. We have informed
5 the applicants, the two involved applicants, that
6 additional review time would be needed to discuss this
7 approach. And I'm going to ask Cliff Munson to step
8 up in a minute and give you a few details about what
9 the approach involves.

10 After we informed the applicants that this
11 new approach would require additional review time and
12 would have potential schedule consequences, one of
13 them, North Anna, was subsequently revised to use the
14 staff-approved method that's already available in our
15 regulatory guides.

16 The impact on the Clinton review schedule
17 is still under discussion because Clinton, at this
18 point, has informed us that they intend -- or Excelon
19 has informed us that they intend to continue with the
20 performance-based approach.

21 Cliff, are you here? Would you please
22 step up and give us a thumbnail on the performance-
23 based approach?

24 MR. MUNSON: The performance-based
25 approach is basically -- after you've already

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 completed the seismic hazard analysis, which
2 characterizes all the seismic sources, it's a method
3 to determine the SSE, the final SSE for the site.

4 So once you've completed about 90 percent
5 of all the work, then the last 10 percent is this
6 performance-based approach which differs from our
7 current approved method, which is a hazard-consistent
8 approach. This performance-based approach instead
9 targets a performance goal.

10 And they have set a performance goal of
11 fives times ten to the minus five, the onset of
12 inelastic deformation. So --

13 MEMBER KRESS: Or for SS?

14 MR. MUNSON: Or for the SSE.

15 MEMBER KRESS: Or for safety systems --

16 MR. MUNSON: Right. Right. So --

17 MEMBER KRESS: For a given design that is
18 already certified, have they identified all the SSEs
19 in the certification?

20 PARTICIPANT: Speak into the mike, Tom.

21 MEMBER KRESS: Do we know what all the
22 SSEs are for a design that is certified? As part of
23 the certification?

24 MR. MUNSON: The safety-related SSEs are
25 in the design cert, yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER KRESS: Okay. So you know what
2 they are applying this criteria to?

3 MR. BAGCHI: Not necessarily. My name is
4 Goutam Bagchi.

5 MEMBER KRESS: Could you use the
6 microphone please?

7 MR. BAGCHI: My name is Goutam Bagchi.
8 I'm with the Division Engineering, Mechanical and
9 Civil Engineering Branch. The applicants for ESP have
10 not defined which plant they are going to build nor
11 have they defined whether or not the future plant yet
12 not certified will be considered for the site.
13 Therefore, we don't know the structures.

14 MEMBER KRESS: Yes, it could be any number
15 of them depending on what they actually decide on.

16 MR. SCOTT: That's right. So what they
17 are doing now is they're defining the SSE for later
18 comparison --

19 MEMBER KRESS: I see. So this is
20 something that would have to be confirmed later,
21 right?

22 MR. SCOTT: The site SSE does not need to
23 be confirmed later but it needs to be compared with
24 the design SSE at the combined license stage.

25 MR. BAGCHI: One thing to keep in mind is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that the standard, the SSE standard that has proposed
2 this performance-based approach uses generic
3 acceptance criteria for the design of structure
4 systems and components. So they're based on
5 acceptance criteria related to the yield strength and
6 allowable stresses in consensus standards out there.

7 Therefore, when they say that onset of
8 elastic deformation, that is the generic set of
9 discussions. And any new design that is going to
10 follow from the certified process or a brand new
11 design that is reviewed under Part 50, they're going
12 to have to use those criteria. So it's not unknown
13 factor.

14 MEMBER KRESS: I thought elastic
15 deformations were a continuum. What do you mean by
16 the onset of it?

17 MR. BAGCHI: Onset means at the class
18 event, it has not gone beyond yield. There is no
19 permanent set. It's within the elastic range.

20 MEMBER DENNING: I think he misspoke.

21 MEMBER KRESS: Oh, it's still --

22 MR. BAGCHI: It's still within there.

23 MEMBER KRESS: -- within the onset of the
24 elastic?

25 MEMBER DENNING: Yes, he meant inelastic

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 onset.

2 MR. BAGCHI: Yes, inelastic.

3 MEMBER KRESS: Inelastic, okay. I just
4 misheard probably.

5 MEMBER DENNING: No, I think he -- you
6 really did mean the onset of inelastic --

7 MR. BAGCHI: Yes, sir.

8 MEMBER KRESS: Okay, okay. I understand
9 then. So what we will have is a given site will have
10 some probability of having a seismic event of a
11 certain magnitude and a design certification that will
12 have a design-basis earthquake. And if the two are
13 the same, you're okay?

14 MR. BAGCHI: Or the design bounds the
15 site.

16 MEMBER KRESS: Yes. Now does that assume
17 that the design that is certified has used this
18 inelastic criteria?

19 MR. BAGCHI: Certified designs have used
20 the standard review plan acceptance criteria. We have
21 reviewed that in some detail. Piping design, of
22 course, has been postponed to date but we know the
23 acceptance criteria for that. Otherwise, the
24 structures -- all the major structures have been
25 designed. Their capability beyond the SSE has also

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 been examined.

2 MR. SCOTT: To clarify one point, while a
3 COL applicant may come in referencing and ESP and
4 referencing a design cert, they don't have to come in
5 referencing either or both.

6 So what we might see is an ESP applicant
7 who comes in with a COL, not having a certified
8 design. They may have one that has been submitted to
9 the NRC or even not submitted. Conversely, they can
10 come in with a certified design without having gone
11 the ESP route.

12 So there are all kinds of forks in the
13 roads and options here they may use.

14 MR. MUNSON: I just want to clarify one
15 thing. I think I misspoke and said five times. It's
16 one times ten to the minus five is the depth.

17 MR. SCOTT: It was on the slide.

18 MR. MUNSON: Right.

19 MR. SCOTT: Right.

20 Any other questions on the performance-
21 based approach? When you're in the review process,
22 under the current way things are going, you will see
23 that in the Clinton application.

24 And you will see it in the North Anna
25 application also as an additional piece of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 information. But the staff will be stating in its SER
2 that we have not reviewed that approach because North
3 Anna is relying on the Reg Guide 1.165 approach that
4 the staff has approved.

5 MEMBER KRESS: Does the ten to the minus
6 five ever come from an expected core damage frequency
7 that is better than ten to the minus five for new
8 plants?

9 MR. MUNSON: I'm not aware of that. Do
10 you have -- that one times ten to the minus -- that's
11 the --

12 MR. BAGCHI: The background for that --
13 again, my name is Goutam Bagchi. I'm the staff
14 member, Division of Engineering, Mechanical
15 Engineering Branch -- that ten to the minus five
16 really came from consensus standard, ANS standard, the
17 hazard, and the performance had been discussed in
18 those standards. And that's where we derived these
19 numbers, target numbers from. And it is not
20 inconsistent with the Commission's safety goals.

21 MEMBER KRESS: Yes.

22 PARTICIPANT: I'd also like to mention
23 that it's used in DOE Standard 1020 for all DOE
24 facilities, this performance-based approach so they've
25 already approved it. So we're a little bit behind

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 them in that sense.

2 MEMBER KRESS: I guess if one assumed that
3 you exceeded the elastic limit on some of these safety
4 components, that you could assume a conditional
5 probability of one that you're going to go to core
6 damage?

7 MR. BAGCHI: No, sir.

8 MEMBER KRESS: No.

9 MR. BAGCHI: No.

10 MEMBER KRESS: It's less then?

11 MR. BAGCHI: No.

12 MEMBER KRESS: Well, even if you did
13 assume that, you'd still have a CDF of ten to the
14 minus five.

15 MR. BAGCHI: Yes, sir.

16 MEMBER KRESS: But just for seismic
17 events.

18 MR. BAGCHI: Right.

19 MEMBER KRESS: So, you know, I was trying
20 -- if you have a conditional core damage of .1, then
21 you're probably in the range that is consistent with
22 the safety goals.

23 MR. BAGCHI: I think it is close to .1
24 because if you -- these are elastic ductal behaving
25 structures.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER KRESS: Yes.

2 MR. BAGCHI: And even reinforced concrete
3 code require ductal detailing and so on. Therefore,
4 there is a significant range beyond the elastic limit
5 that these structure systems and components can go.
6 And nothing is going to happen.

7 My personal experience has been that it is
8 at least .1.

9 MEMBER KRESS: Okay.

10 MR. BAGCHI: But there may be some
11 components, more fragile components, that may have
12 some specific limit. But that's the plant
13 consideration, not normal robust structural elements
14 or mechanical elements.

15 MEMBER KRESS: Thank you.

16 MR. SCOTT: One other aspect of the
17 seismic analysis that we'd like to bring to your
18 attention is discussed on Slide 10. The safe shutdown
19 earthquake at rock sites may exceed the certified
20 plant design safe shutdown earthquake at high
21 frequencies because rock sites effectively transmit
22 high frequency ground motion.

23 And applicants for a combined license will
24 need to deal with this issue. If you flip the page to
25 Slide 11, you'll see a typical presentation of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 spectral acceleration versus frequency at a rock site.
2 And the black line would be the design number, Reg
3 Guide 1.160 number. And the red line that you see
4 there would be a typical rock site SSE. And you can
5 see the high frequency exceedance there.

6 VICE CHAIRMAN WALLIS: Very strange unit
7 of acceleration.

8 MR. MUNSON: Sorry about that. It should
9 be G, sorry.

10 MR. SCOTT: Thank you.

11 So we have this issue at this point. It's
12 not something that we see being resolved in ESP space.
13 The SSE for the site, we view is what it is. And the
14 ESP will be issued stating that the applicant,
15 assuming the applicant has satisfactorily defined the
16 SSE, the ESP will be issued on that basis.

17 But as you can see, there remains the
18 issue here of the fact that the design does not bound
19 at high frequencies, the SSE. Now the question is is
20 what consequence is that. That's an issue that needs
21 to be resolved at COL.

22 Cliff, can you speak anything else to
23 that?

24 MR. MUNSON: The red line, the SSE, would
25 be what we're calling the demand right now. So we're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 defining the demand based on the seismic source
2 characterization for the ESP site. At COL, they'll
3 have to show that they have capacity at that high
4 frequency to handle that demand.

5 So generally the only structures -- system
6 structures or components are electrical relays or
7 contacts that might have natural frequencies as high
8 as say 20 hertz or so. Most other -- all other
9 structures will be well below between one and ten
10 hertz.

11 So we generally are most concerned between
12 one and ten hertz. And there are a few components, as
13 I mentioned, that have higher natural frequencies that
14 might be effected by these high ground motions.

15 MEMBER DENNING: Excuse me. Does that
16 mean that then the applicant would have to satisfy the
17 maximum in both regions? That is the Reg Guide in a
18 lower frequency region and then the higher -- or does
19 it mean -- or does it mean you would adopt the whole
20 red curve?

21 MR. SCOTT: It means that where they have
22 an exceedance, they're going to have to demonstrate
23 that the equipment can withstand that.

24 MEMBER DENNING: Exceedance of the Reg
25 Guide?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BAGCHI: Can I address that? My name
2 is Goutam Bagchi again.

3 The response factor for the site is the
4 response factor that the combined operating license
5 will have to be issued to. At that point, the
6 certified design, or if it is a new reactor design,
7 has no validity. What applies to that application is
8 the ground SSE. That's the response factor that you
9 see in red. It is not a question of enveloping both
10 of them.

11 MR. SCOTT: Another way -- again, you can
12 look at this from a licensing perspective. It would
13 be ideal from the applicant's perspective if the black
14 line completely enveloped the red line.

15 And then the analysis at the COL stage
16 would show that the certified design, as is, meets the
17 site or is compatible with the site. The fact that
18 the black line does not completely envelope the red
19 line means that additional analysis is needed at the
20 COL stage.

21 One of the objectives at the ESP stage, of
22 course, for the applicant is to resolve as many
23 questions now as they can and achieve finality on
24 them.

25 So an issue that needs to be further

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 addressed at COL is clearly not their preference. But
2 in this case, for a rock site, we view it at ESP stage
3 as something that needs to be resolved at the COL
4 stage.

5 MR. MUNSON: And I want to just stress
6 that this is for hard rock sites only along the
7 eastern coast. For say sites in the Gulf region or in
8 the Midwest that are covered by soil, we won't see
9 this type of high frequency ground motion.

10 MR. SCOTT: Any other questions on seismic
11 before we move on?

12 MEMBER KRESS: Are any of the three sites
13 considered rock sites?

14 MR. SCOTT: Yes, North Anna is a rock. I
15 believe Clinton -- no?

16 MR. MUNSON: No.

17 MR. SCOTT: Clinton not.

18 MR. MUNSON: Clinton and Grand Gulf are
19 soil sites.

20 MR. SCOTT: Okay.

21 Any other questions?

22 PARTICIPANT: Just how much of the
23 certification does this bring into question? We had
24 this issue the other day that, you know, you change
25 something and everything was then open to litigation.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Does this open the whole design certification up if
2 you do this or it's a very limited, narrow scope of
3 things you have to demonstrate?

4 MR. SCOTT: The latter is correct. I mean
5 the specific subject at hand is what is opened up.
6 It's issue by issue, item by item.

7 MEMBER RANSOM: How is vulcanic rock
8 treated? Is it considered rock?

9 MR. SCOTT: I would assume so. Do we --

10 PARTICIPANT: What was the question?

11 MR. SCOTT: Vulcanic rock, how is vulcanic
12 rock treated as a rock site?

13 MR. MUNSON: Well, this is from North Anna
14 basically. This is a gneiss, which is a metamorphic
15 rock. I don't know of any sites that are sited on
16 vulcanic rock.

17 MEMBER RANSOM: They're generally layers,
18 I guess. I don't know.

19 MR. SCOTT: I don't know either. I guess
20 we don't have another response to that. It certainly
21 doesn't apply to the three that are out there now,
22 three ESP applications.

23 Any other questions?

24 (No response.)

25 MR. SCOTT: Okay. The third and final

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 issue that we'd like to talk to you about this morning
2 is emergency planning. All three applicants have
3 sought what is called a major features review.

4 And just to give you a little background,
5 Part 51 allows several options regarding emergency
6 planning. An ESP applicant can come in and
7 demonstrate that there are no significant impediments
8 to development of emergency plans. That's, if you
9 will, the minimal approach. They also have to provide
10 some other information.

11 But for purposes this morning, they can
12 either demonstrate there are no significant
13 impediments -- the top level approach is they can come
14 in with complete and integrated emergency plans at the
15 ESP stage.

16 And the rule allows for what we would
17 refer to as a middle approach of defining major
18 features and seeking NRC acceptance of those major
19 features.

20 All three applicants, as stated here, are
21 seeking acceptance of major features. The rule,
22 although it discusses major features, it does not
23 define the term. The term is defined in a draft
24 guidance document that the NRC and FEMA developed for
25 review of emergency planning information at the early

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 site permit stage. That document is Supplement 2 to
2 NUREG-0654. And we refer to it as just Supplement 2.

3 There have been concerns in the industry
4 regarding the finality associated with acceptance of
5 major features. Again, finality is an overriding
6 objective for an ESP applicant. They are attempting
7 to resolve as many issues as they can at the ESP stage
8 so that those issues are not subject to additional
9 review and litigation potentially at the COL stage.

10 So the question has arisen, well, what
11 kind of finality do we get for a major feature. A
12 major feature is basically a higher level description
13 of the major aspects of emergency planning. There are
14 not necessarily complete details underneath that broad
15 subject.

16 The industry also has had concerns with
17 the level of detail in the staff's review relating to
18 major features, particularly with our review of
19 previously-filed information.

20 Finally, there has been concern expressed
21 regarding the staff's review of state and local plans,
22 which are not directly within the control of the
23 applicant.

24 MEMBER ROSEN: Excuse me. When you say
25 they've had concerns with the level of detail, do you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 mean too much or too little?

2 MR. SCOTT: There has been concern that
3 we're asking too many questions, too many RAIs.

4 Next slide. As a matter of fact, we are
5 in the process now -- the staff is in the process of
6 developing a -- the final process, hopefully, of
7 developing a letter to the industry to discuss this
8 issue. And we are meeting with the industry next week
9 to discuss our position on the issue.

10 What you see before you reflects where
11 we're planning to go with this letter at this point.
12 NRC and FEMA, as I mentioned, have established
13 Supplement 2 as the review standard applicable for
14 major features of the emergency plan. And the staff
15 believes it needs a review standard in order to
16 accomplish a consistent, thorough review.

17 The ESP applicant, we believe, can obtain
18 finality on the description of the major feature. But
19 here again, you have to bear in mind that although
20 they'll have a finality on that major feature, for
21 example, they may get a major feature that the
22 acceptable method for informing individuals in the
23 area of an emergency is sirens. And if the staff
24 could accept that sirens are an acceptable method,
25 then that would be final.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 However, the review at the ESP stage might
2 not get into the details of the sirens, how many
3 you're going to have, how powerful they would be, what
4 the power supply would be, the myriad of details. And
5 the finality at the ESP stage on the description would
6 not mean finality of the many details of
7 implementation underneath that description.

8 So the staff's view on this is that there
9 can be finality but that the value is limited because
10 of the fact that the details have yet to be provided
11 and reviewed.

12 MEMBER KRESS: You're just kind of
13 defining what you mean by finality in a sense.

14 MR. SCOTT: What we're up against here is
15 this is a fairly unusual subject. If you think about
16 it, when we evaluate seismic, for example, we get the
17 full site seismic analysis. And we review it and we
18 find it acceptable or not what the applicant has done.

19 In the case of emergency planning where
20 the major features approach is used, we're not getting
21 the final information to complete our review. So
22 we're getting a partial level, a mid-level detail if
23 you will. And so that --

24 MEMBER KRESS: But these sites already
25 have plants on them and an emergency plan in place.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And I would have thought that had all the detail in
2 it.

3 MR. SCOTT: That's correct. Which brings
4 us to the other point -- let's see, where is this? If
5 you look at Slide 14 --

6 MS. GILLES: If I may make one point.
7 That may be true but these applicants did not choose
8 to submit complete and integrated emergency plans for
9 the ESP sites. That was an option to them.

10 MEMBER KRESS: I see.

11 MR. SCOTT: So to expand on what Nan was
12 saying, if you look on Slide 14, it says consistent
13 with Commission policy, previously filed information
14 will generally not be reviewed in detail. Now that's
15 if the applicant clearly invokes that previously-filed
16 information.

17 MEMBER KRESS: Yes, okay.

18 MR. SCOTT: And the bullet that you see
19 there on Slide 14 is consistent with Commission
20 guidance to the staff as a result of their review of
21 RS-002, the early site permit review standard.

22 So the staff will generally not review
23 such information in detail. The staff will use its
24 discretion regarding the need for additional review.
25 If we look at something and our top-level look finds

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a problem, then we would look into the details of it.

2 This has been, quite frankly, a sticking
3 point with the industry regarding the reviews that
4 we've done so far because we have sent out a number of
5 requests for additional information, some of which
6 relate to the existing plans.

7 MEMBER ROSEN: Can you tell us -- maybe
8 you don't know but can you tell us why the industry
9 would be reluctant to provide you with the details of
10 an existing plan or to simply reference an existing
11 plan for the site, which the Agency knows everything
12 about there is to know?

13 MR. SCOTT: One of the applicants did
14 reference -- Dominion did reference their existing
15 plan. I could not speak to the motivations of the
16 other two. I'll look at my colleagues and ask if you
17 would like to remark on that.

18 MS. GILLES: Again, I would just be --
19 this would just be conjecture but I think that it's
20 not simply a matter of submitting the current plan
21 because the current plan, of course, only addresses
22 the current reactor. And the current plan would not
23 address a new reactor for which they have not chosen
24 a design for which, of course, there will need to be
25 changes to the existing emergency plan.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So I can, you know, I'm guessing that
2 perhaps they did not to do the work at this time to go
3 through updating those plans to include a new reactor
4 for which a design has not be chosen.

5 MEMBER KRESS: Is there anything lurking
6 in the background about the concept that some of the
7 new designs probably don't need an emergency plan?

8 MR. SCOTT: That's not on the table at
9 this point.

10 MEMBER KRESS: That's not part of it?

11 MR. SCOTT: No. And the question is
12 whether you provide the existing plan or whether you
13 come up with basically the same type of information
14 from another source.

15 In either event, the applicant still needs
16 to show how the existing information, the existing
17 emergency plan would be adapted to the presence, as
18 Nan was referring to, of additional reactors on site.
19 The information needs to be up to date. It needs to
20 be applicable to the new site as well.

21 And we've determined that they don't need
22 to rev up the old plan solely for that purpose, for,
23 if you will, a hypothetical reactor at this point.
24 What they can do is provide us additional information
25 to show that the existing plan could be/would be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 adapted to the new plant.

2 This is an ongoing issue right now, as I
3 mentioned. We're attempting to reach closure on it at
4 this point but the staff is still working, as I
5 mentioned, to get a letter out to the industry to
6 state our position on this.

7 The final bullet on page 14, the state and
8 local plans will be reviewed when the applicant seeks
9 approval of major features. This sounds fairly
10 obvious if you look at it.

11 In order to approve something, we have to
12 review it. If they send in an application, if the
13 applicant sends in an application that seeks major
14 features related to offsite aspects of emergency
15 planning, clearly the staff has to review those
16 offsite features in order to approve that -- to accept
17 that major feature.

18 It's a challenge for the applicants in the
19 sense that they then need, if there is an RAI related
20 to an offsite plan, they need to work with the
21 municipalities involved to get the issue addressed.
22 And so they have parties who are not, let's say, as
23 motivated as they are to expeditiously address
24 concerns. And so that, perhaps, is part of the reason
25 for this being discussed.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER KRESS: Is this likely to put the
2 emergency plans associated with the existing plants on
3 the side in some sort of jeopardy? You know if they
4 come in with a new look at the thing and find that
5 conditions have changed since the earlier plants put
6 in their plan --

7 MR. SCOTT: I think our emergency planning
8 staff would tell you that right now the reviews have
9 not identified problems per se with the emergency
10 plans. They have identified questions.

11 And should the questions turn out to be
12 problems, then they staff would need to work with the
13 licensed plants to correct whatever discrepancies were
14 found. We are not at that stage at this point.

15 Any other questions on emergency planning
16 before we move on?

17 (No response.)

18 MR. SCOTT: Okay. Coming milestones, I
19 promised we'd talk to you about where we're going with
20 this and where we are going to be seeking Committee
21 involvement. As I mentioned to you, all safety site
22 reviews are on schedule.

23 And here before you on Slide 15 are the
24 expected dates when we anticipate coming in to the
25 Committee asking for a Subcommittee review, followed

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 by a full Committee review, followed by an Interim
2 Letter to the Commission based on the review of the
3 Draft Safety Evaluation Reports for the three
4 applications.

5 MEMBER KRESS: So we're going to see quite
6 a bit of you guys in the next three or four months?

7 MR. SCOTT: Yes, sir, you are. And this
8 isn't the end of it. If you flip to Slide 16, then
9 we'll be back five or six months later seeking review
10 and the final Committee Letter to the Commission based
11 on its review of the final safety evaluation reports.

12 I didn't put details on this slide but you
13 can see basically the second half of the year, we're
14 going to be coming in for the other ones.

15 Now I do need to mention that -- as I
16 mentioned a few minutes ago, for the Clinton review,
17 depending on how the seismic issue plays out, we may
18 have to change that scheduled date for the final SER.
19 We don't anticipate that that will change the date for
20 your review of the draft safety evaluation report.
21 Those are fairly solid dates at this point.

22 So to conclude, Slide 17, safety reviews
23 are on schedule, on track. They've been challenging.
24 We've exercised a new process. We've exercised a rule
25 that we hadn't used before or let's say a subpart to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a rule that we hadn't used before.

2 We've exercised review guidance based on
3 that regulation for the first time, the review
4 standard. And we have identified some interesting
5 challenges.

6 One of the most interesting things we're
7 having to address is this is a part-way there review.
8 You have some issues resolved, others not.

9 Sometimes you have site-related issues
10 that because there is no specific design, as was
11 referred to the plant parameter envelope, some of
12 those issues need to be deferred to the combined
13 license.

14 So what you will see when you get these
15 draft safety evaluation reports are, similar to design
16 certifications, you'll see COL action items, items
17 that we could not take on now because the information
18 to resolve them is not available now. And so they
19 have been deferred to the COL.

20 You'll see other things, we'll have permit
21 conditions. We anticipate having permit conditions
22 that will be mentioned in the safety evaluation
23 reports that the staff will propose be included in the
24 permit.

25 So we're moving ahead with these things.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And we're having a lot of fun doing it. And having a
2 lot of challenges.

3 We think that there are a lot of lessons
4 learned here that will be useful to future applicants.
5 Whether someone comes in for an ESP or not, if they
6 come in for a COL with or without an ESP, these ESPs
7 will have been valuable to identify and resolve siting
8 issues that, of course, the Agency has not gone
9 through in a long time.

10 MEMBER KRESS: How will you disposition
11 these lessons learned? Put them in the review
12 standard or have an addendum to it?

13 MR. SCOTT: Some of them will result in
14 changes to the review guidance. Others are more
15 process oriented that may or may not fall within the
16 scope. We're writing things down and keeping track.

17 MEMBER KRESS: Writing them down right now
18 and decide what to do with them later.

19 MR. SCOTT: That's right. That's correct.

20 MEMBER KRESS: That sounds like an ACRS
21 approach.

22 MEMBER FORD: Are all of these early site
23 permits for a single reactor unit?

24 MR. SCOTT: No. I'll use Dominion as an
25 example. Dominion is seeking approval for a certain

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 megawatts thermal to be put on the site. They talk in
2 terms of two units. And a unit might be one fairly
3 large reactor, like an AP1000. It might be two
4 ACR700s. And it might be a larger number of gas-
5 cooled reactors.

6 As was mentioned earlier, they come in
7 with a PPE that says well we could possibly put one of
8 the following designs there, and there are like seven
9 of them, or something entirely different that hasn't
10 even been thought of yet.

11 MEMBER FORD: Well, like the emergency
12 planning, is it a function of the number of units that
13 they might put on a site? Or just the total megawatts
14 on the site? Or --

15 MR. SCOTT: Well, the emergency plan, my
16 take on that is that it is not strongly dependent on
17 whether you have five reactors or four reactors on the
18 site. The measures that would be taken would be
19 essentially the same.

20 MEMBER KRESS: Just assume they're
21 independent basically.

22 MR. SCOTT: You would assume, I guess you
23 would assume --

24 MEMBER KRESS: You assume one of them is
25 going to go. You don't assume all of them are going

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to go.

2 MR. SCOTT: I believe that would be
3 correct.

4 MEMBER ROSEN: I'm sorry but I missed the
5 beginning of this but does an early site permit only
6 apply to use with a certified design or can you use an
7 ESP separate?

8 MR. SCOTT: An ESP, think of an ESP as a
9 preliminary stage to get to a COL. And there are many
10 ways to get to a COL. You can get there with an ESP.
11 You can get there without an ESP. If you come in
12 without an ESP, then all site issues are open to be
13 resolved at the COL.

14 You can come in with a certified design or
15 not, an ESP-certified design, either, or both, or
16 none. So there are just all different options.

17 The ESP is one first stage, one possible
18 first stage to get to COL. As Laura Dudes mentioned,
19 perhaps, or certainly the DOE has just awarded cost
20 sharing to two consortia who are planning to develop
21 combined license. We don't know whether those
22 combined license applications will reference an ESP or
23 not.

24 One of the --

25 MEMBER ROSEN: That's the opposite of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 question I asked.

2 MR. SCOTT: I'm sorry?

3 MEMBER ROSEN: That's the reverse of the
4 question I asked.

5 MR. SCOTT: Okay. Maybe --

6 MEMBER ROSEN: But it is an interesting
7 answer nevertheless. You said that people could come
8 in with a COL application --

9 MR. SCOTT: Right.

10 MEMBER ROSEN: -- without an ESP.

11 MR. SCOTT: Correct.

12 MEMBER ROSEN: And that's the case, I
13 think, you just talked about for the --

14 MR. SCOTT: That's one case.

15 MEMBER ROSEN: -- consortia.

16 MR. SCOTT: Right. Well, now let me
17 clarify. There are two consortia that have received
18 these DOE awards. One of them is Dominion --

19 MEMBER ROSEN: Yes.

20 MR. SCOTT: -- for North Anna. Presumably
21 they would come in and reference the ESP. The other
22 is NuStart Energy, which is a consortium of a large
23 number of utilities. And we don't know what site they
24 have in mind or whether it would be a site that would
25 have an ESP. So we just don't know the answer to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that.

2 There's certainly no requirement that they
3 come at COL with an ESP. But I guess I didn't answer
4 your question, which was --

5 MEMBER ROSEN: Which was if you do come in
6 for an ESP, do you then have to use a certified
7 design?

8 MR. SCOTT: No, no you do not.

9 MEMBER ROSEN: Okay.

10 MEMBER KRESS: Let me ask you what might
11 be a weird question. As I recall, one of the plant
12 parameter envelope items is a source term.

13 MR. SCOTT: Correct.

14 MEMBER KRESS: And now I can envision one
15 that was a suitable site for an AP1000 or a current
16 1,000 megawatt Lefco plant of ladder design which is
17 a fairly healthy source term.

18 Then I can envision an applicant wanting
19 to put something like a gas-cooled reactor -- modular
20 gas-cooled reactor that has say the power level was
21 such that would take ten such modules to achieve the
22 source terms that you're talking about.

23 But they might argue I'm going to put 20
24 modules on because they don't all go at the same time.
25 And I'm looking at the source terms for one module

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 only. And it's well within this plant parameter
2 envelope.

3 Is that an issue that is likely to arise?
4 Or have you dealt with that?

5 MR. SCOTT: There's a couple of things
6 actually tied up in your question. The one is well,
7 what's the use of a PPE. Well, as you mentioned, the
8 applicant comes in with the source term.

9 And we evaluate that source term looking
10 at the site atmospheric dispersion characteristics and
11 reach a conclusion regarding whether the LPZ and the
12 EAB are appropriate.

13 If they come in at COL with a plant that
14 has a higher source term, then it has to be looked at
15 again. If they come in with a lower source term, then
16 it doesn't.

17 MEMBER KRESS: I don't know whether
18 modular -- that plant has a lower or a higher source
19 term.

20 MR. SCOTT: Well, I know. But here's the
21 other point you raised was multiple units and risks
22 posed by multiple units.

23 And that is an issue that is being
24 addressed by the staff. And I'm not well versed on
25 what the status of that is.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I mean in general, risk space that is
2 being addressed. We are not addressing it per se in
3 the ESP.

4 MEMBER KRESS: It hasn't come up in ESP
5 yet.

6 MR. SCOTT: Not directly.

7 MEMBER KRESS: It might be if somebody
8 that comes in with a modular plant to put on the site.
9 You might have to look at it and decide then.

10 MR. SCOTT: Right. But because -- the
11 other thing to bear in mind about this PPE, and I
12 mentioned it a couple minutes ago, is although they
13 cite, for example, Dominion cited seven or so designs,
14 they're not saying we're restricting ourselves to
15 these seven designs. They're saying these are
16 representative designs and we derived our reasonable
17 PPE from these designs.

18 And the staff has said that the only
19 criteria we'll apply to review of those PPEs is are
20 they reasonable.

21 MEMBER KRESS: Yes.

22 MR. SCOTT: So the applicant said I can
23 come in with something entirely different that's not
24 even in my PPE now.

25 And our response to that is is that's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 true. If it's bounded by your PPE, you're fine. And
2 if it's not --

3 MEMBER KRESS: You have to do another.

4 MR. SCOTT: It's open to review and
5 analysis and so on.

6 MEMBER KRESS: Yes, that's the only
7 logical way to approach it.

8 MR. SCOTT: Right.

9 MEMBER KRESS: Okay. Are there any other
10 questions?

11 (No response.)

12 MEMBER KRESS: If not, thank you for the
13 briefing. It's very helpful.

14 MR. SCOTT: Thank you.

15 MEMBER KRESS: And we expect to have more
16 fun with you in the near future.

17 MR. SCOTT: We're looking forward to it.

18 MEMBER KRESS: And we are, too. Thank you
19 very much.

20 I'll turn it back to you, Mr. Chairman.

21 VICE CHAIRMAN WALLIS: Now, we're way
22 ahead of time. Way ahead of time. I'm not going to
23 allow a break for almost an hour. It seems to me that
24 we could have sort of a work --

25 MEMBER KRESS: Have a look-see at some of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the letters maybe?

2 VICE CHAIRMAN WALLIS: I was going to --
3 yes, I was going to address your letter on AP-1000.

4 MEMBER KRESS: Okay.

5 VICE CHAIRMAN WALLIS: We can dispense
6 with the transcript now. We don't need the transcript
7 any more.

8 MEMBER KRESS: Just for a little while.
9 We'll need them back, don't we?

10 VICE CHAIRMAN WALLIS: No, we don't need
11 them back. We're going to be working on producing
12 reports.

13 PARTICIPANT: We are done.

14 VICE CHAIRMAN WALLIS: We're done with the
15 transcript.

16 MEMBER KRESS: We're done, okay.

17 VICE CHAIRMAN WALLIS: What I propose is
18 we take sort of a five-minute working break and that
19 during that break you look at this letter, this letter
20 that has been prepared. And anything else you need to
21 do.

22 And that we try to give him enough input
23 so that we essentially have a finished letter by ten
24 o'clock.

25 So we'll take this break and we'll come

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 back at 9:30 and we will work with Tom to try to have
2 a finished letter by ten o'clock. Then we'll take a
3 real break. Having got that far, we'll consider how
4 long the second break needs to be.

5 Anyway, we will take this short break and
6 we'll dispense with the transcript.

7 (Whereupon, the above-entitled meeting was
8 concluded at 9:12 a.m.)

9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25