

Official Transcript of Proceedings
NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards
 520th Meeting

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Friday, March 4, 2005

Work Order No.: NRC-265

Pages 1-88

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS (ACRS)

520th MEETING

+ + + + +

FRIDAY, MARCH 4, 2005

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

The Committee met at the Nuclear Regulatory Commission, Two White Flint North, Room T-2B3, 11545 Rockville Pike, at 8:30 a.m., Graham B. Wallis, Chairman, presiding.

MEMBERS PRESENT:

- GRAHAM B. WALLIS Chairman
- WILLIAM J. SHACK Vice Chairman
- GEORGE E. APOSTOLAKIS Member
- MARIO V. BONACA Member
- RICHARD S. DENNING Member
- F. PETER FORD Member
- THOMAS S. KRESS Member
- DANA A. POWERS Member
- VICTOR H. RANSOM Member
- JOHN D. SIEBER Member-At-Large

1 ACRS/ACNW STAFF PRESENT:

2 JOHN T. LARKINS Executive Director,
3 ACRS/ACNW

4 SAM DURAISWAMY Technical Assistant

5 MEDHAT EL-ZEFTAWY

6 MICHAEL SNODDERLY

7

8 NRC STAFF PRESENT:

9 KENNETH CHANG NRR/RLEP

10 KURT COZENS

11 JERRY DOZIER NRR/DRIP/RLEPB

12 BARRY ELLIOT NRR/DE/EMCB

13 AMY HULL NRR/RLEP

14 P.T. KUO Program Director, RLEP

15 CHANG-YANG LI NRR/SPLB

16 MARK LINTZ

17

18

19

20

21

22

23

24

25

		3
1	<u>AGENDA ITEMS</u>	<u>PAGE</u>
2	Opening Remarks, Chairman Graham B. Wallis	4
3	Proposed Revisions to Generic License Renewal	
4	Guidance Documents/Scoping Review Process	
5	for BOP Systems	
6	Member Mario V. Bonaca	5
7	Dr. P.T. Kuo	6
8	Mr. Jerry Dozier	9
9	Mr. Kurt Cozens	21
10	Dr. Amy Hull	31
11	Mr. Mark Lintz	68
12	Mr. Chang-Yang Li	75
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

P R O C E E D I N G S

(8:25 a.m.)

CHAIRMAN WALLIS: This meeting will now come to order. This is the second day of the 520th meeting of the Advisory Committee on Reactor Safeguards.

During today's meeting, the Committee will consider the following: proposed revisions to generic license renewal guidance documents and scoping review process for BOP systems, preparation for meeting with the NRC Commissioners, future ACRS activities, report of the Planning and Procedures Subcommittee, reconciliation of ACRS comments and recommendations, and the preparation of ACRS reports.

This meeting is being conducted in accordance with the provisions of the Federal Advisory Committee Act.

Mr. Sam Duraiswamy is the Designated Federal Official for the initial portion of the meeting.

We have received no written comments or requests for time to make oral statements from members of the public regarding today's sessions.

A transcript of a portion of the meeting is being kept and it is requested that the speakers

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 use one of the microphones and identify themselves and
2 speak with sufficient clarity and volume so that they
3 can be readily heard.

4 We will proceed with the first item on the
5 agenda which is the proposed revisions to generic
6 licence renewal guidance documents. And I will pass
7 over the authority of the meeting to the cognizant
8 member on this subject, Mario Bonaca.

9 MEMBER BONACA: Thank you.

10 During the past two, three years, in our
11 review of license renewal applications, we have
12 repeatedly encouraged the staff to update the
13 supporting documents like GALL and SRP.

14 And I think the time was right, in part,
15 of particular interest to the Committee was the
16 development was the ISGs that have been used now for
17 many of the plants and have established some baselines
18 where if there is a clear indication of what the
19 licensee should do, that information clearly belongs
20 in the guidance documents.

21 Also of interest to us has been the fact
22 that on certain programs, particularly buried piping,
23 buried concrete, fire protection, all licensees seem
24 to take exceptions to the requirements of the rule.
25 And so the NRC consistently accepts the exceptions.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 That means that maybe the SRP shouldn't be or the GALL
2 shouldn't be so prescriptive. And we heard that, in
3 fact, some of the changes would be incorporated.

4 So today we have Mr. Kuo and the staff to
5 tell us about these changes, which are much broader
6 than the one I described.

7 But at some point, it would be worthwhile
8 for the Committee to hear about specifically the one
9 I mentioned because they are part of exceptions of
10 licensees for three LRAs that we are currently
11 reviewing. So buried piping, buried concrete, and
12 fire protection systems.

13 So with that, I'll turn to Mr. Kuo.

14 DR. KUO: Thank you, Dr. Bonaca. My name
15 is P.T. Kuo. I'm the Program Director for the License
16 Renewal Environmental Impacts Program.

17 The purpose of today's briefing is to
18 brief the members on the recent revision on the
19 generic guidance documents that was originally issued
20 in July 2001.

21 Over the past four years, we have reviewed
22 many license renewal applications and we have gained
23 considerable experience from these past reviews. As
24 Dr. Bonaca mentioned, that the industry revision that
25 we have attempted to incorporate some of the lessons

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 learned, included the ICs, whether it's finalized or
2 it's still in draft form. And we have also included
3 many of the past precedent that we have applied in the
4 past reviews.

5 So today the staff will have four
6 presentations for you. And we hope that we get your
7 feedback, the input. We have published this set of
8 revised documents on January 31st. These documents
9 are all on the Website and for public comment. The
10 comment period will end on March 31st.

11 And we had a public workshop on Wednesday
12 this week. The industry, NEI, has already submitted
13 their set of comments verbally during the workshop.
14 And they promised that they will submit their written
15 comments also.

16 We also have received a report from David
17 Lochbaum, who is a member of the Union of Concerned
18 Scientists. He sent us a report and we have reviewed
19 that report. And we believe we also have considered
20 his report in the development of this revised version
21 of the guidance documents.

22 The four presentations will be given by
23 our staff. First Jerry Dozier. He is leading this
24 effort and he is going to give the Committee a brief
25 overview of the whole project.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And then followed by Kurt Cozens. He's
2 going to brief the Committee on the revision of the
3 standard review plan for license renewal.

4 And then Dr. Amy Hull, who will be
5 briefing the Committee on the GALL Report itself. And
6 I want to say a few words about Amy. She is on loan
7 to NRC from Argonne National Lab and she has been a
8 member of this team for more than a year now. And she
9 has contributed significantly to the effort. We
10 appreciate her effort here.

11 Then we have Mark Lintz who is going to
12 present his revised Reg Guide 1.88.

13 Basically what they are going to do is to
14 provide the Committee with a summary of the changes of
15 these documents from the original version.

16 So with that, I think I'm just going to
17 turn over the meeting to Jerry first. And then
18 followed by the rest. Unless there are any other
19 questions. Are there questions I could answer?

20 CHAIRMAN WALLACE: Do you have a handout
21 for us?

22 DR. KUO: You should have.

23 CHAIRMAN WALLACE: Okay. Thank you. So
24 it's buried, okay, somewhere.

25 PARTICIPANT: Here it is.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLACE: Okay. Oh, it's a tiny
2 thing. Go ahead.

3 (Laughter.)

4 DR. KUO: I might mention also that before
5 we finalize this set of guidance documents, which we
6 intend to finalize it say on September 30, 2005,
7 before we issue the final version of this set of
8 documentation, we will come to the Committee again to
9 give you the overview of what is final -- the
10 finalized version of this documentation.

11 Jerry?

12 MR. DOZIER: Good morning. My name is
13 Jerry Dozier.

14 And the challenge this morning is to --
15 actually when the documents was delivered to the ACRS,
16 I delivered it in a wheel cart. And I think it was
17 four or five boxes. That represented -- if you take
18 the entire collection, it's about 1,800 pages
19 including the basis document.

20 We'll also have a public comment NUREG
21 that will even come after that, so I suspect we'll be
22 about at the 2,100 page mark before the end of the
23 effort.

24 MEMBER POWERS: You haven't even
25 approached what we had for early site permits.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 (Laughter.)

2 MEMBER POWERS: We're not stunned.

3 (Laughter.)

4 MR. DOZIER: With that amount of
5 information, the challenge here is to give a good
6 background, schedule, scope, and an overview of all
7 these documents in about a 45-minute period, allowing
8 time for questions and answers. So I'll quickly
9 begin.

10 As you know, the documents that we updated
11 were NUREG-1800, 1801. We saw a new numbering on the
12 Draft Guide 1140. That's actually our old Reg Guide
13 1.188 that when it goes out for public comment, we use
14 this Draft Guide 1140 designation. And, of course,
15 that will be Rev. 1 when it's completed.

16 Not mentioned here is we also had
17 available on our Website a contractor NUREG draft of
18 the basis document, which we have submitted to the
19 ACRS and it's available for all the members of the
20 public and all of the reviewers.

21 For this effort, there's no one effort you
22 can point to. It was certainly integrated
23 participation of a lot of people that were involved.
24 It was multi-office within NRC, including the Office
25 of Research. DRIP, DIPM, DSSA, and DE were all

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 involved.

2 Basically in a lot of these meetings, we
3 had representatives from these groups as well as
4 contractor groups in there as panelists -- as in
5 information panel -- to basically provide direction-
6 setting and also review products and make sure that
7 the concerns were aired and considered.

8 Much of the members were those that were
9 involved in original GALL development, audits,
10 reviews. And so we had a good cross section of people
11 to help us come to the decision that we have.

12 We also had contractors involved. The
13 prime contractor was Parallax. We had -- before the
14 effort began, we had Argonne National Lab who looked
15 at seven applications to identify the lessons learned
16 that we could -- for consideration. We also had a
17 contractor, ISL, who looked at one application and
18 offered lessons learned for consideration of the
19 update.

20 So we had a lot of comments to consider.
21 And we considered all of those. We prioritized them.
22 And implemented those that we felt appropriate for
23 this update.

24 Also, we had active involvement with NEI.
25 We had frequent public meetings with them. They also

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 -- we had a preliminary draft of the documents out
2 September 30th. So we say a 60-day comment period but
3 in actuality, major portions of the document have been
4 out since September 30th. So we've extended that out,
5 you know, so that they could -- we could have very
6 much a visible process. We've had public groups
7 involvement, Union of Concerned Scientists, as Dr. Kuo
8 mentioned, earlier.

9 CHAIRMAN WALLACE: When you have these
10 public meetings, are they all in the Washington area?

11 MR. DOZIER: Yes, all of the meetings for
12 the license renewal update are at headquarters. If we
13 -- of course, the license renewal, the specific
14 applications, we had the on-sites.

15 CHAIRMAN WALLACE: So some member of the
16 public who is interested on the West Coast has to
17 travel to Washington?

18 MR. DOZIER: We typically have a bridge
19 line and the availability of the bridge line for those
20 who want to participate.

21 CHAIRMAN WALLACE: So they can participate
22 without physically coming to the meeting?

23 MR. DOZIER: Yes, sir.

24 CHAIRMAN WALLACE: Do they that? Do
25 people do that?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. DOZIER: There has been some. I mean
2 in a typical meeting, there will only be probably two
3 or three. And a lot of times, they're contractors.

4 MEMBER POWERS: If I may, Dr. Wallace,
5 every one of our meetings are public. We publish
6 meeting notice and sometimes in Federal Register
7 notice. If there is any request to us that they want
8 to be a participant of the meeting, yes, we will make
9 arrangements. We don't go out to solicit
10 participation.

11 MEMBER FORD: Could I ask something, a
12 little bit about the dynamics in the discussions. We,
13 in this group, have often brought up questions. Aging
14 management is in a continuous state of flux as new
15 information becomes available.

16 And licensees, especially, from the
17 conversations I've had with them, generally resist
18 changes to, for instance, GALL because they say that
19 the research is not mature enough or it doesn't relate
20 to safety-significant aspects.

21 How much did you have to back off on your
22 suggested changes because of licensee or other parties
23 use of such an argument? It's too immature to put
24 into such a guidance document. You understand the
25 question?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. DOZIER: I think I do. And actually
2 in this -- of course, as you said, there are some
3 issues out there that may be a challenge. But realize
4 that in this particular effort, what we were trying to
5 do was learn from what we have already done.

6 If you look in our basis document, we're
7 taking those elements that we have accepted in the
8 past and basically placed them in these documents.
9 And a lot of times, we've accepted them many times.
10 So that we don't have to go through that same thing.

11 New issues, we still have the Interim
12 Staff Guidance Program in place. And for those types
13 of issues, they are still open.

14 MEMBER FORD: Let me give you a specific
15 example.

16 MR. DOZIER: Sure.

17 MEMBER FORD: For instance, the Fatigue
18 Code, ASME III Fatigue Code, which is in a continual
19 state of flux. And there's at least three models or
20 algorithms out there in Japan, from ANL, from ASME
21 itself, which can give remarkably different values of
22 the CUF values.

23 How do you, as you've done this new
24 document, how have you taken into account that state
25 of flux in the technical community?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. CHANG: This is Ken Chang. Let me
2 address a little bit on that.

3 DR. KUO: By the way, Ken Chang is the
4 Acting Second Chief for the Section B in the License
5 Renewal Environmental Impacts Program.

6 MR. CHANG: In that fatigue area, the
7 other teams have been suggesting that the applicant
8 should look into the plant-specific problem area
9 instead of generic NUREG/CR-6260 location.

10 And since the new fall report put that
11 kind of requirement in there, we already have feedback
12 from the applicants. And we already have
13 communication during the workshop. So I can
14 anticipate those kinds of communication is upcoming.
15 And the open discussion is always for the improvement.

16 DR. KUO: Dr. Ford, this effort here, the
17 revision, is basically to incorporate the lessons
18 learned and that includes the past precedents that the
19 positions that the staff has taken during the past
20 reviews. And also incorporates some of the ISGs that
21 we have already published and the Committee has
22 reviewed. And also some still in draft that the
23 Committee may not have seen it.

24 But we have prepared the draft and instead
25 of publishing the SNIC, this is the perfect timing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that includes in this version of the document so that
2 this version will be reviewed by the Committee later
3 on before we finally publish it in September. And
4 also it will be subject to CRGR's review.

5 Basically this final version, when we
6 publish it on September 30th, will subject the whole
7 treatment of management review.

8 MEMBER BONACA: Just a comment. As we go
9 forth, you know, and I participated in part of the
10 workshop on Wednesday, I noticed that the changes are
11 two categories. One is really organizational changes
12 of the documents. And we're interested but I think we
13 are more interested in the substantial, substantive,
14 technical changes that have taken place in the license
15 renewal.

16 So, you know, my suggestion would be that
17 you give emphasis on those rather than just the
18 organizational portion, which is interesting because
19 we want to know how to use them, but not as
20 interesting as the technical changes made.

21 DR. KUO: And talking about the workshop
22 last Wednesday, I failed to mention, and I was
23 reminded by Dr. Sam Lee, that a group of county
24 legislators surrounding the Indian Point plant
25 actually attended the workshop, although very late.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Dr. Bonaca, you may not have seen them --

2 MEMBER BONACA: No, I wasn't here.

3 DR. KUO: -- but they came in at 4:00 p.m.

4 And we were there waiting for them and they all came

5 in. So partly this is an answer to Dr. Wallis's

6 question is the public interested in this. They are.

7 And they actually came all the way, drive for five and

8 a half hours.

9 MEMBER BONACA: Okay. I mean that would

10 be my encouragement to spend more time on the

11 technical changes you made. And probably less on the

12 organizational report. Just a comment as you go

13 through your presentation.

14 CHAIRMAN WALLACE: I thought it was more

15 than a comment. It was a piece of advice.

16 (Laughter.)

17 MEMBER BONACA: Well, I mean, there is

18 some substantive thing that we use in our review. So

19 there is an interest in the CRS, in understanding

20 where there have been those changes, you know, because

21 we use them in our review.

22 MR. CHANG: Throughout this presentation,

23 if any technical areas that the ACS members like to

24 hear but it is not covered, please raise. We will try

25 to accommodate that as much as we can.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER FORD: Okay.

2 VICE CHAIRMAN SHACK: Just a point of
3 clarification. How much of the ISGs have now -- you
4 know, have all the ISGs been informally incorporated
5 into GALL? Or are there still GALL and ISGs?

6 MR. DOZIER: There -- about -- there was
7 probably about maybe a half of the ISGs that were
8 addressed in GALL. But the current ISG Program
9 continues.

10 MEMBER BONACA: Why would you have only
11 about half of them? Not all of them? Is it just the
12 timing or --

13 MR. DOZIER: Mark?

14 MR. LINTZ: Jerry? If I may. Mark Lintz.
15 I deal with the ISGs. Jerry is correct. About half
16 have been incorporated into the GALL document as you
17 see it now. Others remain simply because they have
18 not been resolved. Either staff is working through
19 the issues and some of them are -- one of them is
20 fatigue, as already mentioned, and there are other
21 issues that do not lend themselves to quick and easy
22 resolution between staff and industry.

23 So the ones that do remain are bigger
24 issues. There's one that we're working -- we're
25 coordinating with VIP on. There's another that we're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 coordinating with the issue on CASS. We already
2 mentioned fatigue. So some of these issues just will
3 take more time.

4 MEMBER BONACA: So that is still being
5 contested by the industry?

6 MR. LINTZ: Correct.

7 MEMBER BONACA: So although you do have
8 guidance on what you expect, so the current licensees
9 will meet those requirements, they are still being
10 contested and evaluated.

11 MR. LINTZ: In addition, I would like to
12 add sometimes there is no unity of opinion within
13 staff, which, of course, delays any progress.

14 MR. DOZIER: With this slide, I do want to
15 emphasize that we will have a public comment NUREG
16 considering all of these comments from the workshop
17 and from the public comment period that will
18 specifically address all of those comments.

19 Schedule, I'll just roughly go through
20 this. We put the documents the 31st. We had the
21 draft basis document available on the 7th. We had the
22 public workshop. And now we're in the public comment
23 period.

24 We do continue -- on April 21st, we do
25 continue to plan to have public meetings throughout

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the remainder of this project. We'll provide the
2 approved documents about the August time frame to be
3 a month in advance. So the next ACRS meeting in
4 September with the plan to publish these as final on
5 September 30th.

6 VICE CHAIRMAN SHACK: You had a public
7 comment NUREG before but I'm not sure that I can think
8 of other licensing actions where we published public
9 comment NUREGs. I mean it seems to me a good idea but
10 is there a particular reason why it's done here?

11 MR. DOZIER: We want to make sure --

12 VICE CHAIRMAN SHACK: Or is it a just a
13 decision that you make internally?

14 DR. KUO: Yes, this we consider our set of
15 very importance guidance document. It's weighed like
16 SRP because GALL really is the technical basis
17 document for SRP. And we do publish for comments, say
18 the standard review plan for the operating reactors,
19 0800. And for that we do publish for public comments.

20 MR. DOZIER: Okay. And we also keep our
21 members of the public and everyone informed on one
22 license renewal guidance update page. And that's what
23 it looked like. Actually in that, you'll see all the
24 meetings, meeting summaries, downloads of the
25 information, et cetera.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 With that, we'll get more into the meat of
2 it with Kurt Cozens on the SRP.

3 MR. COZENS: Let's see, Jerry skipped a
4 couple -- can you hear me on this?

5 Jerry skipped a couple of slides in the
6 interest of satisfying your request. And I'll try to
7 go through this fairly quickly because the standard
8 review plan is largely an administrative document that
9 talks about how to perform the reviews.

10 It was written initially based upon having
11 a few reviews completed. And subsequently, there's
12 been a lot of lessons learned and also some structural
13 changes within the NRC that dictated some additional
14 process changes be added to it.

15 The changes that have been implemented fit
16 into basically three categories. The first one is to
17 reflect any technical changes that had been
18 incorporated into the GALL document itself that needed
19 to be transferred over to the SRP, namely the further
20 evaluation criteria, again, it's in GALL but it's also
21 here. Also the table, the roll-up table summaries are
22 the activities -- because of changes in the GALLs, the
23 corresponding changes needed to be made.

24 The second significant area of change was
25 the acknowledgment of the structural changes within

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 RLAP, the creation of RLAP B, which is a section that
2 actually performs audits and reviews, that's part of
3 the license renewal group.

4 Lastly, we had to address insights gained
5 for the performance of the LAR reviews that have been
6 performed to date. And so it's just a matter of
7 processing explanation that maybe we wanted some
8 additional clarification.

9 And I'm going to speak about these a
10 little bit more.

11 Next slide. We have revised Section 30.
12 Before, it was literally just a title. We've added
13 some significant text here to highlight the division
14 of reviews between those which are performed within
15 RLAP B and those which are performed by others. This
16 would be the safety review portions, not the scoping
17 and screening.

18 We've also provided some background on
19 what does it mean to perform these reviews. It wasn't
20 really explicitly clear when you read the 2001
21 edition. And we chose to add some additional
22 editorial text just to position the reader to
23 understand what is happening in this document.

24 Then lastly we've, in this section, added
25 clarification of some activities and commitments that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 have been made in an October 26th letter to Dr. Bonaca
2 concerning the need to assure that operating
3 experience is considered for extended power uprates.
4 And that was a paragraph that was added to denote that
5 criteria and commitment that we had made back in
6 October.

7 Next slide please. Section 3.1 through
8 3.6 of the SRP effectively do three things. They
9 identify the areas of review, they identify the
10 acceptance criteria, and they identify the review
11 procedure. These have been enhanced over what was in
12 the 2001 edition.

13 I will note that 3.1 through 3.6, which
14 address the reactor coolant system, the Engineered
15 Safety Features, the aux. system, the steam power
16 conversion systems, and electrical systems all have
17 the same nominal structures. And the changes to each
18 sections were essentially the same type of changes.

19 Also we clarified how to perform aging
20 management program reviews and how to perform AMR,
21 aging management reviews, and what it means to perform
22 the FSAR analysis that we perform as part of this.
23 Those were changed to align with the audit process as
24 we actually perform it because we've defined it a lot
25 better now than we had before.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We discuss the exceptions and enhancements
2 to the GALL Report that being that GALL is a voluntary
3 document, it does discuss what staff has defined as
4 one acceptable way of satisfying the tendency of our
5 Part 54 rule but we have noted since the beginning of
6 use of GALL that licensees do, indeed, take exceptions
7 to some of the criteria that is in the GALL Report and
8 also may need to perform enhancements to existing
9 programs.

10 And that had been one of the confusions
11 that had existed on some reviews where the licensee
12 would be using the terminology of enhancements in a
13 very broad perspective to mean everything they did
14 beyond what they're doing today. But it may not be
15 necessarily an enhancement or an action that was
16 necessary to bring an existing program up to what
17 GALL, the GALL criteria were.

18 So we wanted to make a distinction that if
19 they had an existing program and they were taking some
20 action before the period of extent of operation, they
21 would now make that existing program consistent. We
22 wanted to give that definition so we could focus on
23 those activities to assure that we're consistent with
24 GALL.

25 And lastly, we noted that in the document,

1 when they have taken exceptions, that those must be
2 evaluated and documented in the SER and the basis for
3 those exceptions documented. So now we've formalized
4 that as a commitment. Although we had done that, it
5 was never part of this RP before.

6 A large portion of these Sections 3.1
7 through 3.6 are the further evaluation criteria when
8 GALL has identified a further evaluation that is
9 necessary. Some action beyond that which actually is
10 explicitly defined in the GALL Report, the application
11 needs to define how do they perform that.

12 The standard review plan contains the
13 criteria that have been defined for that. Now through
14 our reviews in the updating of the GALL Report, some
15 of those had changed. And those needed to be
16 reflected here. And that update has been done.

17 As I mentioned earlier, there is a series
18 of roll-up tables in the GALL Report. Those were
19 revised to, again, reflect the changes in the GALL.

20 MEMBER BONACA: Just a question. On the
21 previous slide, you talk about the -- it discusses the
22 exceptions process.

23 MR. COZENS: Yes.

24 MEMBER BONACA: Okay. And I have to look
25 at it to understand better what the guidance is there

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 but, you know, I noted that in some cases, for example
2 in, you know, an issue we have raised a number of
3 times, which is inaccessible concrete, there is
4 guidance there.

5 If you have non-aggressive soil, the
6 tendency is the one of allowing no inspection,
7 essentially, during the period of extended operation
8 unless one happens to dig somewhere and then there is
9 some indication that they would look at it.

10 When you look at the plans with aggressive
11 soil, then the guidance is that there should be
12 periodic inspections.

13 But then the licensees always take the
14 position that they will do, you know, opportunistic
15 inspections and they happen anyway. But there is no
16 requirement for them to do it on a periodic basis.
17 And, in fact, if they end up not ever excavating for
18 any reason over a 20-year period, they would never do
19 an inspection either.

20 I mean so what does it mean in that case
21 to have a requirement for a period inspection if there
22 is no, you know, there is no substance to that?

23 MR. COZENS: In response to your question,
24 I can give you part of the answer and part of it a
25 parallel example. I'm not certain I know the explicit

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 answer here so I may let somebody else address that.

2 But GALL being a document that is
3 equivalent basically to a Reg Guide demonstrates one
4 acceptable way. A licensee does have permission to
5 propose an alternate method. Those are, indeed,
6 required to be evaluated and justified.

7 Now coming back to your specific activity
8 on concrete, let me provide a parallel answer and
9 maybe somebody else can answer the comment on
10 concrete. In the buried piping and tank amp, we had
11 some words in there that did permit an opportunistic
12 inspection.

13 At a recent ACRS, this was discussed and
14 a proposal was made that we assure that they perform
15 an inspection of these buried pipings and tanks at
16 least once every ten years.

17 MEMBER BONACA: That's right.

18 MR. COZENS: That has been added to the
19 updated GALL and I'm not quite certain I recollect --
20 bear in mind it's this thick -- what happened with the
21 buried concrete.

22 MEMBER BONACA: But nothing is --

23 MR. DOZIER: With the -- I know for the
24 inaccessible and accessible areas of concrete, we did
25 incorporate IS, Interim Staff Guidance 3. And we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 clarified the accessible and inaccessible regions of
2 the concrete a little better we felt.

3 DR. HULL: And this is Amy Hull speaking.
4 To be more specific --

5 PARTICIPANT: Amy, you have to speak into
6 the microphone.

7 DR. HULL: Okay.

8 DR. KUO: Your name please?

9 DR. HULL: Amy Hull, this is Amy Hull
10 speaking.

11 The way that we've handled it for Chapter
12 2, for example, we defined what an aggressive
13 environment is and we establish whether there is an
14 aggressive environment. For inaccessible areas, we
15 have written for the AMP and the AMR line items
16 examination of representative samples of below-grade
17 concrete and, as you point out, when excavated for any
18 reason --

19 MEMBER BONACA: Yes.

20 DR. HULL: -- is to be performed if the
21 below-grade environment is aggressive, defined as pH
22 less than 5.5, chlorides greater than 500 ppm, or
23 sulfates greater than 1,500 ppm. Now what we do, we
24 specify that there will be periodic monitoring of the
25 below-grade water chemistry, including consideration

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of potential seasonal variations as an approach to
2 demonstrate that this below-grade environment is
3 aggressive or non-aggressive.

4 So you have the monitoring of the water to
5 determine that the pH --

6 MEMBER BONACA: Yes.

7 DR. HULL: -- and chemical content. And
8 then if it is aggressive, you have to go in. That's
9 my understanding of what we have written.

10 MEMBER BONACA: Okay.

11 MR. CHANG: Dr. Bonaca, let me supplement
12 this area. Since the draft GALL -- I mean the Rev. 1
13 GALL was published January 31st and we have some
14 requirement there for the opportunistic excavation and
15 also focused inspection, people look into that and the
16 other teams has already created communication to those
17 pilot plants and other plants. We're persuading them
18 to say hey, why don't you include those kind of
19 requirements in there?

20 If somewhere you have excavating in the
21 last ten years -- in the first ten years into the
22 extended period of operation or just prior to that,
23 they you do not need to have a focused inspection. If
24 not, we'll ask you to commit to do that.

25 And where to do it is those high-risk,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 high-stress areas. And as an alternative, one
2 applicant says we'll do this but we don't know whether
3 we do enough. So we would do an engineering
4 evaluation of what we have done to assure you that the
5 coating and wrapping is safely protected and those
6 components will serve the intended functions.

7 We have talked to at least three
8 previously-reviewed plants. They all agreed to put
9 those kind of statements in there. So the positive
10 impact, you can see it already.

11 MEMBER BONACA: Okay.

12 MR. COZENS: Okay. The last slide I -- go
13 ahead and push the button a couple of times because we
14 get to use automated features. We've made some minor
15 structural changes to the tables that are contained in
16 the SRP to make them a little user-friendly.

17 Quite frankly, it was very difficult to
18 find a particular line that you might have been
19 talking about with anybody. And so we added something
20 very simple, a number. So you can talk about line 32
21 if you wish to.

22 Probably more important, the GALL Report
23 used to be able to be referenced going from the GALL
24 Report to the SRP. It was very difficult to go from
25 the SRP into the GALL Report. Another column has been

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 added to these tables that has some related links that
2 permit you to now go from the SRP into the GALL so
3 it's a better linkage. And we believe that will make
4 it more user-friendly and easier to actually perform
5 the reviews.

6 And that, indeed, concludes my prepared
7 remarks. Are there any questions?

8 (No response.)

9 MR. COZENS: Thank you.

10 DR. HULL: Good morning. I'd like to
11 point out that although my name is on this slide, I'm
12 trying to represent the work of dozens of people at
13 NRC, at Argonne, at Parallax.

14 P.T., thank you for your kind
15 introduction. I want to point out I'm appreciative to
16 my managers at Argonne and at NRC to have the
17 opportunity to be here, to have this appointment in
18 your group.

19 It's been exactly ten months today. I
20 don't know if it is good or bad that you think I've
21 been here for over a year.

22 DR. KUO: I'm sorry. I thought it was
23 already a year.

24 DR. HULL: No.

25 (Laughter.)

1 DR. HULL: Okay. Let me go on.

2 All right. I'm going to try to get into
3 some of the nitty-gritty of what's going on.

4 As you've noticed, we've made
5 modifications, additions, and deletions to the AMPs.
6 We've written three new AMPs that are currently
7 included. There are others that will be coming online
8 soon through the ISG process.

9 We've included E.4, the AMP for bus ducts,
10 E.5, AMP for fuse holders, and E.6, electrical cable
11 connections not subjects to 10 CFR 50.49,
12 environmental qualifications requirements.

13 Two of the AMPs have been deleted. These
14 are M.11 for nickel alloy nozzles and penetrations and
15 M.16 for PWR vessel internals. I'll talk about them
16 a little bit later.

17 One of the things that we have been trying
18 to do is to make GALL, the AMR line items, less
19 prescriptive as you mentioned. And so we're trying to
20 standardize them without compromising safety.

21 Another thing that we're doing is trying
22 to ensure that each line item in GALL '01 is traceable
23 to the update so nothing has been lost. And --

24 MEMBER FORD: Amy, could I interrupt
25 please?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. HULL: Yes, go ahead any time.

2 MEMBER FORD: How do you quantify,
3 standardize without compromising safety? How is that
4 quantified?

5 DR. HULL: Yes, it's a rather nebulous
6 term isn't it?

7 What we've tried to do is keep the same
8 amount of content or improve content from what we had
9 before but to have it more consistent between
10 chapters, between the different mechanical systems.
11 There was some variation before between engineered
12 safety features of steam power conversion systems or
13 the RCS or the aux. systems where you might not
14 necessarily expect them.

15 So we are looking at it in such a way now
16 that it will be more clear, more general, less
17 prescriptive to the licensee so that, you know, they
18 can take what they need from GALL. We have the
19 foundation of the 30 SERs that have been written in
20 response to the licenses that have been done. And
21 we've gone in and looked at them and compared the
22 precedents and seen which, you know, are rigorously
23 defensible and tried to incorporate them.

24 I don't know if that answers your
25 question. This statement is pretty nebulous, I agree.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER FORD: I'm trying to understand.
2 I can understand why you want to standardize. But
3 without compromising safety, do you mean you are not
4 -- I'm pretty sure you're not talking about if it
5 fails and what's the impact on CDF, for instance.
6 That's not --

7 DR. KUO: Dr. Ford, I think the more
8 precise statement should be without changing the
9 intent of the original GALL Report.

10 DR. HULL: Yes.

11 DR. KUO: See we had a program there in
12 Revision 0. Now we are making changes. And we want
13 to make sure the changes doesn't impact on the intent
14 of the original report.

15 MEMBER FORD: And the intent of the
16 original report was not to compromise the GTCs
17 presumably.

18 DR. HULL: Yes.

19 MEMBER FORD: Not changes in CDF. Is that
20 right? I'm just trying to understand that statement.

21 MEMBER BONACA: Well, regarding the
22 prescriptiveness, you know, I notice that on the fire
23 protection, for example, we noted that there were
24 instructions in GALL that, you know, you will test
25 your doors every two months.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER FORD: Right.

2 MEMBER BONACA: And you will do tests of
3 the nozzles every year or six months or whatever,
4 okay? And every licensee too exception with it
5 because they felt that the program they had was
6 adequate and maybe they were testing them every 12
7 months. And there was a history of success, you know,
8 with their testing frequency.

9 So what they've done, they have really
10 eliminated all of this viability. They essentially
11 said they should have a periodic program of testing.
12 And then give some guidance on the range.

13 Okay, so --

14 MEMBER FORD: And leave it up to the
15 licensee to meet the argument that they are not
16 compromising engineering judgment of safety?

17 MEMBER BONACA: And on the basis of
18 experience. Again, 20 years of experience or
19 thereabouts --

20 MEMBER FORD: Right, okay.

21 MEMBER BONACA: -- where you are testing
22 a door, you know, at that frequency and you find that
23 you have not problem, I mean why should you now test
24 it ten times more? I mean it just -- you know, so
25 that's --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER FORD: Okay.

2 MEMBER BONACA: -- what I thought was an
3 advantage because there would be so many less RAIs --

4 MEMBER FORD: Yes.

5 MEMBER BONACA: -- and also so many less
6 exception. Every time there is an exception, they
7 have to review it and they have to disposition it. So
8 now I'm not sure that all of these changes are that
9 way. But I think from what I've seen, that's --

10 MEMBER FORD: Okay.

11 DR. HULL: Al?

12 MR. BAIONE: My name is Al Baione. And
13 I work with Parallax and I've worked with this team in
14 the development of the update.

15 When you look at what Amy is trying to
16 convey in this item, the aging management review line
17 item changes, the overall process was an attempt to
18 not make technical changes without specific intent.
19 And here there was non-standard repetition of the same
20 technical content throughout different chapters. And
21 the basic language to identify the line item was
22 standardized so that it could be more consistently
23 applied when appropriate.

24 The key thing is that every line item in
25 old GALL can be traced into new GALL. When technical

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 changes were made in converting old to new, there is
2 a technical basis document that we'll talk about which
3 incorporates explicit justification for that change.

4 And the compromising safety I think was an
5 attempt to say we made standardization but didn't
6 change technical content unless explicitly identified.

7 MEMBER BONACA: Yes, and by the way, the
8 technical basis document is very useful. I think it
9 was quite clear and the organization or the document
10 also is very helpful.

11 DR. HULL: We tried to make it reflect
12 Volume Two of GALL.

13 MEMBER BONACA: Yes.

14 DR. HULL: It's very deep. You have to
15 get into the tables. It's not very well explained in
16 text form but all the information is there within the
17 tables.

18 MEMBER BONACA: And it is clearer than it
19 used to be.

20 DR. HULL: Thank you.

21 All right. Our primary focus has been on
22 approved precedents interim staff guidance as
23 discussed earlier and lessons learned from the review
24 of many SERs. Argonne and also ISL were involved with
25 reviewing a number -- rigorously reviewing a number of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the SERs on the basis of license renewal.

2 And we have lessons learned quoted in the
3 basis document, for example, that include ANL-1,
4 Dresden Quad Cities, Ft. Calhoun, Ginna, North Anna
5 Surry, Robinson St. Lucie, VC Summers, as well as
6 others. Our revision is based on hundreds of comments
7 prior to the 131.05 draft of GALL. These are captured
8 electronically in various databases that we have.

9 I mentioned that we have done some work
10 looking at 10 CFR 54.4(a)(2), systems, directories,
11 and components. And I'll talk about that a little bit
12 later as will Mark Lintz in his presentation.

13 In another slide, I will talk about what
14 we refer to sometimes as the null set, the common
15 miscellaneous material environment combinations that
16 would not be anticipated in the context of the AMR
17 line item specifications to cause problems with
18 degradation. And so consequently there is no AMP or
19 no further evaluation listed for them.

20 In GALL 2001, we had sections for carbon
21 steel components in Chapters 5, Engineered Safety
22 Features, in Chapter 7 for Aux. Systems, Chapter 8 for
23 Steam and Power Conversion Systems. These sections
24 have been replaced by sections now addressing the
25 external surfaces of components and miscellaneous

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 bolting.

2 As you know, there have been revisions in
3 all sections of NUREG-1801, mechanical, structural,
4 electrical. We had an empty Chapter 9 in 2001. That
5 has now been used to define some of what we call the
6 MEAP, the MEAP, Materials Environment Aging Effects
7 Programs Parameters.

8 And we've also made some revisions to the
9 Time Limited Aging Analysis and the Aging Management
10 Programs.

11 The configuration, much of it looks the
12 same. Some looks different. In the first column, we
13 have identifiers that are a little bit different than
14 previously. So the first one, the VD2-13 is the 13th
15 item in Chapter 5 for Engineered Safety Features in
16 Section D2 for the BWR emergency core cooling system.

17 Underneath that, the E29, I find it's more
18 useful because it refers to the 29th unique AMR line
19 item in the Engineered Safety Features section. And
20 when all of these are listed as we have in our GALL
21 master, which is on the Web also, there about 646
22 distinctive AMR line items, significantly decreased
23 from 2001.

24 Since some of them are repeated in
25 different chapters, if you boil it down, it comes to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 less than 500 we think because of the repetition.

2 Okay, when present as in the two last AMR
3 line items here, EP-36 and EP-27, the second letter P
4 identifies that there is a new MEAP combination based
5 on the precedent. This is technical justification
6 from the ISG analysis of comments received during the
7 past four years or staff judgment.

8 The second column where it says link is
9 important because that will either go back to the
10 original GALL 2001 or it will go back to the basis
11 document, for example, for EP-27 or EP-36.

12 And that's all that's really important to
13 talk about here. I won't give you a tutorial about
14 the other columns.

15 Okay, so I pointed out the link. And that
16 we have new GALL AMR line items added with the
17 nomenclature of the P for precedent following the
18 designator for the given system.

19 One of the things that we have done is we
20 have looked at the materials and the way we've handled
21 materials. In 2001, it was more specified. And we
22 tried to group together metals and materials as
23 appropriate. Here we've created a new line item to
24 address the selective leaching of copper alloy that
25 occurs with over 15 percent zinc.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And as can be seen in the excerpt from the
2 basis document at the bottom of this page, this new
3 line item is used in all four of the mechanical
4 systems chapters, in the aux., AP, EP, engineered
5 safety features, RP, reactor coolant systems, and SP,
6 steam and power conversion systems.

7 Another thing that we have done, and I'll
8 talk about it a little bit more, rather than spelling
9 out the detailed piping subsystems or piping elements,
10 we've been less prescriptive and we have defined them
11 as being piping, piping components, and piping
12 elements. As has been pointed out in GALL 2001 and
13 GALL 2005, GALL is not meant to be a scoping and
14 screening document.

15 And I'm going to go on. I don't think I
16 need to go into detail about the justification about
17 copper and its alloys as metals resistant to -- with
18 less than 15 percent, the resistance to stress
19 corrosion, cracking, selective leaching, and pitting.
20 And when it's over 15 percent, it's the opposite.

21 VICE CHAIRMAN SHACK: Just -- before you
22 leave that Amy --

23 DR. HULL: Yes?

24 VICE CHAIRMAN SHACK: -- this really means
25 that I'm going to see this identical line in EP-27,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 RP-12, SP-29?

2 DR. HULL: Yes.

3 VICE CHAIRMAN SHACK: And it will always
4 be linked back to this entry for the same
5 justification for it? So there's a standardized
6 treatment in all these systems --

7 DR. HULL: Yes.

8 VICE CHAIRMAN SHACK: -- for this
9 particular problem?

10 DR. HULL: Yes.

11 VICE CHAIRMAN SHACK: Okay.

12 DR. HULL: And the basis document is a
13 little bit farther behind in its evolution compared --
14 because it's a brand new document, it's about 400
15 pages. And so some of the precedents and the
16 technical basis and the technical justifications that
17 you see in the basis document will be made more
18 rigorous by its release at the end of September.

19 This is particularly true where we define
20 the changes to the AMPs. And I'll talk about that
21 more later. I give an illustration of what I consider
22 is a fairly good technical justification for an AMP
23 change. Some of the others, we're not quite there
24 yet.

25 Okay. The 10 CFR 54.4(a)(2) criteria,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 okay. For the purposes of this presentation today, we
2 corrected a slight typo we had in the excerpt from
3 Chapter 7. In Chapter 7, Part K, we actually say non-
4 safety-related category A2 systems. It's really
5 system structures and components. And that's
6 something that will be changed during the public
7 comment period.

8 But to go on, this section in the aux.
9 system and these changes are under consideration. As
10 mentioned earlier, Mark Lintz will talk more about the
11 Draft Guide 1140 and the NRC exceptions to the
12 proposed alternative to the scoping of non-safety-
13 related piping and supports as specified in parts of
14 Sections 4 and 5 in Appendix F of NEI 95-10 Industry
15 Guide on the revised 54.4(a)(2) scoping criteria and
16 non-safety effecting safety.

17 But in this slide, what I'm showing you
18 are two different examples on the way that we provide
19 reference to Category A2. One of the aux. system
20 where we seven different AMR line items in this
21 section at this point.

22 And there is an approved precedent that
23 exists for adding this on the basis of the evaluation
24 we have done of one or more of the SERs reviewing the
25 LRAs from licensees. In this case, we're using a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Plant-Specific Aging Management Program, evaluating
2 that to provide reasonable assurance the component's
3 intended functions will be maintained within the CLB
4 for the period of extended operation.

5 The second is taken from the basis
6 document description of Chapter 4 where we talk about
7 steam dryers. And I'll talk more about that in the
8 next slide.

9 Okay, this, you know, is a truism.
10 Operating conditions effect the integrity of the
11 system structures and components. So consequently, if
12 you're going to have plants that are subjected to
13 extended power uprates, you're going to change the
14 operating conditions. And you might anticipate a
15 possibility of a change in the kinetics of degradation
16 of some of the materials.

17 In this particular situation, we've
18 created a new line item for steam dryers that in the
19 reactor coolant environment that are subjected to
20 flow-induced vibration and might have an aging effect
21 of cracking. For what we're doing here, we've used --
22 we have written in a Plant-Specific Aging Management
23 Program is to be evaluated.

24 Okay. Any questions on this?

25 (No response.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. HULL: I'll go on then.

2 Another thing that we have done is we have
3 had many working groups analyzing the way that bolting
4 has been used in different chapters, different systems
5 in GALL 2001, both closure bolting, external bolting,
6 bolting in Chapter 4, just analysis of bolting in
7 general.

8 Here we're addressing in Chapter 8 the
9 steam and power conversion system the external
10 surfaces of components and miscellaneous bolting. For
11 Chapter 8, for Chapter 5, for Chapter 7, we have
12 created this additional section to the main chapter.
13 We've not done this for Chapter 4. It remains
14 intrinsic to the chapter the reactor coolant systems,
15 the bolting.

16 Now the thing to point out here is that
17 this section includes the AMPs for the degradation for
18 external surfaces of all steel structures and
19 components, including the closure bolting in the SPC,
20 steam and power conversion system in both PWRs and
21 BWRs.

22 And for the steel components in PWRs, this
23 section addresses only boric acid corrosion of
24 external surfaces as the result of the dripping
25 borated water leaking from adjacent PWR components.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Here is an example of where an item in
2 GALL 2001, which is an excerpt from the bottom table
3 in the section for the PWR Containment Spray System in
4 the Engineered Safety Features has been revised to
5 split out the different types of materials so it
6 results in the GALL 2005 in two different line items,
7 one for steel, another one for stainless steel,
8 because the behavior is different in the context of
9 this situation.

10 The other thing you can see that we've
11 done here is for the structure and our components,
12 we've made it less prescriptive. And we, you know,
13 more talk about heat exchanger components or heat
14 exchanger shell-side components including tubes.

15 And what this allows us to do is to use E-
16 17 and E-19 repeatedly in the Engineered Safety
17 Features chapter. So E-17 and E-19 are used many
18 times instead of A6-C being used one time in GALL
19 2001.

20 Okay. And the other thing to point out is
21 the environment is handled differently now. Instead
22 of spelling out chemically-treated borated water, dah,
23 dah, dah, dah, dah, we refer to closed cycle cooling
24 water. And we define closed cycle cooling water in
25 Chapter 9 of GALL Volume Two as being treated water

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 subject to the Closed Cycle Cooling Water Chemistry
2 Program.

3 And then we list different examples of how
4 it was alternatively treated in, you know, GALL Volume
5 One, trying to have more consistency from section to
6 section, from chapter to chapter. And if anybody has
7 any questions about what exactly is meant by that,
8 we've defined it in Chapter 9. And we've gone into
9 more detail in the basis document.

10 One thing that is new here is what we have
11 called common miscellaneous material environment
12 combinations, sometimes referred to as the null set.
13 And we've tried to define conditions in which we think
14 the material environment combinations will be benign.
15 So we've specified these.

16 Now this particular section includes the
17 AMPs for miscellaneous material environment
18 combinations which may be found to be engineered, ESP
19 system structures and components.

20 And for these material environment
21 combinations, we feel there are no aging effects which
22 are expected to degrade the ability of a structure or
23 component from performing its intended function for
24 the extended period of operation and, therefore, no
25 resulting AMPs for these structures and components are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 required. So there's no aging effect, no AMP, no
2 further evaluation.

3 Some of the terminology is nebulous. Gas,
4 for example, That's defined in Chapter 9. But what
5 we have here is we define that as internal gas
6 environments from air, both at atmospheric pressure
7 and ventilation systems and compressed air used as a
8 working fluid, e.g., instrument air, or nitrogen,
9 carbon dioxide, freon, and halon.

10 This category assumes absence of corrosive
11 species such as chlorine. And that's specified in
12 Chapter 9 and the basis document.

13 With air, indoor, uncontrolled, that's
14 defined for external surfaces of the piping, piping
15 components, and piping elements as in EP-10, the first
16 line. That's indoor air and systems with temperatures
17 higher than the dew point. Condensation can occur but
18 only rarely. Equipment surfaces are normally dry.

19 Lubricating oil is spelled out. There is
20 no water pooling. And we feel that piping, piping
21 components, and piping elements, whether copper,
22 stainless steel, or steel, when exposed to lubricating
23 oil that does not have water pooling, will not be
24 subject to aging degradation because we do not believe
25 there are relevant aging mechanisms.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And so that's that. And again, it's very
2 general, the structure or component defined as piping,
3 piping components, and piping elements.

4 GALL 2005 created a new section, Chapter
5 9, for the materials environments aging effects and
6 selective components as relevant to different Aging
7 Management Programs, the MEAP. So we've standardized
8 terms used for the MEA parameters to make the ARM line
9 items more generic and less prescriptive.

10 And as mentioned earlier, we're retraining
11 traceability to GALL '01 because a lot of people are
12 familiar with what is in GALL, where it is in GALL.
13 And they're going to want to know where it is in the
14 GALL '05. And we're keeping that linked.

15 And we're trying to increase the
16 universality, the applicability of the guidance
17 without compromising re-licensing, rigor, or safety.

18 So I'll give an example of some of the
19 tables and the chapters. We defined more clearly some
20 of the electrical terminology that was obscure to us
21 and that we had many discussions about bus duct.

22 And piping, piping components, and piping
23 elements I mentioned earlier that is is a catch-all
24 category. And this category includes various features
25 that are within the scope of license renewal. And so

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we say examples include piping, fittings, tubing, flow
2 elements, indicators, demineralizer nozzles, orifices,
3 flex hoses, pump casing and bowl safe ends, sight
4 glasses, spray heads, strainers, thermowells, and
5 valve body and bonnet.

6 Okay. And as I pointed out earlier, the
7 GALL Report does not address scoping of structures and
8 components for license renewal. Scoping is plant
9 specific and the results depend upon the plant design
10 and current licensing basis.

11 The inclusion of a certain structure or
12 component in the GALL Report does not mean that this
13 particular structure or component is within the scope
14 of licence renewal for all plants. Conversely, the
15 omission of a certain structure or component in the
16 GALL Report does not mean that this particular
17 structure or component is not within the scope of
18 license renewal for any of the plants.

19 That probably sounds like motherhood. But
20 sometimes we get asked questions why isn't X in there?
21 Why isn't Y in there? So this type of wording was in
22 GALL 2001. It's in 2005. It's in the basis document
23 as well.

24 Okay. A complete listing of all of the
25 structures, the system structures and components terms

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 are in the basis document appendices and I'll mention
2 that more a little bit later.

3 So now the basis document. This is a team
4 effort with input from Argonne people in Chicago,
5 outside of Chicago, Parallax, and NRC. And it
6 provides technical justification for both the revised
7 and new AMR line items.

8 You know since I was very actively
9 involved with that, I have to say it's still under
10 development. It is a brand new document. And it
11 contains 394 pages clarifying and explaining the
12 relationship between GALL '01, GALL '05, and the
13 SRPLR.

14 We tried to keep a similar format as that
15 of GALL Volume Two document and it has a great wealth
16 of information.

17 The listing, location, and frequency of
18 the parameters, MEAP parameters used in the AMR tables
19 as well as definitions of the selective terminology
20 with the corresponding term used in GALL '01 is found
21 in Appendix A.

22 A section exists for structures and their
23 components in Appendix A-1, for materials in Appendix
24 A-2, for environments in Appendix A-3, for aging
25 effects and aging mechanics in Appendix A-4.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Something that I personally find very
2 useful is Appendix A-5, which has the listing,
3 location, and frequency of the AMP usage in the AMR
4 tables.

5 Appendix A-6 is a summary of the different
6 combinations of the MEAP combinations and it cross
7 references the SRP -- Standard Review Plan for License
8 Renewal identify number as well as the location of the
9 AMR table and the item ID.

10 Appendix B provides 114 pages of system-
11 specific audit tools cross referencing the SRP for
12 License Renewal section and ID, the reactor type, and
13 AMR table parameters.

14 All right. We have made revisions to both
15 the TLAAs as well as the AMPs. Now the way that we
16 have it, although we cite 6260, which is the report
17 done by Ware, Morton, and Nitzel, at Idaho,
18 referencing the work of Muscara, Chopra, and Shack at
19 Argonne on interim fatigue design proof for carbon
20 alloy in austenitic stainless steel in LWR
21 environments, actually the revision to the TLA goes a
22 little bit -- it goes beyond 6260, which gives some
23 examples.

24 So as I mentioned earlier, some of the
25 write up for the TLAAs and the AMPs will be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 strengthened and expanded. This is one.

2 The program description and monitoring and
3 trending revision shows that the scope of the critical
4 components goes beyond those listed in NUREG/CR-6260.

5 Okay. There were no changes made to the
6 TLA for concrete containment tend and pre-stress.
7 There was a minor change made to the TLA for EQ of
8 electrical components.

9 This is an example of a description of a
10 change in the basis document for an AMP revision that
11 is the level and kind of detail we plan to have for
12 each revised AMP in this section.

13 As was mentioned before, there is a
14 question about what ISGs have been incorporated. E-4
15 was based on ISG-17. The AMP M-35, which will be
16 finished I guess next week -- you said the ISG would
17 be written and finished next week -- the ISG-12, one-
18 time inspection of small bore piping. will feed into
19 the AMP M-35.

20 Mark Lintz is NRC's coordinator for the
21 ISG process as it relates to license renewal and the
22 update guidance documents. He can provide more
23 information.

24 VICE CHAIRMAN SHACK: Is there a specific
25 link to the ISG? I can't see one here?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. HULL: Would that be useful if we had
2 that link? Probably it would be useful to have in the
3 basis document also.

4 VICE CHAIRMAN SHACK: I think it would be
5 because, again, many people -- or many of the LRAs,
6 you know, include references --

7 DR. HULL: Okay.

8 VICE CHAIRMAN SHACK: -- to the --

9 DR. HULL: It will be there.

10 VICE CHAIRMAN SHACK: -- ISGs.

11 DR. HULL: Okay. As mentioned, nickel
12 alloys and penetrations, M-11, has been deleted. And
13 that has been replaced in the AMR line items by
14 reference to M-1, ASME Section 11, In-Service
15 Inspection, Subsections IW-B, IW-C, and IW-D for Class
16 One Components as well as Chapter 11, M-2, Water
17 Chemistry for PWR Primary Water in EPRI TR-105714.

18 And for Alloy 600, we specified that
19 commitment should be provided in the FSAR supplement
20 to implement applicable orders staff-accepted industry
21 guidelines. And we're working to clarify the wording
22 to the substitute to M-11 if it's found that it needs
23 to be more clear.

24 M-16, for the PWR Vessel Internals has
25 been deleted but the placeholder remains. And here

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 also we have a commitment -- a replacement in the AMR
2 line items, a commitment to apply industry programs to
3 be developed in the future for proper management of
4 the reactor internals.

5 VICE CHAIRMAN SHACK: Wait. You said that
6 one real fast here.

7 DR. HULL: All right.

8 VICE CHAIRMAN SHACK: And I think that was
9 a biggie. This is the PWR internals, the IASCC sort
10 of thing --

11 DR. HULL: Yes.

12 VICE CHAIRMAN SHACK: -- which everybody
13 is committing to some program to be developed in the
14 future?

15 DR. HULL: Barry Elliot and I want to talk
16 about this.

17 MR. ELLIOT: Barry at the Division of
18 Engineering Staff.

19 VICE CHAIRMAN SHACK: Yes.

20 MR. ELLIOT: We originally had a program,
21 PWR Internals Program, which specified things you
22 could do for a program. And what we -- as the reviews
23 continued, we found that nobody wanted to really do
24 the program now. They wanted to rely on the MRP
25 Program. And develop from that their own program.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So in lieu of asking every licensee to
2 develop their own program, we just said that everybody
3 should develop a program from the MRP. But that it
4 had to be submitted to us, to the staff for review and
5 approval, two years before entering the license
6 renewal period.

7 This would give us time to review whatever
8 program came out of the MRP on a plant-specific basis.

9 VICE CHAIRMAN SHACK: Okay. Do you
10 actually have some notion when you're going to have
11 some sort of generic? I assume what you'll do some
12 sort of generic program based on the MRP. And then
13 the plants will show that it is applicable to them.
14 Do you have any idea when that's going to happen?

15 MR. ELLIOT: I don't have an idea right
16 now. But --

17 VICE CHAIRMAN SHACK: Two years before
18 license renewal?

19 MR. ELLIOT: Well, no. I will say this.
20 This is also a power uprate question, too. And so in
21 their case, they have committed -- some plants have
22 committed to do it for the power uprate within the
23 next five years. So that means they would have to
24 have some kind of MRP topical done within four years
25 or three years.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So that's -- I'm not privy to what goes on
2 inside the, you know, the --

3 VICE CHAIRMAN SHACK: But that's when
4 you're expecting some sort of --

5 MR. ELLIOT: That's when I'm expecting
6 things. We haven't gotten that from license renewal.
7 I've gotten that from the power uprate.

8 MEMBER BONACA: I had a question. There
9 is some change, you know, some recent changes which
10 have been incorporated now in this update. For
11 example, the requirement that the re-piping, if it
12 doesn't get an inspection for opportunistic reasons in
13 the first ten years of the license, then it has to be
14 inspected, you know, in some susceptible location.

15 How applicable is this requirement that is
16 now in GALL to plants we are reviewing right now. For
17 example Farley?

18 MR. COZENS: If I might address that. We
19 have spoken to those applicants that have an active
20 review going on right now.

21 MEMBER BONACA: Yes.

22 MR. COZENS: And it's my understanding
23 that all of them have agreed to perform that activity
24 at least once every ten year.

25 MEMBER BONACA: Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. COZENS: If it hasn't happened
2 opportunistically, go dig one up.

3 MEMBER BONACA: And now will it be
4 applicable also to plants we have already approved
5 before and they haven't gone yet into license renewal
6 but we do have a means of --

7 DR. KUO: Well, we -- that goes to
8 actually a legal question that we discussed on
9 Wednesday in this workshop. This particular provision
10 in the rule is 54, 10 CFR Part 54(37)(b). That
11 provision basically says that the licensee with the
12 renewed license is responsible for doing the annual
13 update.

14 And in this annual update, if they have
15 identified any new components, systems, and structures
16 that needed to be in the license renewal, then they
17 need to bring those components in the annual update
18 for the FSAR supplement. That's their responsibility.

19 MEMBER BONACA: So there is a way also to
20 include those.

21 DR. KUO: Yes.

22 MEMBER BONACA: Thank you.

23 MR. CHANG: Since Dr. Bonaca asked about,
24 you know, Farley, let me say a little bit about
25 Farley. In a related issue like some reduction of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 pressure toughness in the CASS piping, the audit teams
2 goes there and find out that the applicant was not
3 committing to something recommended by the GALL, we
4 ask them to justify your recommendation and what you
5 intended to do, how is that in line with the GALL?

6 Although we don't know what the final
7 resolution is, we made them change their program to
8 commit to something, an MRP or something that will be
9 developed in the future. They agreed to do that.

10 And for the audit team for where we are
11 today, we don't know the resolution. So that's the
12 best we can do, make them commit to something
13 recommended by the MRP and they will implement that.

14 DR. HULL: And I'd like to expand just a
15 little bit further because one of your questions at
16 the beginning was to discuss buried piping.

17 MEMBER BONACA: Yes.

18 DR. HULL: One of the things that have
19 been changed in the AMP was the way that we had
20 written about the detection of aging effects. And
21 we've re-looked at that and we are including, again
22 putting back in the line that inspections are to be
23 performed in areas with the highest likelihood of
24 corrosion problems and areas with a history of
25 corrosion problems. We're also putting back in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 periodic inspections of susceptible locations.

2 And you asked about the opportunistic
3 situation. What we say at the end is it is
4 anticipated that one or more opportunistic inspections
5 will occur within a ten-year period. And then we say
6 implicitly, however within ten years of entering the
7 period of extended operation, the licensee is to
8 perform at least one inspection, which may be an
9 opportunistic inspection.

10 So if there is not one that is
11 opportunistic, they still have to do it.

12 Okay, I'm going to summarize my
13 presentation now. As I've talked about, the changes
14 to the GALL Report and the Standard Review Plan for
15 License Renewal fall into general categories.

16 And, you know, perhaps this is too much on
17 format or administrative and not so much on technical
18 rigor but this is how I wrote the presentation. You
19 can ask questions subsequently because we have
20 everything we need in the computers.

21 We standardized and made less descriptive
22 the MEAP, the Materials Environment Aging Effects
23 Program parameters. We have looked at and
24 incorporated the NRC-approved positions that were
25 previously approved through other mechanisms in other

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 documents such as the ISG, Interim Standard Guidance
2 process, such as lessons learned from the review of
3 the many license renewal applications and the writing
4 of many Safety Evaluation Reports, through the rigor
5 analyses that have been done by contractors such as
6 Argonne, and these are called lessons learned.

7 Another thing that has been done, and
8 Jerry was in charge of this, he had been in Operating
9 Experience Group, is working with Argonne and others
10 to look at both domestic and international operating
11 experience quite rigorously. And he also worked with
12 Research on this.

13 Another thing that we've tried to do are
14 the technical clarifications and corrections and
15 administrative changes, catching any spelling errors
16 and typo mistakes in GALL 2001 and just made it
17 better, typical editorial corrections.

18 And as Kurt pointed out, we've made
19 clarifications to the audit and review process, which
20 also is reflected in Volume One of the GALL documents.

21 We've been working on this project now
22 since the middle of last May and there have been many
23 positive notes to this sometimes rather grueling work.
24 There has been active interdepartmental involvement
25 and decision making.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Because of the teamwork here between the
2 NRC and contractors, we were able to place a
3 preliminary product on the Web by the end of
4 September, the pre-NRC concurrence revision of the
5 SRP, the basis document, GALL Volumes One and Two on
6 the Web by the end of December. So September,
7 December. And also all the license renewal guidance
8 documents on the Web by the end of January for the
9 public comment period.

10 People are reading and commenting and
11 improving on what we put out there. It is truly an
12 iterative process built upon a lot of good teamwork.
13 I feel honored and privileged to be able to be a part
14 of it.

15 Thank you.

16 MEMBER BONACA: Thank you.

17 While I must say that it, you know, it's
18 grueling work but it certainly is an extremely
19 valuable document for the plants. I mean I understand
20 there are hundreds of reports that have been collapsed
21 into this document.

22 DR. HULL: Yes.

23 MEMBER BONACA: And there is an organized
24 source of information accessible to all the operators
25 about environments, materials, et cetera, that, you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 know, is useful irrespective of license renewal. So
2 that's a -- I am impressed by the work that you did.

3 MR. CHANG: I'd like to take this
4 opportunity to compliment the contractor that Amy came
5 from, Argonne National Lab. In the last couple of the
6 ASME Code Committee, the Fatigue Strength Group, which
7 handled environmental impact on fatigue, they are
8 trying to develop fatigue curves to cover for the
9 environmental effects.

10 But they have a phrase there at the
11 opening. They say this is for future plants, for new
12 plants, for the plants in design. As for the license
13 renewal part, they have developed FEM factors. And
14 those FEM factors are working and successfully applied
15 to license renewal process. We are not trying to rock
16 the boat.

17 That's -- I'm sitting there listening to
18 the Chairman saying. I feel very honored to be part
19 of that organization. And I want to thank Argonne for
20 doing that.

21 MEMBER FORD: But if I could just ask a
22 question? This FEM values that are used are being
23 proposed for, in fact, an environment on the ASME III
24 Code. As I said earlier on, there's at least three
25 approaches, the ASME approach being extremely

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 conservative, i.e., short, number of cycles to
2 initiation, which makes it almost impossible to
3 operate some components during license renewal space.

4 The way I heard you talk, you say you
5 don't want to rock the boat. What do you mean by
6 that?

7 MR. CHANG: No, excuse me, I do not mean
8 I will rock the boat. The ASME Fatigue Strength Group
9 that says that says these curves, we are arguing,
10 debating, massaging --

11 MEMBER FORD: Yes.

12 MR. CHANG: -- it's going to apply to the
13 new plants. For license renewal process, the FEM
14 factors are continued to be used. And Argonne even
15 did a reasoned comparison of the three organizations
16 who did work in the FEM. That's Argonne National Lab,
17 PBRC, and Japanese. I think Bill, you are one of the
18 authors named on there.

19 And they show, that's three organizations
20 come up with almost identical equations except in one
21 case, the curve shifted by a constant. But that
22 doesn't mean anything.

23 PARTICIPANT: The bottom line of what Ken
24 is saying is that in license renewal, we are not going
25 to change our position.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. CHANG: They recognize our position.
2 And they agree with our position. The reason they
3 agree with our position of less super conservative as
4 compared to the ASME is we have solid data to back it
5 up.

6 MEMBER FORD: Can I change the subject a
7 wee bit since maybe this is the last time I can bring
8 this one up?

9 You were talking about the synergisms
10 between -- and I'm looking at you, Amy, but I don't
11 mean -- this is not a question to you -- about the
12 synergisms between license renewal and power uprate.
13 But there are other changes taking place.

14 And I'm thinking specifically in this
15 concern of mine of the sump blockage problem where it
16 has been proposed that you will remove CalSil from
17 piping. And maybe some people will do that, you know,
18 without direction from the NRC.

19 However if they do that, and that CalSil
20 is over a stainless steel piping, a welded stainless
21 steel piping exposed to the environment, it's quite
22 possible that you can get condensation at lower
23 temperatures. And you could get cracking.

24 Now CalSil happens to inhibit that
25 cracking. If you remove the CalSil because of trying

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to mitigate the sump blockage system, you may
2 reintroduce the cracking, the transthermal cracking of
3 the stainless steel.

4 Where in the decision space that we're
5 discussing in here between licensing renewal, power
6 uprate, sump blockage mitigation --

7 DR. KUO: Dr. Ford?

8 MEMBER FORD: -- does that fit? Yes?

9 DR. KUO: The decision space would be
10 relying on the original engineering in terms of
11 operating reactor operation. This is an operating
12 issue and --

13 MEMBER FORD: So what happens if a plant
14 comes to you -- and I don't mean to interrupt, I
15 apologize.

16 DR. KUO: Sure.

17 MEMBER FORD: If a plant comes to you for
18 a license renewal uprate and they proudly say, "And we
19 have removed CalSil from our piping," will that action
20 be automatically open for discussion by your group?

21 DR. KUO: We would discuss the issue. But
22 we might not at the point have a resolution. So we
23 will rely on the resolution, generic resolution, for
24 that issue from the operating reactor operation space.
25 Just like every emerging issue.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER FORD: Yes.

2 DR. KUO: Basically what we were going to
3 do is to ask the license renewal applicant to make a
4 commitment.

5 MEMBER FORD: Yes, I guess I'm just being
6 a wee bit impatient here because there's a Reg Guide
7 1.32, which addresses this whole situation. And I'm
8 just concerned that by pushing it off to another
9 organization, that's Division of Engineering's
10 responsibility, that somehow or another, this slips
11 between the cracks. That's why I bring it up. Well,
12 between -- yes, between proverbial cracks.

13 DR. KUO: Dr. Ford, it's not that we're
14 pushing this thing to another organization. There is
15 an organization of structure here that these are
16 issues that belong to the operating reactor space.
17 And we are just too small an organization by the
18 license renewal itself, we don't have that resources,
19 that expertise to resolve this kind of issue.

20 So we will have to rely on their
21 resources, their expertise to resolve that issue.

22 MEMBER FORD: No, I understand that
23 resource problem. It's just you do know about the
24 issue and you will ask the Department of Engineering
25 or the Division of Engineering. Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. HULL: Okay. Do you want me to do
2 this for you?

3 MR. LINTZ: Yes, please.

4 DR. HULL: Okay.

5 MR. LINTZ: I'm Mark Lintz and I will
6 discuss an overview of Draft Guide 1140.

7 Draft Guide 1140 is the standard format
8 and content for applications to renew nuclear power
9 plant operating licenses. As noted, the corresponding
10 Reg Guide is 1.188. This draft guide endorses, with
11 exceptions, Industry License Renewal Document NEI 95-
12 10, Revision 5.

13 NEI 95-10 is the industry guidelines for
14 implementing the requirements of 10 CFR Part 54, the
15 License Renewal Rule. It is the primary product of
16 the Nuclear Energy Institute. Staff has provided
17 numerous comments to NEI over the past several years
18 on this document.

19 The purpose of these guidelines is to
20 provide industry with a uniform and efficient process
21 to obtain a renewed operating license.

22 It provides guidelines for identifying the
23 systems, structures, and components within the scope
24 of 10 CFR Part 54 and their functions that are subject
25 to aging management review. And to assure the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 maintenance of aging effects.

2 Changes to NEI 95-10, the current
3 revision. There have been many minor changes and
4 updates, the typical typos and so on but these are the
5 primary changes that have been made.

6 The first one is a standardized format.
7 And I heard already from Dr. Bonaca that this is
8 really not very interesting. But it's one of those
9 that greatly aids us down at the worker bee level. It
10 reduces the complexity of the overall document,
11 provides greater organization, and it helps the review
12 process.

13 Scoping process, it adds such requirements
14 for the applicant to provide drawings, identify
15 functions, and list components that are within the
16 scope.

17 TLAAs, it adds numerous plant-specific
18 TLAAs.

19 Among the changes to NEI 95-10 were two to
20 which staff took exception.

21 VICE CHAIRMAN SHACK: Now this is the
22 change from Revision 4 to 5?

23 MR. LINTZ: Correct.

24 The first exception is an NEI-proposed
25 alternative to the scoping of non-safety-related

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 piping and supports. And I should add that this is
2 that small subset that is in direct connection to
3 safety-related piping.

4 And before I can really explain the
5 exception, let me go back one step and explain what is
6 within the scope.

7 DR. HULL: You want me to go back?

8 MR. LINTZ: No, no, no, no. You stay
9 there.

10 (Laughter.)

11 MR. LINTZ: The items that are subject to
12 the License Renewal Rule are primarily safety-related
13 systems, structures, and components. Non-safety-
14 related systems, structures, and components are
15 included to the extent that they are connected to or,
16 in particular, have an effect on the safety-related
17 portion.

18 All plants have long been required to
19 identify and have seismic anchors or equivalent
20 anchors that will extend into this non-safety-related
21 portion. Traditionally, that has been the end of
22 these scope to be addressed. NEI 95-10 makes
23 provision for these seismic anchors and the equivalent
24 anchors.

25 And it also makes provision for an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 alternative in the event that either one of these two
2 cannot be readily identified. And the reason this is
3 so is that the original piping analysis may have been
4 done 20, 30, 40 years ago. And at that point, they
5 did it, they met the requirement, and put it in a safe
6 place. But that exact location was not identified on
7 any drawing or any other document.

8 So while the original requirement was met,
9 there's no quick and easy way for the utility to go
10 back and say this is where this particular seismic or
11 equivalent anchor is. And thus to provide a quick
12 identification of the extent of the scope for license
13 renewal purposes.

14 The particular exception that we found is
15 that there is an additional alternative to those
16 provided in NEI 95-10. It extends the boundary not to
17 an identified support but to connections. A flexible
18 connection, a base-mounted component, even a safety-
19 related component, or into the ground just to name a
20 few examples.

21 There's no technical basis for any of
22 these identified within the document. And they're
23 using plant-specific information that will certainly
24 change from one plant to another.

25 This alternative adds inappropriate

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 criteria. The staff doubted the applicability to
2 these identified connections.

3 And what it does is it complicates the
4 application as opposed to providing a quick and easy
5 way of identifying the scope. The staff thought that
6 it would require a complete technical justification,
7 perhaps even a detailed piping stress analysis that
8 would justify that location. And, of course, that
9 would add a commensurate burden to the staff in
10 performing its review. So that is one exception.

11 A second exception is a proposed exposure
12 duration criteria. This involves allowing short-term
13 exposure --

14 CHAIRMAN WALLACE: Excuse me.

15 MR. LINTZ: Excuse me.

16 CHAIRMAN WALLACE: Throughout this
17 discussion and throughout the tables that have been
18 presented, criteria is used as the singular and
19 criteria is the plural form of criterion?

20 MR. LINTZ: That is how I'm using yes.

21 CHAIRMAN WALLACE: Amy said she was going
22 to fix up the --

23 DR. HULL: Yes.

24 CHAIRMAN WALLACE: -- that sort of a
25 thing? I'm sorry. But since this occurred again, I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 had to bring it to your attention. I was going to
2 leave it but --

3 DR. HULL: Thanks.

4 MR. LINTZ: In my case, this is criteria.

5 CHAIRMAN WALLACE: It's many, it's plural?

6 MR. LINTZ: Correct.

7 CHAIRMAN WALLACE: Okay. Because in the
8 tables Amy had, it's used -- it's singular.

9 MR. LINTZ: We will find that problem.

10 What this exposure duration does is it
11 allows short-term exposure to spray or leakage to
12 determine a need for aging management. And there are
13 many other factors involved, the amount or type of
14 spray.

15 But the first thing the staff noticed was
16 that this was not in accordance with the regulation,
17 which requires that the effects of aging on the
18 intended functions will be adequately managed. This
19 is basically being used as a screening criteria.

20 And further it allows failure of another
21 component as a precursor for aging management. So
22 this is a second exception that the staff took to this
23 document.

24 NEI has been informed of these two
25 exceptions and they are addressing them during the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 current public comment period.

2 Thank you.

3 DR. KUO: And, Dr. Wallis, this concludes
4 our presentation on the guidance document part. And
5 let's see, based on what I heard, we will have two
6 take home actions. One is whether we can link the
7 description to ISG or not in GALL. The second one is
8 just you mentioned, Dr. Wallis, that criteria was --

9 CHAIRMAN WALLACE: That's so minor that --

10 DR. KUO: Well, we will look into that.
11 So if you have any comments to these four presenters
12 or general comments that we can answer, we'll be glad
13 to.

14 CHAIRMAN WALLACE: Mario, it's still your
15 meeting.

16 MEMBER BONACA: Yes, I know. There is a
17 second presentation.

18 CHAIRMAN WALLACE: Oh, there's another
19 presentation?

20 MEMBER BONACA: Yes, we have about ten
21 minutes left. So we'll have to stay within that time.
22 Why don't we proceed with that.

23 Thank you for the presentation. It was
24 informative.

25 Okay, let's proceed.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LI: Good morning. My name is Chang
2 Li from Plant Systems Branch, DSSA of NRR.

3 In September, the staff briefed ACRS on
4 the sampling approach for the scoping review. The
5 ACRS made some good comments and suggestions.

6 There was a suggestion from the Committee
7 that the sampling approach need to be tested to see
8 how it worked. There was another comment that in the
9 context of the sampling approach, the staff need to
10 address the issue of review completeness.

11 In addressing those comments, we tested
12 the sampling approach on two previously-reviewed LRAs.
13 From this testing, we learned some lessons and
14 refined the sampling screening criteria.

15 Also in addressing the concern of review
16 completeness, we improved the sampling approach to
17 become a two-tier review process.

18 Subsequently, we had a follow-up
19 discussion with Dr. Bonaca in November to introduce
20 the two-tier review process. He suggested that we'd
21 better give another briefing to the Committee to
22 update this process. I'm going to explain the two-
23 tier scoping review process.

24 The purpose of this presentation is to
25 explain the process to be used for the scoping review

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of the BOP Systems, Balance of Plant Systems, and show
2 the benefits of this process which are focus the
3 review of BOP systems on more important systems and
4 provide efficient and effective scoping review.

5 This slide -- the new review process is an
6 optional two-tier review process. By using two-tier
7 process, all the system will be reviewed, however
8 extensive efforts will be focused on more important
9 systems.

10 Tier-1 includes screening and the
11 reviewing of license renewal application and FSAR
12 documents and to possibly identify systems for further
13 inspections. I'm going to explain the Tier-1
14 screening in the next two slides in more detail.

15 Tier-2 is a regular detailed review that
16 we have done in the past and we'll keep doing it in
17 the future for most of the systems. By being more
18 detailed, we'll look into boundary drawings and other
19 licensing basis documents in addition to the LRA and
20 FSAR.

21 VICE CHAIRMAN SHACK: Now is Tier-2
22 basically the guidance you have in the review plan
23 now?

24 MR. LI: That's correct.

25 VICE CHAIRMAN SHACK: Okay. And so what

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you're introducing now is this Tier-1, this first
2 screening step?

3 MR. LI: That's right.

4 VICE CHAIRMAN SHACK: Now why is it
5 optional? I mean can't --

6 MR. LI: Oh.

7 VICE CHAIRMAN SHACK: -- you guys direct
8 the staff.

9 MR. LI: The option, which if the
10 application comes with only a very few, we align the
11 system in such a way that only few systems -- we are
12 ranging -- the BOP systems ranging from sometimes we
13 have 40 systems that we can do this process
14 economically.

15 When it's -- in another case, we have
16 application comes with BOP system like 14 BOP systems,
17 it's not worth the efforts of this two-tier review
18 process. We just do a regular review.

19 VICE CHAIRMAN SHACK: But doesn't the one
20 with 14 trigger some sort of alarm that they've left
21 something out?

22 MR. LI: It's not. They are aligning
23 systems.

24 VICE CHAIRMAN SHACK: Oh, it's the way
25 they're packaging things?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LI: Right.

2 By using the Tier-1 screening criteria
3 outlined in the next two slides, our review, we'll
4 focus on more important systems for Tier-2 review.
5 And the remaining system may be selected for a less
6 extensive Tier-1 review.

7 After we finish both Tier-1 and Tier-2
8 review and the methodology review, we will take a look
9 to see if any of the findings that may have generic
10 implication on those Tier-1 systems that we may
11 warrant for a reconsideration to bring those systems
12 for a detailed review.

13 Okay, the next two slides explain Tier-1
14 screening criteria. The screening criteria includes
15 safety-important or risk-important or risk-significant
16 systems and also from operating experience and
17 previous license review experience that identified
18 omissions.

19 MEMBER DENNING: Excuse me. On the safety
20 -- important safety significance, is there some formal
21 way that you are identifying what those systems are?
22 And are they plant-specific? Or which --

23 MR. LI: Right, we developed a guidance
24 for -- we're in the process of trying to develop what
25 we consider as being highly safety significant. And

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 giving some examples. But as time goes on and
2 experience picked up, we may be able to develop more
3 solid guidance there.

4 CHAIRMAN WALLACE: Well, risk is a PRA
5 thing.

6 MEMBER DENNING: Yes, that's what I was
7 wondering. Are you using PRAs to make those
8 judgements. I mean obviously some of those things are
9 obvious. Like the ones you have up there are --

10 MR. LI: Right.

11 MEMBER DENNING: -- certainly obvious.

12 MR. LI: Right.

13 MEMBER DENNING: But are you going to PRAs
14 to make those judgements? Or --

15 MR. LI: No, we don't go into the detailed
16 PRAs. It's based on the experience of those systems
17 are important. So it's clearly safety and control.

18 MEMBER DENNING: It's hard for me to
19 understand how you say based upon the experience those
20 systems are safety significant because I think that
21 PRAs are the closest thing we have to an objective way
22 to determine safety significance. And I'm not sure
23 how you use experience then to say these are safety
24 significant.

25 I mean I could see experience saying these

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 are problem systems but I think --

2 DR. KUO: If I may?

3 MEMBER DENNING: Yes.

4 DR. KUO: If I may, every plant has a
5 current licensing basis. And the current licensing
6 basis, at the beginning of the plant license, they all
7 have this classification, safety-related and non-
8 safety-related systems, based on a regulatory guide.
9 I believe that this is a long time ago. I believe it
10 is 1.26, regulatory classification of systems,
11 structures, and components.

12 MEMBER BONACA: So a better definition
13 would be to limit yourself to safety important maybe?
14 Because risk significant gives the impression that you
15 would use risk tools to risk tools to identify those
16 and you don't.

17 DR. KUO: Yes, I understand. Maybe --

18 MEMBER BONACA: Now clearly on the generic
19 basis, we know from generic -- from PRAs, I mean also
20 what are the significant systems, aux. feed and EDG,
21 I mean all of them, we can identify those. But it's
22 also true that there are others which may not be
23 generically risk significant without a PRA so --

24 DR. KUO: I understand.

25 MEMBER DENNING: That's right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER BONACA: All right.

2 MR. LI: Those examples, of course, you
3 bring out is very obvious like aux. feed water
4 systems, EDGs and its support systems, essential
5 cooling water systems.

6 And in terms of systems susceptible to
7 common cost value of redundant trends, we have
8 examples such as drain systems providing flood
9 protection, makeup water to CCW systems without
10 independent trends, and for operating experience that
11 we bring up examples like raw water system and main
12 steam in the feedwater systems.

13 Those previous LRA review experience are
14 for missions we identified, spent fuel cooling
15 systems, makeup water source to safety systems, those
16 we have identified omissions in the previous review
17 process.

18 In the September ACRS presentation for the
19 sampling approach, the Committee suggested the staff
20 testing the sampling approach to see how it worked.
21 We did it on two previously-reviewed applications,
22 H.P. Robinson and Dresden Quad Cities.

23 We learned lessons through this testing.
24 And through this testing, we improved the Tier-1
25 screening criteria and to add Tier-1 review process to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 those systems that were deemed to be not so important.

2 So we're not just make the decision and
3 put it out. Those we screened out will have to review
4 the application, LRA and FSAR description. It still
5 goes through a review process. And we will show some
6 examples later on for another plant.

7 For Robinson's the deepwater examples
8 here, for deepwater pump and associated piping in the
9 primary demineralized waters systems used for the
10 long-term source of water to the AFW system following
11 a dam failure.

12 Another case for Dresden Quad Cities, a
13 number of values in the demineralized water systems
14 are used for an alternate supply of makeup water to
15 the isolation condenser, those components in the
16 demineralized water system were initially omitted by
17 the applicants and were identified in an SER during
18 the previous detailed reviews by using the improved
19 Tier-1 screening criteria. And we should be able to
20 pick up those systems for detailed review.

21 VICE CHAIRMAN SHACK: It's not clear.
22 What happens if you apply the Tier-1 screening
23 criteria to Robinson?

24 MR. LI: The criteria, if I -- we used
25 this, for example, this makeup water source to safety

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 systems. And that will pick up this demineralized
2 water system.

3 VICE CHAIRMAN SHACK: So it would have
4 worked on both Robinson and Dresden?

5 MR. LI: Right. So if you just looked at
6 the function of the demineralizer system, there's not
7 safety function. It's a non-safety-related system.
8 Initially, you probably can drop it into Tier-1.

9 However, if it goes through this screening
10 criteria we'll think carefully about FSAR. Even
11 without going into the drawing, we still would pick up
12 this system for Tier-2 review.

13 VICE CHAIRMAN SHACK: Okay.

14 MR. LI: And we applied this Tier-1
15 screening criteria to Brunswick, which results in 15
16 of the 39 BOP systems would receive a Tier-1 review.
17 The remaining 47 of 62 mechanical systems, all
18 electrical systems and the structures would continue
19 to receive a Tier-2 review.

20 VICE CHAIRMAN SHACK: Okay. So the first
21 bullet means I screen 15 of the systems out?

22 MR. LI: Yes. And this Tier-2 is not just
23 throw it out. We still do the review. And it goes
24 through this review, we reviewed the license renewal
25 application. We reviewed the FSAR description, focus

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 on its identified functions -- intended function
2 whether they are properly identified as intended
3 function, and we looked at complement lists in the LRA
4 about the complements that is subject to AMR.

5 And with that, we identified one RAI and
6 also we identified three systems for inspection
7 because we feel those three systems it would be better
8 to go through the inspection rather than go in here
9 doing a drawing review.

10 MEMBER BONACA: At the beginning, I
11 thought that the process, however, would focus
12 resources on Tier-1 and then some of the others BOP
13 would not be reviewed. But you're telling me that all
14 BOP is now getting reviewed?

15 MR. LI: All will get reviewed.

16 MEMBER BONACA: But they will get a lesser
17 review?

18 MR. LI: That's right.

19 MEMBER BONACA: All right.

20 MR. LI: So these 15 systems out of 39 --

21 MEMBER BONACA: Yes.

22 MR. LI: -- will get less level of
23 detailed review. But we'll have to make that
24 determination -- go through that determination,
25 through that screening criteria.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And a complete scoping review, which
2 contains a review of methodology, a scoping results
3 reviews, and inspection. In the review of scoping
4 results, it includes the plant level scoping at the
5 systems and the structure level. And all mechanical
6 systems, electrical systems, structures at the
7 complement level.

8 The mechanical systems include reactor
9 systems, engineering safety feature systems, auxiliary
10 systems, and steam and power systems. I put the
11 little stars there which the BOP systems include all
12 the steam and power conversion system and most of the
13 auxiliary systems.

14 By using this new process, we intend to
15 maintain the completeness as described in these
16 slides. Even if we put a star there, we're not really
17 going to throw out any system without reviewing it.

18 The bottom line is that our reviews focus
19 on most important systems and only a small portion of
20 the BOP systems will receive less than full review.
21 It will conserve the limited staff resource and reduce
22 the burden of RAIs for low-safety-significant systems.

23 This concludes my presentation.

24 MEMBER BONACA: It looks like an effective
25 process however I think that, you know, if there was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 available risk information on the site, that would be
2 valuable to do some screening to see if that would
3 suggest anything else. I mean any other system that
4 should be really paid more attention to.

5 MR. LI: That's correct.

6 MEMBER DENNING: Perhaps I could make a
7 comment on that, Mario? And that is I think that, you
8 know, there certainly are people in the PRA branch
9 that could take a quick look at the systems that you
10 have identified from a more traditional approach. And
11 see if there are some of those systems that they would
12 -- because they've done these prioritizations.

13 And balance of plant, I think, is just the
14 area where there could be surprises in terms of
15 systems that one would not normally think of being
16 that important but in risk based, turn out to be.

17 Now I realize that you're only screening
18 out a few. And all of them are getting some level of
19 review. So, you know, how far one has to go into the
20 risk base -- but I do think that -- I'm a little
21 surprised that in this day and age where there is so
22 much emphasis on looking at risk, and in this case, I
23 don't think it is a big deal to have some guidance --
24 just a look by these people from the PRA Group, to
25 oversee which of the balance of plant systems did you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 really highlight and which ones didn't you highlight

2 --

3 MEMBER BONACA: Yes, that's a good --

4 MEMBER DENNING: -- with risk perspective.

5 MEMBER BONACA: -- suggestion. We'll take

6 a look at it.

7 MEMBER BONACA: I think it's an

8 interesting approach you're taking and I think that

9 with that comment that I support, really, because, I

10 mean, you have leeway for the review that you choose

11 to do, to choose any means that you see appropriate.

12 I mean it's not that it is an imposition on the

13 licensee.

14 So with that, I think, however, that this

15 is a good approach that you're taking.

16 MR. LI: Thank you.

17 MEMBER BONACA: Okay. Any other comments

18 from the public?

19 (No response.)

20 MEMBER BONACA: From the staff?

21 (No response.)

22 MEMBER BONACA: From the Members?

23 (No response.)

24 MEMBER BONACA: If not, I want to thank

25 you for the presentation. It was good information for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 us. And I'll turn it over to you, Mr. Chairman.

2 CHAIRMAN WALLACE: Thank you. Thank you,
3 Mario.

4 MR. LI: Thank you for the Committee
5 attention.

6 CHAIRMAN WALLACE: This March meeting is
7 turning out to be a good performer in terms of keeping
8 on time.

9 MEMBER POWERS: Because of the active
10 effort by the Chairman to terrorize each one of the
11 Members.

12 CHAIRMAN WALLACE: We have been a couple
13 of minutes ahead or a couple minutes behind, I think,
14 in every case. This is only due to the gentle hand of
15 the Chair.

16 (Laughter.)

17 CHAIRMAN WALLACE: We will take a break
18 for 15 minutes until quarter to eleven. And I think
19 at this time, we can dispense with the transcript.
20 And thank you very much.

21 (Whereupon, the above-entitled meeting was
22 concluded at 10:24 a.m.)

23

24

25