

Official Transcript of Proceedings

NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards
521st Meeting

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Friday, April 8, 2005

Work Order No.: NRC-311

Pages 1-120

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS (ACRS)

521st MEETING

+ + + + +

FRIDAY, APRIL 8, 2005

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

The Committee met at the Nuclear Regulatory Commission, Two White Flint North, Room T2B3, 11545 Rockville Pike, at 8:30 a.m., Dr. Graham B. Wallis, Chairman, presiding.

MEMBERS PRESENT:

- GRAHAM B. WALLIS Chairman
- WILLIAM J. SHACK Vice Chairman
- GEORGE E. APOSTOLAKIS Member
- MARIO V. BONACA Member
- RICHARD S. DENNING Member
- THOMAS S. KRESS Member
- DANA A. POWERS Member
- VICTOR H. RANSOM Member
- STEPHEN L. ROSEN Member
- JOHN D. SIEBER Member-At-Large

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

ACRS STAFF PRESENT:

JOHN T. LARKINS	Director
MICHAEL L. SCOTT	Chief, Technical Support Branch
SAM DURAISWAMI	ACRS Staff, Designated Federal Official
HOSSEIN NOURBAKHS	ACRS Staff

		4
1	<u>AGENDA ITEMS</u>	<u>PAGE</u>
2	Opening Remarks, Chairman Graham B. Wallis	4
3	Accident Sequence Precursor Program and	
4	Development of SPAR Models	4
5	9.1) Remarks by the Cognizant Subcommittee	
6	Chairman, Member Jack Sieber	5
7	9.2) Briefing By and Discussions with	
8	Representatives of the NRC Staff	
9	Regarding the Status of the	
10	Accident Sequence Precursor Program	
11	and Development of the Standardized	
12	Plant Analysis Risk (SPAR) Models,	
13	Mr. Nilesh Chokshi	6
14	Mr. Gary DeMoss	28
15	Mr. Patrick O'Reilly	86
16	Mr. Michael Cheok	107
17	Adjournment	128
18		
19		
20		
21		
22		
23		
24		
25		

P R O C E E D I N G S

(8:25 a.m.)

CHAIRMAN WALLIS: Okay. The meeting will now come to order. Good morning. This is the second day of the 521st meeting of the Advisory Committee on Reactor Safeguards.

During today's meeting, the Committee will consider the following: Accident Sequence Precursor Program and development of SPAR models, future ACRS activities, the report of the Planning and Procedures Subcommittee, reconciliation of ACRS Comments and recommendations, and preparation of an ACRS report.

This meeting is being conducted in accordance with the provisions of the Federal Advisory Committee Act.

Mr. Sam Duraiswamy is the Designated Federal Official for the initial portion of the meeting.

We have received no written comments nor requests for time to make oral statements from members of the public regarding today's sessions.

A transcript of a portion of the meeting is being kept and it is requested that the speakers use one of the microphones, identify themselves, and speak with sufficient clarity and volume so that they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 can be readily heard.

2 The first item of business is the ASP
3 Program and development of SPAR models. I turn to my
4 right-hand man Dr. --

5 MEMBER SIEBER: Mister.

6 CHAIRMAN WALLIS: -- Mr. -- whatever, Jack
7 Sieber to lead us through this. Thank you, Jack.

8 MEMBER SIEBER: Thank you.

9 To me, I consider the work that is being
10 done by the staff here as important work. It's sort
11 of the check and balance on both licensee activities
12 and our modeling of events and their likelihood and
13 the possible outcomes. And so this, to me, is sort of
14 a quality control check on that.

15 And today the staff will tell us about a
16 couple of incidents that have occurred which have been
17 analyzed by the staff to determine their significance.

18 And one of the things that I had asked
19 early on for the staff to possibly address, to the
20 extent that they can, is what insights does the ASP
21 Program give the staff and us with regard to the
22 ability of the SPAR models to be able to predict or
23 forecast or tell us something about the safety of the
24 fleet of nuclear plants as they exist today.

25 To me, that's an important aspect of this.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Since the Agency has adopted a risk informed approach
2 to regulation, this becomes one of the cornerstones
3 for that risk approach.

4 And so with that, I would like to
5 introduce the staff. The Branch Chief responsible for
6 this is Mr. Chokshi and with that, I will turn it over
7 to the staff to give us introductory remarks and the
8 presentation.

9 MR. CHOKSHI: Well, good morning. And as
10 Dr. Sieber mentioned, my name is Nilesh Chokshi. And
11 this is my first appearance in front of this Committee
12 in this new position. And after having been in the
13 Division of Engineering for 15 years, this has been
14 quite a change. But the change has been an
15 exhilarating and very rewarding learning process.

16 And I think more importantly to me on a
17 personal note, I'm enjoying every bit of working with
18 my new colleagues as I did with working with my
19 colleagues in the old position or previous position.
20 So that has been good.

21 With that, now I think I want to thank
22 Committee for giving us opportunity to come and talk
23 about three or four programs.

24 In the Branch, the OERA, the Operating
25 Experience Risk Analysis Branch, has several major

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 functions. And I think with the development of plant-
2 specific risk assessment models, SPAR models, has been
3 used by Agency for many risk-informed regulatory
4 activities. That has been one of our major
5 activities.

6 We develop and maintain operating
7 experience database systems. We are providing input
8 to the Agency's industry train programs and we are
9 using accident sequence precursor analysis to evaluate
10 the risk associated with the conditions and events.
11 And you're going to hear a lot more about this today.

12 We have been monitoring the Reactor
13 Oversight Program, development of the performance
14 indicators, particularly the MSPI, the Mitigating
15 Systems Performance Index. And you are also going to
16 hear a little bit about the relatively new program,
17 the standardization of the Agency risk assessment
18 process, RASP.

19 About a year and a half back, I think in
20 October 2003, the Branch had a day-long briefing with
21 the Reliability and Probabilistic Risk Assessment
22 Subcommittee on all of the programs. Today we're
23 going to concentrate on the SPAR model development and
24 ASP. And hopefully I think we'll get to some of the
25 insights, particular insights, that you requested.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The briefing is divided into the four main
2 technical elements. Gary DeMoss, who is operating the
3 slides, he's going to brief on the ASP-related
4 projects. And Pat, to my right, will discuss the
5 progress of the SPAR model development project. And
6 Mike, in the end, I think is going to focus on the
7 part forward, where we are going and what are the
8 challenges.

9 While Gary and Pat are going to do the
10 briefings, the technical briefings, what I really want
11 to point out that both ASP and SPAR are team
12 activities. And many of the Branch members are
13 involved if not all. Some are involved in directly
14 supporting, doing the -- conducting the ASP analyses,
15 reviewing the ASP analyses, developing SPAR models
16 while others are supporting the data development,
17 procedures development.

18 I want to also mention some of the key
19 players. And Don Marksberry has been the PM for the
20 ASP Projects for the last five years. And he has
21 really led a well-organized and excellent program.
22 And along with Don, Gary has been providing the
23 technical oversight. And Gary also has the special
24 privilege of presenting today because he has done the
25 Davis-Besse analysis and a few other things.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Pat, I think -- I don't know whether he
2 needs introduction but he's been SPAR guru for over
3 many years. But he is also being assisted by Salim
4 Sanjector and I don't see him here. But he's
5 developing actual event models. And Eli is developing
6 the hot models.

7 And as Don is going to -- we are going to
8 focus on modeling the ASP plans and insights. So Eli
9 is taking over the project management responsibility.

10 I also want to, again, I think mention
11 that, you know, many others are involved. And I'm
12 particularly, I think, are too important, I think that
13 there are -- about half of the ASP analyses are
14 conducting in-house. Okay, and we are in process of
15 getting some more new staff members.

16 So I think our focus is going to be on
17 involving these people because it's a good, I think,
18 training and developing skills on using risk
19 assessment procedures. So this is -- I think this
20 project has been very good in terms of training some
21 of the people. In fact the two examples we're going
22 to discuss today are both in-house analysis examples.

23 Let's go to the next -- now I view this as
24 an information briefing. And you can, you know,
25 correct me but we are going to update you on the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 current status of the ASP Program and also describe
2 some of the trends. But the bulk of the material is
3 going to come from the SECY paper we just had in
4 November 2004 and supplement with some other
5 information.

6 And I think as requested by the Committee,
7 we will also discuss the Davis-Besse ASP analyses.
8 The analyses is now out in the public. Now we have
9 included the August 14th, 2003 nuclear event analysis
10 that I think is another important informative example.

11 There are about two slides. But I think
12 if time begins to be a problem, I propose that this
13 may be one we may want to skip over because I think
14 even with the two slides, the question/answer phase
15 could be pretty extensive on that.

16 And Pat is going to describe the SPAR
17 models and the insights and then Mike will follow.

18 Let me just briefly mention about this
19 Risk Assessment Standardization Project. I think both
20 Pat and Mike will be alluding to that later. As you
21 know, the risk assessment of reactor events and
22 conditions are performed by many groups in the NRC.
23 And there has been an issue of different answers.

24 So I think there are a lot of benefits of
25 standardizing some of the procedures, methods, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 models. And this will, I think -- this includes
2 having duplication of efforts, inconsistent outputs,
3 conflicting results. And if nothing else, the
4 detailed documentation will help save time for people
5 to go and find out what to do, how to do, and also,
6 again, it's an educational tool.

7 So we have been working with -- in fact
8 with NRR, as a user need, and working with the region
9 and the NRR in developing standardized procedures. At
10 this point, I would consider that we are in the
11 beginning phases of that. And at some point, maybe
12 later, we can come and tell you as we progress
13 forward.

14 We'll briefly talk about the background of
15 the ASP Program, which I don't think there's need to
16 go too much into the details. But I think I'll just
17 mention a few things. The ASP Program was established
18 in 1979 in response to the risk assessment review
19 group report.

20 And the primary purpose, I think, as
21 stated on the slide is to systematically evaluate
22 operating experience to identify and document events
23 likely to lead to core damage. I think in other
24 words, in ASP analysis is a plant-specific analysis
25 performed to determine the condition or likelihood of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a core damage given an initiating event and in plant
2 equipment failures or --

3 CHAIRMAN WALLIS: Likely is a funny word
4 here because really it's not very likely that there
5 will be core damage.

6 MR. CHOKSHI: Well, the conditional
7 probability of --

8 CHAIRMAN WALLIS: A very low conditional
9 probability.

10 MR. CHOKSHI: Right.

11 CHAIRMAN WALLIS: But the word likely sort
12 of implies it is quite a high probability.

13 MR. CHOKSHI: Yes. And I think on the
14 next slide where you see more formal, I think it's
15 conditional probability.

16 MEMBER APOSTOLAKIS: Those events that
17 might lead to core damage.

18 MR. CHOKSHI: Right. The ASP Program
19 provides the basis for two performance indicators.
20 The no event per year are identified as significant
21 precursor of a nuclear reactor accident and also they
22 put the statistically significant adverse industry
23 trend.

24 In addition to those performance measures
25 which are required to be put into the accountability

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and performance report, the other objectives are, you
2 know, to categorize the precursors by their plant-
3 specific and generic implications and factor insights
4 into the regulatory process I think to provide the
5 potential PRA scenarios and models. And I think that
6 was in the ACRS letter of May 16th, 2003.

7 CHAIRMAN WALLIS: So how do you check a
8 PRA scenario?

9 MR. CHOKSHI: Okay. I was just going to
10 say that there was a letter from ACRS on May 16th,
11 2003. And they had particularly said that the ASP
12 Program, they agreed that it is a very important
13 element. And I will draw up under my --

14 CHAIRMAN WALLIS: So if the PRA scenarios
15 deal with the probabilities and ASP deals with real
16 events that happen and the connection, because they're
17 rare events, must be very tenuous.

18 MR. CHOKSHI: Right.

19 MEMBER APOSTOLAKIS: No, ASP --

20 CHAIRMAN WALLIS: You can get the sequence
21 but you can't get the probabilities, can you?

22 MEMBER APOSTOLAKIS: No, ASP also
23 considers scenarios, right? It starts with what
24 happened and then it becomes a PRA.

25 CHAIRMAN WALLIS: And then it becomes a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 PRA. Then it goes into what might have happened.

2 MEMBER APOSTOLAKIS: Then it becomes
3 logical in Russia.

4 (Laughter.)

5 MR. CHOKSHI: And the insights, in fact,
6 come from, for example, I think about 20 percent of
7 the events require developing some modeling and
8 things, you know, which was not in the PRA models. So
9 there is a feedback process.

10 CHAIRMAN WALLIS: So one is reality and
11 the other is realistic.

12 MEMBER SIEBER: That 20 percent is an
13 important number.

14 MEMBER APOSTOLAKIS: What is that?

15 MEMBER SIEBER: You know it basically says
16 that PRAs don't model everything.

17 MR. CHOKSHI: Right. And so there is a
18 feedback process.

19 MEMBER APOSTOLAKIS: Well, you know, a
20 major problem with the ASP Program over the years has
21 been the dissemination of information and having
22 people who actually do PRAs pay attention. It's not
23 your fault. But, I mean, this is really an important
24 part of what the Agency does.

25 MEMBER SIEBER: That's right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER APOSTOLAKIS: And you go out there
2 and people don't seem to, you know, be aware or they
3 say oh yes, well I've heard of it. But you never hear
4 a PRA analyst say, oh, in this sequence, you go that
5 way because ASP found such and such.

6 I don't know. I mean is there a solution
7 to that? I mean I know that you guys are issuing
8 reports.

9 MEMBER BONACA: Well, I would like to
10 comment on that. I mean in the past, okay, one of the
11 issues has been the quality of the models that the NRC
12 has used to develop the scenarios. And the
13 credibility of the results to the very licensees that
14 were being evaluated.

15 So typically you had an evaluation. It
16 was off by an order of magnitude of two, the results.
17 You look back at the modeling, you find the certain
18 fundamental elements of the plant were missing from
19 the models. So you communicated back the information.

20 This was when it was being done -- I think
21 it was outsourced at that time. And you can get back
22 to have them consider the modeling aspects. Then the
23 document would be issued with certain numbers that
24 really were off the wall. So it became unimportant
25 because it didn't provide credible results.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Now I think, you know, I see this as very
2 positive. You know, the development of the SPAR
3 models that are becoming more and more close to the
4 model. And I think that would bring about credibility
5 to the program and to the results.

6 MEMBER APOSTOLAKIS: But in answer to
7 that, first of all, the situation you described, I
8 think, is kind of old. Now, I mean --

9 MEMBER BONACA: I don't know.

10 MEMBER APOSTOLAKIS: -- the program has
11 been -- has improved significantly over the years.

12 MEMBER BONACA: I would expect so, yes.

13 MEMBER APOSTOLAKIS: But second, it's not
14 so much the number I'm talking about. I'm talking
15 about the dependencies and the paths that these guys
16 find which is independent of -- well, I mean you can
17 say no, they missed the particular component or system
18 or action. But by and large, I don't think that the
19 various dependencies or scenarios that have been
20 identified as part of the operating experience have
21 really influenced the event trees that people develop.

22 Now that doesn't mean that these event
23 trees are no good because maybe they have other
24 sequences that subsume these sequences. But it would
25 be nice to see a more active use of what this Branch

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is producing.

2 MR. CHOKSHI: Sure.

3 MEMBER APOSTOLAKIS: I think obviously you
4 have looked at the ACRS letter. I think we mention
5 that every now and then.

6 MEMBER ROSEN: Well, I think the early
7 problem was the one that Mario described. They were
8 not credible. But the staff has done a good job
9 bringing these models to the plants and benchmarking
10 them against the plants' PRAs.

11 And when the plant PRAs and the SPAR
12 model, in whatever stage of development, were
13 different, the differences were explored. And either
14 the plant model was corrected or the SPAR model was
15 corrected to bring them closer together.

16 Now that's not to say that the SPAR model
17 is exactly the same as the plant model. It can't be.
18 I don't think they can be that big. But that's the
19 state of knowledge right now.

20 So the plants -- you can understand why
21 the plants weren't too interested, as Mario described,
22 in the early times. Now they're very interested. And
23 they expect the answers for a given event to come out
24 very much the same.

25 And if they don't, then there is an issue.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And that issue is on the table in front of both the
2 staff and the industry and the plant and the public.
3 And one can see the difference.

4 And the difference comes down to saying,
5 for example, we talked yesterday about HRA, the Human
6 Reliability Announcement. What numbers are you using
7 for human actions? Well, you, of all people, know,
8 George, you can pick -- a lot of different numbers can
9 be picked.

10 So those differences now are worthy of
11 discussion whereas before they weren't because the
12 models were so wrong.

13 In the early days, I must confess that I
14 didn't think this program was a good idea. And the
15 reason I didn't was because the models were so not
16 credible. They were so far behind the plants' models.
17 To the extent that I even proposed at one time that
18 the whole program be stopped and instead that the
19 plant models be given to the NRC.

20 Then you could do whatever you want with
21 them but at least you'd be starting at the same point.
22 Well, that's no longer necessary, of course, because
23 you've come across to the point where SPAR models are,
24 I think, universally -- have you gone through every
25 plant and benchmarked them?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. O'REILLY: Yes, we have.

2 MEMBER ROSEN: Okay. So now you're at the
3 point where this becomes quite useful I think. And I
4 think Jack's earlier point that the Agency needs an
5 independent method is true. And this becomes that.

6 MEMBER SIEBER: Yes.

7 MEMBER ROSEN: But to the degree that it's
8 independent is only because you each have a model that
9 was generated by your own generating process rather
10 than taking a model and cloning it and then using it.
11 But I would say that's the reason the plants weren't
12 interested in the early days.

13 They were just a problem to have to deal
14 with the fact that, okay, you come in -- for a given
15 event that the plant has said is a no, never mind,
16 because we know that this plant, there are all kinds
17 of systems and go look at the -- and then the staff
18 says no, it's an extremely serious event.

19 And you go look at it and the model
20 doesn't include two or three systems. Well, it's not
21 the plant.

22 MEMBER SIEBER: I think one of the things
23 that has enhanced the licensee attention is the use of
24 risk analysis for significance determination. And now
25 all of a sudden it's under the reactor oversight

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 process. It's in the licensee's best interest to have
2 pretty good models that will describe the probability
3 of events. It's in their financial interest and in
4 also their operational interest.

5 And so you may want to address a little
6 bit about the connection between this kind of work
7 perhaps when you talk about the Davis-Besse event and
8 the significance determination process. And give us
9 your insight.

10 MEMBER ROSEN: With this introduction,
11 would you also address the fact that plant models are
12 evolving. They're not static. They're being
13 improved. And we heard yesterday that some models are
14 less than perfect. And so there may be some rather
15 large improvements someplace.

16 So how do you intend to deal with that?
17 Are you going to go back to plants and re-benchmark on
18 a regular basis? Or something --

19 MEMBER APOSTOLAKIS: I have a
20 clarification question. Is ASP and SPAR the same
21 thing? I know physically it isn't. But in terms of
22 body of knowledge, what they represent. Because we
23 keep using the words interchangeably it seems to be.

24 MR. CHEOK: Well, let me try to clarify
25 that. SPAR is basically our PRA models.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER APOSTOLAKIS: It's a model, right.

2 MR. CHEOK: And ASP is basically the
3 program to evaluate

4 MEMBER SIEBER: It's a process.

5 MR. CHEOK: -- operating events at the
6 plants using the SPAR models.

7 MEMBER APOSTOLAKIS: But does the SPAR
8 model, though, reflect all the findings of ASP? Or is
9 it a model that is produced, you know, as the result
10 of the efforts of the staff and then interactions with
11 the utility?

12 MR. CHEOK: We will update the SPAR models
13 on an event-specific basis to be able to model the
14 events correctly. I guess I'd like to elaborate on
15 what the Committee has talked about earlier. You know
16 we have -- the ASP Program has, in the past,
17 identified events like the fragile ice and the seaweed
18 in the intakes. And these are events that are now
19 being taken into account in plant PRAs.

20 We also have identified events like
21 operator actions that are not in the procedures. Or
22 alternate success paths that the plants have taken in
23 response to plant events but because these paths and
24 procedures they're not officially in procedures, a lot
25 of plants will not take credit for these procedures in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the PRAs because of the different standards.

2 So although we do identify about 20
3 percent that's not modeled in PRAs, a lot of times
4 there's a good reason for why they are not in there
5 because the plants feel that the sequences that they
6 model are conservative enough that they do not have to
7 include sequences that, you know, they could do based
8 on operator knowledge that may not be "acceptable"
9 under the AMSE PRA standards.

10 MEMBER APOSTOLAKIS: So, Mike, are you
11 then answering in part or in total the finding that
12 Carl Flemming had in his report that he was told by
13 the staff, the NRC staff or some of the NRC staff that
14 about 20 percent of the initiating events identified
15 in ASP are not included in the PRA or something like
16 that?

17 MR. CHECK: Well, it could be they were
18 not included at that point. But like I have the
19 example I provided, once they are identified and
20 eventually if they become prominent enough or
21 important enough to a plant, I believe that they will
22 be included in the plant PRA.

23 MEMBER APOSTOLAKIS: And do you have any
24 idea how that happens? Is it because somebody is
25 pushing? Or --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER ROSEN: No, it's the update
2 requirement.

3 MEMBER SIEBER: Yes, the event occurs and
4 you --

5 MEMBER ROSEN: You have a two-year update
6 requirement to input operating experiences.

7 MEMBER APOSTOLAKIS: Well, update --

8 MEMBER ROSEN: The models and the data.

9 MEMBER APOSTOLAKIS: Yes, but I mean, you
10 know, I can update it and -- I mean update is a very
11 general term.

12 MEMBER ROSEN: Yes, but I know a good
13 update includes the operating experience of the plant
14 itself since the last update and any new models, any
15 new sequences that have been determined to be
16 significant.

17 MEMBER SIEBER: I think it's important to
18 recognize that the 20 percent will never go to zero.
19 And that's because of the issue of what do you take
20 credit for which is your point.

21 MR. CHEOK: To answer George's question
22 directly, the staff has no formal process to make a
23 licensee include some of the events that we find. But
24 I want to substantiate what Mr. Rosen said basically
25 is that if you follow the PRA ASME standards

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 procedures, it requires that you update your PRA with
2 plant-specific events, especially those that are
3 relevant to your plant.

4 So if they follow those procedures, they
5 will pick up on the --

6 MEMBER ROSEN: Wait a minute -- if is not
7 the right word. Some plants have gotten license
8 changes that require updating in accordance with the
9 ASME standard. It's a part of the license of a plant.
10 So the if isn't -- it's when they follow their
11 procedures that require updates.

12 MR. CHECK: Sorry.

13 MEMBER ROSEN: All right. I just wanted
14 to correct that. It's not so loosey-goosey as you
15 say.

16 VICE CHAIRMAN SHACK: But we could let the
17 staff proceed with their presentation rather than our
18 freeform discussion if it's okay with --

19 MEMBER APOSTOLAKIS: We could.

20 (Laughter.)

21 MEMBER SIEBER: We could.

22 MEMBER ROSEN: We have not typically done
23 so.

24 MEMBER SIEBER: You basically had a 25-
25 minute introduction. So let us move on.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. CHOKSHI: We will come back and
2 address the question you raised about the SPAR models
3 also during the presentation. I think I was going to
4 also mention the National Academy of -- you know,
5 their study about the use of accident precursor
6 sequence analysis and its value. It has been very
7 positive. And I won't say any more than that.

8 MEMBER APOSTOLAKIS: But this workshop
9 took place what -- three years ago?

10 MR. CHOKSHI: But the report came out --

11 MEMBER APOSTOLAKIS: Yes, I know.

12 PARTICIPANT: It took three years to
13 write.

14 MEMBER APOSTOLAKIS: Speaking of updates.

15 (Laughter.)

16 MR. CHOKSHI: Well, let me move on to the
17 next slide because I think that as part of the SDP and
18 the ASP issue, the question, I know, often comes up,
19 you know, why we are doing both and what are the
20 differences.

21 ASP, you know, as I mentioned, it's to
22 evaluate whether a particular event or condition is a
23 significant precursor. And I think as noted in the
24 applicability, it considers concurrent multiple
25 degraded condition. And you'll see that in the Davis-

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Besse discussion. And some differences between SDP
2 and ASP.

3 While SDP is basically -- using risk
4 insights to consider degraded condition or inspection
5 findings to determine the significance in the model
6 for regulatory response. So I think the timing is a
7 big factor. The SDP should be done pretty much, you
8 know, very quickly to make some decisions. And that
9 timing effects how we can do the analysis.

10 I think that's basically this. The
11 difference is here on the information, on the
12 modeling, and uncertainly, it reflects the
13 availability of time and information.

14 MEMBER APOSTOLAKIS: But the idea is the
15 same, though.

16 MR. CHOKSHI: It is true. We are trying
17 to get to the -- but I think the big difference is
18 these multiple conditions.

19 MEMBER APOSTOLAKIS: Even SDP considers
20 multiple, doesn't it? This Committee recommended that
21 that's not the way it should be done and we got the
22 reply yes, we agree. Wait a minute, wait a minute.
23 We made a big deal out of it, you remember?

24 That if they find three -- if they have
25 three findings, they shouldn't do each one separately

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 if they are concurrent. And we got the response from
2 the EDO that yes, we agree with you.

3 MR. CHEOK: I think the purpose of the SDP
4 Program is to evaluate the significance of one
5 particular plant degradation. And, I guess, it's in
6 their -- therefore, I guess to combine events will not
7 be useful for that purpose.

8 MEMBER APOSTOLAKIS: Well, I mean what
9 they're saying, Mike, is we declare what we do to be
10 the right thing. No, I'm really clear. We have to go
11 back and find that recommendation --

12 MR. CHOKSHI: We will also go back.

13 MEMBER APOSTOLAKIS: -- because we did get
14 a response that agreed with us. That was one of the
15 few cases where the EDO agreed with us.

16 VICE CHAIRMAN SHACK: Although I must
17 confess in my experience in working with the staff on
18 SDPs in certain situations, I think they're very
19 narrowly focused on the exact condition that was
20 found.

21 MEMBER APOSTOLAKIS: Because maybe there
22 was no other condition response.

23 MR. CHOKSHI: But I think in part, you
24 know, the RASP Program, it is trying to get some of
25 the differences ironed out and lead to some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 standardization.

2 I think rather than spending too much
3 time, I'm going to turn it over to Gary. And, you
4 know, he will start with the ASP plans. And, I think,
5 a number of questions might be answered during that
6 discussion.

7 MR. DeMOSS: Good morning. I'm Gary
8 DeMoss, ASP Analyst and tasked with presenting the
9 Davis-Besse -- the grid LOOP but first the results and
10 insights of trends that we presented to the Commission
11 in SECY-04-210 last November.

12 In SECY-04-210 we reported there were no
13 significant precursors in FY 2003 or 2004. Davis-
14 Besse was a significant precursors in FY 2002.

15 At that time, we reported that there were
16 ten important precursors during the 2001-2004 time
17 frame. And we characterized that as being based on
18 preliminary data. The important precursors were three
19 at Point Beach due to a design deficiency in the
20 auxiliary feed systems and failure to correctly
21 implement design changes.

22 Additionally, Davis-Besse was greater than
23 ten to the minus fourth and a 2003 Palo Verde LOOP was
24 ten to the minus fourth. The other five were based on
25 the preliminary analysis of the northeast grid

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 disturbance. Now as we approach the completion of the
2 final analyses, we're now getting less than ten to the
3 minus fourth for all of them due to some data changes
4 in the SPAR model that we're going to talk about
5 later.

6 There was no significant trend in the rate
7 of occurrence of precursors during the period from FY
8 1993 to FY 2002. Mike, you've given the next slide.
9 I'm going to speak to this a little bit. This would
10 be different if we took the trend back further than
11 ten years, as you can see from the chart here.

12 To go through this chart, you can see in
13 the maroon color, the late '80s and 1990s, the number
14 of precursors per year was quite a bit higher. The
15 current ten-year period as trended is in the light
16 blue.

17 VICE CHAIRMAN SHACK: Now are those
18 corrected for what Mario and Steve claim was your
19 extreme conservatism in the old days? Or, you know --

20 MR. DeMOSS: The answer --

21 VICE CHAIRMAN SHACK: -- is part of this
22 transient due to the fact that your modeling has
23 improved?

24 MR. DeMOSS: That's one of the possible
25 effects here. We don't -- we have a policy to not go

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 back and re-quantify old events with newer models.
2 There's no particular value to it. So I think that is
3 a contributor. Another major contributor is reduction
4 in trip frequency in general. And so I think it is
5 safe to say some of this is licensee performance.

6 We'll be looking a little more into that
7 in a more detailed study we're going to start on
8 trends.

9 MEMBER APOSTOLAKIS: Now which precursors
10 are you reporting here? All of them? What condition
11 or probability?

12 MR. DeMOSS: This is a number of
13 precursors with the conditional probability greater
14 than ten to the minus six. We reject anything less
15 than ten to the minus six.

16 MEMBER APOSTOLAKIS: One would question
17 even something like the standard of minus five. I
18 mean why do I care, right?

19 MR. DeMOSS: We certainly tabulate that
20 also. And I'll show it to you on the next slide.

21 MR. CHEOK: Well, I would kind of like to
22 respond to what you just said, George. I mean if you
23 look at the base PRAs for a lot of plants, significant
24 events tend to be in the ten to the minus five range.
25 So I guess we cannot say why do we care.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER APOSTOLAKIS: Significant in what
2 sense?

3 MR. CHOKSHI: In other words, when we say
4 these are significant scenarios. In the IPD space, we
5 are told that we need to identify significant
6 scenarios.

7 MEMBER APOSTOLAKIS: But remember these
8 are conditional probabilities.

9 MR. CHOKSHI: That is true.

10 MEMBER APOSTOLAKIS: So presumably the
11 unconditional frequency of the sequence is well below
12 ten to the minus five.

13 MR. CHEOK: That's true.

14 MEMBER ROSEN: I have a question. I don't
15 understand. You named five events. Three at Point
16 Beach, the Davis-Besse, and one other, the Palo Verde
17 event --

18 MR. CHEOK: Right.

19 MEMBER ROSEN: -- as being particularly
20 significant. But if you multiple .1, which is the
21 bottom line of precursors per reactor year times the
22 number of reactor years, which is about 100 per year,
23 times .1 is about 10. Then you get about -- you
24 should expect to be told about 10 per year. And yet
25 you only told us about five.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Now am I getting things mixed up here? I
2 don't --

3 MR. CHEOK: I think what Gary was talking
4 about, those five events you are talking about, is
5 what he called important precursors which were ten to
6 the minus four and above precursors.

7 MEMBER ROSEN: Oh, oh, oh.

8 MR. CHEOK: These are all precursors which
9 are ten to the minus six and above.

10 MEMBER ROSEN: Oh, okay. Fine. Thank you
11 very much.

12 MR. DeMOSS: Okay.

13 MEMBER APOSTOLAKIS: So, again, why are
14 some of them historical and the others are final?

15 MR. DeMOSS: Well, we use the last ten
16 years for all of our trending studies rather than a
17 much longer term. I think we get into irrelevant data
18 if we go back any further than that.

19 MEMBER APOSTOLAKIS: I don't understand
20 that. The data from '95, they're not historical?

21 MR. DeMOSS: The word historical means
22 that they are far enough in history back that we don't
23 use them in our trending.

24 MEMBER APOSTOLAKIS: Oh.

25 MR. DeMOSS: And really nothing more.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER APOSTOLAKIS: So the maroons are
2 not part of the trending?

3 MR. DeMOSS: They're not part of the
4 trending analysis but I thought interesting to include
5 on this slide.

6 MEMBER APOSTOLAKIS: So the year '97 was
7 the best?

8 MR. DeMOSS: Ninety-seven was a good year
9 apparently.

10 MEMBER APOSTOLAKIS: It was a very good
11 year.

12 (Laughter.)

13 VICE CHAIRMAN SHACK: Not a great one but
14 a good one.

15 MR. DeMOSS: Now I'll cover it on the next
16 slide. I guess the other --

17 PARTICIPANT: In the white portion of the
18 bars in '01 or '02 indicate --

19 MR. DeMOSS: That's -- the other
20 interesting portion of this is that we have some CRDM
21 cracking events mostly from DMW plants. And we
22 haven't been able to quantify the initiating event
23 probability, the ejection in a way that we can use for
24 the ASP calculation.

25 This chart shows them assuming that they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 are precursors. I think they probably would be
2 depending on the calculation.

3 The one important thing about that is
4 another possibility is we'll decide not to spend the
5 resources to do that, to do the difficult
6 metallurgical calculations and classify those as
7 events that we just can't analyze probabilistically
8 and there have been a lot of those throughout history.

9 MEMBER APOSTOLAKIS: But let's not forget
10 that, you know, this may be encouraging if you see the
11 trend going down, of course. But still, all it takes
12 is one of these events to create a problem, right. So
13 let's not forget that.

14 MR. DeMOSS: Certainly, certainly. That's
15 why we're keeping them alive. Certainly, the
16 possibility is not trivial.

17 All right. Here's a little more detailed
18 trending of the events of the last ten years. And,
19 again, these slides are taken from the SECY. Starting
20 at the upper left, the significant precursors, which
21 is just one per year here we show in the last ten
22 years are the Wold Creek drain down even in 1994, the
23 Catawba LOOP in '96, and the Davis-Besse event.

24 MEMBER APOSTOLAKIS: And you have reports
25 on each one?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. DeMOSS: And we have reports on each
2 one. The Davis-Besse recently released.

3 MEMBER APOSTOLAKIS: Yes, we --

4 MR. DeMOSS: And the other two have been
5 available for a long time.

6 MEMBER APOSTOLAKIS: What were the other
7 plants? I'm sorry.

8 MR. DeMOSS: The first bar, the 1994 is
9 the Wolf Creek drain down while shut down.

10 MEMBER APOSTOLAKIS: Wolf Creek.

11 MR. DeMOSS: The second bar, the '96 bar,
12 is a LOOP at Catawba where a diesel generator breaker
13 failed.

14 MEMBER APOSTOLAKIS: Yes.

15 MR. DeMOSS: And then 2002's data.

16 MEMBER APOSTOLAKIS: Thank you.

17 MR. DeMOSS: Again, this is not enough
18 data to trend as you would expect.

19 MEMBER APOSTOLAKIS: But let me ask
20 another question. You know I'm always -- I'm a little
21 concerned about this ten to the minus X. No matter
22 what happens in the world, we're always at very low
23 numbers. How certain are you about this ten to the
24 minus six? How high could it be? Reasonably high?

25 I mean even if something really bad

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 happens and we have editorials in the newspapers and
2 so on, still the condition of probability is one in a
3 thousand? This is a remarkably robust system. How
4 high could this be?

5 MR. DeMOSS: Well, I mean we've had --
6 since '69, we've had three precursors greater than ten
7 to the minus one.

8 MEMBER APOSTOLAKIS: One?

9 MR. DeMOSS: One of them was one,
10 obviously.

11 MEMBER APOSTOLAKIS: No, but ten to the
12 minus three, what kind of uncertainty do you have
13 around that?

14 MR. DeMOSS: Well, the uncertainty is
15 roughly an order of magnitude. Around a little bit
16 more than that for Davis-Besse. And we'll display
17 that later.

18 MEMBER APOSTOLAKIS: So even with Davis-
19 Besse, it was still in the one in a hundred condition
20 of --

21 MR. DeMOSS: Yes.

22 MEMBER APOSTOLAKIS: -- probability.

23 MR. DeMOSS: Six to the minus three is --

24 MEMBER APOSTOLAKIS: Wow.

25 MR. DeMOSS: Well, the LOCA mitigation

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 systems were available with some deficiencies but not
2 -- and, again, years ago, significant precursors were
3 more common. We've had 26 since 1969. But relatively
4 few lately.

5 MEMBER BONACA: That's an important
6 observation, however. I mean the number is low, you
7 know, thinking of core damage. But the point you were
8 making, the ECCS was available so a significant
9 contribution to the low number is that you have --

10 MEMBER APOSTOLAKIS: But this raises
11 another question in mind. I mean sure the CCDP is a
12 very important metric but should that be the only one
13 we are looking at?

14 MEMBER BONACA: Because, I mean, the
15 significance of --

16 MEMBER APOSTOLAKIS: I mean how close were
17 we to having a LOCA?

18 MEMBER BONACA: Right.

19 MR. DeMOSS: Well, we'll try to explain
20 that when I get to the Davis-Besse.

21 MEMBER APOSTOLAKIS: Yes, but I mean you
22 could do it in general.

23 MR. DeMOSS: Although we won't be
24 emphasizing the metallurgy in this one, we'll be
25 talking about --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER APOSTOLAKIS: Okay, okay, okay.

2 MR. DeMOSS: -- the probabilities.

3 MEMBER APOSTOLAKIS: You know but do you
4 understand my point? That CCDP is not necessarily the
5 metric -- the only metric of interest.

6 MR. DeMOSS: That's right.

7 MEMBER APOSTOLAKIS: The conditional
8 probability of having an initiating -- a serious
9 initiating event would certainly be something of great
10 interest it seems to me.

11 MR. DeMOSS: Well, and that's included.
12 Since this was a condition --

13 MEMBER APOSTOLAKIS: It's included but not
14 reported here.

15 MR. DeMOSS: Not here, no.

16 MEMBER APOSTOLAKIS: I know you're doing
17 it because in order to get here, you have to do the
18 other thing, right?

19 MEMBER BONACA: It's an important
20 observation.

21 MEMBER APOSTOLAKIS: Right.

22 MEMBER BONACA: The owners -- at times,
23 you know, I mean you look at the bottom line of the
24 number and you say well, you know, yes, but again, you
25 have to worry about the event itself.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER APOSTOLAKIS: Of course.

2 MEMBER BONACA: And if you come down to --

3 MEMBER APOSTOLAKIS: Think of the
4 consequences of actually having the LOCA.

5 MR. DeMOSS: Well --

6 MEMBER APOSTOLAKIS: Yes, you don't need
7 to go to core damage.

8 MR. DeMOSS: Well, no, the consequences to
9 the plant are very significant.

10 MEMBER APOSTOLAKIS: Or the industry.

11 MR. DeMOSS: And to the industry, that's
12 right. That we can't measure with our tools.

13 Okay. Going through these -- the ten to
14 the minus four events, as shown, are showing a
15 decreasing trend but not a statistically significant
16 trend. You can see the line there.

17 Again, we have had one more that is not on
18 this graph which is the Palo Verde event of 2004.
19 Again, that's still preliminary but likely to stay in
20 that range.

21 The ten to the minus five bin, which is
22 obviously a more common occurrence to get a ten to the
23 minus five precursor is statistically significantly
24 decreasing over the last ten years as shown by the
25 curve.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 An interesting thing and I'm not sure why
2 is the number of ten to the minus six bin of events is
3 increasing. And that is statistically significant.

4 MEMBER DENNING: Let me speculate and see
5 what you think. Could that be the result of less
6 conservatism in the SPAR models? That things we had
7 been interpreting as being a higher probability, as
8 you get more realistic in the SPAR models, may move
9 down into the lower -- is that possible?

10 MR. DeMOSS: Yes. That's possible. And,
11 in fact, we're going to start a study and I'll have a
12 slide about that later that's going to look at that
13 and a variety of other things.

14 And I think that and increased event
15 identification by the SDP are going to be the reason
16 for that rather than any performance. But that's my
17 personal speculation on a study that hasn't started
18 yet.

19 Okay. Moving on to the next slide which
20 talks about what we're going to do. We are starting
21 about now a detailed study into the trends and, in
22 fact, the former ASP project manager is going to lead
23 that study. And, you know, the trends that we have
24 are -- the major trends we've noticed are precursors
25 involving initiating events are decreasing. Again,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that trip frequency-type thing.

2 Precursors involving conditional
3 unavailability of equipment may be increasing. That's
4 that ten to the minus six increasing trend.
5 Precursors involving loss of offsite power are
6 increasing recently.

7 MEMBER APOSTOLAKIS: So, I'm sorry, why do
8 you talk about the conditional unavailability of
9 equipment and not the conditional probability of
10 having an initiator? Is that covered in the first
11 bullet?

12 MR. DeMOSS: Well, the first bullet is
13 actual initiating events. When we model --

14 MEMBER APOSTOLAKIS: Okay.

15 MR. DeMOSS: -- the conditional
16 unavailability of equipment, we use the nominal
17 probability of an initiating event for the period the
18 condition that the equipment was unavailable.

19 MEMBER APOSTOLAKIS: Okay. All right.

20 MEMBER ROSEN: Does the second bullet
21 imply that the unavailability of equipment is
22 increasing in the plants? Because that's
23 counterintuitive --

24 MR. DeMOSS: I mean that's one possible
25 conclusion. I don't think that's the one we're going

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to come up with though. I think we're detecting it
2 and reporting it more rather than we're really seeing
3 more unavailability of equipment. But I think with a
4 study we could begin to identify that.

5 MEMBER ROSEN: That's counterintuitive to
6 my experience -- that over time, unavailability with
7 the maintenance rule programs in place now, generally
8 decreases slowly. Now I can provide one explanation
9 of why this could be true and that is more plants are
10 taking equipment out of service under (a)(4),
11 5065(a)(4) than previously, do maintenance while
12 they're online.

13 MR. DeMOSS: Right. We wouldn't pick that
14 up in the ASP Program because that's not a conditional
15 unavailability due to a failure or anything like that.
16 That would be picked up in some data work we do and
17 monitored by NRR.

18 We would look to see if something was out
19 during an equipment failure at that plant and maybe we
20 would start seeing that. But that would be a kind of
21 a random luck chance to really catch a problem there.

22 MEMBER SIEBER: It seems to me that, you
23 know, we look into the future to a situation where
24 risk information will be used to potentially
25 liberalize a lot of outage times for pieces of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 equipment. It seems to me that you have to answer
2 this question first before one treads down the path of
3 allowing more outage time because obviously, it will
4 have an impact on event frequencies and mitigating
5 strategies and potential results.

6 And so I think this work is pretty
7 important but you have to answer that question.

8 MEMBER ROSEN: Jack, that's a good point.
9 What we're going to be faced with pretty soon is the
10 risk management tech specs.

11 MEMBER SIEBER: That's right.

12 MEMBER ROSEN: Changes to tech specs based
13 on risk that with varying lengths, depending on the
14 risk significance of equipment. And that's coming
15 down the pike.

16 MEMBER SIEBER: That's right. That's
17 right. It's on our agenda.

18 MEMBER ROSEN: Yes.

19 MR. CHEOK: I guess and we will know more
20 when we finish the study but I think from what we've
21 seen so far, we do not believe that it could be an
22 equipment licensee performance issue. It could be an
23 identification versus a current rate issue.

24 In other words, starting in 2000, for
25 example, we have the SDP and if you note that in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ASP Program, we used to identify events based on LERs.
2 Starting in '02, a bigger percent of our events are
3 coming from SDP inspection reports, 20 to 30 percent.

4 Recently, we have increased our technology
5 whereby we're now analyzing most if not all events.
6 In the past, we had a category called impractical to
7 analyze, which we did not analyze. So we are looking
8 at maybe a case where we are now identifying more
9 events as opposed to the events occurring more often.
10 So we will have to come to a better conclusion with
11 respect to that.

12 MEMBER SIEBER: Yes, right now what you're
13 telling us is your speculation. And what we're trying
14 to do is encourage you to change that to something
15 with a little more firmness.

16 MR. DeMOSS: Okay. Just other preliminary
17 information to set the stage for this next study is
18 that we haven't seen any apparent trend related to
19 plant type, the BWRs and PWRs appear to be behaving
20 about the same.

21 We've noticed there are some years, like
22 somebody pointed out, 1997 was a particularly low year
23 and 2004 looks like it might be. We'll look into why
24 some of the things fluctuate and we'll look at causes
25 of precursors as opposed to just occurrences.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The contribution to these trends, and
2 we're going to try to map these contributions up to
3 this list of trends are -- and see where they fit --
4 is introduction to significant determination process
5 and its maturation, revisions to the SPAR models.
6 They've gone from a very simplified model to a
7 detailed PRA.

8 Possibly changing licensee performance,
9 we're going to look for it. Plant aging, we'll look
10 for it to see if something comes out in our data.
11 Industry and NRC initiatives may attribute to some of
12 it and possibly the maintenance rule, we're looking
13 for that.

14 Look for outliers in plant performance.
15 Several plants seem to be padding the ASP statistics
16 a little more than others. And we'll try to identify
17 that and make a conclusion.

18 Changes in ASP screening criteria and
19 analysis methodology, the program has evolved some and
20 we'll see what the effects of that are.

21 And we're also going to look at the ASP
22 Index which is shown here on the next slide. And the
23 ASP Index is calculated by adding the total
24 conditional core damage probabilities of all
25 precursors in a year and dividing it by the total

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 number of reactor years for that year. And so the
2 chart looks fairly similar to the -- at a first glance
3 to the number of precursors per year. But a little
4 closer look and we start to see that it's heavily
5 driven by significant precursors, remembering a
6 significant precursor is a one to the minus three or
7 above event and now this chart shows it divided by the
8 roughly 100 reactor years.

9 Again, we include the older data as well
10 as the last ten years which is really what we'll be
11 focusing on. But you can see the spikes in '94 and
12 '96, the years of significant precursors. And another
13 spike in '02 due to the Davis-Besse event.

14 MEMBER APOSTOLAKIS: I'm -- I think maybe
15 I don't fully appreciate what you're presenting here
16 but it seems to me we're spending too much time
17 looking at statistical information which, I don't know
18 -- it has some value to it by why do we really care
19 about all these trends?

20 I mean it seems to me we should be
21 learning more about what is actually happening, what
22 the ASP is telling us about --

23 MR. DeMOSS: And that's -- I think that's
24 where need to go with this study as I described on the
25 last slide. We're missing the whys. And all we've

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 reported is these trends. And -- you're right.

2 MEMBER APOSTOLAKIS: I mean what can
3 Agency do with this? This particular slide, what --
4 can you go to the Commissioner and recommend two or
5 three decision options given this within you can do A,
6 or B, or C. Or is it just it makes us feel good?

7 MEMBER POWERS: George, isn't it a
8 question that everybody is going to ask?

9 MEMBER APOSTOLAKIS: Sorry?

10 MEMBER POWERS: I mean even if you can't
11 act on it, isn't it a question that people are going
12 to ask? You're going to have the answer in your
13 pocket no matter what.

14 MEMBER APOSTOLAKIS: What question is
15 that?

16 MEMBER POWERS: You know, with the trends.

17 MEMBER APOSTOLAKIS: Yes.

18 MEMBER POWERS: Are we getting better or
19 worse?

20 MEMBER SIEBER: Yes, how are we doing?

21 MEMBER POWERS: They're always going to
22 ask that question.

23 MEMBER APOSTOLAKIS: Okay. So you can
24 have one slide. I think we're spending too much time.
25 It's a matter of emphasis. It seems to me what

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 actually happened -- I mean are the human errors
2 increasing? What kinds of human errors? Under what
3 conditions? Do you have any slide on these things?

4 MR. DeMOSS: No, we don't.

5 MEMBER APOSTOLAKIS: You see, that's my
6 point. It's a matter of emphasis. I'm not saying
7 that this is useless but it's just a matter of
8 balance.

9 And you are in a unique situation to give
10 us insights regarding these things.

11 MEMBER ROSEN: What's the far right? W/O
12 mean on this chart?

13 MR. DeMOSS: Oh, that's without the Davis-
14 Besse event in '02 to show the difference with and
15 without the event just to show how a significant
16 precursor --

17 MEMBER ROSEN: Just for that one bar, '02?

18 MR. DeMOSS: Yes.

19 MEMBER APOSTOLAKIS: Don't misunderstand
20 me. I'm not saying this is not useful. It's just
21 that I think that the balance is not right.

22 MR. DeMOSS: Okay. I'm agreeing with you.
23 I can't disagree with that. And that's where we're
24 going.

25 MEMBER SIEBER: Why don't we move forward.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. DeMOSS: Yes, okay.

2 MEMBER APOSTOLAKIS: We really have to go
3 to Davis-Besse because --

4 MR. DeMOSS: Yes, well, okay.

5 MEMBER APOSTOLAKIS: -- that will answer
6 a lot of my questions.

7 MEMBER SIEBER: The time is right.

8 MR. DeMOSS: Yes, you're right. We are
9 falling behind our planned time here. And this slide
10 simply summarizes that major points that we've
11 discussed for the last 20 or 30 minutes here. And it
12 introduces the fact that we're going to spend the rest
13 of the presentation on the unique condition at Davis-
14 Besse.

15 The Davis-Besse event we strove to develop
16 an analytic approach that would give a realistic
17 integrated risk analysis of the three conditions that
18 existed at Davis-Besse. A construct of the ASP
19 Program as we only treat them for the year that they
20 existed. They actually probably existed quite a bit
21 longer.

22 One condition was latent debris in
23 containment caused unqualified coatings, uncontrolled
24 fibrous materials and other debris that could clog the
25 ECCS sump following a LOCA. We drew heavily on the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 work from GSI-191 to quantify the probabilities
2 associated with sump performance.

3 The second condition we included in this
4 is a design deficiency in the high-pressure ejection
5 pumps that would cause pump failure during a
6 recirculation mode.

7 MEMBER APOSTOLAKIS: Latent debris, is
8 that the property? I guess nobody else is --

9 MR. DeMOSS: That's the stuff that you're
10 leaving in the containment.

11 PARTICIPANT: Right. It's just junk.

12 MEMBER APOSTOLAKIS: It's latent?

13 MR. DeMOSS: Yes, concrete, dust --

14 MEMBER APOSTOLAKIS: I understand what it
15 is.

16 MR. DeMOSS: Dust bunnies and concrete
17 dust.

18 MEMBER APOSTOLAKIS: I just wondered
19 whether this is the proper English. Is it the proper
20 English?

21 MR. DeMOSS: That's the word used in the
22 LER.

23 MEMBER APOSTOLAKIS: Oh, then it must be
24 right, okay. Latent debris, wow.

25 MR. DeMOSS: But it is -- okay. Testing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and analysis proved that the high-pressure
2 recirculation would fail due to a bearing that is
3 cooled and lubricated by process fluid at Davis-Besse.
4 And it's a unique situation to their high-pressure
5 injection pumps.

6 VICE CHAIRMAN SHACK: Very unique. I
7 think when I asked the question, no other plant has a
8 high-pressure injection pump like that.

9 MR. DeMOSS: I asked the same question.
10 I was told that is true so --

11 VICE CHAIRMAN SHACK: Okay.

12 MR. DeMOSS: And the final condition is,
13 of course, the head, which was CRDM nozzle crackage
14 and leakage that led to a cavity formation and could
15 have resulted in a LOCA.

16 To quantify these risks, we use an expert
17 elicitation to determine the distribution of possible
18 conditions to the head a year prior to discovery. And
19 we also used these same group of experts,
20 metallurgists, to determine the degradation rates.

21 DET and their contractor created a Monte
22 Carlo analysis of alternate scenarios to determine the
23 possibility of failure and the failure mode and output
24 the LOCA probabilities I need for an ASP model.

25 MEMBER APOSTOLAKIS: So these are your

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 References 11 and 14 in the report, which I would like
2 to get a copy of.

3 MR. DeMOSS: Okay. I'll take your word on
4 the reference numbers, but yes.

5 MEMBER APOSTOLAKIS: They are.

6 MEMBER SIEBER: Just give him what he asks
7 for.

8 MEMBER APOSTOLAKIS: Because every time I
9 went to somewhere where I thought I was going to learn
10 something, it says but this was done in Reference 14.

11 MR. DeMOSS: Okay. Yes.

12 MEMBER APOSTOLAKIS: So somebody -- let me
13 understand that -- somebody said the conditional
14 probability of getting a small or medium LOCA given
15 what we have observed --

16 MR. DeMOSS: Given the degradation --

17 MEMBER APOSTOLAKIS: -- is such-and-such
18 --

19 MR. DeMOSS: Right.

20 MEMBER APOSTOLAKIS: And how did they do
21 that?

22 MR. DeMOSS: That's a two hour
23 presentation in itself.

24 MEMBER APOSTOLAKIS: No, no, but you can
25 summarize it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. CHOKSHI: I think that we have one or
2 two slides.

3 MR. DeMOSS: Right. We have a couple of
4 slides next.

5 MEMBER APOSTOLAKIS: Okay.

6 MR. CHOKSHI: That was part of my work.

7 MR. DeMOSS: And we've got a couple of
8 brief slides to describe quite a bit of work that was
9 done by the metallurgists here. The metallurgists --

10 MEMBER ROSEN: You skipped over the last
11 bullet on the last slide which is also of quite a bit
12 of significant interest on how one can estimate the
13 probability of control rod ejection given the
14 circumstances at Davis-Besse.

15 MR. DeMOSS: And that's --

16 MEMBER ROSEN: And that was a nozzle
17 rejection.

18 MR. DeMOSS: Yes, that's a nozzle.

19 MEMBER ROSEN: Is that part of what you're
20 going to tell us about?

21 MR. DeMOSS: We're going to tell you just
22 briefly about that. Again, it's not a detailed
23 presentation. It's a model. And actually Dr. Shack
24 was involved in developing it.

25 MEMBER APOSTOLAKIS: You just shut him out

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of the discussion.

2 MR. DeMOSS: Yes.

3 MEMBER APOSTOLAKIS: But let me -- is this
4 Committee interested in having actually an information
5 briefing on the Davis-Besse analysis? I would like to
6 see that.

7 MEMBER ROSEN: That might be a good idea.
8 But let's hear some more before we decide.

9 MEMBER SIEBER: Yes. But we can't do that
10 today.

11 MR. DeMOSS: No, we're going to go rapidly
12 through these slides.

13 MEMBER APOSTOLAKIS: But do you remember
14 roughly what the relative probabilities of the three
15 LOCAs were?

16 MR. DeMOSS: Yes. The total was about 20
17 percent chance of a LOCA in the construct we made.
18 And about 18 percent of that was a small LOCA
19 generally due to the crack opening up.

20 And then in rough figures, the medium and
21 large LOCA were each one percent -- the medium driven
22 by the CRDM nozzle ejection and the large LOCA driven
23 by the upper end of possible degradation of corrosion
24 rates, I should say, to unback a larger piece of
25 cladding.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER APOSTOLAKIS: So the medium and
2 large were equally likely?

3 MR. DeMOSS: Roughly.

4 MEMBER ROSEN: And is the consequence of
5 those in your study also?

6 MR. DeMOSS: Oh, absolutely.

7 MEMBER SIEBER: Corrosion was occurring at
8 a rapid rate.

9 MEMBER ROSEN: So the consequence --

10 MEMBER APOSTOLAKIS: But every time people
11 talk about this, they talk about the medium LOCA. Now
12 this is news to me.

13 MR. DeMOSS: Well, this is because you've
14 got the hole in the head. You know losing the nozzle
15 is a medium LOCA.

16 MEMBER SIEBER: That's right.

17 MR. DeMOSS: The hole in the head --

18 MEMBER ROSEN: But my question about the
19 sequence --

20 MR. DeMOSS: Well, the accident -- right,
21 if we were to have a large LOCA, the probability of
22 core damage is much larger than if we were to have a
23 small LOCA. The PRA models basically automatically
24 take care of that.

25 MEMBER ROSEN: Sure. But I'm not -- I'm

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 interested in what happens to the control rod drive
2 mechanism itself. Is that analyzed to be ejected?
3 The rod is actually ejected? And there's a reactivity
4 addition because of that?

5 MR. DeMOSS: Right. But the analysis says
6 that that's not an atlas -- one ejection is not an
7 atlas issue.

8 MEMBER ROSEN: Okay. But you do take the
9 analysis out through the reactivity effects of a rod
10 ejection under these conditions?

11 MR. DeMOSS: The answer a general no
12 because the reactivity addition is not an atlas. And
13 so for the risk sequence, we're aren't getting an
14 atlas condition.

15 MEMBER ROSEN: Well, I think, George, now
16 I'm interested enough --

17 MEMBER APOSTOLAKIS: Yes, me, too.

18 MEMBER ROSEN: -- to have --

19 MR. CHOKSHI: Yes, okay. So let's plan
20 it.

21 MEMBER APOSTOLAKIS: It would be extremely
22 informative actually.

23 MR. DeMOSS: I mean that was analyzed.

24 MEMBER APOSTOLAKIS: We should do this in
25 the near future. Michael, are you taking notes of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 this?

2 MR. SNODDERLY: Yes, sir.

3 MR. DeMOSS: All right. The DET and the
4 contractors did quite a bit of analytic work and
5 laboratory testing to understanding the situation at
6 Davis-Besse.

7 They had three objectives in their study.
8 One was to assess the structural integrity of the
9 primary coolant pressure boundary for the conditions
10 exactly as existed on February 16th. In other words,
11 what was your margin at that point.

12 The other was to see how much longer
13 Davis-Besse could have gone if it were undetected and
14 not taken off line in February 2002.

15 And the third was in support of the ASP
16 Program to go back a year and then hypothetically
17 quantify what alternate scenarios in metallurgy,
18 corrosion, and cracking rates could have lead to a
19 LOCA on or before February 16th, 2002.

20 MEMBER APOSTOLAKIS: That was pretty good.
21 I like what you did there. Don't be shocked. We
22 don't always criticize.

23 (Laughter.)

24 MR. DeMOSS: Many aren't thrilled with
25 that.

1 Okay. And this slide shows a brief
2 overview of the methodology used for the three
3 calculations. And, again, not going into much detail,
4 they did a geometrically accurate and complete
5 analysis of the as-found condition.

6 MEMBER APOSTOLAKIS: Geometrically
7 accurate? This is like latent debris?

8 MR. DeMOSS: Right. In other words, they
9 didn't use a circle or a simply football shape or
10 something like that to quantify it. They actually did
11 the finite element. And you're out of my league here
12 real quickly because I'm not a metallurgist. A finite
13 element analysis.

14 They then used that to tune a model that
15 used simplified shapes and then incorporated the
16 corrosion and crack growth rates for the forward-
17 looking analysis, how long would it last, and the ASP
18 analysis, the backward-looking method. And it is
19 interesting.

20 Okay. The key findings -- and I think
21 they're all important -- are, of course, there is no
22 failure by the day of discovery and, in fact, there
23 was a factor of about one and a half safety margin on
24 the operating pressure. And still a significant
25 amount from a relief value set point pressure at the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 time of discovery.

2 Using their Monte Carlo simulation, their
3 best estimate for the median time of continued
4 operation for failure is about five months. And
5 there's a large uncertainty in that because this is
6 kind of a non-standard groundbreaking metallurgic
7 analysis.

8 You basically have a horse race between
9 the corrosion growing, the unbacked cladding area, and
10 the crack growth rates within the cladding.

11 VICE CHAIRMAN SHACK: But you loss with
12 both races.

13 (Laughter.)

14 PARTICIPANT: Which one won the race?

15 MR. DeMOSS: The other participant was the
16 licensee and the NRC that shut the plant down and put
17 a new head on.

18 MEMBER APOSTOLAKIS: Wait a minute.

19 MR. DeMOSS: So we won.

20 MEMBER APOSTOLAKIS: You're on the second
21 bullet, right?

22 MR. DeMOSS: Yes.

23 MEMBER APOSTOLAKIS: Approximately five
24 months with large uncertainties so what does that
25 mean? How large is it?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: It's plus or minus five.

2 MR. CHOKSHI: I think it is a very
3 complex, you know, with cracks and the assumptions you
4 make length of the crack, the depth of the crack,
5 whether it is a continuous crack --

6 MR. DeMOSS: Yes.

7 MR. CHOKSHI: -- what the core requires.
8 So based on all of these different conditions of basic
9 knowledge and on the median estimates, it went from
10 five to 13, Allen? Or would you say five was the
11 lower boundary?

12 MEMBER APOSTOLAKIS: Wait a minute. Five
13 is the median.

14 MR. CHOKSHI: Yes. These are median
15 estimates. Median estimates range from five to 13
16 months depending on different assumptions.

17 MEMBER APOSTOLAKIS: So this number there
18 is the low bound?

19 MR. CHOKSHI: Then I will let Allen then
20 give the accurate numbers.

21 MR. HISER: I'm not sure if I can give
22 accurate numbers but --

23 MEMBER ROSEN: Allen, could you --

24 MR. HISER: -- maybe explain a little bit.

25 MEMBER APOSTOLAKIS: Who are you?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. HISER: I'm Allen Hiser, Materials
2 Engineering Branch in Research.

3 One of the biggest uncertainties was that
4 there were cracks identified in the cladding and how
5 one models those has a big impact on who loses the
6 race earlier.

7 The five months relates to using an ASME
8 code type of definition for the cracks. So looking at
9 the largest extent of the cracks and the deepest
10 crack, modeling that as the overall crack geometry
11 provides you with a five month.

12 I believe eight months is the same length
13 of crack but a shallower depth that more represents
14 the average, I believe. About 13 months would
15 represent a shorter crack with the same average depth.
16 So there are a lot of parts of the analysis that are
17 really driven by the assumptions.

18 MEMBER APOSTOLAKIS: Oh, absolutely.

19 MR. HISER: And the cracks are one part.

20 MEMBER APOSTOLAKIS: So what is the range?
21 Five to 13?

22 MR. CHOKSHI: Five to 13.

23 MR. HISER: Five to 13 would be a 50
24 percent failure.

25 MEMBER APOSTOLAKIS: So this bullet is not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 quite right?

2 VICE CHAIRMAN SHACK: You've just talked
3 about the cracks, Allen. How about the, you know,
4 eroding away the materials?

5 MEMBER APOSTOLAKIS: Did you say five to
6 13 or would you say the best estimate between five and
7 13?

8 MR. HISER: Yes.

9 MR. DeMOSS: Well, no, there are two
10 separate medians to two separate approaches to the
11 analysis are the five and 13. Is that stated
12 correctly?

13 MR. HISER: Yes, the five and 13 just
14 related to whether you assume an ASME-type crack or
15 you assume a less severe crack.

16 MEMBER APOSTOLAKIS: No, but, you see, the
17 way it is stated it says the median is five with a
18 large uncertainty. So my mind says -- in my mind, oh,
19 so it could be as low as one?

20 MEMBER BONACA: Absolutely.

21 MEMBER APOSTOLAKIS: See, it's not stated
22 well.

23 MEMBER BONACA: Yes, I'm just puzzled --

24 MEMBER APOSTOLAKIS: A median between five
25 and 13 or the best estimate of the median is eight.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER BONACA: Yes, just I have a
2 question regarding this. If I understand it, I mean
3 the issue as identified by the fact that as they were
4 working on the head, the nozzle simply fell off,
5 right?

6 MEMBER SIEBER: Fell over. It tipped
7 over.

8 MEMBER BONACA: So that gives me a picture
9 of, you know, instability that is inconsistent with
10 some of the estimates here. It seems as if this thing
11 was ready to just fall off.

12 MR. HISER: Yes. Let me clarify one part.
13 It -- when they took the head off the vessel, the
14 nozzle was still secured by the J-groove weld. It
15 tipped when they were doing repairs of the nozzle. So
16 at that point, they had, in effect, machined out the
17 entire J-groove weld. So there was nothing to support
18 the head or to support the nozzle.

19 MEMBER KRESS: Does the growth of the
20 crack until it penetrates the head result in a small
21 break LOCA, a medium break LOCA, or what?

22 MR. HISER: If the crack grows through to
23 the point that you have an unstable ligament in the
24 cladding, then you would get a small break LOCA, I
25 believe.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. DeMOSS: I think there was a -- they
2 had a failure parameter in that Monte Carlo that could
3 have gone to small or medium in that case but almost
4 all of them, as I recall, went to small.

5 MEMBER KRESS: Went to small? That's what
6 I was going to say.

7 MR. CHOKSHI: And, you know, some testing
8 was done to basically pin down what kind --

9 MR. DeMOSS: Yes, I think there was some
10 possibility that the crack could fish-mouth wide
11 enough coupled with maybe a high corrosion because
12 that was in the bin, too, that you could possibly go
13 to medium that way.

14 MEMBER DENNING: What are minimum
15 safeguards under that condition? Is that high
16 pressure pump, is it critical in recirc for that? Or
17 do you have other pumps that can still handle that
18 condition?

19 MR. DeMOSS: Well, the large pumps are
20 still available and working as well as the sump is
21 available -- as well as the sump is working for
22 recirculation.

23 MEMBER DENNING: And the pressure at that
24 time would be such that the low head pumps would be
25 effected you're saying in recirc?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. DeMOSS: The licensee would have to
2 take action to depressurize for a medium.

3 MEMBER DENNING: They'd have to take
4 action to depressurize?

5 MR. DeMOSS: Yes.

6 MEMBER SIEBER: Yes, the pressure would
7 hang up then.

8 MR. DeMOSS: But it is proceduralized
9 action. It's not heroic or anything like that.

10 MEMBER SIEBER: I think we're really
11 falling behind.

12 MR. DeMOSS: We are. But we'll pick it up
13 as best we can.

14 MEMBER SIEBER: It's just as bad for me as
15 it is for you to say.

16 MR. DeMOSS: Okay. Again, as I've stated
17 before in response to a question, we had about a 20
18 percent likelihood of a LOCA under the risk construct.

19 This slide shows the results of the
20 analysis. And we're going to spend a minute on this
21 one. And then we'll speed back up.

22 Starting with the upper left corner, you
23 see a diamond. That's the best estimate of core
24 damage probability. That's 60 to the minus three with
25 the three conditions set at our best estimate for the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 sump parameter, the failure of the high-pressure
2 recirculation pumps, and the LOCA probabilities.

3 The first error bar is our sensitivity to
4 LOCA parameters. The metallurgists ran a large number
5 of scenarios and assumptions through their Monte Carlo
6 code to come up with LOCA probabilities. And then we
7 ran them through the PRA models and came up with that
8 range of answers.

9 This is not an uncertainty. It's a range
10 of sensitivities. We don't really have the technology
11 or it would have cost a lot more money to propagate
12 uncertainties through the metallurgical model so that
13 was not done.

14 MEMBER APOSTOLAKIS: Of course, you pay a
15 price for that. I'll go to the microphone.

16 MR. DeMOSS: Okay. Again, in that time,
17 we --

18 MEMBER APOSTOLAKIS: Isn't there a certain
19 arbitrariness in the sensitivity studies?

20 MR. DeMOSS: Yes. That's inherent in any
21 sensitivity study done by Monte Carlo analyses and --

22 MEMBER APOSTOLAKIS: So why do it then.
23 I mean if there is a quantity that you think should be
24 increased by a factor of four to see what happens, why
25 not a factor of ten?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. DeMOSS: Well, the --

2 MEMBER APOSTOLAKIS: Somehow you have --

3 MR. DeMOSS: -- quantities in a
4 metallurgic analysis had probability distributions on
5 them. And they would change a Monte Carlo rule or
6 metallurgical rule for that more than just changing
7 quantities.

8 But the Monte Carlo analysis puts out, you
9 know, repeated runs of scenarios through those
10 probability distributions. And then you have what
11 look like discreet results. So we don't try to
12 establish a true uncertainty with that.

13 MEMBER APOSTOLAKIS: But you have some
14 idea who likely these results --

15 MR. DeMOSS: Well, I think the sensitivity
16 analysis, the way we did it, gives you some idea how
17 uncertain you are about these results.

18 MEMBER APOSTOLAKIS: All I'm saying is
19 that it is not very difficult to go the next step and
20 actually say something about the distribution because
21 deep in your mind or whoever did it, when they did the
22 sensitivity, they had some idea that this is
23 reasonable.

24 MR. DeMOSS: Yes.

25 MEMBER APOSTOLAKIS: And since we are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 elevating expert opinion elucidation to a science
2 here, you know, that's the natural next step.
3 Sensitivity analysis are remnants of the old way of
4 doing business. Now that we're using probability
5 curves, we should do it with probability curves.

6 MR. DeMOSS: Yes. You'd have to --
7 there's a lot of probability curves to propagate
8 through that metallurgical analysis.

9 MEMBER APOSTOLAKIS: Oh, okay.

10 MR. DeMOSS: I don't know how difficult it
11 would have been. It would have been --

12 MEMBER APOSTOLAKIS: I think Nilesh
13 understands what I'm saying.

14 MR. CHOKSHI: I probably have to show you
15 the, you know, those two reports -- what was done.

16 MEMBER APOSTOLAKIS: I know. There are
17 statements there to the effect that the sensitivity
18 analysis were done.

19 MR. DeMOSS: Okay. The next --

20 MEMBER APOSTOLAKIS: But we will have
21 another briefing so we'll discuss it in far more
22 detail.

23 MR. DeMOSS: The next bar is sensitivity
24 to assumptions about how the sump would have
25 performed. And with our LOCA probabilities and our

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 high-pressure recirculation system set up at their
2 best estimate values.

3 The sump was analyzed using the work of
4 GSI-191. And remember most PRAs, including the SPAR
5 models, have an epsilon value of R to the five e to
6 the minus five value probability of a sump plugging in
7 a LOCA. GSI-191's quantification is not really well
8 along to come up with an accurate probability estimate
9 but they, I think, clearly show it is not the near
10 negligible value that is floating on the PRAs.

11 So what I did is take the basic PRA up to
12 the best GSI-191 estimates for Davis-Besse. And then
13 add a delta for their reported deficiencies in
14 containment, their unqualified coatings, and debris in
15 containment. And see what delta risk was brought up.

16 GSI-191 developed curves based on the
17 solid debris, and the particulate debris, and the
18 fibrous debris possibly in containment that could be
19 mapped to a probability of containment failure. And
20 there are different assumptions that could be used in
21 going through those curves. And that's where I
22 developed a different sensitivity cases for my
23 analysis of the sump.

24 And you can see it was actually slightly
25 more sensitive to sump failure assumptions than it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 even was to the LOCA assumptions. But they went
2 together and that's not surprising because our
3 dominant cut sets were medium LOCA and large LOCA
4 followed by a sump plugging.

5 And finally we did a sensitivity to high-
6 pressure recirculation system which was -- really
7 focuses mainly on the small LOCA and it was not nearly
8 as important.

9 As we move further to the right, we set --
10 we start verifying what SDP did and doing some other
11 for instance calculations. The vessel head only
12 calculation uses the same sensitivity analysis points
13 for LOCA probabilities that we used earlier but the
14 sump and high-pressure recirculation system are
15 nominal.

16 The purpose of this is simply to show that
17 the vessel head only would have given you a red
18 finding. There was an SDP done for just the vessel
19 head per our earlier conversation. And it was a red
20 SDP.

21 The next one over is the CRDM only. The
22 NRC, although they didn't have as sophisticated models
23 as I had to work with for the CRDM LOCA probability,
24 the NRC knew that there were CRDM problems. That's
25 why they asked for a shutdown of the susceptible

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 plants, mainly B&W plants.

2 So for a year with just the CRDM problem,
3 we would have had a high ten to the minus five
4 increase in risk for Davis-Besse.

5 The next calculation is to show how much
6 risk we allowed or we incurred by allowing Davis-Besse
7 to operate the additional six weeks. They received
8 special permission to not shut down by the first of
9 January and to operate about six weeks until December.
10 And you'll see we've added a -- I think it was about
11 eight times ten to the minus six delta risk by
12 operating that long.

13 VICE CHAIRMAN SHACK: If you only had the
14 CRDM finding --

15 MR. DeMOSS: If we only had the CRDM and
16 that's based on the premises that, quite frankly, NRC
17 really couldn't have expected the other problems. And
18 so those values were nominal in my risk model.

19 VICE CHAIRMAN SHACK: The other problems
20 being the high-pressure injection and sump?

21 MR. DeMOSS: The high-pressure injection,
22 the sump, and the cavity. All three were essentially
23 unpredictable. And, you know, the two were caught
24 during the shutdown. And the vessel head was
25 discovered.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The next one is just a for information
2 run. And as we go to the right of the line, we reset
3 our LOCA frequencies back to nominal. And so this is
4 done for the purposes of checking the SDP runs and to
5 make sure that we're modeling the same way and that
6 sort of thing.

7 And the first one is not an SDP analysis
8 because it has two degraded conditions in it, the HPR
9 and the sump simultaneously degraded. That shows that
10 risk estimate.

11 We then run the sump failure probability
12 through with nominal LOCA frequencies and you see you
13 get no worse than about a ten to the minus five
14 increase in risk. So that's what we're getting
15 probably at most plants due to sump problems.

16 MEMBER DENNING: I'm missing something and
17 that is these are conditional probabilities here. Now
18 when you go and you use nominal LOCA frequencies, are
19 we still dealing with a conditional probability? Or
20 are we dealing with an annual --

21 MR. DeMOSS: We're calculating a
22 conditional probability still. Actually at the delta
23 CDP due to just the sump problem. With everything
24 else at a nominal good likelihood.

25 CHAIRMAN WALLIS: Now wait a minute. You

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 mean that the sump only contributes D to the minus
2 five?

3 MEMBER SIEBER: Yes.

4 MR. DeMOSS: Correct. Alone. Remember
5 they're multiplicative, not additive, especially these
6 three conditions, which is why they come up to such a
7 high risk together. And relatively low risk --

8 VICE CHAIRMAN SHACK: Is that a delta CDF
9 -- you've multiplied the conditional by the nominal
10 LOCA frequency to get the ten to the minus five?

11 MR. DeMOSS: Correct.

12 CHAIRMAN WALLIS: That's where I was
13 trying to get at. I mean most of the low -- the
14 reason that it is so low is because of the nominal
15 LOCA frequency.

16 MR. DeMOSS: Right. So if this were at
17 another plant --

18 CHAIRMAN WALLIS: The conditional
19 probability for the sump is way up there, right?

20 MEMBER DENNING: I'm still missing the
21 units. It still looks to me like this is per reactor
22 year on the right.

23 MR. DeMOSS: It is.

24 MEMBER DENNING: But on the left it's not.

25 MR. DeMOSS: No.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER DENNING: That's conditional.

2 MR. DeMOSS: It's the same units on both
3 places. They're both delta CDPs, which is the
4 increase in core damage probability over a year since
5 our construct has us doing this analysis for a year.

6 MEMBER DENNING: Now wait a second. Over
7 a year -- I'm missing -- these over here are not over
8 a year. This is conditional on -- isn't it?

9 CHAIRMAN WALLIS: No, it's not
10 conditional.

11 MR. DeMOSS: They're conditional on the
12 problems.

13 MEMBER DENNING: Yes.

14 MR. DeMOSS: But the increase is the delta
15 core damage over a year because we didn't actually
16 have an initiating event. We calculated pure
17 conditional probability --

18 MEMBER DENNING: For a year?

19 MR. DeMOSS: -- following an initiating
20 event. Here we -- but for a condition, a piece of
21 equipment that the plant operating with -- operated
22 while it was in a failed state, we calculate a delta
23 CDP. In other words, we subtract out the baseline
24 CDP, if you will, the unflawed CDP, during that period
25 of time.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Now in a lot of ASP analyses, it would be
2 a pump out for a month or something. This one was a
3 condition that went undetected for a year.

4 MEMBER ROSEN: To nail down my
5 understanding, let's take a plant with an annual CDF
6 of 1.5 e to the minus five.

7 MR. DeMOSS: Okay.

8 MEMBER ROSEN: And let's just say it has
9 the sump problem.

10 MR. DeMOSS: Right.

11 MEMBER ROSEN: That's the only problem it
12 has. And is it now 2.5 e to the minus five?

13 MR. DeMOSS: That's correct.

14 MEMBER ROSEN: Okay.

15 MR. DeMOSS: So the delta CDP that I'm
16 reporting here is one e to the minus five. That's the
17 increase due to the problem. And that's what the SDP
18 also calculates.

19 CHAIRMAN WALLIS: But the probability of
20 the sump failing could be --

21 MR. DeMOSS: It's quite high.

22 CHAIRMAN WALLIS: -- pretty high.

23 MR. DeMOSS: Right.

24 CHAIRMAN WALLIS: It could be 22 or
25 something.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. DeMOSS: Yes, GSI-191 told me it was
2 better than .5 for a large LOCA.

3 CHAIRMAN WALLIS: Right. For a large LOCA
4 it's almost one. It's getting up there.

5 MR. DeMOSS: Right.

6 CHAIRMAN WALLIS: Okay. That makes sense.

7 MR. DeMOSS: But large LOCAs with a good
8 head is very unlikely. And even fairly unlikely with
9 Davis-Besse's head.

10 Okay. So -- and again, this shows that it
11 is consistent with -- the sump is conditioned with a
12 yellow finding, the ten to the minus five, or the SDP.
13 And the HPR was actually a white finding in the mid
14 ten to the minus six range. And that is consistent
15 with the SDP.

16 Okay. Running through the Davis-Besse
17 results, it is a significant precursor. In all of
18 history, there have been 11 ASP events higher than
19 Davis-Besse. All of them occurred -- all the ones
20 higher than Davis-Besse occurred in 1985 or before.
21 We haven't seen anything like this in a while. We've
22 had two other significant precursors in the last ten
23 years, as I spoke earlier.

24 MEMBER APOSTOLAKIS: I'm having difficulty
25 reproducing your 6.1 ten to the minus three in your

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 report. There is a table there -- Table 1 that has a
2 bunch of numbers. And I'm trying to figure out how
3 this 6.1 ten to the minus three came about. And I
4 can't.

5 So if we're going to have another
6 briefing, maybe we can do that there --

7 MR. DeMOSS: Okay.

8 MEMBER APOSTOLAKIS: -- because this is
9 until 10:30 and it's going to take forever if we are
10 to do that. But by looking at the SECY, I cannot
11 reproduce it.

12 MR. DeMOSS: From the SECY?

13 MEMBER APOSTOLAKIS: Well, whatever you
14 call this.

15 MEMBER BONACA: The report you gave us.

16 MR. DeMOSS: Okay.

17 MEMBER BONACA: What is it? I mean you
18 are so surprised.

19 MEMBER APOSTOLAKIS: The final precursor
20 -- that's part of something. Now I just noticed that
21 the infamous Reference 14 has Mr. Cheok as a coauthor.
22 So maybe I can get the copy today? Right?

23 MR. CHEOK: I'm not sure what Reference 14
24 says.

25 MEMBER APOSTOLAKIS: It says Cheok.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Right? The mention of increase in medium LOCA
2 frequency attributed to circumferential tracking
3 potential in leaking CRDM nozzles.

4 MR. CHEOK: I think that's a memo --

5 MEMBER APOSTOLAKIS: A memo.

6 MR. CHEOK: -- to me. I can provide that
7 to you.

8 MEMBER APOSTOLAKIS: Oh, it's a memo to
9 you. Yes, I'm sorry.

10 But anyway, the number I cannot reproduce.
11 Okay?

12 MR. DeMOSS: Okay. Well, I can either go
13 with that individually or whatever you need.

14 MEMBER APOSTOLAKIS: Okay. And I'm really
15 disturbed by the use of the word significant here.
16 You haven't gone to the second red bullet. But DB had
17 a significant loss of safety margin.

18 Then you're telling us that the margin
19 could be as low as ten to the minus two. Ten to the
20 minus two margin in my mind, after all these bad
21 things have happened, is pretty good. If this is the
22 worst thing that ever happens in reactor safety, I'll
23 be very happy.

24 MR. DeMOSS: Well, by our calculations --

25 MEMBER APOSTOLAKIS: One in a 100. I mean

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 think about it. That's a pretty low number.

2 MEMBER BONACA: For core damage.

3 MR. DeMOSS: For core damage, right.

4 MEMBER APOSTOLAKIS: Yes, for core damage.

5 MR. DeMOSS: But like I say we haven't
6 been to one in 100 in quite a long time is the point
7 I'm making.

8 MEMBER APOSTOLAKIS: Oh, well, that's
9 different. That's unusual.

10 MR. DeMOSS: I'll let you interpret good
11 or bad.

12 MEMBER APOSTOLAKIS: It's unusual.

13 MR. DeMOSS: Yes.

14 MEMBER APOSTOLAKIS: It's rare. But it's
15 not significant.

16 MEMBER BONACA: Let me make the analogy
17 that support this evaluation consider the hole in the
18 head -- the thermalhydraulics, I mean.

19 MR. DeMOSS: Right. Who did the
20 thermalhydraulics?

21 MEMBER BONACA: Yes.

22 MR. DeMOSS: NRR did it.

23 MEMBER BONACA: Yes, I'm saying did they
24 consider the hole in the head for a small break LOCA?

25 MR. DeMOSS: Yes. They verified it was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 bounded by the small LOCA recovery models in a PRA.
2 And bounded -- it's actually a fairly good place to
3 have a LOCA if you're going to have one.

4 You don't lose any of your injection flow
5 and you have a steam leak, which are really the two
6 driving criteria for that. So it's not too bad.

7 All right, again, getting back to the
8 slide, the reason for the loss of safety margin, which
9 is significant relative to other events we've seen in
10 recent times, is the fact that you had three major
11 problems at the same plant.

12 And, again, our sensitivity analysis show
13 that we're clearly and well into the ten to the minus
14 three or possibly ten to the minus two range. We're
15 not lower than that or higher.

16 MEMBER APOSTOLAKIS: Could we skip the
17 agreed portion, I think, and go to the SPAR models.

18 MEMBER SIEBER: Yes.

19 CHAIRMAN WALLIS: Let's see how does this
20 number change if you wait longer? If this had waited
21 for another few months --

22 MR. DeMOSS: Okay. ASP is always a
23 backward-looking program so we didn't look at that.
24 Certainly the likelihood of a LOCA would have been
25 higher.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: It would have been much
2 higher?

3 MR. DeMOSS: Right. But by construct, we
4 look at what risk we incur.

5 CHAIRMAN WALLIS: So how much of the --
6 you know we've got a multiplicative thing here. How
7 much of the six times ten to the minus three is low
8 because the pressure boundary was still likely to
9 hold? Can you tell us that? How much of the
10 contribution was from the pressure boundary?

11 MR. DeMOSS: Well, the main -- the
12 contribution was the sum of all LOCAs. The dominant
13 contributions were from a large LOCA, which is the
14 tail of that distribution times the high likelihood of
15 the sump failing in a large LOCA.

16 Another roughly equally dominant cut set
17 was a medium LOCA which is --

18 CHAIRMAN WALLIS: Since the containment
19 sump failure is high and that doesn't account for the
20 six times ten to the minus three.

21 MR. DeMOSS: Well --

22 CHAIRMAN WALLIS: And the high-pressure
23 injection system, is that a big contributor to this
24 low number? Or is it just --

25 MR. DeMOSS: It's not a tremendously large

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 contributor.

2 CHAIRMAN WALLIS: So it's really the fact
3 that the pressure boundary was able to hold, which
4 makes this thing so low? Is that what it is?

5 MR. DeMOSS: Right. The pressure boundary
6 --

7 CHAIRMAN WALLIS: Okay.

8 MR. DeMOSS: -- did hold. If the pressure
9 boundary hadn't -- I don't have a calculation and it
10 would be a little tough to do off the top of my head
11 for if the pressure boundary had failed with these
12 other problems, it would be pretty likely. I mean we
13 have a 20 percent chance of failing the pressure
14 boundary. And most of that failure probability is a
15 small LOCA.

16 But the medium and large LOCAs are about
17 one in a 100. So forgetting about the small LOCA,
18 we'd have something like a .6 if we had had one of
19 those LOCAs. That's real rough. But you're getting
20 above .1 certainly.

21 MEMBER DENNING: See there's an element of
22 this that surprised me because I thought that what you
23 were really doing -- I didn't realize that you were
24 annualizing a probability when you did.

25 And I was thinking if we come and we have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 this condition, and if we hadn't done anything for
2 however long it would have taken, if we hadn't
3 recognized that condition, what is the probability we
4 would have had core melt? Not on a change in a core
5 damage frequency but a conditional probability core
6 melt.

7 MR. DeMOSS: So in other words --

8 MEMBER DENNING: It's a different way of
9 looking at it.

10 MR. DeMOSS: Right.

11 MEMBER DENNING: But in this case with a
12 degrading condition where presumably eventually it
13 would have blown one way or the other, it may give you
14 a different perspective. And, you know, I'm kind of
15 surprised because I thought that's what you really
16 meant by a conditional core damage probability. And
17 it isn't.

18 MR. DeMOSS: No. It's a conditioned
19 analysis in other words.

20 MEMBER DENNING: It's conditioned analysis
21 but --

22 MR. DeMOSS: Right.

23 MEMBER DENNING: -- it's still an
24 annualized --

25 MR. DeMOSS: It's an annualized condition

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 analysis with degraded equipment at the plant.

2 MEMBER DENNING: Yes, yes.

3 MR. DeMOSS: And one of the pieces of
4 degraded equipment is the head.

5 MEMBER DENNING: But it doesn't look at --
6 suppose we had continued on for two years or three
7 years? Does it lead to --

8 MR. DeMOSS: Well, it leads to --

9 MEMBER DENNING: -- core melt?

10 MR. DeMOSS: -- just doing the calculation
11 in my head, if it went on -- if you let it run until
12 it broke --

13 MEMBER DENNING: Yes.

14 MR. DeMOSS: -- and yet we don't know
15 which break, there is a probability of each size of
16 break, you're probably greater than .1 chance that we
17 would have gone to core damage.

18 MEMBER KRESS: I'm having trouble
19 reconciling the crack growing and failing the pressure
20 vessel with what we know about pressurized thermal
21 shock. It seems like they have an awfully high
22 probability of failing that vessel just by the crack
23 growing.

24 VICE CHAIRMAN SHACK: It's a crack in a,
25 you know, a three-eighths, sixteenth inch stainless

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 steel skin.

2 MEMBER SIEBER: With 2,000 pounds --

3 CHAIRMAN WALLIS: Which is already there,
4 there's a crack there.

5 MEMBER SIEBER: Right.

6 MR. CHOKSHI: It's in the cladding, yes.

7 MR. DeMOSS: Yes, we've lost the wall.

8 MEMBER KRESS: So the growth rate from
9 that --

10 MR. DeMOSS: Well, once he gets that
11 crack, you know, it's a question then of whether it
12 rips to give you, you know, how big will it rip?

13 MEMBER SIEBER: How big is the rip?

14 MR. DeMOSS: I think a crack is actually
15 good news here. That gives you the chance of a small
16 LOCA. If you wait until the things corrodes around
17 the back and the thing goes pop, then you've got the
18 large LOCA.

19 MR. CHOKSHI: If you look at it sort of
20 from the metallurgical delimiter as you go forward,
21 and then it's the rates of the head corrosion becomes
22 pretty significant and the LOCA distribution is
23 changing.

24 MEMBER KRESS: Well, in answer to your
25 question about whether you can skip the grid, it's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 been the ACRS -- there's very high interest in the
2 grid reliability. And I would vote against.

3 MR. DeMOSS: Well, I can run through
4 quickly with an overview. The grid, from an ASP
5 standpoint, the plants behaved as expected. And no
6 major equipment problems, as you know. So the
7 analysis of the grid LOOP were important but
8 relatively uneventful from an ASP standpoint.

9 The important thing is the reliability of
10 the grid which I don't have any additional information
11 to add for you.

12 MEMBER SIEBER: Okay. Well, that was
13 pretty quick.

14 (Laughter.)

15 CHAIRMAN WALLIS: Did they all have
16 diesels or something that started?

17 MR. DeMOSS: All diesels worked just fine.
18 And so ASP looked at probabilities of diesels not
19 working coupled with other things necessary to get to
20 core damage.

21 MEMBER SIEBER: Okay. So we covered this.
22 You can move to Slide 19 now.

23 MR. DeMOSS: Okay. With that, Pat
24 O'Reilly will take over.

25 MR. O'REILLY: All right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 VICE CHAIRMAN SHACK: But what's your
2 conditional failure probability with eight plants
3 undergoing this trend? I mean you presumably have
4 that number, right?

5 MR. DeMOSS: The conditional probability
6 for the eight plants, the final answers are from 40 to
7 the minus six to three times ten to the minus five.

8 MEMBER SIEBER: Per plant.

9 MR. DeMOSS: Per each plant.

10 MEMBER SIEBER: Right.

11 MR. DeMOSS: And so they average about one
12 times ten to the minus five.

13 MEMBER SIEBER: Yes, multiplied by --

14 MR. DeMOSS: If you care to multiply by
15 eight, which we don't have any guidance to do.

16 CHAIRMAN WALLIS: But it's just like ten.
17 It's another factor.

18 MR. DeMOSS: Right.

19 CHAIRMAN WALLIS: Like e to the minus.

20 MR. DeMOSS: Right.

21 MEMBER SIEBER: Okay. Slide 19.

22 MR. O'REILLY: Okay. I'm here to give you
23 a brief overview of the SPAR Model Development
24 Program. The purpose of the program is to develop
25 PRA-based models which are used by staff analysts in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 performing their risk-informed regulatory activities.

2 And to date the SPAR Model Development
3 Program consists of the following areas. We have
4 model development work going on in Level 1 in internal
5 events, modeling full-power operation in internal
6 events, modeling all-power shutdown operation in
7 internal events, excuse me, and in Level 1, modeling
8 external events which include fires, floods, and
9 seismic events, and so forth.

10 In the Level 2 area, to date we have
11 developed models in the Large Early Release Frequency,
12 or LERF category. Those models are deliberately
13 designed to be expanded at some later date to consider
14 full Level 2.

15 MEMBER ROSEN: On that slide --

16 MR. O'REILLY: Yes?

17 MEMBER ROSEN: -- No. 19 --

18 MR. O'REILLY: Yes?

19 MEMBER ROSEN: -- you say you are working
20 on Level 1 external events? Are you including fire?
21 Are you re-quantifying the fire models along the lines
22 of the risk re-quantification work that's been done as
23 a joint project between EPRI and NRES? Do you
24 understand the question?

25 MR. O'REILLY: I understand the question.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The person is here -- I mean is not here that could
2 answer it with certainty.

3 But what we're doing in that particular
4 area is we're working in tandem with NRR and as NRR is
5 going around visiting plants to gather information for
6 their shutdown -- excuse me -- SDP process external
7 events phase, we're collecting information from the
8 licensee about their external events models, their
9 PRAs. And we're using that information.

10 Now if that same information is the basis
11 of --

12 MEMBER ROSEN: What's going to happen now,
13 all plants have different fire models in their
14 relatively immature technology. The current SPAR
15 models have something in them for fire I assume as
16 well. Is that correct?

17 MR. O'REILLY: Only two.

18 MEMBER ROSEN: Only two of all the models
19 you have have fire?

20 MR. O'REILLY: Right. We consider fires
21 to be an external event.

22 MEMBER ROSEN: Right.

23 MR. O'REILLY: Right. So the Revision 3
24 SPAR models do not have fire in them.

25 MEMBER ROSEN: Oh, okay. So plants that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 have fire modeling have higher CDFs because they've
2 taken whatever the contribution is from fire and
3 included it and then you have.

4 MR. O'REILLY: Yes.

5 MEMBER ROSEN: Okay. Well --

6 MR. O'REILLY: At the present time, we're
7 trying to --

8 MEMBER ROSEN: You're about to get passed
9 by again. As the risk models are re-quantified on the
10 basis of the new work by the plants, which will
11 happen, not immediately but over time, then the Agency
12 needs to follow along and not get too far behind.

13 MR. CHEOK: I think I'd like to respond to
14 that. I don't think we're being passed by again. I
15 think we're trying to keep up. And I think we will --
16 it's in our plans to incorporate external events,
17 LOCA, and shutdown models within the next two years.

18 MEMBER ROSEN: Okay. Do keep up.

19 MR. O'REILLY: As long as the budget --

20 MEMBER ROSEN: We don't want to end up
21 back where we were before with the plants saying it's
22 not credible because they don't have external events.

23 MR. O'REILLY: Right. And we don't want
24 to be in that position either.

25 MEMBER ROSEN: Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. O'REILLY: Okay. Next slide. In the
2 area of internal events full power, we have the Level
3 1 Revision 3 SPAR models. And they consist of 72
4 plant-specific event tree-fault tree linked models
5 that are used by the staff analysts in their
6 activities such as the significance determination
7 process.

8 They're used in Phase 3 analyses in the
9 SDP. They're used by the analysts in the Accident
10 Sequence Precursor Program. And they're also used in
11 generic safety issue resolution. And they're used in
12 other activities as well.

13 VICE CHAIRMAN SHACK: Now what's a III
14 model?

15 MR. O'REILLY: The III, in that, Dr.
16 Shack, the Is stood for Interim -- that meant that
17 that particular model had not received an onsite
18 review against the licensee's PRA. We no longer have
19 any III models that are being used. They're all
20 Revision 3. The set of Revision 3 models was
21 completed in August of 2003.

22 Some recent accomplishments, well, one of
23 the discussions that has gone on here several times
24 has been the comparison of the SPAR models with the
25 licensee's PRAs. We have, as we said, we've reviewed

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 every one of the 72 Revision 3 models against the
2 respective licensee's PRAs.

3 We also conducted a pilot program within
4 the context of the Mitigating System Performance Index
5 Development Program in which we did a cut set level
6 review of the specific SPAR model against the
7 licensee's PRA. And we identified the differences
8 between the licensee's PRA and the SPAR model. And we
9 ended up -- there's a presentation we gave at the NSRC
10 last fall on the results of that specific review.

11 We've also gotten feedback from a lot of
12 our users, both the ASP analysts and the regional
13 office SRAs that are using the SPAR models in Phase 3
14 analyses in the SDP.

15 As a result of all of this information, we
16 have identified a number of modeling issues which are
17 contributing to the differences between the licensee's
18 PRA results and the results obtained with the specific
19 SPAR model. We have prioritized these issues in the
20 order in which they impact that difference between the
21 two sets of results.

22 We have put together a program for
23 addressing the key significant issues that are driving
24 those differences. And we are embarking upon an
25 effort which most of them entail engaging the industry

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 at one level or another, be it industry-wide, be it
2 owner's groups, or some specific portion of the
3 industry, to try and reach agreement on these issues.

4 The agreement then would be factored back
5 into the specific SPAR models that are appropriate.

6 Yes?

7 MEMBER DENNING: Yes, I'd like to know
8 what you do with regards to uncertainty in modeling.
9 The thing that concerns me about what you're are doing
10 is I think that it is important that we do the
11 comparison with industry and see where the difference
12 is. And where it is clear that there is a preferred
13 method or values, to use those.

14 But I'm concerned that we artificially
15 drive a uniformity. We have a process in which the
16 industry models look just like the NRC models. And
17 they both have uncertainties that are being washed
18 under the rug.

19 And so the question is we not only have to
20 know that SPAR agrees with industry -- and that in
21 itself is not essential. I think the essential thing
22 is to know for our analyses of the SPAR model, how
23 uncertain are they.

24 MR. O'REILLY: We handle uncertainty in
25 the SPAR models in two ways. The first is parameter

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 uncertainty. We have the capability and we are doing
2 it now in the ASP analyses that we produce, to
3 propagate the uncertainty in the equipment failure
4 probability input value to the SPAR models as well as
5 the capability to propagate the uncertainty in the
6 human error probabilities that are used in the SPAR
7 models.

8 In the issue of model uncertainty, that
9 becomes a little more problematic as you well know.
10 And in that particular case right now, we are
11 addressing that by performing sensitivity studies in
12 individual cases to see if we can get a handle on the
13 model uncertainty.

14 MEMBER DENNING: So in a typical
15 application, are you indeed running those uncertainty
16 analyses? Because all I tend to see are single-valued
17 results and I don't see the uncertainty bands on the
18 results when I see what we use -- what we see when
19 we're looking at risk informing and this kind of
20 stuff.

21 In an application, do you run this
22 uncertainty?

23 MR. O'REILLY: We do that within the
24 context of the ASP Program, yes. I cannot speak for
25 the rest of the uses of the SPAR models right now.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I'd have to go check with all the users.

2 MEMBER ROSEN: Well, I saw error bands on
3 some of your charts. But typically if you're
4 reporting a number, say one e to the minus five for
5 some conditional core damage probability, would you
6 report that with a plus or minus, you know, along with
7 it?

8 MR. O'REILLY: Yes, we would in the ASP
9 Program, that's correct.

10 MR. CHEOK: In all our recent ASP
11 analysis, we report a mean value with uncertainty
12 bands so that's included.

13 MEMBER ROSEN: E value and what?

14 MR. CHOKSHI: Plus the uncertainty.

15 MEMBER ROSEN: I think on that other chart
16 that we saw, though, we saw sensitivity studies as
17 opposed to the uncertainty bins.

18 CHAIRMAN WALLIS: Yes. Plus or minus
19 would be dangerous because you might get negative
20 values because it's probably a low arrhythmic thing.

21 VICE CHAIRMAN SHACK: On the MSPI, you
22 know, we hear that the industry, in some cases, has
23 quality problems. Are these model quality that you're
24 getting different answers than they are for the MSPI
25 or are they QA problems that the documentation isn't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 right?

2 MR. O'REILLY: Well, I don't have a lot of
3 time to go into the detail on how we did the review
4 during the MSPI Program but what we did do was a
5 series of calculations where we compared the SPAR
6 model as was against the licensee's PRA as it was, as
7 we were given the information at the cut set level.

8 We then looked at the differences. We
9 discussed with the licensee where the differences were
10 to see if we could get some idea of what was causing
11 the differences. Most of the time, it was due to
12 differences in input data, either for the equipment
13 failure probabilities or the human error probabilities
14 or both. And sometimes it was due to the treatment of
15 common cause failure probability.

16 What we did then was we went and took --
17 make a change set using all of the licensee's data
18 input, ran that with the SPAR model. And most of the
19 time after we had determined that the response of the
20 plant had been modeled correctly, that's what we
21 wanted, we found that we had an absolute overlay with
22 the licensee's results.

23 Now, given that, we then went back and
24 determined how many of those input value assumptions
25 we could accept. Some of them were not consistent

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 with our licensing policy.

2 Because if we were to accept a specific
3 assumption within the context of the SPAR Model
4 Development Program, that would give the impression
5 that the Agency had approved that assumption. And in
6 some cases, we just could not do that.

7 So we essentially agreed to disagree in
8 those case. And that specific difference cause became
9 a modeling issue. So the answer to your question is
10 it is a mix. It really is.

11 But a lot of the differences that still
12 remain are due to modeling issues although from what
13 we have seen -- we just did a data update, which I'll
14 refer to in a few minutes, which has made a very stark
15 change in our basic results that may have taken away
16 some of those big issues.

17 MEMBER ROSEN: Modeling issue?

18 MR. O'REILLY: Yes.

19 MEMBER ROSEN: The stark change was that
20 the modeling issue delta --

21 MR. O'REILLY: Yes.

22 MEMBER ROSEN: -- if I can call it that,
23 has narrowed?

24 MR. O'REILLY: Yes.

25 MEMBER ROSEN: Okay. Well, I expect that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. O'REILLY: Yes.

2 MEMBER ROSEN: I mean unexpected -- and
3 the reason would be that you have better data of what
4 is in the plants. And what they're modeling.

5 MR. O'REILLY: Right.

6 MEMBER ROSEN: And they've been able to
7 justify that to you.

8 MR. O'REILLY: Right. Now right now we're
9 using industry average values because on a plant-
10 specific basis, there are a number of plants for which
11 there just isn't enough data to have much confidence
12 in.

13 MEMBER ROSEN: For failure rates, sure.
14 But I'm just talking about the one plant in 100 or 50
15 that happens to have a LOCA seal -- or RCP pump seal
16 injection system.

17 MR. O'REILLY: Okay.

18 MEMBER ROSEN: And you didn't have that in
19 your SPAR model, let's say.

20 MR. O'REILLY: Originally. Until we went
21 to the site.

22 MEMBER ROSEN: And then found out yes,
23 indeed, the plant has this seal injection system on
24 the RCP. See, we didn't know that.

25 MR. O'REILLY: Right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER ROSEN: Well, if you read the FSAR,
2 you would have know it but when you can go out in the
3 plant and kick the pump, but it's there so you model
4 it. So that's the difference.

5 MR. O'REILLY: That's correct.

6 MEMBER ROSEN: I mean those kinds of
7 things are just a question of maturation of the data
8 interchange.

9 MR. O'REILLY: Yes. Once we got the
10 modeling -- the fidelity of the model to the plant's
11 response, then it zeroed in on other issues now. And
12 that's where we are.

13 MEMBER BONACA: On failure data, what --
14 you start with a generic database and then you look at
15 the significant differences? I mean the licensees,
16 many of them use plant specific.

17 MR. O'REILLY: That's correct. And what
18 we use in the model, the default values are industry
19 averages. But if you were performing an ASP analysis
20 of a condition or an event that occurred or was
21 discovered at a specific plant, then if the data
22 became an issue and the licensee had better data and
23 it was well supported technically, then we would use
24 that.

25 MEMBER BONACA: Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. O'REILLY: That did not mean that we
2 would go back and use the default values in the SPAR
3 model. Don't get me wrong yet.

4 MEMBER BONACA: Okay.

5 MR. O'REILLY: We're still working on
6 where to go with that. That would be the ideal
7 situation if some day we could go there.

8 Okay. We also incorporated an improved
9 loss of outside power and station blackout module.
10 And we put in new reactor coolant pump seal LOCA
11 models for PWR models in the case of Combustion
12 Engineering and Westinghouse PWRs.

13 We updated the equipment failure data, the
14 initiating event frequency data, and the common cause
15 failure alpha factor data that are in the SPAR models
16 with more recent data.

17 We completed a cut set level review of six
18 models. That is in addition to the 11 plant models
19 that we had already done within the context of the
20 MSPI Program.

21 MEMBER ROSEN: Does that mean that you
22 check the truncation levels?

23 MR. O'REILLY: Absolutely.

24 MEMBER ROSEN: Is that what that bullet is
25 about?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. O'REILLY: Yes. We start out with a
2 minimum of 5,000 cut sets. And go to that level of
3 detail because we're trying to duplicate the MSPI. We
4 want to make sure that if we are estimating the MSPI
5 that we and the licensee are not going to have big --

6 MEMBER ROSEN: Dropping off different
7 numbers of sequences.

8 MR. O'REILLY: Yes.

9 MEMBER ROSEN: Okay.

10 MR. O'REILLY: Future plans for the
11 Revision 3 SPAR models, and I want to recognize Mr.
12 Rosen's contribution in this because he jogged my
13 memory. First of all, we're going to complete
14 development of the set of enhanced Rev 3 SPAR models
15 by April of 2007.

16 And that's a two prong project. First is
17 to incorporate resolution of the significant key
18 modeling issues that we've described. And that's a
19 set of about ten issues.

20 There are probably 30 issues altogether
21 but some of them don't have much of a significant
22 impact on any models. But we've identified them as
23 reasons for the differences between the SPAR models
24 and the PRA results.

25 And we'll complete cut set level reviews

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 for the rest of the 61 non-MSPI pilot program plants.

2 We also will prepare guidelines for using
3 the SPAR models in events analysis which are
4 consistent with the objectives of the Risk Assessment
5 Standardization Project or RASP that you've heard
6 about here.

7 And finally, we will establish a mechanism
8 for updating the SPAR models accordingly as licensees
9 update their plant PRAs. We thought we had something
10 in process earlier in the MSPI Development Program
11 whereby the industry had committed to provide us with
12 periodic notices of updates of their PRAs. And that
13 kind of fell through. So we're having to work another
14 avenue or two.

15 And you mentioned it -- brought it to my
16 mind. I wanted to bring that out. We will do that.

17 In the area of low power shutdown SPAR
18 models, we currently have 11 low power shutdown SPAR
19 models of which five have been through an onsite QA
20 review process to review the SPAR models against the
21 licensee's shutdown PRAs.

22 And we will continue to develop additional
23 models and to review the models onsite against the
24 respective licensee's PRA.

25 We'll issue the SPAR-H Methodology Report

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 as a NUREG/CR. I believe we came to the Committee
2 last year and gave a presentation on that. It's been
3 through peer review. We had on the order of 100
4 comments.

5 And it's taken quite a while to get the
6 comments sorted out, and addressed, and resolved
7 appropriately. But sometime before the end of the
8 fiscal year, we should get that report published and
9 you will have a copy of it.

10 We also want to prepare guidelines for
11 performing risk analyses using the low power shutdown
12 SPAR models.

13 Events analysis capability, this is one
14 that you probably haven't had too much information
15 about up until now. The objective of this is to
16 develop models that are capable of estimating the risk
17 associated with external events initiators.

18 To date we have completed a feasibility
19 study which showed the technical and economic
20 feasibility of incorporating external events into the
21 existing Revision 3 SPAR models by simply expanding
22 them to include initiators that are external event
23 related.

24 We've completed an effort to incorporate
25 external events into the SPAR models for the Limerick

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 One and Two plant and the Salem Units One and Two
2 plant.

3 Our future plans include developing
4 external events models for all Rev 3 SPAR models and
5 preparing guidelines for performing analyses using
6 those models.

7 MEMBER ROSEN: I don't want to necessarily
8 complicate this.

9 MR. O'REILLY: Sure.

10 MEMBER ROSEN: But just a thought for you
11 to put in the back of your head is that someday you're
12 going to have to incorporate external events in low
13 power and shutdown models as well.

14 MR. O'REILLY: That one is one that is
15 giving us grief right now as we speak. Yes.

16 MEMBER ROSEN: If you want to stay up,
17 you're going to have to do that, too.

18 MR. O'REILLY: To put the LERF, it is not
19 a problem. It's the low-power shutdown one that's --

20 MEMBER ROSEN: We could talk about it
21 later maybe.

22 MR. O'REILLY: Okay. Because we're open
23 to suggestions on that one.

24 MEMBER POWERS: Just a question. You
25 implied the industry is moving aggressively to make

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 their PRAs extremely comprehensive. And yet we can't
2 seem to get them to do this parameter uncertainty
3 analysis.

4 MEMBER ROSEN: Well, Dana, it's always a
5 case of some are moving aggressively to make their
6 PRAs comprehensive. And some can't spell PRA. It's
7 just a mixed bag. But if the Agency wants to keep up,
8 perhaps they could go to the places where they're
9 moving comprehensively and see what's being done more
10 aggressively.

11 MR. O'REILLY: That's where we've started.

12 MEMBER ROSEN: Yes.

13 MR. O'REILLY: Yes. In the area of LERF
14 SPAR models, there again the objective is to develop
15 analysis tools that allow us to perform risk
16 assessments involving LERF or Level 2 considerations.

17 We've completed the LERF SPAR models for
18 two lead plants. One is the Westinghouse PWR with
19 large dry containment. There the lead plant was
20 Comanche Peak.

21 And a SPAR model for BWR three or four
22 with a Mark One containment. There the lead plant was
23 Peach Bottom.

24 We're currently working on a third LERF
25 SPAR model for a Westinghouse PWR with an ice

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 condenser containment and Sequoyah is the lead plant
2 for that.

3 And that concludes the SPAR model part of
4 the presentation.

5 MEMBER KRESS: I presume these SPAR models
6 are containment, early failures.

7 MR. O'REILLY: Yes.

8 MEMBER KRESS: And don't include fission
9 products.

10 MR. O'REILLY: Oh, no. Not yet. That's
11 correct.

12 MEMBER KRESS: Well, do you have any plans
13 for doing a complete Level 2 that includes light
14 containment failure or all containment failure types
15 along with fission products?

16 MR. O'REILLY: As I mentioned I think when
17 I first started the presentation, the LERF SPAR models
18 are deliberately designed to be expanded at a later
19 date --

20 MEMBER KRESS: Yes.

21 MR. O'REILLY: -- if the need comes to
22 have to model full Level 2 later releases. So the
23 answer is yes.

24 MEMBER KRESS: Well, you know, if you're
25 just looking at the plant fatality safety goal, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 LERF that you're doing is adequate. But I don't think
2 that's a complete picture.

3 MR. O'REILLY: Nor do we.

4 MEMBER KRESS: So I would like to see you
5 think along the lines of a complete Level 2 at some
6 point.

7 MR. O'REILLY: Right. We attempted to get
8 that into the users need the first time around and it
9 didn't make it.

10 MEMBER KRESS: Right. Okay.

11 MR. O'REILLY: But we're ready and willing
12 to go that next step.

13 MEMBER KRESS: Would it be any help if the
14 ACRS wrote a letter?

15 MR. O'REILLY: It wouldn't hurt.

16 (Laughter.)

17 MEMBER APOSTOLAKIS: An ACRS letter that
18 would not hurt.

19 (Laughter.)

20 MEMBER SIEBER: Okay, I think we're ready

21 --

22 MR. CHEOK: Okay, I'd like to wrap up our
23 discussions --

24 MEMBER SIEBER: -- ready for the summary.

25 MR. CHEOK: Okay -- by just providing a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 quick summary of the ASP and SPAR Programs and by
2 highlighting some upcoming activities.

3 I guess first of all, I'd like to say that
4 the ASP Program continues to be an important Agency
5 program used to evaluate significant operating events.

6 For example, the analysis of the event at
7 Wolf Creek and the analysis of the 2003 loss of
8 outside power events in the northeast U.S. provide
9 valuable and timely insights to guide further NRC
10 actions.

11 The ASP analyses have been used to support
12 AIT at plant sites. The most recent example is the
13 2003 loss of outside power event at Palo Verde for all
14 three units last June.

15 The ASP insights have also been used to
16 identify potential generic issue. For example, there
17 in D.C. Cook, we raised about 100 issues, the most
18 significant ones being the equipment qualification
19 issues, high energy line break issues, and the sump
20 issues.

21 So the ASP Program has evaluated
22 approximately 700 precursors. We maintain the
23 information on these precursors in our database.

24 This data is used in programs such as the
25 Regulatory Effectiveness Program. For example, NUREG-

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 1784, published in 2003, provided insights into the
2 potential risk from grid events prior to the August
3 2003 events.

4 The next bullet basically says that we
5 provide results of the ASP Program to the
6 Commissioners in an annual SECY paper and to the
7 Congress in an annual Performance and Accountability
8 Report. This provides a historical documentation of
9 the events and provides measures of industry
10 performance. Both of these reports are available to
11 our stakeholders.

12 I guess last, as Dr. Apostolakis said
13 earlier, we do a good job performing ASP analysis but
14 we really do not do that good of a job using the
15 results and insights from these analyses. We are
16 currently initiating a task to do just this.

17 MEMBER APOSTOLAKIS: Well, yes, I mean I
18 wouldn't use the words you're not doing a good job.
19 I mean I think --

20 MR. CHEOK: Well, we can do a better job.

21 MEMBER APOSTOLAKIS: -- we all need to
22 find a way --

23 MR. CHEOK: We can do a better job.

24 MEMBER APOSTOLAKIS: -- to disseminate
25 information. I mean I would never think of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 criticizing your job.

2 MR. CHEOK: Thank you.

3 MEMBER ROSEN: Well I think from listening
4 to this, you have come a world ahead of where you were
5 years ago.

6 MEMBER APOSTOLAKIS: It's one of the best
7 groups at the NRC.

8 MEMBER ROSEN: So I think, you know, you
9 should not be too bashful.

10 MEMBER APOSTOLAKIS: Well, Mike can't help
11 it. But the other guys --

12 (Laughter.)

13 MR. CHEOK: So where do we go from here.
14 I think --

15 MEMBER APOSTOLAKIS: You remember him from
16 1174, right?

17 MR. CHEOK: Yes, I was.

18 MEMBER SIEBER: Right.

19 MEMBER APOSTOLAKIS: An old horse.

20 MR. CHEOK: So where do we go from here?
21 I guess first and foremost, we need to improve on the
22 timeliness of ASP analysis. Dr. Wallis, among others,
23 have pointed out when they've seen our ASP trend
24 charts that the data only goes up to 2002.

25 We, I guess, for various reasons, for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 example the modeling of complex issues like Davis-
2 Besse, the including of new methods like uncertainty
3 methods, we have fallen behind a little bit on our
4 analysis. Our goal is to get back to providing you
5 with an analysis within four to 12 months of the event
6 happening.

7 We have a program in place for this catch
8 up and it is working. For example, for the Palo Verde
9 LOOP event in last June, we finished our analysis in
10 three weeks. And that analysis was used to support
11 AIT at the site.

12 The current status calls for us to finish
13 FY '04 events by the fall of this year. So
14 essentially we should be up to date by the end of this
15 year.

16 The second bullet basically says that
17 using RASP initiatives, we'd like to interact more
18 with the other programs in the Agency, the SDP
19 programs and the MDA.3 programs. We believe that we
20 will achieve a lot better efficiencies performing
21 analysis in this way. However, the ASP Program will
22 continue to concentrate on potentially significant
23 events, those unique events, and those events that may
24 have generic importance so we continue to learn from
25 these events.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Finally, as we have said several times
2 before, we will continue to look at the events in our
3 ASP database to see if there are additional trends,
4 insights, or lessons learned that would be useful for
5 our Agency's processes.

6 Pat had mentioned many users of the SPAR
7 Program and the SDP Program, the ASP Program, GSI
8 Resolution. We use them to support reviews of our
9 risk-informed license amendments and we also use them
10 to support MSPI implementation.

11 Just recently there has been some talk,
12 and Mr. Rosen raised this, of using licensee PRA
13 models in place of SPAR models. Although there are
14 some advantages of using the licensee models, we
15 believe there are a lot of many advantages of using
16 SPAR models.

17 First, the use of standardized models will
18 reduce the variability in the results. By this we
19 mean that when we have differing results from
20 different plant models, we can be confident that these
21 differences are from plant-specific design or
22 operational differences and not from differences in
23 the use of HRA methods or seal LOCA models or
24 different assumptions.

25 So this feature is actually quite

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 important for the work we do, especially in things
2 like GSI resolution, ASP and SDP analysis, and other
3 applications.

4 Secondly, I think the use of a single
5 software package and common PRA model is efficient.
6 When different analysts have to learn three or four
7 different licensee packages and when they have to
8 learn to use the different nomenclature in these
9 packages, not to mention the different event tree-
10 fault tree methods, for example Risk Man versus
11 Capital, this could lead to potential analyst errors.
12 The use of a single common software in models will
13 tend to eliminate these kinds of errors.

14 And finally, as Mr. Sieber had said at the
15 beginning, the use of SPAR models will provide an
16 independent verification of the licensee risk
17 evaluations and findings.

18 MEMBER BONACA: Well, I would a couple of
19 additional considerations. One is that it seems to me
20 that at some point, you will beyond the capabilities
21 of some of the licensees in that you'll have models
22 like shutdown of the power that they don't have.

23 And the other benefit that I see is that
24 use of a single model allows you to begin to make
25 comparisons among different results for different

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 plants which right now is very difficult to do.

2 MEMBER ROSEN: I suggested stopping the
3 SPAR model development years ago when the models were
4 not credible and you didn't have the kind of expertise
5 and effort that you've got going now. I no longer
6 support that earlier view that I had. I think this is
7 a better solution for the Agency what you're doing
8 now.

9 MR. CHEOK: Thank you.

10 MEMBER SIEBER: Well, if you do make a
11 mistake, it's consistent.

12 (Laughter.)

13 MR. CHEOK: That's true.

14 MEMBER ROSEN: It's still, you know,
15 important and valid to go to the plants and check what
16 you're getting out of your SPAR model because you
17 might still learn something. But then again, so might
18 the plant. And that's a good thing, too.

19 MR. CHEOK: We totally agree with that.
20 I think we learn things when we go to the plant. And
21 the licensees learn things when we come to the plant.

22 A recent example is when the licensees
23 update their models when we show them what we have in
24 the SPAR models so it is mutually beneficial.

25 MEMBER ROSEN: It's a two-way street.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 It's the best of all possible worlds. It's a win-win
2 situation.

3 MR. CHEOK: So what are the steps forward
4 for the SPAR Program, as Pat said, we would like to
5 complete all Revision 3 enhancement by next year. We
6 would like to increase the scope of our analysis so
7 that we can provide tools to enhance Agency risk-
8 informed decision-making. This is consistent with the
9 Reg Guide 1.174 philosophy.

10 We would like to enhance user friendliness
11 of our models and software. We will continue to
12 interact with our analysts in the regions and in NRR
13 for the SPAR model users group to get feedback as to
14 where these improvements need to be. And we will
15 continue to train our regional NRR analysts in the use
16 of SPAR models.

17 Finally, over the next few years, we would
18 like to perform a peer review of the SPAR models
19 against industry PRA standards. As with all PRA
20 quality initiatives, we will have to keep the intended
21 users of the SPAR models in mind during this peer
22 review process.

23 MEMBER ROSEN: And when you do the peer
24 review process, you are going to get facts and
25 observations and correct the SPAR models I presume?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 You'll go the whole way?

2 MR. CHEOK: We will get lessons learned as
3 to how we can improve the models, that's correct.

4 MEMBER ROSEN: You won't just do it as an
5 exercise. You'll do it to do just what the utilities
6 are doing. Go through the certification. Get the
7 facts and observations. Categorize them. And go and
8 improve the models.

9 MR. CHEOK: I'm not sure. This process
10 has not been clear yet.

11 MEMBER ROSEN: Well, I would recommend --

12 MR. CHEOK: I'm not sure what the process
13 will do but we will do a similar process.

14 MEMBER ROSEN: I would recommend that you
15 not enter this as an exercise in an academic -- you
16 need to enter it as an exercise in improvement.

17 CHAIRMAN WALLIS: What was the word
18 academic used for in that context?

19 (Laughter.)

20 MEMBER APOSTOLAKIS: Exercises in academia
21 are taken very seriously.

22 MEMBER ROSEN: Which has to do with not
23 doing anything with the result except publishing and
24 putting on the shelf.

25 MR. O'REILLY: Oh, no. We --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER ROSEN: You need to fix the models
2 if you find things wrong with them.

3 MR. O'REILLY: -- that's what -- actually
4 we've had this performed once already. And we got a
5 lot of good information out of that. And we have
6 improved that particular SPAR model as a result of
7 that review.

8 MEMBER ROSEN: The process inherently uses
9 peer review which means that you might even use some
10 people from the industry to help you.

11 MR. O'REILLY: That's exactly what we did.

12 CHAIRMAN WALLIS: As long as they're up to
13 academic standards.

14 MEMBER ROSEN: As long as they're
15 academically superior. And non-academic in terms of
16 the use of it.

17 MR. O'REILLY: Well, they had been the
18 team leader on a couple of the peer reviews from the
19 industry, yes.

20 MEMBER SIEBER: I presume that concludes
21 your presentation?

22 MEMBER DENNING: Now, we --

23 MEMBER SIEBER: Go ahead, I'm sorry.

24 MEMBER DENNING: Well, right now we did
25 not have a plan to write a letter.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: That's right.

2 MEMBER DENNING: But we could decide to do
3 that, I guess, if we discuss that later.

4 MEMBER SIEBER: We could.

5 MEMBER DENNING: Will they come -- what's
6 the periodicity with which we hear this program? I
7 certainly thought it would be --

8 MEMBER SIEBER: Just about every year.

9 MEMBER DENNING: -- annual at least.

10 MEMBER SIEBER: It's about every year.

11 MEMBER DENNING: Yes, okay.

12 MEMBER SIEBER: We had a similar
13 presentation last year.

14 MEMBER APOSTOLAKIS: We have a
15 subcommittee -- as you know, we are reviewing the
16 research quality of various activities. And one of
17 them is SPAR. And there is a subcommittee that -- oh,
18 you are fully aware of it.

19 PARTICIPANT: Oh, definitely, yes.

20 MEMBER APOSTOLAKIS: We probably need a
21 subcommittee meeting. So sometime in the June, early
22 July frame, the subcommittee is Mario Bonaca, Rich
23 Denning, and me.

24 Others are welcome to come, of course, but
25 the three of us will probably be there for sure. So

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 don't be surprised if we do that.

2 MEMBER ROSEN: Dana, as an aside, are we
3 moving ahead with those efforts? Where do we stand?

4 MEMBER POWERS: Well, George has
5 everything he needs, I think, right?

6 MEMBER APOSTOLAKIS: I got a big binder.
7 I'm going --

8 MEMBER POWERS: I have now the materials
9 for the thermalhydraulics for Mr. Wallis.

10 I have for the Steam Generator for Mr.
11 Sieber.

12 MEMBER SIEBER: Yes.

13 MEMBER POWERS: The containment capacity
14 for Dr. Shack.

15 And I think we'll probably discuss those
16 at P&P?

17 MEMBER APOSTOLAKIS: Very good.

18 MEMBER SIEBER: Okay. Any further
19 questions from Members?

20 (No response.)

21 MEMBER SIEBER: I'm impressed with the
22 presentation. And I'm glad that you made an effort to
23 make the presentation schedule with us. And we'll be
24 interested in keeping track of your progress. And
25 with that, Mr. Chairman, I'll turn the meeting back to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you.

2 CHAIRMAN WALLIS: Thank you very much.

3 Thank you for your presentation.

4 We will now take a break, 15 minutes. And

5 I don't think we need the Reporter any more. Thank

6 you very much -- the transcript. We'll take a break

7 until five minutes before eleven.

8 (Whereupon, the above-entitled meeting was

9 concluded at 10:42 a.m.)

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25