

Official Transcript of Proceedings

NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards
523rd Meeting

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Thursday, June 2, 2005

Work Order No.: NRC-423

Pages 1-168

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

(ACRS)

523rd MEETING

+ + + + +

THURSDAY, JUNE 2, 2005

+ + + + +

ROCKVILLE, MARYLAND

The Subcommittee met at the Nuclear Regulatory Commission, Two White Flint North, Room T2B3, 11545 Rockville Pike, at 8:30 a.m., Graham B. Wallis, Chairman, presiding.

COMMITTEE MEMBERS:

- GRAHAM B. WALLIS, Chairman
- WILLIAM J. SHACK, Vice Chairman
- GEORGE E. APOSTOLAKIS, Member
- MARIO V. BONACA, Member
- RICHARD S. DENNING, Member
- THOMAS S. KRESS, Member
- DANA A. POWERS, Member
- VICTOR H. RANSOM, Member
- STEPHEN L. ROSEN, Member

1 JOHN D. SIEBER, Member

2 ACRS STAFF PRESENT:

3

4 JOHN T. LARKINS, Executive Director

5 ASHOK C. THADANI, Deputy Executive Director

6 SAM DURAISWAMY

7 MEDHAT EL-ZEFTAWY

8 JENNY M. GALLO

9 MICHAEL L. SCOTT

10

11 NRC STAFF PRESENT:

12

13 RAJ ANAND, NRR

14 WILLIAM BECKNER, NRR

15 SUZANNE BLACK, NRR

16 LAURA A. DUDES, NRR

17 RAYMOND HV GALLUCCI, Ph.D., NRR

18 BAGCHI GOUTAM, NRR

19 NAEEM IQBAL, NRR

20 PAUL LAIN, NRR

21 CLIFF MUNSON, NRR

22 BIJAN NAJAFI, NRR

23 ROBERT RADLINKSI, NRR

24 JOHN SEGALA, NRR

25 SUNIL WEERAKKODY, NRR

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MIKE WOODS, OGC

ALSO PRESENT:

GUY CESARE, Enercon

WILLIAM LETTIS, William Lettis & Associates

GEORGE ZINKE, Entergy

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A-G-E-N-D-A

Opening Remarks 5

**Draft Safety Report Related to Grand Gulf Early Site
Permit Application**

P Remarks by Subcommittee Chairman 6

P Briefing and Discussion 7

**Draft Final Regulatory Guide, "Risk-Informed,
Performance-Based Fire Protection for Existing
Light-Water Nuclear Power Plants"**

P Remarks by Cognizant ACRS Member 94

P Briefing and Discussion 95

P-R-O-C-E-E-D-I-N-G-S

9:10 a.m.

CHAIRMAN WALLIS: The meeting will now come to order. This is the second day of the 523rd meeting of the Advisory Committee on Reactor Safeguards.

During today's meeting the Committee will consider the following, draft safety evaluation report related to Grand Gulf Early Site permit application, Draft Final Regulatory Guide, Risk Informed Performance-Based Fire Protection for Exiting Light-Water Nuclear Power Plants, status reports on the quality assessment of selected research projects, future ACRS activities, report of the planning and procedures subcommittee, reconciliation of ACRS comments and recommendations, preparation of ACRS reports.

This meeting is being conducted in accordance with the provisions of the Federal Advisory Committee Act. Mr. Sam Duraiswamy is the designated Federal official for the initial portion of the meeting.

We have received no written comments or requests for time to make oral statements from members of the public regarding today's sessions. A

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

1 transcript of portions of the meeting is being kept.

2 And it is requested that the speakers use
3 one of the microphones, identify themselves, and speak
4 with sufficient clarity and volume so that they can be
5 readily heard.

6 We will proceed with the first item on the
7 agenda. I'll turn to my colleague Dr. Powers to lead
8 us through it.

9 MEMBER POWERS: Thank you, Mr. Chairman.
10 We're going to discuss the second of the early site
11 permit applications. Again, this is a first look at
12 the application.

13 We'll actually go final -- look at the
14 final assessment, probably in September, right?
15 September or October, something like that. We
16 previously looked at ANO.

17 We're now going to look at the Grand Gulf.
18 We sent up a letter on ANO and have not yet received
19 a response. But I'm told that the check is in the
20 mail.

21 MR. ZINKE: Dana, that was North Anna.

22 MEMBER POWERS: I'm sorry, North Anna.
23 Pardon me. And we're now going to turn to looking at
24 Grand Gulf. And, again, this is one of those, really
25 a pretty good site for locating nuclear power plants.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And so, they're interested in bringing
2 another one there. And, with that, I'll ask George
3 Zinke if he'll talk to us about why he wants to stick
4 another nuclear power plant on the Mississippi River.

5 MR. ZINKE: All right. I'm George Zinke
6 with Entergy. And, with me today is Guy Cesare,
7 Enercon, who is on the ESP team, and Bill Lettis with
8 William Lettis & Associates.

9 They did the seismic analysis. Grand Gulf
10 is located in Claiborne County, Mississippi. It's on
11 the eastern bank of the Mississippi, the site. It's
12 already said it already has one nuclear unit, BWR 6.

13 The nearest large population center is
14 Vicksburg, Mississippi, which is 25 miles north, about
15 27,000 permanent residents.

16 CHAIRMAN WALLIS: It's interesting you
17 call it the eastern bank. It's actually a bluff,
18 which is quite a distance above the bank, isn't it?

19 MR. ZINKE: Yes, the property goes up to
20 the bank.

21 CHAIRMAN WALLIS: The property goes up the
22 bank?

23 MR. ZINKE: Right. The site then is
24 located about a mile off of the river. The principle
25 town close to the site is Port Gibson, Mississippi,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 about six miles away, population about 1,750.

2 The next slide is a small slide showing
3 about the location of the Grand Gulf site. Site five,
4 the original site was planned -- we had planned
5 building two units.

6 We completed one, didn't complete the
7 other one. The unit we're proposing now would not --
8 would be adjacent to where the two units were going to
9 be.

10 It does not go on the exact placement that
11 the original second unit was planned for. It would be
12 in an area that right now is used as a parking lot.

13 The proposed footprint for the area is on
14 land that was disturbed during original construction.

15 MEMBER APOSTOLAKIS: What's EAB?

16 MR. ZINKE: The exclusion area boundary.

17 MEMBER APOSTOLAKIS: Oh, okay.

18 MR. ZINKE: The site area population, zero
19 to ten miles, approximately ten thousand, ten to
20 fifty, 325. It's permanent. We did projections for
21 the early site permit, both out to 2030, which would
22 be where the permit expires.

23 We've requested a 20 year duration of the
24 permit. And we also did projections to 2070, which
25 would have been -- would be a 40 year life of a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 facility.

2 And we saw the low to modest estimated
3 growth in population. The Grand Gulf site generally
4 is rural and remote. The land use is primarily in
5 forestry, agriculture.

6 There are no commercial airports within
7 ten miles. The closest large airport is 65 miles,
8 which is the Jackson Mississippi International
9 Airport.

10 Closest major highway is U.S. 61. Since
11 the original construction of the Grand Gulf one, that
12 highway, it was two lane while we constructed the
13 original Grand Gulf.

14 It's now a four lane highway. We also
15 evaluated in the SAR some of the characteristics
16 associated with our unit, is it uses hydrogen
17 injection.

18 So we did evaluate the hydrogen as a
19 hazard, along with other kinds of hazards that would
20 go up and down the Mississippi River. There are no
21 active rail lines or military installations in the
22 vicinity, gas/oil pipeline about 4.75 miles.

23 We evaluated air traffic corridors,
24 commercial and military. Like I said, we evaluated
25 the traffic up and down the Mississippi River for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 hazards.

2 At the proposed elevation, the site is
3 approximately 65 above the normal Mississippi River
4 level. The Mississippi River in our area does
5 normally flood part of the property every year.

6 It does not -- the water level does not
7 flood the actual site of where the plant safety
8 related structures are.

9 MEMBER POWERS: It seems to me a key part
10 of our discussion in our subcommittee meeting on this
11 flooding issue came up with -- well, normal is normal.

12 What about a 100 year? And we discussed
13 your strategy of flooding Alabama instead of
14 Mississippi. Maybe you should touch upon that.

15 MR. ZINKE: Louisiana.

16 MEMBER POWERS: I'm sorry, Louisiana.

17 MEMBER APOSTOLAKIS: There's a couple
18 different kinds of flood levels that we evaluate
19 relative to the site. One is flooding that is a
20 result of the Mississippi River flooding.

21 And, with regard to that kind of flooding,
22 because of -- one of the characteristics of the site
23 is because of the elevations and because of the
24 flatness of Louisiana, that with a small rise in the
25 river the water will spread.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And so, to actually get, you know, major
2 flooding concerns solely because of the Mississippi
3 River, it takes a lot of water because of the amount
4 of flat ground that there is to spread in the State of
5 Louisiana.

6 MEMBER POWERS: I think that's clever.

7 MEMBER APOSTOLAKIS: Yes. The other kind
8 of flooding that we talked about in the subcommittee
9 is the local flooding. And that has more to do with
10 the placement of the structures and the grading of the
11 ground.

12 And a lot of that won't be finalized until
13 we would actually select the design and where the
14 structures go.

15 CHAIRMAN WALLIS: Now, the flooding won't
16 flood the buildings, but it will flood the EAB
17 presumably. Do you have a fence around there? Does
18 the fence get flooded?

19 MR. ZINKE: The --

20 CHAIRMAN WALLIS: It looks as if it goes
21 way down on the flood plain.

22 MR. ZINKE: The normal Mississippi River
23 flooding doesn't --

24 CHAIRMAN WALLIS: Doesn't it flood
25 Hamilton Lake and Gin Lake presumably?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ZINKE: Yes, it floods that area.

2 CHAIRMAN WALLIS: So, presumably the
3 boundary fence gets underwater. What does that do to
4 exclusion zones?

5 MR. ZINKE: There is not a fence around
6 the exclusion area.

7 CHAIRMAN WALLIS: There isn't?

8 MR. ZINKE: We have a fence around --

9 CHAIRMAN WALLIS: The fence is up on the
10 bluff?

11 MR. ZINKE: No, the fence is actually
12 located just around the unit 1 buildings themselves,
13 the protected area. There is no fencing along the
14 property boundary.

15 CHAIRMAN WALLIS: Now, this EAB is not --

16 MR. ZINKE: That's not fenced.

17 CHAIRMAN WALLIS: That's not fenced.

18 MR. CESARE: The EAB is established for
19 dose calculation purposes.

20 CHAIRMAN WALLIS: Yes, that's one of those
21 regulatory things.

22 MR. CESARE: It is, and the entire
23 exclusion area --

24 CHAIRMAN WALLIS: Someone's going to stand
25 on that circle and get radiated, that's the idea?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. CESARE: Yes.

2 MEMBER POWERS: One of the hormesis types
3 can stand there.

4 MR. CESARE: But it is within the
5 property, the owner controlled area of the site.

6 MEMBER POWERS: Which is the dotted line.

7 CHAIRMAN WALLIS: Yes, we're talking about
8 floods.

9 MR. CESARE: And floods, as you say, would
10 advance the flood level providing you don't go over
11 the Louisiana levies at 103, it proceeds to the east
12 of the bluff line. It would be that flood and --

13 VICE CHAIRMAN SHACK: Oh, I see. And the
14 west bank is Louisiana. So, when the levy overflows,
15 you flow --

16 CHAIRMAN WALLIS: It goes for miles into
17 Louisiana.

18 MEMBER DENNING: But, is it possible that
19 Louisiana will realize this and build higher levies?

20 (Laughter.)

21 MR. CESARE: My family is from Louisiana,
22 they have not been able to change that since 1900.

23 MEMBER POWERS: Your prognosis is no
24 advancement.

25 MEMBER DENNING: Is it technically

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 feasible? I mean, is that potentially what's going to
2 happen in 20 years?

3 MR. ZINKE: No. And, in that area, the
4 land that gets floods, you know, they plant some of
5 the crops that are planted and the forestry, you know,
6 it has accommodated knowing that it floods every year.

7 CHAIRMAN WALLIS: It helps the growth.

8 MR. CESARE: But there are levies that
9 protect that land. And that's 103. And so, they do
10 infrequently have floods. But it protects the land
11 usually.

12 But, at 103, which is a very high level,
13 you will have some floods of Louisiana. But, even at
14 103, there's still 29, 30 feet up to the plant
15 elevation.

16 So, there's not going to be any changes
17 there. It is possible the Corps of Engineers might
18 consider a higher levy. But it wouldn't be 30 feet.

19 MR. ZINKE: Slide 9. In the SAR of the
20 application we did consider riverborne hazards, did
21 consider the hydrogen shipments that go to unit 1 for
22 hydrogen injection.

23 Due to the number of shipments and the
24 distance, we determined that was non-hazardous.

25 CHAIRMAN WALLIS: There'll be no hydrogen

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 shipments to this new reactor?

2 MR. ZINKE: None of the designs we've
3 looked at have that. That doesn't mean that a design
4 couldn't be picked that would require that. If that
5 was so, you know, then that would have to be analyzed
6 at the combined license stage where we pick the
7 design, which is the stage where we would look at the
8 hazards for the new plant and the hazards to the
9 existing plant.

10 VICE CHAIRMAN SHACK: You didn't look at
11 a BWR for one of the new designs?

12 MR. ZINKE: We looked at the ESBWR and the
13 ABWR, the advanced designs. We don't -- we're not --

14 VICE CHAIRMAN SHACK: But they would run
15 with hydrogen water chemistry, wouldn't they?

16 MR. CESARE: This is a risk analysis for
17 the delivery of liquefied hydrogen to the storage
18 facility on the site, which is on the eastern side of
19 the site.

20 I think we'd have to get there to see --
21 we probably, in that it's so far from both the unit 1
22 on the east side and even farther from the proposed
23 facility, then you'd have to talk about getting the
24 hydrogen over to the new facility. So, that has to be
25 looked at then.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER POWERS: I think your blast
2 analysis is still correct. It's just changing the
3 frequency of delivery.

4 MR. CESARE: True. This one was -- this
5 was -- this one was based on 50 shipments per year.
6 Right now they're receiving 36 per year. So, it's a
7 conservative, correct.

8 Those were fifty per week, very big
9 trucks. So, it had to be looked at to see if it would
10 change the risk.

11 MR. ZINKE: On slide ten, again, as part
12 of the application, we would do the -- show that an
13 emergency preparedness plan could be developed for the
14 site.

15 Exclusion area boundary was advised to
16 encompass the proposed new facility. There aren't any
17 resident residents within the EAB, it's not traversed
18 by rail or waterway.

19 The low population zone would be a two
20 mile radius essentially unchanged from what unit 1 is
21 right now. Throughout the SAR we analyze all of the
22 site characteristics.

23 And those were identified in the SAR. And
24 we talked in a lot more detail in the subcommittee.
25 The major portion of the SAR is the seismic analysis.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And I'm going to have Bill Lettis go
2 through briefly the major elements of the seismic
3 analysis. If you'll turn to slide 12, this kind of
4 lays out the process of how the seismic analysis works
5 because the seismic analysis for the new plants is
6 under a revised part 100.

7 And so, it is different. It is a
8 probabilistic based versus the seismic analysis for
9 the current units, including the current Grand Gulf,
10 which is a deterministic based seismic analysis.

11 MEMBER APOSTOLAKIS: The two analyses are
12 consistent with the results?

13 MR. ZINKE: The two analyses are different
14 in what they -- because one is deterministic, one is
15 -- they are fundamentally different.

16 MEMBER APOSTOLAKIS: But ultimately, won't
17 you have a design basis earthquake or some
18 acceleration you will have to use? Are these
19 different?

20 MR. ZINKE: The numbers are going to be
21 different. And Bill is going to talk a little bit
22 about how the numbers are different. But it's a
23 little different in comparing the whole what the
24 deterministic design basis for seismic and the
25 probabilistic because, when you look at how they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 really are developed, even though at the end you get
2 an SSE number, they really fundamentally mean
3 something a little bit different.

4 But Bill can give a little bit more detail
5 on that.

6 MEMBER APOSTOLAKIS: Okay.

7 MR. LETTIS: Thanks George. Good morning.
8 My name is Bill Lettis with William Lettis &
9 Associates. And I'm a consultant to Entergy on this
10 project.

11 So, next slide. George just showed the
12 flow chart, which laid out the process. The two
13 primary elements in the process of developing a SSE
14 design ground motion spectrum is to perform a
15 characterization of earthquake sources in the region,
16 use attenuation relationships to characterize the
17 decay of ground motion from that earthquake source to
18 the plant site.

19 And that will give us a rock ground motion
20 at the site. And then we need to perform a
21 geotechnical analysis of the soil properties at the
22 site to see how the soil will either dampen or amplify
23 the ground motion to give us the SSE design spectrum.

24 So, we undertook both a geotechnical
25 investigation of the site as well as the earthquake

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 source characterization at the site. This is a
2 geologic map of the site.

3 I apologize that the colors shown on the
4 PowerPoint are different than the colors that came out
5 on the copier. But, as George described, the site is
6 located on the eastern bank, the high eastern bluff
7 east of the Mississippi River.

8 The existing power block is located here.
9 The proposed new site area is located west of the
10 power block up near the bluff. So I'll show you the
11 relationship of the new site to the bluff.

12 That's one of the features that we
13 characterize. Just to describe some of the colors,
14 the light tan on this is the -- are deposits that are
15 about one million to two million years old.

16 So, underneath the entire site are
17 deposits that are one to two million years old. And
18 we're able to use those deposits to meet the
19 regulatory guide 500,000 year threshold to show that
20 there's no permanent ground deformation at the site in
21 the last 500,000 years.

22 So, we have excellent geologic
23 stratigraphy to be able to demonstrate that at this
24 location. The area shown in yellow is the modified
25 ground during plant construction of the existing Grand

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Gulf plant.

2 But it's just modified ground of this
3 light tan material. Next slide. This is a close-up
4 now of the proposed power block area for the new ESP.

5 The existing plant is over here. Unit one
6 was constructed. Unit two was not completed. And the
7 blue symbols here represent existing borings that were
8 performed for the existing Grand Gulf site and which
9 we adopted for this investigation.

10 Shown in black are the new locations of
11 subsurface borings and investigation to supplement the
12 existing bore holes that were already there. Also
13 shown on here are -- this is cross section B-B prime,
14 which I'm going to show in the next slide.

15 We constructed several cross sections
16 across the site to demonstrate or to document the site
17 variability and subsurface materials because, you
18 know, the new power block may be down here, or it may
19 be over here, or it may be over there.

20 So, given that we don't know where the
21 power block will be, we characterize this entire site
22 for subsurface conditions. Next slide.

23 CHAIRMAN WALLIS: The cafeteria is an
24 existing building?

25 MR. LETTIS: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: Where is that?

2 MR. CESARE: It's actually the engineering
3 building of which that particular portion is a
4 cafeteria. But it's the site engineering.

5 MR. LETTIS: If you've been to the site,
6 this building exists, this is a broad, flat slope with
7 a break in slope right here. This is basically a
8 completely empty area.

9 Also shown -- this is another feature I'll
10 point out -- shown in this tan color here and here are
11 swales that existed in the original land surface that
12 were grated over and filled during construction of the
13 existing Grand Gulf site.

14 And so, on the next cross section on the
15 next slide, this is the cross section. These are the
16 swales shown in gray now that have been filled with
17 artificial fill.

18 This shows the stratigraphy in the site.
19 The yellow is a windblown loess sand and silt. And,
20 underlying that in the orange and green are deposits
21 that are, as I mentioned earlier, one to two million
22 years old.

23 Beneath this green, which we just haven't
24 shown here, are deposits at a Catahoula Formation,
25 which are five million years old. Each of these, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Catahoula Formation, this is called the Upland
2 Complex, provide excellent datums, stratic geologic
3 datums from which we can document the absence of
4 deformation in the site area.

5 Okay. And this is the maximum possible
6 depth or likely depth of any of the existing reactor
7 discussions that have different embedment depths. So
8 this is the potential range and embedment depth.

9 Groundwater is shown, existing groundwater
10 level is shown here in blue. Next slide.

11 MEMBER POWERS: Before we leave that slide
12 --

13 MR. LETTIS: Okay.

14 MEMBER POWERS: We spent in the
15 subcommittee some substantial portion of our time
16 discussing collapses that occurred along the bluff
17 area.

18 MR. LETTIS: This bluff right here?

19 MEMBER POWERS: Did we come to a
20 resolution on those discussions? I don't think you
21 were actually part of them.

22 MR. LETTIS: I wasn't at the meeting.

23 MEMBER POWERS: Yes. But maybe George can
24 fill us in on -- I bring it up just because you have
25 the figure.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: It's not what the scale
2 is exaggerated for --

3 MR. ZINKE: Right, and that's -- the next
4 slide, if you go to the next slide. One of the things
5 we talked about when we talked about a bluff, the
6 previous side was exaggerated in order to -- but it
7 also led to a misconception on how big this bluff is.

8 This is the drawing to scale so that you
9 can see that when we talk about a bluff --

10 MEMBER POWERS: It's a virtual bluff.

11 MR. ZINKE: It's a virtual bluff. It's a
12 small -- yes, it's a Mississippi mountain.

13 CHAIRMAN WALLIS: Well, it's a beginner's
14 ski slope instead of an expert one.

15 MR. ZINKE: Yes. But, part of the
16 analysis did go into then as far as how close the
17 facility might come to that edge and the design
18 considerations that would need to be Gulf if we
19 actually did bring a stretcher that close and the set-
20 off distances.

21 And so, those were the subjects that we
22 came, you know, we believe that we fully analyzed that
23 and, if for any reason we actually did bring a
24 structure that close to that, we've decided on what
25 the minimum set-back distances would need to be.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LETTIS: Right. Thanks for clarifying
2 that, George. This is a one-to-one scale diagram just
3 to illustrate to you the actual dimensions of the
4 slope.

5 From the toe of the slope to the top of
6 the proposed power block area is an eight degree
7 project, which is a very low slope. And there's a
8 very low likelihood that slope failure will occur back
9 to the power block area.

10 We define this edge of the proposed power
11 block area by looking at the maximum possible depth
12 that a reactor embedment would be and took a one-to-
13 one projection from that location to the top of the
14 bluff.

15 So that -- we have a one-to-one projection
16 from the top of the bluff down to the lowest likely
17 embedment depth. And that identifies our exclusionary
18 zone or our zone of potential influence.

19 And so, we're setting back from the top of
20 the bluff that entire zone of influence. And so,
21 we're not likely to, by constructing the plant here,
22 load the slope and induce slope failure.

23 So we've gone through that analysis. And
24 it's in the SAR. Next slide. A question came up
25 about salt domes during the subcommittee meeting.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 This is a slide of the Glendon Limestone, which is
2 about a 50 million year old lime stone layer.

3 These are contours on the surface of that
4 limestone at depths beneath the site. It's about a 50
5 million year old horizon. And two salt domes have
6 been identified in the site area, the Bruinsburg salt
7 dome and the Galloway salt dome, up north of the site.

8 These are six and eight miles from the
9 site. This is a five mile radius around the site.
10 So, these are over six and over eight miles away from
11 the site.

12 And this limestone horizon documents the
13 absence of any other piercement salt diapirs in the
14 site area within the five mile area. Furthermore, the
15 Catahoula Formation that I mentioned before, which is
16 a five million year old stratum, overlies both of
17 these salt domes, and the entire area, and show that
18 there has been no diapiric rise or deformation of that
19 five million year old horizon.

20 So, the rise of these diapirs sees over
21 five million years ago in this area. And we don't see
22 any evidence of any other diapirs in the site area.

23 In fact, this provides direct positive
24 evidence for the absence of those features in the site
25 area.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: That shadowy thing on
2 the left is an old Mississippi course, is that what
3 that is? Way over there.

4 MR. LETTIS: Yes.

5 CHAIRMAN WALLIS: That's an old
6 Mississippi River?

7 MR. LETTIS: Yes, the Mississippi River
8 has meandered and relocated itself actually through
9 history, but also through geologic time as it meanders
10 back and forth across the Delta area, the Mississippi
11 Delta.

12 This is its present location. And you can
13 see recent abandoned -- these are oxbow lakes, they
14 call them, recently abandoned channels of the
15 Mississippi River.

16 These are frequently -- when we were
17 talking about flooding, the first thing that happens
18 is you re-flood old channels. Those are the low spots
19 on the river flood plain.

20 And those are the first things that occupy
21 the flood waters or carry flood waters. So, it takes
22 a pretty extreme flow to both overtop the bank of the
23 Mississippi here and overtop the banks of these
24 earlier flood channels.

25 Anyway, next slide. This is now a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 regional geologic map of the southeast southern U.S.
2 This is the Grand Gulf site located here, 100 mile
3 radius and a 200 mile radius just to give you a feel
4 for scale.

5 Shown in these dots are historically
6 recorded earthquakes. The blue dots are those that
7 were recorded up until 1984. And the orange dots are
8 those recorded from 1984 up until 2004 because we
9 wanted to look at was there any changes in pattern or
10 rate of seismicity in the last 20 years or so.

11 And basically the same pattern of location
12 of seismicity emerges in the same -- and we did some
13 calculations -- the same rates of seismicity are
14 occurring in these principle areas of seismic
15 activity.

16 This is the well-known New Madrid seismic
17 zone that's located over 200 miles from the site. But
18 still, the New Madrid -- the largest earthquake on the
19 New Madrid source zone is one of the controlling
20 earthquakes for ground motion at our site.

21 That's a good thing. It demonstrates that
22 there's not a lot of other things closer, not a lot of
23 other faults or seismic sources closer that can
24 control ground motion at the site.

25 In fact, within 100 miles of the site,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there's only been three historic earthquakes in the
2 historical record. It's one of the most seismically
3 low areas in the entire U.S., this region around Grand
4 Gulf.

5 So, from the seismic perspective, it's a
6 very good location, very promising location for a
7 reactor. We also identified these features --

8 MEMBER APOSTOLAKIS: I don't quite
9 understand that though. I mean, you seem to be basing
10 your conclusion on the fact that there haven't been
11 many earthquakes.

12 MR. LETTIS: Yes, that's part of it.

13 MEMBER APOSTOLAKIS: But you had one that
14 was a lion. I mean, New Madrid was big.

15 MR. LETTIS: Yes, that occurred over 200
16 miles away up here.

17 MEMBER APOSTOLAKIS: But my understanding
18 is that it was felt at distances much bigger than 200
19 miles.

20 MR. LETTIS: Oh yes. And, like I say, it
21 is the controlling earthquake down here. It
22 contributes most of the ground motion at this site.
23 And I'll show you that result.

24 MEMBER APOSTOLAKIS: You are sure there
25 are no other faults anywhere?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LETTIS: Right. This is both -- there
2 are several lines of evidence that indicate the
3 absence of earthquake activity closer to the site.
4 One is looking at instrumentally recorded seismicity.

5 There's no patten emerging that there's
6 some active seismic source, such as the eastern
7 Tennessee source over by the Appalachians, the New
8 Madrid source, this over here in Oklahoma, which might
9 be related to the Meers Fault, which is a newly
10 discovered fault.

11 But there's nothing near the site
12 instrumentally. In addition to that, most of this
13 site area from this zone of green faults right here
14 called the Ouachita Orogenic Belt in south, most of
15 this region is underlaid by thousands of feet, up to
16 ten thousand feet of un-deformed strata.

17 So, we have -- like I showed the Glendon
18 limestone, you can contour the surfaces of these
19 geologic strata at depth up to ten -- back to the
20 cretaceous period, over 65 million years ago and show
21 that there's been no deformation of these, there's no
22 faults located closer to the site, with one exception.

23 And that's this group of faults right
24 here, which we've grouped together and called the
25 Saline River Fault Zone. This is a recently

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 identified fault zone, in the last ten years.

2 There is some distributed but fairly
3 sparse micro-seismicity to it. This is -- it's not
4 for certain that there's an active fault there. But,
5 in our probabilistic study we allow a 50 percent
6 likelihood that there is a seismic source at that
7 location because there's no Rosetta Stone yet that's
8 been identified that says here is an active fault.

9 MEMBER APOSTOLAKIS: How -- you say these
10 ones were identified 20 years ago?

11 MR. LETTIS: Yes, in the last ten years or
12 so.

13 MEMBER APOSTOLAKIS: How does this happen?
14 How do people identify faults? Are they looking for
15 them or --

16 MR. LETTIS: Yes, people are looking and
17 always looking. Can you go to the next slide? That
18 will --

19 CHAIRMAN WALLIS: What do you look with?
20 You don't look with your eyes, do you?

21 MR. LETTIS: We look -- there are a lot of
22 phenomenon that you look for that are suggestive of
23 active faulting. The first thing a geologist like
24 myself would look for is we would look for geomorphic
25 features on the land surface that are indicative of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 active faulting.

2 Usually active faulting scars the land
3 surface. And that's preserved over time. And it
4 leaves lineaments or scarps, or other features. And
5 that's what a professor at Memphis identified, were
6 three -- what appeared to be three linear river
7 alignments, the Ouachita River, Saline River, and the
8 Arkansas River.

9 They all trend to the southeast. And he
10 thought that that was suspicious. He came down here
11 and started looking. And he found these areas shown
12 in yellow, which are areas of obvious liquefaction.

13 The New Madrid earthquake produced
14 liquefaction in this area shown in yellow, the large
15 1811-1812 earthquake sequence. That liquefaction
16 field ends right here.

17 Nothing's been found from there southward
18 until they located this. One possibility is that this
19 is just far-field liquefaction from the New Madrid
20 earthquake.

21 It's possible. I mean, you can do
22 calculations and show it's possible. Or, these
23 liquefaction fields may indicate a local earthquake
24 source.

25 And we, because this is a nuclear site and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we're doing a probabilistic study, we have to allow
2 for that uncertainty. So we've allowed that there may
3 be an earthquake source.

4 So there's both geomorphic evidence that
5 there are these linear river segments. That's one
6 thing that a geologist looks for. There's evidence of
7 liquefaction, geotechnical evidence of liquefaction,
8 which is a phenomena that's fairly unique to
9 earthquakes, generally earthquake induced.

10 There's flooding induced liquefaction, but
11 not very often. And then thirdly, we look for a
12 coincidence of earthquake, mirco-earthquake activity
13 with potential faults or lineaments.

14 MEMBER APOSTOLAKIS: Now, these three
15 obviously were not known when the current unit was
16 licensed, correct?

17 MR. LETTIS: Right.

18 MEMBER APOSTOLAKIS: How as the safe
19 shutdown earthquake determined for the current unit?
20 Does this discovery affect anything with your existing
21 --

22 MR. LETTIS: No, I'll show the results and
23 compare it to the result of the existing unit. So, it
24 --

25 MEMBER APOSTOLAKIS: But, for the existing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 unit --

2 MR. LETTIS: The existing unit --

3 MEMBER APOSTOLAKIS: It was only the New
4 Madrid earthquake?

5 MR. LETTIS: We used New Madrid as the
6 deterministic controlling source. The deterministic
7 approach, as George was describing, there are two very
8 different methods of calculating ground motion.

9 And both of them have given us SSEs at
10 this site. The deterministic approach says what's the
11 largest possible magnitude earthquake that could occur
12 in the site region and produce largest ground motion
13 without considering the likelihood of that earthquake
14 occurring?

15 The probabilistic approach looks at the
16 likelihood of all earthquakes occurring and the
17 contribution of all of those earthquakes to ground
18 motion at the site.

19 So, it's the probabilistic ground motion
20 SSE spectrum is not a single earthquake. It
21 accommodates the contribution of earthquakes from all
22 possible sources.

23 MEMBER APOSTOLAKIS: So, the discovery of
24 these three faults could affect the probabilistic
25 approach, but not the deterministic because the New

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Madrid was so big?

2 MR. LETTIS: Yes, I haven't --

3 MEMBER APOSTOLAKIS: Is that correct?

4 MR. LETTIS: That's probably true. The
5 deterministic approach also -- there's a requirement
6 that you use a capable -- it's from a capable fault in
7 those days, appendix A of 10 CFR 100.

8 You identify capable faults and you assign
9 the largest magnitude earthquake to those capable
10 faults. And you look at what that earthquake will do
11 in terms of ground motion at your site.

12 And you take the biggest, regardless of
13 the likelihood of it occurring. With the Saline River
14 source zone, I would be hesitant right now to say that
15 this meets the definition of a capable fault under
16 appendix A.

17 There's no hard, direct proof that there
18 is an active fault right there. That's why in the
19 probabilistic approach -- and the beauty of the
20 probabilistic approach, it allows you to assign a
21 likelihood that there might be an earthquake source
22 there, which we have done.

23 We have given it a 50/50 percent chance of
24 being there or not being there. And, in the -- if I
25 was doing this in the old days, I haven't gone through

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 this analysis, I'm not sure I would have assigned a
2 capable fault in the Saline River area given the
3 information that's available to date.

4 So it would probably still be -- the
5 deterministic approach would probably still be based
6 on New Madrid. Even if you do assign a capable fault
7 in the Saline River area under the old approach, the
8 maximum magnitude would probably be a magnitude six
9 and a half as opposed to a magnitude eight on the New
10 Madrid.

11 And, once again, I haven't done that
12 calculation either to see whether we would have
13 revised an old deterministic ground motion.

14 MEMBER APOSTOLAKIS: Okay.

15 MR. LETTIS: But, just to move on, this is
16 the New Madrid source. We considered three -- in our
17 analysis for Grand Gulf we used the existing EPRI
18 earthquake source model, which is allowed under Reg
19 Guide 1.165.

20 And we modified -- conservatively modified
21 that existing earthquake source model by adding this
22 source, the Saline River source, and by adding a new
23 New Madrid source to the existing New Madrid source.

24 MEMBER APOSTOLAKIS: Let me understand
25 this, the EPRI methodology actually gives you curves,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 right? It gives you curves for --

2 MR. LETTIS: Right.

3 MEMBER APOSTOLAKIS: -- spectrum
4 acceleration.

5 MR. LETTIS: Right.

6 MEMBER APOSTOLAKIS: If we chart the
7 result of expert opinion elicitation.

8 MR. LETTIS: Right.

9 MEMBER APOSTOLAKIS: At the same time,
10 wasn't there a study from Livermore that had different
11 codes?

12 MR. LETTIS: Right, Lawrence Livermore --

13 MEMBER APOSTOLAKIS: Much more
14 conservative because of the way the expert opinions
15 were processed. And then, to reconcile the two, there
16 was a Senior Seismic Hazard Analysis Committee that
17 came up with a sort of a methodology.

18 MR. LETTIS: Right. They define the
19 methodology.

20 MEMBER APOSTOLAKIS: So, why then are you
21 using only the EPRI methodology?

22 MR. LETTIS: The Reg Guide 1.165 allows
23 you to use either. They don't require you to use
24 both.

25 MEMBER APOSTOLAKIS: Either meaning which

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ones?

2 MR. LETTIS: EPRI or Lawrence Livermore.

3 MEMBER APOSTOLAKIS: How can it do that?
4 I mean, there were significant differences between
5 them.

6 MR. LETTIS: And --

7 MEMBER APOSTOLAKIS: When was this
8 regulatory guide approved?

9 MR. LETTIS: I'm not sure that I would
10 agree with the comment that the Lawrence Livermore is
11 always more conservative. In some areas it's more
12 conservative.

13 MEMBER APOSTOLAKIS: Well, the seismic
14 curves are. I mean, it was more conservative --

15 MEMBER POWERS: Only for eastern seaboard
16 earthquakes.

17 MEMBER APOSTOLAKIS: Yes, and that's where
18 we are, right?

19 MR. LETTIS: Now, we're in the south, not
20 in the eastern --

21 MEMBER APOSTOLAKIS: No, east of the
22 Rockies. We are east of the Rockies.

23 MEMBER POWERS: I think you have to move
24 east to get significant differences.

25 MR. LETTIS: Some of the key --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER APOSTOLAKIS: East of this?

2 MR. LETTIS: Yes. A couple of key
3 different -- I was on --

4 MEMBER APOSTOLAKIS: Shouldn't you compare
5 them? I mean, did you compare them? Did you look at
6 the Livermore curves at all to --

7 MR. LETTIS: No.

8 MEMBER APOSTOLAKIS: Shouldn't you? The
9 reason why I'm saying this is because that difference
10 which may, you know, may have been more significant
11 east of your site, let the three major organizations
12 in our business, DOE, EPRI and NRC, you know, create
13 this new committee to try to resolve the differences.

14 So, how can we just say now we only use
15 EPRI. I mean, you have to give some consideration to
16 the other stuff and dismiss it or do something about
17 it.

18 MR. LETTIS: I think that that isn't -- I
19 mean, fundamentally I agree with you. But that's not
20 the responsibility of an individual Applicant to do.

21 Those two were -- EPRI and Lawrence
22 Livermore were carefully reviewed and looked at by the
23 NRC. And the NRC has concluded that you may use
24 either.

25 They have accepted both studies. And they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 don't require you to compare both or to use both. And
2 I would also -- in this area -- and I haven't done
3 that so I can't tell you the actual answer.

4 But, in this area I don't think there will
5 be that much difference. In the eastern U.S. -- I
6 worked on both of the two of them. In the eastern
7 U.S. -- I was one of the seismic source guys for the
8 Lawrence Livermore study.

9 In the eastern U.S. more weight was given
10 to the Triassic Basin being sources of large
11 earthquakes. So, Charleston earthquake could float
12 up and down the eastern seaboard.

13 MEMBER APOSTOLAKIS: That's one of the
14 major differences in the attenuation models that were
15 used?

16 MR. LETTIS: Yes, I think that's also a
17 difference. I wasn't part of it.

18 MEMBER APOSTOLAKIS: It was a driver.

19 MR. LETTIS: Okay. I wasn't part of the
20 attenuation --

21 MEMBER APOSTOLAKIS: A famous expert from
22 southern California was driving the Liver more curves
23 way out there.

24 MR. LETTIS: I also --

25 MEMBER APOSTOLAKIS: Don't you think

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 though that the issue will come up? Somebody will
2 challenge you. I mean, maybe the regulatory guide
3 doesn't say that.

4 By the way -- who is the -- Med, are you
5 running this?

6 MR. EL-ZAFTAWY: Yes.

7 MEMBER APOSTOLAKIS: I'd like to have a
8 copy of our guide.

9 MR. EL-ZAFTAWY: Sure.

10 MR. LETTIS: It's Reg Guide 1.165.

11 MR. EL-ZAFTAWY: There's also some
12 indication, at least my understanding, that maybe the
13 NRC is in the process right now to meet with the
14 industry to revise Reg Guide 1.165.

15 MEMBER APOSTOLAKIS: Do you have a copy of
16 it here?

17 MEMBER DENNING: But you do agree, George,
18 that he's on solid ground in terms of saying I
19 followed the regulatory guide. The burden isn't
20 really on him.

21 The burden is on us now to look a little
22 more closely. But certainly --

23 MEMBER APOSTOLAKIS: Well, I don't know
24 about that. You know, if you know that there is -- if
25 you want to go by the letter of the law, you're right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LETTIS: If I could add one additional
2 comment that might help ease the pain a little bit. We
3 used the EPRI seismic source model. You're referring
4 to that there was -- that the big driver and the
5 difference was the attenuation.

6 MEMBER APOSTOLAKIS: I think it was the
7 seismicity but the attenuation was a bigger one.

8 MR. LETTIS: Yes. And so, what was done
9 for this study is the attenuation relationships were
10 completely updated through a new SSHAC process so that
11 we did not use the old EPRI attenuation relationships
12 to calculate ground motion.

13 There was a SSHAC workshop process that
14 was completed in 2004 where a group of around 13 or 15
15 individuals were convened and they selected a new set
16 of attenuation and weighted these attenuation
17 relationships for the central and eastern U.S. both
18 for the Gulf Coast region, which has its own set, and
19 then the rest of the eastern central U.S.

20 And so, the disagreement between say the
21 Lawrence Livermore camp and the EPRI camp is no longer
22 important because there was a new group that was
23 convened that developed a new set of attenuation
24 relationships to use in the current -- all of the ESP
25 Applicants are using this new ground motion

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 attenuation set.

2 MEMBER APOSTOLAKIS: So what you are using
3 is really a mix of the old EPRI and the --

4 MR. LETTIS: Well, it was a SSHAC process.
5 All of the old attenuation relationships that were
6 used in the late 1980s have been updated
7 significantly.

8 The attenuation relationships are much
9 improved. And so, there's no hold over of any
10 attenuation relationship that was used either by
11 Lawrence Livermore or the early EPRI.

12 They're all new. And so, a new group of
13 attenuation relationships were considered and weighted
14 and used for Grand Gulf as well as North Anna, as well
15 for Clinton.

16 MEMBER APOSTOLAKIS: And you were on those
17 workshops?

18 MR. LETTIS: I was not on the workshop,
19 no. That was an EPRI workshop.

20 MEMBER APOSTOLAKIS: Oh, EPRI, not just
21 for you?

22 MR. LETTIS: Not ours. There was an EPRI
23 -- that was in the original flow chart. EPRI convened
24 a panel of experts. And it was about a two year
25 process where they met several times and fully vetted

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 all the various relationships, tested the
2 relationships and came up with a weighting scheme for
3 this.

4 This was under EPRI. And it was published
5 by EPRI in 2004. And that was -- those were the
6 attenuation relationships that were used by all three
7 applicants.

8 MEMBER APOSTOLAKIS: But they used the
9 SSHAC methodology?

10 MR. LETTIS: The SSHAC methodology of
11 expert elicitation was used. It was a SSHAC level
12 three elicitation.

13 MEMBER APOSTOLAKIS: Okay, that's better.

14 MEMBER POWERS: And, just to be clear, you
15 used the EPRI seismic source relationship as modified
16 by the recent USGS?

17 MR. LETTIS: We considered all new data in
18 updating the EPRI seismic source. One of the new data
19 sets was the USGS. And, you know, there's been a lot
20 of -- one thing about geology and seismology is its'
21 constantly changing and evolving. And there's lots of
22 new publications.

23 MEMBER APOSTOLAKIS: Constantly changing?
24 When you talk about five million years --

25 MR. LETTIS: Our understanding of geology

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is changing.

2 MEMBER APOSTOLAKIS: It changes every few
3 million, right?

4 MR. LETTIS: Geology stays the same. But
5 our understanding is continually being updated. And
6 so, a big, big effort in this study as well as all ESP
7 applicants that will come before you is an update of
8 the geology, seismology, tectonics, and geophysical
9 database because it's been 25 years since EPRI was
10 published in the late 1980s.

11 And a lot of new work has been done and
12 improvements made. And so we need to carefully
13 consider this new data in terms of, you know,
14 identifying characterizing earthquake sources.

15 And so, the two main changes that we --
16 just to conclude this. We updated New Madrid. We
17 assigned different magnitudes. And most importantly,
18 in the early EPRI and Lawrence Livermore days, the
19 recurrence of a New Madrid earthquake was assumed to
20 be thousands of years, five thousand years roughly.

21 It's now thought to be around 500 years
22 with a range of between 200 and 800. And so, we used
23 that updated recurrence and maximum magnitude and also
24 identified three possible fault sources within New
25 Madrid, the Blytheville Arch, the Reelfoot Fault, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the East Prairie Fault.

2 And each of those three faults may produce
3 magnitude seven to eight size earthquakes. And that's
4 been incorporated into our analysis. Okay, just to
5 close, given all of these earthquake sources, this is
6 the seismic hazard curve that --

7 CHAIRMAN WALLIS: What's the frequency of
8 these New Madrid events?

9 MR. LETTIS: The New Madrid earthquakes
10 occur on the order of every 500 years.

11 CHAIRMAN WALLIS: Five hundred years,
12 okay.

13 MR. LETTIS: Yes. And whether just one
14 occurs or whether three occur, like in 1811-1812 where
15 three occurred, that variability is also incorporated
16 into our model.

17 So, given these earthquake sources, you
18 run through the PSHA analysis. It plots hazard curves
19 for different frequencies. I've just shown the five
20 hertz frequency.

21 And the red line is the mean hazard. And
22 this is the median and the 85th and 15th --

23 MEMBER APOSTOLAKIS: So, this is the
24 result of the workshop now?

25 MR. LETTIS: This is the result taking the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 EPRI attenuation model and our revision to the source
2 model and running through the probabilistic hazard
3 code.

4 MEMBER APOSTOLAKIS: And the SSHAC part
5 and everything?

6 MR. LETTIS: Right.

7 MEMBER APOSTOLAKIS: Now, I will say, a
8 major driver in the SSHAC approach, which does not say
9 that because it's relevant to other things we have
10 been looking at.

11 If you follow what SSHAC recommended, then
12 the claim is that these curves are not just the state
13 of knowledge of the SSHAC of the people in the
14 workshop.

15 They are representing in the community's
16 views. Okay? The worldwide community of experts,
17 they are trying to put themselves in a position. You
18 know, how good they do that, how well, is a different
19 story.

20 But, the important point is that they are
21 asking themselves that, what does the community feel?
22 And there is typically one order of magnitude in
23 frequency differences if you go to a particular
24 acceleration.

25 MR. LETTIS: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER APOSTOLAKIS: And the 85th.

2 MR. LETTIS: Yes.

3 MEMBER APOSTOLAKIS: And, for some reason,
4 the seismic guys want to be different. So the upper
5 and lower bounds are the 85th and the 15th.

6 MEMBER POWERS: Just as capricious as any
7 other number.

8 MR. LETTIS: Okay, next slide.

9 CHAIRMAN WALLIS: You need some ones on
10 the axis there.

11 MR. LETTIS: That gives us --

12 MEMBER APOSTOLAKIS: Wait, wait, wait.
13 The previous curve now, how do you use that? This
14 one, do you use it to do anything with it?

15 MR. LETTIS: Yes. We're using at ten to
16 the minus five probability median.

17 MEMBER APOSTOLAKIS: Median?

18 MR. LETTIS: And so, in this case it would
19 be -- you develop hazard curves for all different
20 frequencies. And you use that to construct your
21 response spectrum.

22 MEMBER APOSTOLAKIS: Okay.

23 MR. LETTIS: This tells you, at ten to the
24 minus five what the ground motion would be, roughly
25 point two G at ten to the minus five at five hertz.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER APOSTOLAKIS: Okay.

2 MR. LETTIS: And so, you can construct --
3 you have your ground motion at the different
4 frequencies as your rock input at the base of the soil
5 column, which is over 10,000 feet thick at Grand Gulf.

6 So now we have to translate that ground
7 motion at 10,000 feet depth up through the soil
8 column. And so, the next slide will show this is the
9 upper part of the soil column at Grand Gulf.

10 We developed velocity information for the
11 different horizons. And we put this down to 10,000
12 feet. And we have developed site amplification. This
13 is the transfer function.

14 So we develop our site amplification, or
15 the amplification factor for all the different
16 frequencies. And so, we'll take our rock ground
17 motion and multiply it by either an amplification or
18 a dampening factor to develop the final free field SSE
19 ground motion.

20 Next slide. And so, this is the -- shown
21 in red is our computed SSE ground motion, free field
22 ground motion incorporating the effects of site
23 response at the site.

24 MEMBER APOSTOLAKIS: We can't read it.

25 MR. LETTIS: the blue is the --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER APOSTOLAKIS: The 100, ten, geeze.

2 MR. LETTIS: Yes, I'm sorry. The
3 frequency across the bottom is point one on the left
4 corner. And this is a log scale. So, one, ten, and
5 100 hertz, 100 hertz essentially being the PGA, peak
6 ground acceleration.

7 The blue curve is existing SSE
8 deterministic spectrum for Grand Gulf, the existing
9 plant. And this shows the red. The units on the
10 left, this is spectral acceleration from .001
11 acceleration, .01, .1 and 1G.

12 So, you can see that the PGA, just for
13 comparison, was --

14 MEMBER APOSTOLAKIS: This is the peak
15 horizontal ground --

16 MR. LETTIS: This is the peak horizontal.
17 I'm showing just an example of --

18 MEMBER APOSTOLAKIS: The blue? For all of
19 them?

20 MR. LETTIS: All of them are the
21 horizontal ground acceleration.

22 MEMBER APOSTOLAKIS: Okay, very good.

23 MR. LETTIS: And, comparing the existing
24 Grand Gulf deterministic SSE with our recent -- our
25 newly computed probabilistic SSE for the ESP. And

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 this is the target design spectrum for the standard
2 plant, anchored at point three G.

3 MEMBER APOSTOLAKIS: Who gives you that
4 black one, the standard design spectrum?

5 MR. LETTIS: This is the spectrum used by
6 the vendors.

7 MEMBER APOSTOLAKIS: The vendors, okay.

8 CHAIRMAN WALLIS: For any plant anywhere?

9 MR. LETTIS: This is the --

10 MEMBER APOSTOLAKIS: I think that's all,
11 yes.

12 MR. LETTIS: Yes, the plants are using
13 this as their -- the vendors are using this as their
14 target design. Some of them have slightly modified
15 the high frequency.

16 MR. ZINKE: Not any plant anywhere. The
17 design is being certified in the United States.

18 CHAIRMAN WALLIS: It's remarkable to me,
19 this place where no earthquakes have been for all this
20 time, the curves are so close to some standard plan.

21 It seems to -- you don't think it's
22 remarkable at all? You mean the curves were about the
23 same?

24 MR. LETTIS: Yes, most of the driving
25 input to the ground motion for probabilistic comes

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 from the repeat of the New Madrid earthquake and then
2 also a local source magnitude five, five and a half or
3 six that occurs locally, infrequently, but locally
4 near the site.

5 MEMBER APOSTOLAKIS: When people said in
6 the deterministic days that peak horizontal ground
7 acceleration was this, did they consider frequency?

8 MR. LETTIS: Yes.

9 MEMBER APOSTOLAKIS: And it corresponded
10 to 100 hertz you say?

11 MR. LETTIS: Corresponding to -- I'm
12 sorry?

13 MEMBER APOSTOLAKIS: To 100 hertz. Is
14 that the frequency they quote?

15 MR. LETTIS: No. Commonly ground motion
16 is -- you'll hear someone say PGA or peak ground
17 acceleration is something.

18 MEMBER APOSTOLAKIS: Yes.

19 MR. LETTIS: That's usually referred to --
20 that's a very high frequency ground motion, PGA. In
21 100 hertz is --

22 MEMBER APOSTOLAKIS: Okay. So, that would
23 be a good approximation?

24 MR. LETTIS: So that would be an
25 approximation of the PGA.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER APOSTOLAKIS: How much is it for
2 the Grand Gulf deterministic, the blue?

3 MR. LETTIS: I think it's point one seven.
4 And the new one is point one nine.

5 MEMBER APOSTOLAKIS: This is not the SSE,
6 the safe shutdown earthquake?

7 MR. LETTIS: Yes, but that's just -- that
8 one frequency, the PGA, peak ground acceleration, at
9 the high frequency end.

10 MEMBER APOSTOLAKIS: Yes. I mean, that's
11 what you designed.

12 MR. LETTIS: The SSE is defined as --

13 MEMBER POWERS: In order to stay on
14 schedule, this tutorial is going to have to be cut
15 short and move on to this.

16 MEMBER APOSTOLAKIS: Well, at least the
17 three numbers. Can I get the three numbers?

18 MEMBER POWERS: You can read them off the
19 slide or I can read them to you.

20 MEMBER APOSTOLAKIS: Well, I can't see
21 them.

22 MEMBER POWERS: George, I'll read them to
23 you.

24 MR. SCOTT: Dana, can I make a quick point
25 to speak to Graham's question?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 (No verbal response.)

2 MR. SCOTT: You may recall from the North
3 Anna application that their site curve actually
4 exceeded the design curve. So this is a generic issue
5 that the Staff is addressing currently.

6 MEMBER POWERS: I need just to move on
7 with this discussion.

8 MR. ZINKE: This slide -- through the
9 application review, currently there is, before issues
10 the draft SER, there's 23 open items that we have
11 responses due June 21st.

12 We've been working with the Staff. And
13 we've been developing our responses to those. I've
14 attached the status matrix, which shows draft -- the
15 direction we're heading on responding to those
16 questions.

17 The actual response are in review now.
18 And so, we would be submitting them on or around June
19 21st, which my understanding is then that would end up
20 a subject when we get to the -- ACRS meets again on
21 the final SER.

22 The conclusion through our evaluation of
23 the Grand Gulf site, we characterize it in accordance
24 with part 52 and part 100, and we found the site
25 remains acceptable for new construction.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER POWERS: Is that a -- it seems to
2 me that that's one of those nicely lawyerly statements
3 boundless in its conservatism. This is a pretty good
4 site for new construction, isn't it?

5 MR. ZINKE: Yes, it is.

6 MEMBER POWERS: A bolder statement, the
7 site's not just acceptable, it's a pretty good site.

8 MR. ZINKE: Right. These are just
9 statements, this is what --

10 MEMBER POWERS: You can defend that
11 statement easily?

12 MR. ZINKE: Yes.

13 MEMBER APOSTOLAKIS: What is it that makes
14 you say that, it's a pretty good site?

15 MEMBER POWERS: The general low population
16 around it, the lack of a heavy industrial area, the
17 low seismicity, the rather mild weather conditions.

18 MEMBER APOSTOLAKIS: Okay.

19 MR. ZINKE: And that concludes our
20 presentation.

21 MEMBER POWERS: I mean, the only thing you
22 guys have got going against you is the world's worst
23 humidity as far as I can tell, right?

24 MEMBER KRESS: It doesn't do much damage.

25 MEMBER POWERS: Well, look what it'd done

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to you.

2 MEMBER KRESS: I know.

3 MEMBER POWERS: George, thank you a lot.
4 We now turn to hear from the Staff. Or did you want
5 to open with some oversight on this?

6 MS. DUDES: Yes. Actually, thank you.
7 This is Laura Dudes, Section Chief of New Reactors. On
8 behalf of Dr. Beckner, the Program Director, I just
9 wanted to give an intro.

10 I was trying to figure out how to open
11 this up.

12 MEMBER POWERS: Well, I guess it would be
13 useful to us to -- maybe the speaker will give us. But
14 it would be useful to know your intuition on the open
15 items.

16 Are there things that you see as
17 significant impediments? Or is this mostly dotting
18 I's and crossing T's work?

19 MS. DUDES: That's a good lead-in. For
20 this application, as we're coming to you, we received
21 three early site permit applications in 2003, North
22 Anna, for which we've come to you.

23 We've gotten a letter. As you said, we're
24 going to respond. Clinton, the Exelon application for
25 the Clinton site and Grand Gulf, the SERI people, for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 this we've completed the draft safety evaluation for
2 all three.

3 Except there is an issue. And it has to
4 do with the seismic method or a method of analysis for
5 the Clinton ESP. And so, our meeting on the DSER with
6 that will move into August or September time frame
7 because the Staff is taking more time to go through
8 this.

9 For North Anna and for Clinton, for which
10 we're here today, they're using a -- or, I'm sorry,
11 Grand Gulf -- they're using the approved Reg Guide
12 method.

13 So, the Staff is on schedule to complete.
14 We have the DSER out. We're here to talk to you today
15 with respect to the open items that we have questions,
16 as these are first-of-a-kind reviews.

17 But again, we don't see any big show
18 stoppers or issues that cannot be resolved at this
19 time. Many of the issues for North Anna and Grand
20 Gulf may be similar in nature in terms of looking at
21 weather, hydrology, asking clarifying questions on
22 their seismic work.

23 But it's not necessarily something that's
24 new to the Staff. We have existing guidance.
25 Whereas, for the Clinton application, we're carving

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 new ground. So that may take a little bit longer.

2 MEMBER POWERS: And, it's also important
3 for the committee to be aware. We have not yet
4 received that portion of the Clinton SER appeals with
5 the seismic.

6 MS. DUDES: That is correct. Yes, the
7 Staff is still working on -- we issued the draft
8 safety evaluation report for the Clinton site, except
9 for the one section.

10 And we're going to issue a supplement when
11 the Staff approves that. And, you know, one of the
12 challenges is we're looking for an agency-wide
13 perspective on that performance-based seismic method
14 as opposed to just an NRR or a single reviewer's
15 perspective.

16 We're trying to get much wider group of
17 experts to weigh in because it's a significant issue
18 as we move forward in new ground.

19 MEMBER POWERS: I suspect what we'll do is
20 ask Professor Apostolakis to go through that with some
21 detail.

22 MS. DUDES: Yes. And perhaps one of the
23 things we can do -- we have the specific application
24 that we'll come to you and talk about. But I know
25 there's been some discussion.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And perhaps can get -- once the Agency
2 begins to take on a position and a perspective on that
3 performance-based method and they are looking at
4 revising the Reg Guides, they can come talk to the
5 Committee on the technical issue alone without linking
6 it up to an application.

7 And that would be -- separating those
8 sessions would be educational. And that way we could
9 focus on the seismic issue and then we can focus on
10 the application at a different time.

11 MEMBER POWERS: I think that's the way we
12 want to proceed.

13 MS. DUDES: And, that being said, I
14 appreciate Dr. Apostolokis' comments regarding the Reg
15 Guide. And I just wanted -- I was trying to think of
16 how to open this up and put this into some
17 perspective.

18 Reviewing these first-of-a-kind
19 applications and what does that mean -- I know this
20 committee also has reviewed the design certifications.

21 Well, we need to ask some of those
22 questions about, you know, why is it okay to look at
23 one method or another method? Because, as now we're
24 moving forward and we're approving early site permits,
25 we have design certifications, we'll before you again

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 with another design certification in 2005, six and
2 seven.

3 Dr. Beckner and I go back to our office,
4 and every day we're planning, and planning, and
5 planning, and getting asked questions about how ready
6 we are for combined license applications.

7 And these are looking more real than they
8 have ever, actually, in my career, but more real in a
9 long time. These early site permits are first-of-a-
10 kind.

11 And we need to be right. We need to do
12 them well. We need to do them right. And we need to
13 think about and ask these questions because we may
14 have existing guidance.

15 But we have new staff. Or we have new
16 guidance, you know, and we're trying to marry these
17 up. And, if we're going to be licensing new plants in
18 the next five years, we appreciate the comments.

19 We appreciate the review. And I was
20 thinking, as we go into the North Anna final safety
21 evaluation report meeting, which will be with you in
22 July, that maybe we can start with a process slide so
23 we can understand where the Staff's review is on the
24 early site permits, how we will incorporate the ACRS
25 review, issue a NUREG, and how that document actually

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 becomes the fundamental basis for the ASLB's mandatory
2 hearing.

3 So, all of these process issues and where
4 each one of us has our roles and responsibilities in
5 support of safety, you know, it's good to always
6 remind ourselves of that before we go forward.

7 MEMBER POWERS: I'm quite certain we will
8 as a subcommittee get together with you this fall, I
9 suspect, some time when it's convenient for all
10 concerned just to discuss the lessons learned from
11 having gone through three of them and how to make it
12 a useful, value-added process all around.

13 MEMBER KRESS: Could I ask the Staff a
14 question?

15 (No verbal response.)

16 MEMBER KRESS: When they review these
17 early site permits, do they look at all the Level 3
18 PRAs? I know at Grand Gulf I said there are several
19 of these done.

20 I don't know about the other two. Do they
21 -- is that a consideration when you look at these
22 early site permits at all?

23 MEMBER POWERS: I certainly don't.

24 MS. DUDES: No, not that I know of.

25 MEMBER KRESS: It seems to me like level

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 three is the issue associated with the sites

2 MEMBER POWERS: We look at --

3 MEMBER KRESS: If you're looking at risk
4 informing your decision --

5 MEMBER POWERS: I wasn't looking at risk
6 informing my decision.

7 MEMBER KRESS: I was. Well, I'm not
8 concerned about Grand Gulf because I agree with you,
9 this looks like an excellent site. But I might have
10 some trepidations about North Anna, you know, in terms
11 of level three.

12 MEMBER APOSTOLAKIS: We come to the thing
13 that the rule doesn't say that.

14 MEMBER KRESS: I understand. But the
15 Staff can exercise judgment on --

16 MEMBER POWERS: One would hope that the
17 ACRS would exercise judgment.

18 MEMBER KRESS: Yes.

19 MEMBER APOSTOLAKIS: This regulatory guide
20 is dated March 1997.

21 MS. DUDES: That is correct.

22 MEMBER APOSTOLAKIS: Is there any plan to
23 update it?

24 MS. DUDES: Yes. And I don't have the
25 exact plan. I'm not sure if someone wants to speak to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that. I mean, I could give you a general --

2 MR. MUNSON: Cliff Munson, a geophysicist
3 in the Division of Engineering. We formed a group
4 with NMSS and Research. And, high on our priority
5 list is updating Reg Guide 1.165.

6 So, I think we're looking at the next year
7 or so to begin doing that.

8 MEMBER APOSTOLAKIS: I'm a little
9 concerned about the timing here. By that time we will
10 probably have some decisions regarding those first
11 three ESPs.

12 You're updating the guide -- good idea to
13 do it this way.

14 MS. DUDES: Cliff, can I -- you can
15 correct me if I'm wrong in clarification. I think
16 that the update of the Regulatory Guide, any decisions
17 made in the ESP would be consistent with that.

18 We're not working in a vacuum. Therefore,
19 we wouldn't be considering updates or changes to that
20 guide that would not encompass decisions and analysis
21 that support conclusions in our safety evaluation
22 reports for the early site permits.

23 MEMBER APOSTOLAKIS: Laura, it should be
24 the other way.

25 MS. DUDES: It should. It may be.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER APOSTOLAKIS: We were told today
2 that, you know, the Guide says you can use this or
3 that. And we didn't.

4 MS. DUDES: Well, ideally, perhaps --

5 MEMBER APOSTOLAKIS: Well, we'll wait and
6 see. But, I mean, some time next year you say?

7 MR. MUNSON: Right, mid 2006 is the first
8 draft version of the update.

9 MEMBER APOSTOLAKIS: And that's when the
10 ACRS will get involved?

11 MR. MUNSON: I believe so.

12 MEMBER POWERS: Let's proceed on with
13 discussion at Grand Gulf.

14 MR. ANAND: Thank you, Laura. Good
15 morning. My name is Raj Anand. I am the Safety
16 Project Manager for the Grand Gulf early site permit
17 application.

18 I have with me John Segala. He will be
19 flipping the slides for me. John is a Senior Safety
20 Project Manager for the Clinton early site permit
21 application.

22 Let me get started. We are on slide two,
23 please. Our purpose here today is to brief the
24 Committee on the Grand Gulf early site permit
25 application, and to support the Committee's review and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 subsequently the Committee's interim letter that we
2 are going to request that you send it to the EDO.

3 We do have technical staff members here
4 who can answer your questions. Slide three, please.
5 This is today's agenda. After hearing Applicant's
6 presentation we have got a little smarter in the last
7 half an hour or so.

8 As directed by the subcommittee on May
9 16th, I will spend less time on the issues that have
10 been discussed by the Applicant and more time on the
11 issues that the Committee would like to discuss.

12 My total time for the presentation will be
13 less than 15 minutes.

14 MEMBER APOSTOLAKIS: This is wonderful.

15 MR. ANAND: Thank you.

16 CHAIRMAN WALLIS: That's the plan.

17 MR. ANAND: Slide four, please. This
18 slide discusses the regulatory framework, which of
19 course is a subpart eight to 10 CFR part 52, which
20 governs early site permit.

21 And Part 52 references subpart B to 10 CFR
22 part 100, which contends to applicable citing
23 criteria. 10 CFR 52.23 requires and ACRS report to
24 the Committee on the portion of the application that
25 pertains to safety.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And that's the reason we are here today,
2 sir. As you know, Grand Gulf is the third of the
3 three ESP applications the NRC is currently reviewing.

4 North Anna and Clinton application was
5 submitted to NRC in September of 2003. And the Grand
6 Gulf application was submitted in October 2003.

7 Slide five, please. Here are some of the
8 completed milestones. System Energy Resources, SERI,
9 submitted their early site permit application with
10 their letter dated October 16th, 2003.

11 The NRC Staff docketed the SERI's
12 application on November 21st, 2003. The NRC Staff
13 issued a draft safety evaluation report with open
14 items on April 7th, 2005.

15 The Staff also issued the draft
16 environment impact statement on April 21st, 2005. In
17 addition, the Staff and the Applicant briefed the
18 subcommittee on May 16th on the Grand Gulf early site
19 permit application.

20 Slide six, please. This slide is just the
21 review areas and the Staff reviewers. Most of the
22 Staff reviewers are here today to answer the question
23 in their areas of review.

24 Before I leave the list of the review
25 areas and reviewers, I just wanted to mention that the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Staff benefited from a number of experts input to the
2 draft safety evaluation report.

3 In the hydrology we had the support from
4 Pacific Northwest Lab. In some cases the lab did
5 independent evaluation of Applicant's evaluation and
6 conclusion.

7 PNNL also supported the site hazard
8 review. In geology and seismic area our staff was
9 benefited from the support of the United States
10 Geology Survey and the Brookhaven National Lab.

11 In emergency planning the Staff consulted
12 extensively with the Federal Emergency Management
13 Agency, FEMA. So, we had a large team involved in
14 reviewing the Grand Gulf early site permit
15 application.

16 Slide seven, please. The NRC Staff has
17 identified 23 open in the draft safety evaluation
18 report. These open items are listed in your handouts
19 as a back-up slide, slide 22, slide 28.

20 The Staff needs additional information
21 from the Applicant prior to developing a final safety
22 evaluation report. The Staff has started a conference
23 call with the Applicant to provide clarification on
24 the open items.

25 The responses to all the open items are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 due to Staff by June 21st, 2005. I spectrally submit
2 to the Committee that we will discuss with you the
3 open items and their resolution when we brief the
4 Committee on the final safety evaluation.

5 MEMBER APOSTOLAKIS: Is this list
6 consistent with Dr. Powers' statement that this is a
7 pretty good site?

8 MR. ANAND: Yes.

9 MEMBER APOSTOLAKIS: Maybe I'm
10 misunderstanding what an open item is. I mean, you
11 said that they never -- it's a low population area,
12 the seismology seems to be good.

13 And now they have five open items there,
14 one on population.

15 MEMBER POWERS: Have you looked at --

16 MEMBER APOSTOLAKIS: Are these just
17 clarifications or what?

18 MEMBER POWERS: Have you looked at the
19 particular open items?

20 MEMBER APOSTOLAKIS: No.

21 MR. ANAND: Those are basically
22 clarifications?

23 MEMBER APOSTOLAKIS: Clarifications?

24 MR. ANAND: Right, sir.

25 MEMBER APOSTOLAKIS: And you call those

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 open items?

2 MR. ANAND: Yes. Slide eight, please.
3 Here are some draft safety evaluation report
4 conclusions. The safety evaluation report that we
5 published on April 7th, 2005 contained open items.

6 In those sections that contain open item,
7 the Staff has not reached a conclusion regarding the
8 adequacy of the information provided in the draft
9 safety evaluation report.

10 In a number of other sections, however,
11 where there are no open items, we have reached some
12 conclusions. For example, the Applicant, we believe,
13 has provide appropriate quality assurance measures
14 equal to those in 10 CFR part 50, Appendix B.

15 Site characteristics are such that
16 adequate security plans and measures can be developed,
17 which is largely a function of both topography and the
18 amount of the land they have available.

19 And we believe that SERI has adequate
20 sites to support the security measures. Slide nine,
21 please. Some additional conclusions from the
22 individual section without open items.

23 SERI, the Applicant, has established
24 appropriate atmospheric dispersion characteristics to
25 support design basis radiological calculations. Based

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 on Applicant's use of the plant parameters envelope
2 and the site character state, the Staff concludes that
3 the site meets the radiological nuance consequences
4 criteria as provided in 10 CFR 50.34(a)(1).

5 Of course, when actual design comes in the
6 combined license application, then the Staff will need
7 to compare these release characteristics with those
8 that are assumed at the ESP stage.

9 Another conclusion the Staff has reached
10 in the draft safety evaluation report is that the
11 potential hazards associated with nearby
12 transportation routes, industrial and military
13 facilities, pose no undue risk to the facility that
14 might be constructed on the site.

15 Slide ten, please. SERI requested their
16 ESP site be approved for total nuclear generating
17 capacity of up to 8,600 megawatt thermal with maximum
18 4,300 megawatt thermal per unit.

19 MEMBER DENNING: Excuse me, can I ask a
20 question at this point in that?

21 MR. ANAND: Yes.

22 MEMBER DENNING: As far as approving the
23 site for like 8,600 megawatts thermal, is the only
24 thing that limits that -- is that the environmental
25 impact?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 In particular from a safety viewpoint, is
2 there anything that restricts -- when you approve the
3 site, is there anything from safety viewpoint that
4 says that 8,600 is acceptable but 12,000 would be
5 unacceptable?

6 Or is this strictly determined by
7 environmental impact, heat loads and this type of
8 stuff?

9 MR. ANAND: The Applicant has provided the
10 PPE, we call it a plant parameters envelope. And,
11 with a maximum, they can go up to the 4,300 megawatt
12 thermal per unit.

13 As you mentioned, the environmental impact
14 statement has considered the total approved nuclear
15 generating capacity of 8,600 megawatt thermal on that
16 site.

17 MEMBER DENNING: Yes. Radiological
18 concerns, is there anything that limits it
19 radiologically? From safety viewpoint, is there
20 anything that, you know, they've asked for 8,600.

21 As you review it, is there anything
22 radiologically that says 8,600 is acceptable but
23 12,000 would not be acceptable or something like that?

24 (No verbal response.)

25 MEMBER DENNING: I mean, it's not obvious

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to me that there is anything in the early site permit
2 review that is dependent upon that. And I was just
3 curious.

4 Is that the case? I mean, obviously it's
5 an area of particular concern to Dr. Kress. And I was
6 just curious, does it enter into your assessment in
7 any way from a radiological viewpoint?

8 MR. BECKNER: Yes, this is Bill Beckner.
9 I've got Jay Lee here who will correct me if I'm
10 wrong. But, there are assumed source terms for the
11 various dose calculations that are done.

12 Again, it's done in an envelope type
13 fashion. So you obviously couldn't put 10,000
14 megawatt plants on the site, or a 10,000 megawatt
15 plant.

16 MR. SCOTT: It's what the Applicant
17 submits and the Staff evaluates the combination of the
18 PPE and the site. So, they don't do an analysis that
19 says, what if they wanted to have 2,000 more
20 megawatts.

21 That type of analysis is not done here.
22 So, --

23 MR. BECKNER: But I think you're right.
24 The heat load is the big driver and directly the does
25 calculation to come up with the site of the plant.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER DENNING: But there's no standard
2 source term per plant, is there? I mean, it would
3 depend upon the design of the plant as to what the
4 source term would be.

5 MR. SCOTT: And that's provided by the PPE
6 as the surrogate design, which is made up of the
7 parameters that the Applicant chooses to take credit
8 for here at the ESP stage recognizing that, because
9 they use the PPE concept, the early site permit is not
10 issued for any particular design, but is issued for
11 the acceptance of the site in conjunction with those
12 assumed design parameters.

13 MEMBER DENNING: But then, when you pick
14 the plant, it would have to fit within that envelope.

15 MR. ANAND: Right.

16 MR. SCOTT: Or further analysis would be
17 needed.

18 MR. ANAND: Right. Thank you, Mike. SERI
19 has declined to submit a specific design at this
20 stage. But Applicant has submitted a plan design
21 parameters that are represented.

22 And they intend to be the bounding for
23 those reactor design, such as advanced boiling water
24 reactor, Westinghouse AP1000 for economic and
25 simplified boiling water reactor.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The Staff is reviewing the Applicant's
2 planned parameters from the standpoint of whether they
3 are reasonable. It is then the Applicant's burden to
4 make sure that they pick up the plant parameters such
5 that when they come for a combined license application
6 with the actual design that it fits within those
7 parameters.

8 Slide 11, please. Just to give you a few
9 details of the Grand Gulf site and the Applicant, the
10 Grand Gulf ESP application was submitted for the site,
11 which is basically within the existing operating Grand
12 Gulf nuclear station, unit one.

13
14 Original Grand Gulf nuclear site was
15 designed for two units. Unit one was licensed in June
16 1982. Construction of the second unit was halted
17 prior to the completion.

18 However, the switch yard for both the
19 units was completed. The ESP Applicant, SERI, plans
20 to use the existing switch yard for the proposed ESP
21 units.

22 After the early site permit is received by
23 SERI from the Commission, the SERI has no plan to
24 perform any activity on the ESP site. Therefore, the
25 Applicant has not submitted a site redress plan. Slide

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 12, please.

2 CHAIRMAN WALLIS: May I ask you about
3 this?

4 MR. ANAND: Sure.

5 CHAIRMAN WALLIS: I asked earlier the
6 Applicant about how they control the exclusion area.
7 They said they didn't have a fence around it.

8 MR. ANAND: Right.

9 CHAIRMAN WALLIS: How do they control it?
10 This is one of your open items, isn't it? How do they
11 exclude people if there's no fence? What does
12 exclusionary mean then if there's boundary?

13 MR. ANAND: I have attorneys from our
14 Office of General Counsel, Mike Woods. Mike, would
15 you please come to the microphone and explain to the
16 Committee?

17 MR. WOODS: The definition of the
18 exclusionary under the citing criteria of part 100 is
19 that the Applicant has the authority to determine all
20 activities within that zone, including the authority
21 to determine activities that take place in that area,
22 and the authority to exclude individuals and property.

23 We have been working with both the Staff
24 and the Applicant to reach resolution of this issue.
25 We believe that by the time that the FSER is issued,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we will have reached resolution of this.

2 In practical purposes here, the site
3 boundary extends far beyond and encompasses the entire
4 exclusionary boundary for the proposed new units for
5 the ESP site.

6 And we, I suppose we feel that the
7 ownership of the site being completely held by the
8 Applicant, we are reasonably likely to be able to
9 issue a finding that they have demonstrated the
10 requisite authority and control in that exclusionary
11 boundary.

12 CHAIRMAN WALLIS: They have authority, but
13 there's no physical marking. I don't understand how
14 you exclude people unless you have a fence.

15 MEMBER SIEBER: A lot of plants are like
16 that.

17 CHAIRMAN WALLIS: People can just walk
18 onto the site and then someone can throw them off?

19 MEMBER SIEBER: Yes.

20 MR. WOODS: As a practical matter, there
21 is no physical barrier there existing. However, that
22 would be similar to the situation at a majority of
23 plants around the country.

24 The legal standard that they have to meet
25 is that they have the authority exclude people and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 property from that site. As a practical matter, there
2 being security on site at all times, the Applicant has
3 that ability. And we are reasonably sure that --

4 CHAIRMAN WALLIS: When the flood waters
5 are lapping up on the bluff there, they still exclude
6 people from the water?

7 MEMBER POWERS: I guess I'm wondering
8 where you're going with this?

9 CHAIRMAN WALLIS: Well, it seems to me
10 that, as a member of the public, if it says exclusion
11 area boundary, I would expect to see something
12 physical there to exclude people.

13 And I'm surprised that apparently people
14 can wonder around. And then it's up to them to figure
15 out whether or not we're going to throw them off.
16 That seems to me rather peculiar.

17 MR. WOODS: Well, I guess as a theoretical
18 matter, someone can pass across that boundary. For
19 certain there is no physical item there. However,
20 that is not what is required by Part 100.

21 CHAIRMAN WALLIS: I see. It's okay. I'm
22 just learning. It's a little surprising.

23 MR. WOODS: I mean, for all practical
24 purposes, the Applicant does control the site and its
25 environs and, you know, maintains security at the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 site, and ensures that people do not, you know, wonder
2 about where they shouldn't be.

3 MEMBER ROSEN: Well, this line of
4 questioning has raised a question in my mind about the
5 fact that the exclusion area boundary doesn't extend
6 to all of the structures and such outside down near
7 the river.

8 Does that mean that people could just go
9 up on that at will?

10 MEMBER SIEBER: The other concept I think
11 that we haven't discussed is the outermost boundary is
12 the owner-controlled area. And the owner-controlled
13 area is much larger than the exclusion area.

14 And the owner-controlled area is typically
15 posted. Sometimes at some plants it's fenced. It's
16 typically patrolled or surveilled, you know, with TV
17 or what have you.

18 The exclusionary is generally pretty small
19 and may include things like the parking lot and
20 cafeteria and warehouses and things like that. The
21 protected area is much smaller.

22 It's always double fenced. It always has
23 detection equipment located there. And so, that's
24 where the prevention of entry to the public finally
25 occurs.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SCOTT: If you look at the rule at
2 100.3, it allows things like highways, railroads, and
3 waterways to go through the exclusion area.

4 CHAIRMAN WALLIS: Exclusion is a funny
5 term.

6 MR. SCOTT: It's exclusion --

7 CHAIRMAN WALLIS: It's a strange term to
8 use to describe such an open area. It's not absolute.

9 MEMBER DENNING: And it's purpose, of
10 course, is strictly for the 10 CFR 100 site does
11 calculation.

12 MEMBER SIEBER: Yes, you don't want
13 somebody building their house.

14 CHAIRMAN WALLIS: That's what makes it so
15 artificial.

16 MR. SCOTT: It doesn't mean that people
17 have to be excluded from it at all times. And it
18 means -- and it says so in the rule -- that the
19 Applicant or the licensee has the authority to remove,
20 and the capability to remove people if an emergency
21 happens.

22 MEMBER SIEBER: That's right.

23 CHAIRMAN WALLIS: So it makes this whole
24 site dose thing rather artificial. Someone isn't
25 going to stand on the circle. They can wonder inside

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and get the higher dose.

2 MEMBER POWERS: Because it's a tool for
3 assessing the design in the site. It is not
4 particularly a safety measure. It's a matter of
5 evaluating.

6 Is this a good place to put things? Is
7 this an adequate design?

8 CHAIRMAN WALLIS: It seems to mean very
9 little. So, maybe we should --

10 MEMBER DENNING: Well, it makes sure that
11 people aren't going to build houses also inside.

12 CHAIRMAN WALLIS: Oh, okay.

13 MEMBER SIEBER: Or bring their cow there.

14 MEMBER POWERS: Please go ahead.

15 MR. ANAND: Yes. The small orange circle
16 in the middle is the footprint area of the proposed
17 ESP car bluff. The yellow circle is the proposed
18 early site permit, ESP exclusion area.

19 And the green circle is the low population
20 zone. The Applicant has defined the exclusion area
21 boundary as a circle radius of 2,760 feet for a .52
22 miles. And the low population --

23 CHAIRMAN WALLIS: He can define that any
24 way he likes?

25 MEMBER POWERS: There is a prescription.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: I thought there would be
2 a prescription.

3 MEMBER POWERS: There is a prescription.

4 CHAIRMAN WALLIS: So, the Applicant has
5 defined it? Presumably it's according to some law or
6 some rule.

7 MEMBER POWERS: Well, what there is is a
8 minimum that you have to go in. And I believe this
9 exceeds that.

10 MR. ANAND: And the low population zone is
11 a circular radius of two miles both from the
12 circumference of the 630 feet circle in passing the
13 proposed power block housing containment structures
14 for the ESP units.

15 The exclusion area boundary for the ESP
16 unit is contained within the --

17 CHAIRMAN WALLIS: What's with all this
18 describing it? If you just say that it meets all the
19 regulations, we could get on with it. But, I mean,
20 just going through the litany of describing it doesn't
21 tell me anything. It meets all the regulations?

22 MR. ANAND: Yes, sir.

23 MEMBER SIEBER: Okay.

24 MR. ANAND: Now, let me talk some of the
25 ESP site features related to hydrology. Slide 13,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 please. Grand Gulf ESP site is located on the east
2 bank of the Mississippi River near river mile 406 and
3 approximately 25 miles south of Vicksburg and six
4 miles northwest of the Port Gibson Mississippi.

5 The existing Grand Gulf operating unit one
6 is located 700 feet from the proposed ESP site. The
7 makeup and the normal service water for the ESP
8 facility would be supplied from the Mississippi River.

9 The ultimate heat sink for the ESP
10 facility will use the closed cooling water system, the
11 mechanical draft cooling towers. The ESP unit will
12 not rely on water intake from the Mississippi River.
13 The ESP facility will --

14 CHAIRMAN WALLIS: You're listing all these
15 things because these are things that have to meet some
16 requirements?

17 MR. ANAND: Yes.

18 CHAIRMAN WALLIS: And yet they've all been
19 checked that they do meet some requirement?

20 MR. ANAND: Yes, sir. The ESP facility
21 will have a dedicated water storage basin to hold for
22 30 day emergency cooling water. The Staff
23 independently verified that the flood in the
24 Mississippi River is not a threat to the ESP site.

25 The nearest bank of the Mississippi River

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is approximately 1.1 miles from the ESP site. The
2 site is located 65 feet above the normal river level,
3 therefore the distance and the river bluff provides
4 the protective features for the ESP site.

5 Staff also consulted with the code of
6 engineers and the Staff independently verified the ESP
7 site is safe from flooding. In addition, the Staff
8 independently verified that low water elevations
9 resulting from the ice jams or other causes would not
10 adversely affect the safety of the ESP facility.

11 CHAIRMAN WALLIS: What is a flood-carrying
12 capacity?

13 MR. ANAND: Goutam? May I take a help
14 from him?

15 MR. BAGCHI: My name is Goutam Bagchi. I
16 did the hydrology review with assistance from DNNL. I
17 do not remember off-hand what the flood-carrying
18 capacity of the Mississippi River is.

19 But it is so substantial that any upstream
20 damn failure was found to be not a problem at the
21 site. I'm not probably addressing the question
22 directly head-on.

23 But, if you need, I'll provide
24 supplementary literature.

25 CHAIRMAN WALLIS: No. I just thought I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 had to ask some question to find out if you knew what
2 you were doing. You were just listing things.

3 MR. BAGCHI: No, we did it. For example,
4 in our DSER we have figure which shows if we --

5 CHAIRMAN WALLIS: So this is the amount of
6 water the river could carry in the case of a damn
7 break. And it's okay.

8 MR. BAGCHI: Oh, yes, sir. Indeed.

9 MR. ANAND: Slide 14, please. The
10 proposed Grand Gulf ESP site is located in a relative
11 low seismic region. The Applicant has identified no
12 active seismic force within a 90 mile radius from the
13 location of the ESP site and no earthquake recorded
14 within a 25 mile radius since 1997 -- 1977, I'm sorry.

15 MEMBER SIEBER: No, keep trying.

16 MR. ANAND: The Grand Gulf site is a deep
17 soil site. The Applicant --

18 MEMBER POWERS: I think what they're
19 asking you is your slide says 1777.

20 MEMBER APOSTOLAKIS: That's what you
21 meant?

22 MR. ANAND: Oh, yes, 1777.

23 CHAIRMAN WALLIS: Which is the right
24 answer?

25 MR. ANAND: I think 1777 is the right

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 answer. I'm sorry, I read it wrong.

2 MEMBER POWERS: I think that's not
3 correct. I believe you have a seismic vent just
4 outside the 25 mile relatively recently.

5 MR. ANAND: The Applicant has used the
6 regulatory guide --

7 MEMBER APOSTOLAKIS: This is all not too
8 elegant. Do you agree with me? Because the east
9 coast is a very weak attenuator. So, whether it's
10 within 25 miles or 200 miles, it's not California. In
11 California that's important.

12 MR. ANAND: Yes, I fully agree with you,
13 sir.

14 MEMBER APOSTOLAKIS: Okay.

15 MR. ANAND: The Regulatory Guide 1.165
16 describes the matters acceptable to the NRC staff for
17 determination of the SSE. Slide 15, please. After
18 Applicant's investigation and their seismic hazard
19 analysis, the Applicant presented their SSE as shown
20 in the red curve, which is based upon the regulatory
21 guide 1.165 approach.

22 If a future reactor design at this ESP
23 site follows the Regulatory Guide 1.160 and anchored
24 at the peak ground acceleration at .3G, then their
25 design response specter for a future reactor will look

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 as shown in the blue line curve.

2 Slide 16, please. First of all, regarding
3 emergency planning, SERI, like other two early site
4 permit applicants, elected to seek acceptance award
5 our effort as a major features of the emergency plan
6 as provided in 10 CFR 52.17.

7 The concept major feature is not defined
8 in detail in regulation. So we end up having to deal
9 with exactly what is a major feature and what finality
10 does it provide to the Applicant?

11 The review guidance that we have used for
12 the review of the major features is supplement 2 to
13 NUREG-0654. This is the NRC and FEMA joint document.

14 There have been some concerns in the
15 industry regarding the degree of the finality
16 associated with the major feature because the
17 Applicant objective at the early site permit is to
18 achieve finality on as many features as it can.

19 The Staff can, at the early site permit
20 stage, review that information against the planning
21 standards provided in supplement 2 to NUREG-0654.
22 And, if the Staff wants the description to be
23 acceptable and conclude that the major features is
24 acceptable, then the conclusion is final subject to
25 the requirement of 10 CFR part 52.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 However, the Staff can grant finality as
2 to the overall description. But the Applicant will
3 need to address the implementation details at the
4 combined license application.

5 So we see that the Applicant can obtain
6 limited finality with the major feature option. For
7 example, the siren for notification is a major
8 feature.

9 However, at the COL stage the Applicant
10 needs to provide implementation as, for example,
11 number and placement, power supply, etcetera. Slide
12 17, please.

13 Here are some future milestones. The NRC
14 Staff requests ACRS interim letter to the EDO on the
15 draft safety evaluation report by the end of June,
16 2005.

17 The Staff plans to issue the Grand Gulf
18 early site permit final safety evaluation approved on
19 October 21st, 2005. The Staff will provide a final
20 safety evaluation approved to ACRS also in October of
21 2005.

22 As the current schedule indicates, the
23 ACRS subcommittee meeting for the final safety
24 evaluation report is scheduled for November 22, 2005.

25 And the full committee meeting is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 scheduled for December 8, 2005. Again, we will
2 request ACRS letter to EDO on the final safety
3 evaluation report in December 2005.

4 The NRC Staff will incorporate the ACRS
5 letter and will issue a final safety evaluation report
6 as a NUREG by January 28, 2006. There are mandatory
7 hearings for the early site permit applications.

8 These mandatory hearings will begin in
9 2006. There are no contentions admitted in the SERI's
10 application. The uncontested hearing will begin upon
11 the completion of the Staff's final safety evaluation
12 report and the final environmental impact statement.

13 MEMBER POWERS: The mandatory hearing will
14 be held in the Vicksburg area?

15 MR. ANAND: Well, it depends upon the
16 Board, where they want to hold it.

17 MS. DUDES: There are three separate
18 boards. I think that there was something about trying
19 to locate the hearings at the sites. But I'm not sure
20 if that decision has been made.

21 MEMBER POWERS: Okay. You will let us
22 know?

23 MS. DUDES: Yes, absolutely.

24 MEMBER POWERS: I would not be -- I don't
25 know that we would attend them as a whole group -- a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 prescriptive aspect of our review. But I would not be
2 surprised if we attended one or more.

3 MS. DUDES: Okay.

4 MEMBER POWERS: We being a member or more.

5 MS. DUDES: Well, these are the first
6 mandatory hearings in 20 years and the first part 52
7 mandatory meetings, I think. I think hopefully a lot
8 of people will attend.

9 MEMBER POWERS: I mean, I think it's
10 worthwhile to at least --

11 MS. DUDES: Yes.

12 MEMBER POWERS: -- expose oneself to these
13 things.

14 MS. DUDES: Yes.

15 MR. ANAND: Slide 18, please.

16 MEMBER DENNING: I'm sorry, is it normal
17 for an SER -- I mean, it isn't normal for an SER to
18 become a NUREG, is it?

19 MR. ANAND: Yes. The final safety
20 evaluation report we published as a NUREG, which
21 includes the ACRS letter and the NUREG. This is a
22 standard practice.

23 This is just the wrap-up slide. The NRC
24 Staff issued the draft safety evaluation report for
25 SERI's early site permit application on April 7th,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 2005.

2 The open is item responses on the draft
3 safety evaluation report are expected by June 21st,
4 2005. We are looking forward to seeing interim ACRS
5 letter and to briefing the subcommittee and the full
6 committee on the final safety evaluation report during
7 the November and December 2005.

8 I would like to emphasize that the Staff
9 is on the right track, and will keep on doing a good
10 job. This concludes my presentation. Thank you for
11 your patience and for listening to me.

12 MEMBER POWERS: Thank you, Raj. I will
13 comment that, despite the length of these documents
14 you have to produce, I find them remarkably readable.

15 And I appreciate very much highlighting
16 where open items and COL items, and things like that.
17 I think you deserve a lot of credit for that. It is
18 not difficult to understand why the Staff has done
19 independent analyses and where they have simply
20 reviewed material submitted by the licensees.

21 And I will comment that that has been an
22 area of sensitivity by the ACRS on SERs for some time,
23 that we couldn't tell what the Staff had done and what
24 they were simply reading.

25 And I at least had no trouble

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 understanding where you had done independent
2 assessments and where you had simply reviewed the
3 material.

4 MS. DUDES: Thank you for the Staff.

5 MEMBER POWERS: Well, I think you've done
6 a real good job.

7 MR. ANAND: Thank you, sir.

8 MEMBER POWERS: And, I mean, you get a
9 document like this and you go, oh my God. And then
10 you find it's actually quite readable. The stuff you
11 provide at the beginning that tells me what to read,
12 where, very useful.

13 MS. DUDES: You can turn around and see
14 Mike Scott sitting over there who really designed some
15 of the formatting of these documents.

16 MEMBER POWERS: I refuse to attribute any
17 credit there at all.

18 (Laughter.)

19 MEMBER POWERS: He has to protect himself.
20 I am sure that you changed everything as soon as he
21 left.

22 MR. SCOTT: Moving right along --

23 MR. ANAND: Thank you, sir.

24 MEMBER POWERS: Now I'd like to bring up
25 just a couple of issues. The two things that I would

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 like -- the Committee should be aware of, in a
2 previous letter -- interim letter -- we have asked the
3 Staff about how they prognosticate weather into the
4 future.

5 MR. ANAND: Right. And we have responded.

6 MEMBER POWERS: And there is a yet-to-be-
7 seen response on that. On this site we have another
8 weather issue that I think we need to discuss at some
9 time.

10 And that is, what they're in the business
11 of doing is characterizing these sites, laying down
12 what kinds of things need to be considered if you
13 choose to build a nuclear power plant on this site.

14 Here we have a peculiar situation. If one
15 defines how much snow can possibly be on the ground in
16 this area, in Mississippi, one comes up with a big
17 number, I mean a remarkably big number.

18 And you can't say, well, that was a
19 peculiarity, because it's a relatively recent thing.
20 Then if you ask on top of that snow build-up what can
21 be the maximum snow fall that you would have over a
22 finite period of time -- I think it's 48 hours -- you
23 come up with another remarkably big number.

24 And, if you treat those two as independent
25 characteristics of the site, you come away saying,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 gee, that's a lot. But they're not independent. To
2 get the big snow, you had a big snow fall.

3 And, the Staff has done this. I mean,
4 they have written down here the characteristics of the
5 site. And I wonder if that's a fair characterization
6 of the site.

7 I mean, if I live in some place in
8 Connecticut I could certainly understand a heavy snow
9 build up in a 48 hour period in which I had some more
10 snow fall.

11 In Vicksburg Mississippi, I just don't
12 believe those are two independent events.

13 CHAIRMAN WALLIS: Storms tend to come in
14 sequences too.

15 MEMBER POWERS: Yes, and that's another
16 thing to think about.

17 MR. BAGCHI: Can I just make a comment,
18 please? This is Goutam Bagchi. Sir, your observation
19 about the snow load and probably winter maximum
20 precipitation accommodation is appropriate.

21 Nevertheless, it is a function of the
22 design of the roof whether or not that kind of load
23 has to be carried by the roof. And also the ambient
24 temperature conditions, where appropriate
25 justifications are provided, those things could be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 considered in a much more rational number.

2 I mean, it boils down to a much more
3 rational number. And the structures would never have
4 to be designed for that kind of load. It doesn't
5 apply to those warm climates in the southern parts of
6 the United States.

7 So, this is the provision that has been
8 applicable throughout the entire continent of the
9 United States. Many locations do need something like
10 that.

11 And that's an extreme environmental load
12 condition. It doesn't combine with anything else.

13 MEMBER POWERS: Any other questions. In
14 that case, I would like to ask if there are anyone in
15 the audience that would care to make comments?

16 (No verbal response.)

17 MEMBER POWERS: I see none. In that case,
18 Mr. Chairman, I will thank all the speakers.

19 CHAIRMAN WALLIS: Thank you. I've been
20 very eager to take a break. We seem to be slipping
21 from our usual ability to keep on time. We'll take a
22 break until 25 minutes to 11.

23 And I hope to catch up later on if we can.
24 Thank you, gentlemen.

25 (Whereupon, the above-entitled matter

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 went off the record at 10:22 a.m. and
2 went back on the record at 10:37 a.m.)

3 CHAIRMAN WALLIS: Let's please come back
4 into session. I will turn to Professor George
5 Apostolakis to lead us through the next item.

6 MEMBER APOSTOLAKIS: Thank you, Mr.
7 Chairman. The purpose of this meeting is to discuss
8 the draft final regulatory guide Risk-Informed,
9 Performance-Based Fire Protection for Existing Light-
10 Water Nuclear Power Plants.

11 Our subcommittee on fire protection met on
12 this matter on May 17 of this year. And, just to
13 remind a few facts to the Committee, the National Fire
14 Protection Association issued the Performance-Based
15 Standard for Fire Protection for Light-Water Reactors
16 in 2001.

17 And it is known as NFPA 805. In July of
18 2004 the Commission amended its fire protection
19 requirements in 10 CFR 50.48 to add 10 CFR 50.48(c),
20 which incorporates the 2001 addition of NFPA 805 by
21 reference with some exceptions.

22 Adopting NFPA 805 requires a submission of
23 a license amendment of a license amendment to the NRC.
24 And the Nuclear Energy Institute, working with
25 representatives of the Industry and the Staff, has

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 developed a part commonly known as NEI 04-02 that is
2 intended to assist the utilities in implementing the
3 transition to NFPA 805 and then, you know, operating
4 the plant using NFPA 805.

5 So this draft regulatory guide provides
6 the Staff's position on the report of NEI 04-02. And
7 we will hear from the Staff on this guide. And then
8 we are expected to write a letter on this.

9 So, who is starting? Sunil? Okay. The
10 floor is yours.

11 MR. WEERAKKODY: Okay. Thank you, Dr.
12 Apostolakis. I'm Sunil Weerakkody, Section Chief of
13 Fire Protection, NRR. We are here today to request
14 that the ACRS endorse our issuance of the final Reg
15 Guide on NFPA 805.

16 Sitting in front are Paul Lain, who is the
17 project manager for NFPA 805, who is responsible for
18 all aspects of 805. Bob Radlinski is the leading team
19 leader for the NFPA Reg Guide.

20 I asked Naeem Iqbal to join us. He may
21 not be saying a whole lot today. But, as we move on
22 in future presentations to fire modeling, he's our in-
23 house fire modeling expert.

24 He has a Masters in Fire Protection. He
25 called the NUREG 1805 Fire Dynamics Two. And he

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 routinely advising the visiting inspectors on how they
2 should be using fire models such as CFAST.

3 Next slide, please. As you all know, we
4 issued the rule in June of last year. We issued the
5 regulatory guide in September of last year for
6 comment.

7 We are here today to ask for your
8 endorsement to issue the final Reg Guide. Now about
9 the outline, on May 17th, we provided a presentation
10 to the subcommittee.

11 We decided to significantly modify our
12 presentation to the full committee based on a number
13 of comments and questions placed at that meeting.
14 Almost all questions and comments we received during
15 the subcommittee were related to use of fire PRAs and
16 fire modeling.

17 Chairman Wallis specifically commented
18 that the ACRS would be more interested in the
19 technical as opposed to the process issues. As such,
20 as you can see, Dr. Gallucci would be making a
21 presentation showing how he would use the PRAs and
22 fire models in support of a change analyses.

23 However, we wanted to make sure that the
24 members that were not present at the subcommittee
25 meeting are cognizant of the program and high level

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 issues with respect to the Reg Guide.

2 Therefore, Mr. Lain and Mr. Radlinski will
3 give you a quick overview of the program and the Reg
4 Guide. I have asked -- to the agency positions in
5 accordance only Reg Guide, because I think one of the
6 things he would recognize is that, in terms of what
7 reg and where we want to go, we are aligned with you
8 in terms of emphasis on the five PRAs.

9 And we will go as far as the rule would
10 allow us to go. And so, we do look forward to your
11 comments, Dr. Apostolakis. And, even though it's NEI
12 04-02, since it is going to be a part of the Reg
13 Guide, we clearly have the option to ask them to
14 change it in the way we like or take exemption.

15 So, we're not hindered in any way to do
16 what we think is right. One other thing we need to
17 mention is, after we met with you on May 24th, 23 met
18 with CRGR.

19 They had a number of comments. But, one
20 question that they raised was the safety security
21 interface with respect to 805. Consequently, we
22 cleared the paragraph that we paragraph that we plan
23 to insert in the 805 Reg Guide, which was not in the
24 version that we sent to you.

25 We have included that paragraph for your

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 information only. It's pre-provisional today.
2 Finally, one of the things that I want to mention but
3 not go into details is the fact that, unlike other
4 risk informed regulations that you have received and
5 approved, when the Agency, including yourself,
6 approved 805, there was some subtle differences.

7 Please recognize that the rule is titled
8 Performance-Based and we used risk informed in change
9 analysis. And one of the things I want to emphasize
10 is that, in terms of maintaining regulatory oversight
11 in comparison to everything that we have in 50.48(c)
12 or 805 rule, every licensee who comes to 50.48(c) or
13 805 is still required to meet 50.48(a), which refers
14 to the general design criteria.

15 We will be -- I know you have access to
16 those documents. But I took the trouble to print out,
17 you know, a hard copy of both GDC 3 and 50.48. I think
18 the point I want to make is that there have been
19 concerns among different stakeholders whether a
20 licensee were approved, 805 could make significant
21 changes to the plan which could affect some key fire
22 protection features, such as say if you have a diesel
23 room and the core damage frequency coming from the
24 diesel room is ten to the minus nine.

25 Can they remove the fire protection system

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in the diesel room? The answer is no. 50.48(a) still
2 requires some major -- some fundamental fire
3 protection features to be at the plants.

4 With that, I'm turning it over to Paul
5 Lain. And, in fact, I will not sit here. I'm going
6 to sit there.

7 MR. LAIN: Well, Good morning everybody.
8 I think most of the Committee members I've briefed
9 before on this subject on NFPA 805. I work for Sunil,
10 and John, and Suzie Black over here for another day,
11 I think.

12 (Laughter.)

13 MR. LAIN: And previous to that I worked
14 as a Project Manager under NMSS for Siemens Fuel Cycle
15 Facility. And then, previous to that, Department of
16 Energy.

17 I was in the Rocky Flats Program Office.
18 So, that's a little bit about me. Our objective, as
19 Sunil said earlier, is that we're seeking endorsement
20 to publish the NFPA Reg Guide.

21 I'll be talking quickly about the
22 Regulatory Guide schedule and industry interest. The
23 Commission approved the rule in June. And it became
24 effective in July.

25 ACRS deferred the review of the draft

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 comment we requested that went out for public comment.
2 We had public meetings in October when it was
3 initially out and then also again in January.

4 We received a number of comments, mainly
5 from NEI. It turned out to be about 30 unique
6 comments. And we addressed those with the public in
7 a public meeting in January.

8 Most of those public comments were
9 incorporated into NEI04-02. And then we address some
10 in the regulatory guide. We have addressed the
11 subcommittee in May and the CRGR in May.

12 And we're working on comments with CRGR.
13 And then also we're addressing you today. We'd like
14 to have -- try to have your letter here in June so we
15 can get our final publication to go out.

16 Industry interest has always been a
17 committee's question in the past on 805, who is really
18 going to actually transition since it's voluntary.

19 Duke has sent in a Letter of Intent in
20 February. They're the first one to test the waters.
21 And they committed for Oconee to be one of our first
22 pilot plants.

23 Their intent is also to transition all
24 seven of their units. And this gives a basic time
25 schedule on when they're going to transition. They've

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 also said that they are going to spend time, you know,
2 developing fire PRAs for each site.

3 They're doing cable tracing. They're
4 reconstituting their Appendix R program. So, they are
5 spending a lot of money and time on each site to do
6 that.

7 We've had another meeting with Progress
8 Energy since the subcommittee meeting. They said
9 they're going to send in their Letter of Intent in
10 June.

11 They've also indicated that they would
12 like their Harris plant to be one of the pilots. They
13 also plan to do fire PRAs on all of their plants.

14 And I think that's the reason why it's
15 going to take longer. We initially thought it was
16 going to take two years to transition. But, some of
17 them may be a little bit longer because they plan to
18 do actually the fire PRA in that timeframe.

19 We've also heard through the grapevine
20 that a few other facilities are looking at it. But we
21 haven't gotten any real presentations or anything from
22 any other facilities.

23 MEMBER ROSEN: Do they specifically say
24 they're going to use the risk re-quantification
25 methods and NUREG/CR-6850?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LAIN: I'm not sure. We haven't
2 actually asked that question. But, Ray, have you
3 heard any indication?

4 MR. GALLUCCI: On Duke?

5 MR. LAIN: On Duke or -- I don't know if
6 we've gotten to that level of --

7 MR. GALLUCCI: This is Ray Gallucci.
8 Well, Dennis Hennecke is running the Duke analysis.
9 So, he was part of all -- you know, he was the peer
10 reviewer on the NUREG/CR-6850.

11 So, I would suspect that they're going to
12 use that to the extent that's possible. They may have
13 some existing analyses which they deem adequate and
14 not choose to update.

15 But I would suspect that anything they're
16 going to update would follow the techniques in there.
17 I don't know if Progress Energy has the same intent.

18 But I would suspect they would. They
19 should be aware of it.

20 MR. LAIN: Okay. Let me turn it over to
21 Bob Radlinski and have him discuss a little quickly
22 about the Reg Guide.

23 MR. RADLINSKI: All right. I'm Bob
24 Radlinski. I'm a licensed Fire Protection Engineer.
25 And I work in Suni Weerakkody's group. The first

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 slide is a summary of the scope of the regulatory
2 guide.

3 The Guide endorses NEI04-02, which is the
4 primary implementation guide. And it's for a plant
5 that's transitioning to an 805-based fire protection
6 program and also provides guidance on how to maintain
7 that program.

8 The Reg Guide also endorses NEI00-01,
9 which provides industry guidance for performing post-
10 fire safe shutdown circuit analyses. The Reg Guide
11 emphasizes key guidance issues that we feel are
12 important.

13 It takes exception to Chapter 6 of NEI04-
14 02. And Chapter 6 is guidance to the industry for
15 licensees who do not intend to adopt a full 805
16 program but yet use aspects of NFPA 805 as a basis for
17 submitting exemptions.

18 The rule does not endorse that approach,
19 so the Reg Guide does not address that. The Reg Guide
20 also identifies suggested fire models and provides
21 guidance on fire PRAs, which Dr. Gallucci will be
22 talking about next.

23 And it describes the Staff position with
24 respect to NFPA 805 appendices, which are also not
25 endorsed by the rule. But they do provide certain

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 guidance which we consider to be useful.

2 And we do specify in the Reg Guide which
3 aspects of that guidance that we consider appropriate.
4 One of the key issues that is addressed in the Reg
5 Guide is how to address plant changes.

6 Plant changes include both modifications
7 of the plant, modifications of the fire protection
8 program, and modifications to the plant itself that
9 could affect the fire protection program.

10 It also includes identified deviations
11 from regulatory requirements. If the licensee elects
12 not to fix the deviation so that it no longer is a
13 deviation, then they can address it -- they have the
14 option of addressing it as a plant change and
15 justifying leaving the design as-is.

16 The Reg Guide provides high level guidance
17 on screening of inconsequential changes and also
18 endorses NEI's guidance, which provide more specific
19 guidance of the same issue.

20 The Reg Guide emphasizes the need to
21 perform an integrated assessment of risk, defense in
22 depth, and safety margin for all fire protection
23 program changes.

24 And it also endorses NEI04-02 guidance for
25 the use of the various methods of evaluating plant

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 changes, including deterministic approach, fire
2 models, risk assessments, and any combination of
3 these.

4 Another key issue addressed in the Reg
5 Guide is circuit analyses. As noted previously, the
6 Reg Guide endorses NEI00-01, which is the industry
7 guidance document for performing both fire safe
8 shutdown analyses.

9 The Reg Guide advocates addressing fire
10 induced spurious actuations using a risk informed
11 performance-based method. And we leave that up to the
12 licensee to determine how they are going to do that.

13 It also emphasizes that Information Notice
14 92-18 type failures should be considered. If you're
15 not familiar with 92-18, that identified potential
16 failures, fire-induced failures to the protective
17 circuits of say a motor-operated valve such that the
18 valve could essentially destroy itself and no longer
19 be able to perform its safe shutdown function.

20 And finally, it provides guidance for
21 addressing cumulative affects for multiple circuit
22 analysis changes. And the third key issue is with
23 respect to operator manual actions.

24 In NFPA 805's case they're referred to as
25 recovery actions. And they also include repairs. The

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Reg Guide explains that unapproved operator manual
2 actions that have been credited by the licensee for
3 III.G.2 areas should be transitioned as plant changes
4 and evaluated using the licensee's plant change
5 evaluation process.

6 I would also like to point out that 805
7 requires that any operator manual actions be evaluated
8 using performance-based methods. And, finally, just
9 to clarify any changes -- a single change that was
10 made to NEI04-02 since the version that was
11 distributed for ACRS review for the subcommittee, the
12 only significant one was that we provide additional
13 guidance on what plant changes related to the fire
14 protection program can be made without NRC approval
15 and just expanded on that guidance.

16 And for those that are keeping track,
17 those changes were in section 5.3.1, 5.3.2, and
18 Appendix I. And finally, in conclusion, the Reg Guide
19 provides specific guidance on the implementation of an
20 NFPA 805 fire protection program by endorsing NEI
21 guidance documents.

22 It provides appropriate clarification and
23 emphasis of the key issues. And it provides suitable
24 guidance to licensees to assess the impact of adopted
25 a risk-informed performance-based program. Any

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 questions?

2 CHAIRMAN WALLIS: What is the measure of
3 this impact? You're assessing the impacts, I'm trying
4 to think of what sort of measures of impacts you're
5 using.

6 The final bullet you said is guidance to
7 assess impact. This is in terms of increased safety
8 or what? What's the measure of impact?

9 MR. RADLINSKI: Well, no. What it does is
10 it provides -- it clarifies the NRC's position with
11 respect to the transition to maintain a program. It
12 lays out what we consider to be an acceptable program
13 so that the licensee knows what is expected of him if
14 he adopts 805.

15 That's what I meant by providing a basis
16 for assessing that. The licensee is considering
17 transitioning to an 805 program, he wants to know
18 well, what does that mean?

19 What's -- what are the implications?
20 What's the impact going to be? And they should do,
21 you know, a detailed assessment before they even
22 commit, before they send a Letter of Intent in to make
23 a decision whether or not this is the right thing for
24 them to do versus staying with their current license
25 basis.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. WEERAKKODY: Dr. Wallis, I think, yes,
2 the Reg Guide will allow licensees to assess the
3 dollar impact, you know, what does it cost to
4 transition, and also the safety impact.

5 In fact, some licensees are -- the ones
6 who are not committed are right now using the draft
7 documents out there to do that. I know -- who are
8 looking at information available in the public domain
9 to find out the delta between 805 versus non-805.

10 MEMBER APOSTOLAKIS: Okay, move on.

11 MR. GALLUCCI: I guess I'm going to switch
12 with Naeem because I don't want to block this.

13 (Pause.)

14 MR. GALLUCCI: I have an extra prop. So
15 I'll move over here so I don't block it. What I'm
16 going to go through is an example of how a plant
17 change evaluation might be done under NFPA 805.

18 And my additional prop -- and you all have
19 a handout of that, is the table from NEI04-02, which
20 shows the plant change evaluation process. I'm only
21 interested in the risk portion.

22 So I'm not going to work on the part that
23 says defining the change under 532. I'm going to
24 start with the preliminary risk reading, which is the
25 first box under the top dotted line.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 This is my hypothetical example for the
2 plant change evaluation. We have a licensee
3 discovering that there are two control cables
4 unprotected for redundant high pressure injection
5 motor operated valves lying in the same cable tray
6 above electrical switch gear cabinets.

7 The CDF contribution has not been
8 estimated since the case was not identified. It was
9 just discovered. The actual configuration contributes
10 to the fire CDF.

11 So, in order to start off this process I'm
12 going to do the plant change evaluation from NEI04-02
13 to determine acceptability under NFPA 805. And that's
14 the diagram there.

15 And, since this has not been analyzed
16 previously, when I do my Delta CDF core damage
17 frequency calculation, I can just -- the Delta CDF
18 will be equal to the core damage frequency for the
19 scenario, since I'll be subtracting zero from it.

20 So that's just a simplification for this
21 example. If you look on the diagram, to the right,
22 you'll see that we begin with a preliminary risk
23 screening.

24 And the preliminary screen, the concern is
25 that fire in the switch gear cabinets could cause

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 spurious closing of both high pressure injection motor
2 operated valves through damage to the control cables.

3 MEMBER APOSTOLAKIS: There is a laser
4 pointer.

5 MR. GALLUCCI: There we are. So here we
6 are. What you can't see at the top here, which is
7 behind there, but it's on your handouts, is you
8 identify the plant change first.

9 And we did that already. So, we've come
10 down through here, which I'm not going to talk about.
11 That's not the risk part anyway. So, we have somehow
12 reached this preliminary risk screen step.

13 Now, the method that I'm going to use for
14 this example to do my preliminary risk screen, is an
15 order of magnitude delta CDF approximation that comes
16 out of Section 4.2 of NEI00-01.

17 Bob mentioned that earlier. That's the
18 guidance proposed fire safe shutdown circuit analysis.
19 And that section is titled a preliminary screen for
20 risk significance analysis.

21 It's a tool that was originally developed
22 by NEI and modified by us for use in circuits
23 screening analysis. Under the preliminary screening
24 method from NEI00-01, we looked at -- there's actually
25 six factors that we look at.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We look at the fire frequency. We look at
2 the probability of spurious actuation, what's called
3 the challenging fire factor, the fire non-suppression
4 probability, the CCDP, conditional core damage
5 probability.

6 And this one here, the last one, the
7 fraction for number of vulnerable fire zone is factor
8 that's put in specifically for analyzing circuits
9 issues where you would be concerned with an issue that
10 might apply over multiple fire zones.

11 And you want a way to screen out the more
12 risk-significant ones. So, when you actually do the
13 analysis, you don't have to look at 20 or 30 zones.
14 For simplicity I'm not going to deal with this in this
15 example because I'm just looking at one specific
16 scenario.

17 So, for my example, my delta CDF is going
18 to be the product of the first five factors.

19 MEMBER POWERS: That's the step that
20 always confuses me. I cannot believe that the
21 probability of spurious actuation is independent of
22 all the other factors.

23 MR. GALLUCCI: The probability of spurious
24 actuation is not independent of the other factor. You
25 have to have the fire. And the fire has to be of a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 sufficient magnitude in order to do damage to begin
2 with.

3 And, when you do your fire modeling you
4 have your temperatures, your time to damage, etcetera,
5 etcetera. And those probabilities of spurious
6 actuation that have been developed, I guess, through
7 the expert elicitation process and that are in the
8 NUREG/CR-68.50 and extrapolate the fire protection
9 SDP, do factor those considerations in there.

10 Those are high probabilities. Spurious
11 actuation probabilities are typically point one or
12 higher.

13 CHAIRMAN WALLIS: Well, they seem all to
14 be powers of ten. One, or point one, or .01, or all
15 these coefficients, F, P, G, S, C.

16 MR. GALLUCCI: Oh, yes. Well, this is a
17 screening tool.

18 CHAIRMAN WALLIS: Yes.

19 MR. GALLUCCI: Yes, for this.

20 CHAIRMAN WALLIS: It's a very crude
21 screening tool.

22 MR. GALLUCCI: Yes. Because, I'm up at
23 the preliminaries. I'm just -- really all I'm doing
24 up at this portion is I'm trying to determine whether
25 if I do a very crude order of magnitude, hopefully

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 conservative analysis, am I going to find that I've
2 got something that's in the ten to the minus ten
3 range.

4 Do I need to even go down into the
5 quantitative risk evaluation? So, yes, this is even
6 -- this would be considered preliminary to the fire
7 protection SDP itself, this screening tool.

8 MEMBER APOSTOLAKIS: So, the spurious
9 actuation is the only threat here?

10 MR. GALLUCCI: Yes, for my example, that's
11 what I chose.

12 MEMBER APOSTOLAKIS: All right, so you
13 found those factors.

14 MR. GALLUCCI: Okay. Some of the values
15 here, again, for fire frequency for the switch gear
16 room, if I went to NEI00-01 section 4.2, I would find
17 that switch gear room is listed as a medium frequency.

18 CHAIRMAN WALLIS: Which is .1?

19 MR. GALLUCCI: It's a range.

20 MEMBER APOSTOLAKIS: So the change here is
21 I found this, I have not accounted for it, is it okay
22 to leave it as-is?

23 MR. GALLUCCI: Yes, or --

24 MEMBER APOSTOLAKIS: Or do something.

25 MR. GALLUCCI: Or, how much do I have to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 do to make it acceptable.

2 MEMBER APOSTOLAKIS: Okay.

3 MR. GALLUCCI: Yes, to answer the first
4 question, yes, I ranges, I believe for medium, I think
5 they're .003 to .03. But, the way the tool works in
6 section 4.2 is the decision criteria just ranges for
7 the fire frequency and the spurious actuation
8 probability.

9 And then they use the factors for the .1s.
10 And they also use threes, .3, .03s for the remainder.
11 But, the first -- in order to determine where you're
12 going to be on this table -- and, if you have copies
13 of NEI00-01, you'll be able to look and see in table
14 4.5.

15 You'll see that initially assessing the
16 range for the fire frequency and the probability of
17 spurious actuation tells you which box you're going to
18 be in there.

19 There's 12 boxes. And just look right --
20 and one of the numerical criteria associated with each
21 box that will enable you to screen. So, for our
22 switch gear room, we assign a fire frequency of
23 medium.

24 For probability of spurious actuation, we
25 have to assume what -- I'm assuming we have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 thermoplastic, the bad kind of cables and that, since
2 the conductors that I needed to initiate the spurious
3 actuations are in different cables, I need inter-
4 cable, between cable interactions.

5 So, if you look on table 4.6 that is in
6 NEI00-01, you'll see that for thermoplastic inter-
7 cable spurious actuations, the probability is listed
8 as medium.

9 And then what medium translates into --
10 which is the factors F times P -- is it canted be
11 lugged greater than .01 per year based on the ranges
12 that are given there.

13 It doesn't give it a -- and there's also
14 a lower range. But, all we care about is that it
15 can't -- when we have a medium fire frequency with a
16 medium probability of spurious actuation, we're going
17 to be less than .01 per year.

18 And that's in table 4-1 of NEI00-01. The
19 next factor is the challenging fire factor. And this
20 kind of represents what percentage of the fires will
21 be severe versus non-severe.

22 It's fairly arbitrary. It's possibly
23 analogous to some of the SDP tools where they're using
24 the 95th to 98th percentiles. But, for this screening
25 tool we just use -- if it's not challenging, it's a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 one.

2 If it's challenging it's a .1. It's
3 basically a fraction that's used to reduce the fire
4 frequency. We're assuming that we can have, with our
5 switch gear cabinets, we can have either a large
6 electrical fire, or a high energy arcing type of flaw
7 from table 4-7.

8 That is a lower probability than the --
9 just the normal electrical switch gear cabinet fire.
10 So, it receives a factor of .1 according to table 4-7.

11 So what I've done now is I've gone through
12 the first three factors in my delta CDF calculation.
13 And I know that I'm already down to .001 per year as
14 a maximum.

15 Continuing along, I'm now going to look at
16 the fire non-suppression probability. Because I have
17 the possibility of a high energy arcing fall, there's
18 a discussion in section 4.2.1.5 of NEI00-01.

19 And I believe it was mentioned yesterday
20 during the research presentation on the requant study
21 that if you have high energy arcing faults, you don't
22 take credit for suppression because it happens because
23 you can really do anything.

24 So, I take no credit for fire non-
25 suppression in this example. The probability is set

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to one. Next is the CCDP, the conditional core damage
2 probability.

3 And, if I go to table 4-8, what I can find
4 there is that if I assume I have a loss of off-site
5 power for internal events, that's just the standard,
6 I get .1 credit there.

7 And, if I assume I have another -- other
8 redundant shutdown equipment available so that the
9 high pressure injection system isn't the only system
10 in there, I can get an additional .1 credit.

11 And so, I would get .01 credit. And what
12 I would do then is I have my five factors for my delta
13 CDF calculation. And, when I do the math, I get ten
14 to the minus five per year as an upper bound.

15 CHAIRMAN WALLIS: This is the simplest
16 method I've ever seen.

17 MR. GALLUCCI: Yes, this -- again, this is
18 what -- if you remember from the subcommittee
19 presentation, the preliminary risk screen said you can
20 do qualitative or order of magnitude.

21 So, this is pretty -- this is about as
22 sophisticated as you're going to get at this upper
23 level. So I'm now down to this box. I ask the
24 question, does the change impact the risk non-
25 negligibly?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I have a delta CDF that I know could be as
2 high as ten to the minus five per year. So, that's
3 not negligible to me. So I'm going to say the answer
4 is yes, I cannot bypass this entire quantitative risk
5 evaluation and jump down here to just check defense in
6 depth and safety margin. I --

7 CHAIRMAN WALLIS: How low would it have to
8 be for you to say its negligible? Do you have a
9 criteria?

10 MR. GALLUCCI: I have a sliding scale of
11 criterion that I use. What --

12 CHAIRMAN WALLIS: Do you use some judgment
13 as well?

14 MR. GALLUCCI: I would say -- if -- given
15 the range of total core damage frequencies one might
16 typically see for fire PRAs, I would say that in mind
17 the concept of non-negligible or negligible would be
18 no greater than ten to the minus eight per year if
19 it's a fairly robust calculation.

20 CHAIRMAN WALLIS: It's a very small
21 number.

22 MR. GALLUCCI: Yes. I'm a little
23 reluctant even with seven because some of these fire
24 protection issues can -- unless you -- if you're
25 covering ten or fifteen fire zones with a circuit

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 issue, you might get a ten to the minus seven
2 contribution over ten, 15, 20 zones.

3 So that's why I'm a little reluctant that
4 ten to the minus seven to dismiss it. It would
5 depend. If I got ten to the minus seven after looking
6 at all the fire zones, or if I had an operator manual
7 actions type of issue where the same type of manual
8 action was taken over multiple zones and could
9 contribute in multiple ways, I would use -- if I was
10 going to use ten to the minus seven, I would want to
11 make sure that I had added up the contribution from
12 all those zones.

13 So, when I say ten to the minus eight, in
14 this case, see, I'm looking really at only one
15 scenario. And I'm not -- for the sake of this example
16 I'm not considering --

17 MEMBER APOSTOLAKIS: This scenario, if you
18 had gotten seven minus seven you would have been okay.

19 MR. GALLUCCI: Yes. If it was the only --
20 this being the only thing in there, sure.

21 MEMBER APOSTOLAKIS: Let's go on.

22 MR. GALLUCCI: Okay. So, I've answered
23 the question. Does the change impact the risk non-
24 negligibly? The answer is yes. So now we can do the
25 fun part.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We can get down into the quantitative risk
2 evaluation.

3 CHAIRMAN WALLIS: What if you just told us
4 about it verbally? Is that in the guide? This is
5 about ten to the minus ten, ten to the minus eight.

6 MR. WEERAKKODY: Can I add something? One
7 of the things we did after we met with the
8 subcommittee and also when we met with CRGR -- I
9 understand, you know, you have concerns regarding
10 creating these new terms called non-negligible.

11 And we looked at the rule makings like
12 proposal on 50.46 where they used the volume
13 consequential and where they have assigned a
14 definition and award.

15 So we are in the process of putting, you
16 know, because Ray has his ways. And what we want to
17 do is, in the Reg Guide, create something final. And,
18 when we do that, that change would be highlighted and
19 sent to you. Okay.

20 MR. GALLUCCI: Okay. Now I'm down to the
21 quantitative evaluation. This is essentially I'm
22 sharpening my pencil. And the tool that I've chosen
23 to use for my sharpen pencil analysis will be the fire
24 protection significance determination process, at
25 least the aspects of that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 One could go to the full fire requan study
2 and do a detail fire PRA at this step. It depends.
3 But, for the sake of an example here, I'm going to go
4 into a little more detail than in the preliminary risk
5 screen.

6 But, I want to be able to get it done in
7 a fairly short time, so I'm going to use the SDP tools
8 for fire protection. The first sophistication, or
9 enhancement if you want to call it, in the fire
10 protection SDP versus the circuit screening tool, is
11 that my fire frequency, instead of being based on
12 burning everything in the fire zone as I assumed
13 before for the switch gear room, now I'm going to just
14 look at the components that are of interest for the
15 actual --

16 MEMBER APOSTOLAKIS: Now, let me stop you
17 for a minute. You're planning to go to the right,
18 aren't you?

19 MR. GALLUCCI: I'm actually planning to go
20 both ways and then come back in the middle.

21 MEMBER APOSTOLAKIS: Both ways?

22 MR. GALLUCCI: Both ways, because what I'm
23 going to find is that I need to look at fire modeling
24 as well.

25 MEMBER APOSTOLAKIS: Okay. But, you are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 doing a risk assessment?

2 MR. GALLUCCI: Yes.

3 MEMBER APOSTOLAKIS: You're going to do
4 fire modeling as part of risk assessment?

5 MR. GALLUCCI: I'm going to use fire
6 modeling to help me calculate some probabilities in
7 risk assessment.

8 MEMBER APOSTOLAKIS: Okay. We have no
9 problem with that. The problem that I have and I
10 think other members of the Committee have is when you
11 go left only.

12 When you go and say I'm going to do an
13 initial fire modeling and I will come up with the
14 maximum expected fire scenario, compare it to the
15 limiting fire scenario and make a decision completely
16 ignoring delta CDF and delta LERF. Can you address
17 that?

18 MR. GALLUCCI: I would only go down that
19 pathway is, if I did my fire model -- okay, I came
20 down here and I decided I had a ten to the minus --
21 let's say ten to the minus seven.

22 I was just on the borderline where I
23 couldn't dismiss it. As soon as I come down here --
24 see, I burned the whole zone up here when I did this
25 analysis.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Now, when I come here and I actually map
2 out my targets, my fire sources, etcetera, it may be
3 impossible for the maximum fire for the components
4 that I'm interested in, given the separation, etcetera
5 for the targets.

6 It may be impossible to get the fire
7 damage. And that to me is delta CDF equals zero. So
8 that's one way I could go down that path.

9 MEMBER APOSTOLAKIS: Wait, you're rushing.
10 That's not what NEI04-02 says. That's not what your
11 guide says. 04-02 says under initial quantitative
12 risk evaluation, which is the left, that I have to
13 come up with the maximum expected fire scenario and
14 the limiting fire scenario and then compare the two
15 and decide that there is sufficient margin or not.

16 And, if there is sufficient margin then,
17 quote, fire modeling alone can be used to demonstrate
18 the acceptability of the change. This approach
19 eliminates the need for additional risk assessment.

20 Now, this statement seems to me is in
21 conflict with the requirement that any change in the
22 fire protection system of an NFPA 805 based fire
23 protection system should be risk informed, which means
24 using Regulatory Guide 1174.

25 This is the problem I'm having with this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 because I don't know -- I mean, this limiting fire
2 scenario business -- I looked at the definition, and
3 I'll tell you what it is.

4 The limit -- from NFPA 805 it says the
5 limiting fire scenario can be based on a maximum
6 possible, though very unlikely, value for one input
7 variable or an unlikely combination of input
8 variables.

9 Well, it seems to me that's what the PRA
10 is supposed to do and tell you how unlikely these
11 things are and not to pick things like that. So, this
12 is where I have a problem.

13 I have no problem with you going to the
14 right. You can use a method you mentioned, or you can
15 use the re-quantification method. That's fine. I
16 mean, this is something we can argue about.

17 But, it seems to me there is a problem
18 here when we are arguing or saying somewhere there
19 that when you transition to NFPA 805 fire protection
20 system program, then all changes will have to be risk
21 informed.

22 And risk informed means delta CDF, delta
23 -- I mean, everything's there, delta CDF, delta LERF,
24 defense in depth, safety margins, I mean, you know,
25 the standard picture of a regulatory guide comes to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 mind.

2 And then I'm hit with this thing on the
3 left. And that's where I get lost. I don't think
4 this is consistent with the risk informed -- the
5 requirement of a risk informed changed.

6 MR. GALLUCCI: I'm not going to defend
7 that pathway. But what I'll do is explain what I
8 think that pathway is intended to -- this is basically
9 a pathway that NEI wants.

10 MEMBER APOSTOLAKIS: I understand that.

11 MR. GALLUCCI: Now, to cover that pathway,
12 we have added at least the initial risk quantification
13 in the preliminary screen. That wasn't there earlier.

14 The way I view this pathway is, if you do
15 what -- you do this limiting fire scenario
16 calculation, you know, the fire dynamics, etcetera,
17 you're qualitatively assuming that you were going to
18 have an incredible -- this fire should be essentially
19 incredible.

20 What that number is to me is ten to the
21 minus nine.

22 MEMBER APOSTOLAKIS: But Ray, I don't get
23 that feeling when I read the report. If there were
24 clear instructions that, yes -- like, I had no problem
25 with the screening you did in the second year.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I had no problem with. You used
2 conservative values. You did the calculations. But,
3 to tell me that I have to define a limiting fire
4 scenario by taking these -- oh, listen to this, this
5 is a beautiful --

6 MR. WEERAKKODY: Can I --

7 MEMBER APOSTOLAKIS: No.

8 MR. WEERAKKODY: Oh, sorry.

9 MEMBER APOSTOLAKIS: This is again from
10 805. The values used for the limiting fire scenario
11 input should remain with the range of possibility but
12 can exceed that determined or judged to be likely or
13 even probable.

14 What kind of nonsense is this? It's
15 complete nonsense.

16 MR. WEERAKKODY: Well I --

17 MEMBER APOSTOLAKIS: You have 30 years of
18 PRA. Now I come down back to using it.

19 MR. WEERAKKODY: Yes, Dr. Apostolakis, if
20 you look at the last, you know, we heard you, and your
21 concern would go away. Bob just pointed out to me,
22 look at the last triangle in that.

23 Do you see the word defense in depth
24 safety model and the risk depth?

25 MEMBER APOSTOLAKIS: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. WEERAKKODY: Okay. Now, you know, I
2 don't want to say that we simply accepted it because
3 NEI wanted to. Really that other side is for the
4 exception rather than the roof.

5 What we did recognize is that there may be
6 certain situations where the fire modeling itself
7 would show that the core damage frequency is
8 essentially zero. And we wanted to accommodate that.

9 MEMBER APOSTOLAKIS: But, Sunil, I repeat,
10 I would have no problem if you showed me that. But,
11 you are not. You are saying I'm going to define a
12 scenario completely arbitrarily that I will call a
13 limiting fire scenario, and will pick the input so
14 that these values will remain within the range of
15 possibility but can exceed that determined or judged
16 to be likely, or even probable, which is a completely
17 wrong and nonsense statement.

18 MR. WEERAKKODY: We will take that back as
19 a feedback.

20 MEMBER APOSTOLAKIS: So you are taking me
21 back now to the hypothetical accident error of this
22 agency, you know.

23 MR. WEERAKKODY: We will take that back
24 and we will get that addressed, those wordings, yes.

25 MEMBER APOSTOLAKIS: And then I'm reading

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 all over the place that if you do all this Mickey
2 Mouse stuff, there is no need for additional risk
3 assessment.

4 This document is dead set against risk
5 assessment.

6 CHAIRMAN WALLIS: Also George, at the
7 subcommittee meeting we had a presentation from the
8 other side. It seemed to be emphasizing how to avoid
9 having to do the risk work.

10 MEMBER APOSTOLAKIS: Exactly.

11 CHAIRMAN WALLIS: Which we're not having
12 today. We had it at the subcommittee.

13 MEMBER APOSTOLAKIS: No, I'm not blaming
14 these guys. But I'm just -- I believe that this is
15 something that should not be -- I mean, there
16 shouldn't be this left thing.

17 You can have, Sunil, I'm all for
18 screening. So, if you tell me like Ray just did,
19 let's change it back to risk non-negligible, great. He
20 did a good job, fine.

21 You keep going down. I do a more
22 sophisticated screening along the same lines. And, if
23 I pass even that, then I go now to an actual risk
24 assessment.

25 And maybe I'll use the re-quantification

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 methods or some other methods, whatever. But it's all
2 part of doing a risk assessment. I mean, anybody who
3 has done a risk assessment knows that you always start
4 by screening things out.

5 It doesn't have to be a fire risk
6 assessment, internal events. You screen things all
7 the time. But, it's within the risk assessment, not
8 making detours, you know, that --

9 MR. WEERAKKODY: Dr. Apostolakis, I think
10 what you're saying, if we overlook the verbage there,
11 which we will address and then fix, I don't think
12 you're saying to us that if we do a fire modeling and
13 we look at the V&V and understand the uncertainties
14 and conclude that the fire modeling tells us there is
15 no impact on the target, which essentially is going to
16 related to delta CDF is zero, okay, that's okay with
17 you.

18 MEMBER APOSTOLAKIS: But that's not what
19 it says.

20 MR. WEERAKKODY: I understand. And we'll
21 relit it.

22 MEMBER APOSTOLAKIS: It's a judgment
23 issue. It says define these limited fires and area in
24 this ridiculous way. Then postulate a maximum expect
25 frequency scenario, which is more realistic one.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Compare the two and somehow come up with
2 a judgment that there is sufficient margin. And, if
3 there is sufficient margin, don't even think of going
4 to --

5 CHAIRMAN WALLIS: But George, I didn't
6 understand the definition that you gave. I went to
7 Appendix D. And the definition of a limiting fire
8 scenario seems to be quite different.

9 It says one or more inputs to the
10 calculation of varied to the point that the
11 performance criteria is not met.

12 MEMBER APOSTOLAKIS: Yes.

13 CHAIRMAN WALLIS: it's essentially a
14 sensitivity analysis.

15 MEMBER APOSTOLAKIS: Yes.

16 CHAIRMAN WALLIS: So you keep varying
17 things until you get up to the point where something
18 goes -- you burn something out. And then you look at
19 what you think is a credible fire.

20 You say, well, how far are you away from
21 -- well, you would have to be in order to not meet the
22 criteria.

23 MEMBER APOSTOLAKIS: But, listen, also
24 those definitions I gave you --

25 CHAIRMAN WALLIS: Your statements seem to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 be nonsense?

2 MEMBER APOSTOLAKIS: What?

3 CHAIRMAN WALLIS: What you said sounded
4 like nonsense.

5 MEMBER APOSTOLAKIS: And I'll tell you
6 what it is.

7 CHAIRMAN WALLIS: In Appendix D it makes
8 more sense.

9 MEMBER APOSTOLAKIS: Go to -- see 33 of
10 805, that's what it is. What I just read is --

11 CHAIRMAN WALLIS: Well, I went to Appendix
12 D, which makes a lot more sense. Anyway, we can't
13 spend time on this.

14 MEMBER APOSTOLAKIS: No, the section
15 D.2.4.4 of NEI04-02 requires that the input parameter
16 is set to the maximum expected fire scenario to
17 represent conditions that are reasonable and
18 conservative.

19 All this terminology is from a different
20 era. And what you read is the same thing. That's why
21 we have PRA, to actually know how likely these numbers
22 are.

23 MEMBER DENNING: No, but PRA doesn't
24 answer that particular question, I don't think,
25 George. This is a question of -- and, you know, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 definition that Graham talked about does make sense as
2 to what they're attempting to do here which is say,
3 what's the threshold at which we really do get damage?
4 And you would have a delta CDF.

5 CHAIRMAN WALLIS: The defining safety
6 margin is what they're doing.

7 MEMBER DENNING: Well, and then they're
8 doing this variability within the MEFS. But, the
9 thing that bothers me is it looks to me like the
10 guidelines for how to do that variability on MEFS are
11 all aleatory variables.

12 It doesn't address, as I see it, the
13 uncertainties in these fire damage assessment models
14 that come from our state of knowledge. I mean, it
15 looked to me like all the sources of variability they
16 do to say, well, could the fire really be larger in a
17 different position and all this kind of stuff.

18 It looked to me like that's all sources of
19 variation, not getting into the real issue with these
20 fire propagation models, which is how accurate are
21 they really?

22 Given a defined condition, can they really
23 do that? So, we're concerned about this left-hand
24 side, but for different reasons, I think, George. Mine
25 are, do we -- well, first of all, do we really have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 enough confidence in models to go down that pathway
2 and with confidence feel that we can say, yes, it does
3 close target damage or it doesn't close target damage.

4 And the other problem I had there was, I
5 don't think that the modeling uncertainties were
6 really taken into account in the guidance that's given
7 in comparing MEFS with LFS.

8 MEMBER APOSTOLAKIS: If they had said that
9 the limiting fire scenario takes all the relevant
10 parameters to their extreme values, to their worst
11 values, and if you do that you still don't have that
12 much, then I would agree with you. But it doesn't say
13 that.

14 MEMBER DENNING: Well, wait. But what
15 Graham read did say what the LFS is, that's the
16 threshold. You vary them until you get damage,
17 whether it's reasonable or not reasonable.

18 And then you look at your MEFS and see
19 whether --

20 MEMBER APOSTOLAKIS: And you decide that
21 there is enough distance somehow. Somehow you have
22 enough margin?

23 MEMBER DENNING: Right, by doing
24 variations of everything you think is reasonable.

25 MEMBER APOSTOLAKIS: And I don't agree

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 with that.

2 CHAIRMAN WALLIS: What puzzled me about
3 the flow diagram is that this MEFS and LFS are used to
4 define safety margin. I was looking for a definition
5 of safety margin.

6 MEMBER APOSTOLAKIS: Yes.

7 CHAIRMAN WALLIS: Safety margin is a
8 difference between the MEFS and the LFS. And they
9 said they're typically looking for a safety factor of
10 two.

11 I mean, you calculate how much heat flux
12 you'd need to do damage. And then you'd calculate the
13 critical maximum heat flux you can realistically have.

14 And you say one is twice as big as the
15 other. Therefore, you've got a safety margin. But,
16 the puzzling thing is that you investigate it again
17 and the diamond at the bottom.

18 Your supposed to look at risk and SM, are
19 they all okay? And that's seems really funny because
20 you bypass risk and then you have to look at risk
21 again in box. I don't understand it.

22 MEMBER APOSTOLAKIS: Bijan.

23 MR. NAJAFI: I'm sorry to interrupt.

24 MEMBER APOSTOLAKIS: I don't understand
25 the diagram, because you seem to be bypassing risk by

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 going down that path that we're on --

2 MEMBER APOSTOLAKIS: And that's the
3 objection.

4 CHAIRMAN WALLIS: And then you have to
5 evaluate whether risk's okay at the bottom again. So,
6 how do you --

7 MEMBER APOSTOLAKIS: Because you have
8 already decided on the left that delta CDF and delta
9 LERF an acceptable.

10 CHAIRMAN WALLIS: Have you?

11 MEMBER APOSTOLAKIS: And I don't know how
12 you -- yes, it's an alternative to the risk
13 assessment.

14 CHAIRMAN WALLIS: There's no delta CDF on
15 that side.

16 MEMBER APOSTOLAKIS: It's an alternative
17 to it. All you do after that is you look at defense
18 in depth and safety margins, which you have already
19 looked at.

20 And it says explicitly in 04-02 that if
21 this okay, you don't need to do a risk assessment.
22 That's the objection. There is no objection to
23 screening. Yes, Bijan?

24 MR. NAJAFI: I'm sorry. I just wanted to
25 add one clarification. By the way, my name is Bijan

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Najafi. I am a principle member of the NFPA 805
2 Committee.

3 In some of the discussion today I may have
4 to take blame for it, or maybe credit, depending on
5 what your point of view is. I wanted to make some
6 clarification.

7 My comment does not neither reflect the
8 Reg Guide or NEI04-02, plainly the 805. First, the
9 definition and intent of the limiting fire scenario
10 was written to be closer to what, I'm sorry Graham,
11 Mr. Wallis suggested.

12 The intent was the standard NFPA wrote is
13 a performance-based standard. It is not exclusively
14 a risk informed. It's a performance-based standard.
15 And in that sense it allows for methods typical or
16 similar to equivalency testing that it's done in fire
17 protection community in the previous years.

18 That you -- if you allow -- if you can
19 determine that the change or whatever you did to your
20 program does not challenge your performance criteria
21 in one way or another at all, you may have
22 demonstrated the adequacy of that change.

23 The intent of the limiting fire scenario
24 versus the maximum expected was that, to acknowledge
25 the uncertainty of these models you know that there is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 some accuracy, you may be off.

2 So, you have to demonstrate some margin
3 for that uncertainty. And, since you're not doing in
4 a statistical way, you have to develop, let's say, the
5 worst possible scenario.

6 And you don't do it only by heat release
7 rate. Sometimes you may have to change the material
8 you're exposed. Say, if I don't know what the cable
9 type is, let me assume it is the weakest, it is a PVC
10 cable, see if that affects my conclusion.

11 So you define basically the minimum change
12 in your assumptions that can get you, violate your
13 performance. And, if that margin is small, and does
14 not cover the uncertainty that you have about your
15 prediction or predicted capability of your tools, then
16 you have not done it and you have to do something
17 else.

18 It doesn't say what to do, risk or not.
19 But you have not satisfied the need. But, if you have
20 a situation that, for example, happens a lot, that you
21 need a two, three megawatt fire, ten megawatt fire,
22 nine megawatt fire to violate that performance
23 criteria, then you have demonstrated that, in terms of
24 you hazard, you have enough protection.

25 You still have to do your defense in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 depth because, even in that, it says that you still
2 can't go get rid of your -- because all that has done
3 is demonstrated adequate mitigation.

4 It has not demonstrated adequate
5 prevention. And it has not demonstrated adequate safe
6 shutdown. You still have to demonstrate those two
7 elements have not been violated.

8 So, I guess my point was to clarify the
9 definition. The definition to the intent was there.
10 If there are some places that there are some wording
11 there that was not --

12 CHAIRMAN WALLIS: I think what you're
13 saying is that this method, this old method of safety
14 factor was if you have a big enough safety factor,
15 it's pretty darn sure it can't happen.

16 MEMBER APOSTOLAKIS: Right.

17 CHAIRMAN WALLIS: Therefore you don't need
18 to do the risk stuff at all. Isn't that what you're
19 saying?

20 MEMBER DENNING: Delta CDF is zero.

21 CHAIRMAN WALLIS: But then the question
22 might be, well, with a safety factor of two, there's
23 still some probability. So, you can, you know, wonder
24 how it --

25 MEMBER APOSTOLAKIS: You're dealing with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 rare events here. There is nothing wrong with
2 screening. As I say, we do it all the time. But
3 screening has to be conservative.

4 VICE CHAIRMAN SHACK: But, it's not a rare
5 event at this point. You've sort of got the fire. You
6 have a limiting fire scenario is setting your upper
7 bound.

8 MEMBER APOSTOLAKIS: No, but it's a matter
9 of --

10 VICE CHAIRMAN SHACK: And then you look to
11 see if you have a lot of distance between your upper
12 bound and what you think is your bounding analysis.

13 CHAIRMAN WALLIS: That's the more dubious
14 one, is what is actually the maximum expected?

15 VICE CHAIRMAN SHACK: Yes.

16 CHAIRMAN WALLIS: That's the one where --

17 VICE CHAIRMAN SHACK: Well, that ones
18 comes to Rich's things. If you look at all the
19 parameter variations, have you still covered the
20 uncertainty of --

21 CHAIRMAN WALLIS: The LFS is where you
22 vary parameters. And then you see what's the worst
23 that could happen. But the MEFS is where you actually
24 model something.

25 And that's your expected fire scenario,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 isn't it? This is something different between how big
2 it could be and what is the maximum you expect it to
3 be. So, I mean, there's a difference.

4 MEMBER APOSTOLAKIS: So, what is your
5 provision? I'm confused. Is this a valid approach or
6 not?

7 CHAIRMAN WALLIS: Well, it has nothing to
8 do with risk.

9 MEMBER APOSTOLAKIS: And, therefore?

10 CHAIRMAN WALLIS: Well, it's not risk-
11 based. And it's not risk informed.

12 VICE CHAIRMAN SHACK: It's sort of like
13 saying, what is the probability of failure of a steam
14 generator tube if I meet the ASME code. And the
15 answer is, I can't give you a number, but I know it's
16 extremely small.

17 Well, you know, if you have a big margin
18 between your damage and your insult, you don't know
19 quantitatively what the probability is. But you know
20 that it's very small.

21 MEMBER APOSTOLAKIS: But it seems to me
22 this is all part of the risk assessment.

23 MR. LAIN: No, you have to look at where
24 this came from. This is a consensus standard out of
25 a fire protection engineers and a few PRA guys.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER APOSTOLAKIS: I know.

2 MR. LAIN: And that, you know, the fire
3 protection, that's the fire protection side where the
4 fire protection engineer feels that they can resolve
5 the problem. And so, it's performance-based.

6 VICE CHAIRMAN SHACK: A PRA guy is going
7 to have the same problem.

8 MEMBER APOSTOLAKIS: It says very clearly
9 that all changes, if you choose to go that way, should
10 be risk informed. And there is a single document in
11 this agency that tells you how you risk inform a
12 change, 1.174.

13 VICE CHAIRMAN SHACK: No, but --

14 MEMBER APOSTOLAKIS: And they're going out
15 of their way to avoid using it.

16 VICE CHAIRMAN SHACK: But, if I have to
17 tell myself, did something fail or doesn't it fail, I
18 have to come up with that probability of failure. And,
19 if I go the risk assessment rout, I still have the
20 same problem.

21 How do I come up with that probability of
22 failure? The answer seems to be, if I have a big
23 enough safety margin, that probability is effectively
24 zero.

25 MEMBER APOSTOLAKIS: Right. And that's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 what I'm saying. That's part of the standard risk
2 assessment.

3 VICE CHAIRMAN SHACK: Well, if they put
4 that block in front of the delta CDF, you know, if you
5 said, okay, what I'm really doing is evaluating the
6 probability of failure, and if the probability of
7 failure is zero and I bypass the risk you would have
8 been happier.

9 But I think that's effectively what
10 they're doing.

11 CHAIRMAN WALLIS: Well, I think what's
12 confusing here really is that the DID and the safety
13 margin part and the risk part are all somehow subsumed
14 in this MEFS business.

15 VICE CHAIRMAN SHACK: As soon as your
16 probability of damage is non-zero, you have to go into
17 the yes box. And you have to sit there and somehow
18 figure out what that probability -- you know, if it's
19 zero that's easy.

20 MEMBER APOSTOLAKIS: Wait, wait. Zero
21 what? What is zero? No, they never say that it has
22 to be zero. It is a judgment --

23 VICE CHAIRMAN SHACK: That's what the box
24 down there in the MEFS and LFS is telling.

25 MEMBER DENNING: I think Bill is exactly

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 right. I mean, I'd bet on it. I think it's exactly
2 right. I think that you're --

3 VICE CHAIRMAN SHACK: It's sort of strange
4 to have to guess what it means.

5 MEMBER DENNING: You're concluding down
6 there that Delta CDF is zero. And so, you don't have
7 to go through the risk. Just by looking at this
8 particular case you've said, there's just no way that
9 the buyer could have been large enough to have caused
10 the damage that gives you a delta CDF.

11 MEMBER APOSTOLAKIS: But that's not what
12 it says.

13 MEMBER DENNING: Ray, is that your
14 understanding?

15 CHAIRMAN WALLIS: You do an analysis and
16 you say that there's no target damage. But then, to
17 check that you were conservative, you confirm it by
18 doing an even more extreme fire analysis and seeing if
19 that's okay.

20 MR. GALLUCCI: There was an earlier
21 version of this diagram where this pathway the first
22 question was, is your non-negligible's change zero or
23 not?

24 It would only let you go down this pathway
25 if your delta CDF was zero.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: But now it doesn't.

2 MEMBER DENNING: It's not from other
3 reasons.

4 MR. GALLUCCI: It essentially --
5 philosophically it's the same as the discussion you're
6 having here. Basically this can happen. But, because
7 this is a document like, I think Paul mentioned Bijan
8 mentioned, that was written by 90 percent fire
9 protection engineers and 10 percent PRA engineers.

10 Fire protection engineers, when they hear
11 the word risk assessment, run and hide. And so, this
12 pathway, the way it's drawn, and the wording you see
13 is a comfort zone for the fire protection engineer.

14 So we're scared of risk assessment. But,
15 in reality, I don't think you'll ever go down either
16 of these pathways by themselves. I think there
17 essentially is only one pathway here.

18 You go here and you use fire modeling to
19 help you estimate some of your probabilities. There's
20 really just one pathway. It's right down the middle
21 in practical purposes.

22 MEMBER APOSTOLAKIS: And that's -- the
23 screening part that is called initial fire modeling is
24 really part of the risk assessment, which is one line.

25 Because, when I see things like a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 comparison of MEFS and LFS is used to determine if a
2 sufficient margin exists, I don't know what that
3 means.

4 MR. GALLUCCI: To me it means delta CDF is
5 zero. That's what it means to me. And I would not
6 even -- if delta CDF is zero, I'm really done with the
7 hole thing.

8 I don't need either pathway if I know what
9 it is.

10 MEMBER APOSTOLAKIS: That's right.

11 MR. GALLUCCI: So, this pathway really
12 supports this pathway. And, in reality --

13 MEMBER APOSTOLAKIS: It's screening.

14 MR. GALLUCCI: -- you're going to go right
15 down the middle for all practical purposes.

16 CHAIRMAN WALLIS: You can't go down the
17 middle.

18 VICE CHAIRMAN SHACK: Inside that box it
19 says original risk assessment. You have to do exactly
20 what you do on the left. You have to come up with a
21 fire model.

22 You have to decide whether there's damage
23 or not. You have to come up with a probability of
24 failure. You have to do all of that. And, if I come
25 up with a big zero inside that box, I'm exactly where

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I am if I just went left.

2 But I'm going to do the same thing first.
3 I have to come up with the fire model. And I have to
4 come up with damage.

5 MEMBER APOSTOLAKIS: And I have to come up
6 with these values that are --

7 VICE CHAIRMAN SHACK: That's a different
8 problem.

9 MEMBER APOSTOLAKIS: Well, it's a --

10 VICE CHAIRMAN SHACK: Graham's statement
11 was a far more sensible one.

12 CHAIRMAN WALLIS: I was just reading, it
13 wasn't my --

14 VICE CHAIRMAN SHACK: What he read made
15 sense. What you're reading doesn't make sense, I'll
16 have to admit.

17 MEMBER APOSTOLAKIS: No. But also,
18 another thing is the LFS can be based on a maximum
19 possible though very unlikely value for one input
20 variable or an unlikely combination of input
21 variables.

22 It doesn't say the maximum possible for
23 combinations. So I have freedom now to say I went
24 high enough, this is unlikely enough and come up with
25 a limiting scenario that is not limiting.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: Well, the MEFS --

2 MEMBER APOSTOLAKIS: And then the reviewer
3 has to go down into the details of all these
4 assumptions I have made to catch me. And that's the
5 whole point of the deterministic calculation.

6 CHAIRMAN WALLIS: The MEFS is to find an
7 Appendix D. I don't know which appendix you're in.
8 This is the maximum which can reasonably be expected
9 to occur.

10 MEMBER APOSTOLAKIS: That's another
11 definition.

12 CHAIRMAN WALLIS: And I don't know what
13 that means.

14 MEMBER APOSTOLAKIS: Well, tell me what
15 reasonably conservative is. It's the same idea as to
16 the unlikely combination. I mean, that was the whole
17 point of using PRA, that you would have some measure
18 of these unlikely -- obviously if I go to the ten
19 megawatt fire, which I know I will not have, and I
20 show there is no damage, well, thank you very much.

21 Yes, that's a part of the screening that
22 I do routinely in a risk assessment. But I'm not
23 going to say that this is an alternative to risk
24 assessment. Come on.

25 MR. WEERAKKODY: Dr. Apostolakis --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER APOSTOLAKIS: I think there is a
2 subtle difference here. Of course we are screening
3 out a hell of a lot of areas in a plant. There is no
4 fuel there.

5 There is no anything to be damaged. And,
6 even if there is no fuel, we start assuming transient
7 fuels.

8 MR. WEERAKKODY: I want to share with you
9 a couple of thoughts with respect as to why we brought
10 that part as is to the committee. I'm not defending
11 all the language there. We can get those things
12 fixed.

13 There's an underlying -- first of all, if
14 we came up with the Reg Guide that says it's got to be
15 zero, anything above zero is unacceptable, we are
16 going to suffer the same consequences we suffered in
17 NSAC-125 50.59 where, if we had a thousand gallons of
18 barrels and if you bring a spoon of oil, it does
19 increase the failure probability and therefore you've
20 got to do the risk assessment.

21 That's on aspect, okay? And so really I
22 think I don't know the name of the member. But, what
23 a couple of the other members said in terms of the
24 intent is that you the fire modeling tools, the intent
25 is that you make as, you know, with all the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 conservatives that the fuel cannot burn the target.

2 So, delta CDF is essentially zero. I used
3 another term there other than zero. But there is a
4 danger in using the absolute values. Okay? Because,
5 another example I can point to is the regulatory --
6 where we said, you know, for transition risk you've
7 got to show that as well as risk-gained rather than
8 saying that the risk increase is negligible.

9 So, we want -- that the second thing,
10 okay, the second thing -- one of the things that Ray
11 didn't share with you is as to what the underlying
12 concern of the licensees asking for this.

13 And they do have a basis. Okay, and I
14 understood that basis. They're not -- doing risk
15 calculations. Just like anybody here, they could just
16 say, you know, the fire modeling gives us such notice
17 as delta CDF is ten to the minus 14.

18 What they are concerned is, if it is
19 anything other than their calculated number, their
20 perception is that they need to track, book keep that
21 number.

22 That's where they are coming from. Okay?
23 So they do have a valid concern of undue burden of
24 having to book keep ten to the minus 12, ten to the
25 minus 14.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER APOSTOLAKIS: Nobody --

2 CHAIRMAN WALLIS: George, can we perhaps
3 move on here? I mean, he's just about to lead us down
4 the right-hand path.

5 MEMBER APOSTOLAKIS: No, I don't need
6 this, unless you guys want to see it. This is a
7 standard fire risk assessment.

8 CHAIRMAN WALLIS: But I would like to see
9 him finish his presentation and lead us down the
10 right-hand path so we can see if that's credible, how
11 they do it.

12 MR. GALLUCCI: I think that would be very
13 helpful.

14 MEMBER APOSTOLAKIS: No, I think the
15 objection though is not there.

16 CHAIRMAN WALLIS: Well, I know. I
17 understand the objection. But, that's different. But
18 I think we ought to let him finish his presentation.

19 MR. GALLUCCI: Okay. Let's get back on
20 the right path. Okay, so what I'm doing now is I'm
21 sharpening my pencil.

22 CHAIRMAN WALLIS: Actually, you're going
23 to do a risk assessment, down the right-hand path?

24 MR. GALLUCCI: Yes, but I'm actually going
25 to end up here and go down --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: Do it more accurately?

2 MR. GALLUCCI: Yes. I'm going to bring in
3 fire modeling.

4 CHAIRMAN WALLIS: Okay.

5 MR. GALLUCCI: So, I sharpened my pencil.
6 Instead of looking at zonal fire frequency, I now look
7 at component fire based frequency. I'm assuming my
8 cables pass horizontally above --

9 CHAIRMAN WALLIS: You don't assume it, you
10 actually determine that?

11 MR. GALLUCCI: Yes, I say the word assume
12 because I'm making up the example.

13 CHAIRMAN WALLIS: But in the reality you'd
14 find out?

15 MR. GALLUCCI: Yes, you would count them.
16 You would walk down the zone.

17 MEMBER ROSEN: Know where they are.

18 MR. GALLUCCI: Yes. We have -- the cables
19 pass above ten switch gear cabinets. So, the
20 frequency -- if you go to table A1-3 in the fire
21 protection SDP, component based six times ten to the
22 minus five per cabinet per year, ten of them, six
23 times ten to the minus four.

24 Recall before I had a value that was a
25 medium. This would be below medium.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: It's much less.

2 MR. GALLUCCI: I sharpen my pencil. Next,
3 spurious actuation probability. I have two
4 thermoplastic inter-cable interactions. I go to table
5 28-3, the fire protection SDP.

6 The probability of a spurious actuation
7 for an inter-cable thermoplastic cable is .2. I've
8 got two of them, .04.

9 CHAIRMAN WALLIS: Inter-cable means?

10 MR. GALLUCCI: Between two cables.

11 CHAIRMAN WALLIS: So what is it for one?

12 MR. GALLUCCI: It's point two for one
13 cable.

14 CHAIRMAN WALLIS: That's only one cable,
15 how can they --

16 MR. GALLUCCI: No, it's two hot shorts.
17 I'm looking at multiple cables.

18 CHAIRMAN WALLIS: Oh, within the cable?

19 MR. GALLUCCI: Yes, one cable would be --

20 CHAIRMAN WALLIS: Okay.

21 MR. GALLUCCI: Inter-cable is among the
22 conductors within on cable. But, for thermoplastic
23 within the one cable I think it's .3 is your number.
24 Or, no, it's .6 in fire protection SDP. It's .6
25 within the cable, the intra-cable.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The challenging fire factor, I have done
2 nothing to tell me that I can't have the high energy
3 arcing fault or the large electrical fires. So, I'm
4 going to leave that as it was at point one.

5 However, now I'm going to look at fire
6 non-suppression probability. I'm considering the
7 physical layout and fire modeling. The horizontal
8 cables are within five feet of the top of the cabinet.

9 These will be protected against high
10 energy arcing fault if the tray is covered. That's
11 according to attachment 5 of the fire protection SDP.

12 So, I'm going to make that a requirement
13 in my plant change that I cover these trays because
14 I'd want to eliminate the possibility of high energy
15 arcing fault damage.

16 Which means that only I have to consider
17 the effect of the large electrical fire, which is a
18 650 kilowatt fire according to table 2.31 of the fire
19 protection SDP.

20 So, I've eliminated the high energy arcing
21 fault by enhancing my plant change modification.

22 MEMBER ROSEN: But, at that stage you've
23 committed to a modification?

24 MR. GALLUCCI: Yes. That's the first.
25 It's no longer going to be acceptable to -- at a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 minimum I'm going to have to cover these cable trays
2 because I could have a higher -- I can't eliminate the
3 high energy arcing fault based on physical distance,
4 other parameters.

5 So I've now enhanced -- I definitely have
6 a plant change. And I'm going to have to at least
7 cover my trace. Here's where I'm going to do a little
8 fire modeling.

9 I'm not going to run any complicated tools
10 here. I'm going to use the correlations from NUREG
11 1805, the fire dynamics tools. I look at my physical
12 layout, my fire heat release rate, which was 650
13 kilowatts.

14 And, if I plug in the various spreadsheets
15 and parameters, I come out with a temperature of about
16 500 degrees Fahrenheit occurring at the cables.

17 If I look at the table A7.2 of the fire
18 protection SDP I expect a cable failure for a
19 thermoplastic cable in ten minutes. If I assume that
20 I have essentially detection within one minute, that
21 gives me ten minutes for my manual suppression to take
22 place.

23 And, if I look at table A8.1 of my fire
24 protection SDP and I look under electrical fires, the
25 probability of non-suppression in that situation for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that time is .3.

2 For my CCDP I'm going to take additional
3 credit for Appendix R safe shutdown or ultimate
4 shutdown strategies, which includes operator actions.

5 Typically when you do the fire PRA if you
6 just take your internal events PRA and just plug the
7 fire frequencies in and fail the components that are
8 in the fire zone, etcetera, you're going to get
9 something fairly conservative because some of the
10 ultimate shutdown strategies that you might find in
11 your emergency operating procedures for fire have not
12 been modeled in the PRA until you update it for your
13 fire PRA.

14 And so, you typically get alternate
15 strategy, some manual actions that are proceduralized
16 that you would not have in your internal events.

17 So, since my preliminary screen CCDP was
18 basically looking at just what I had for internal
19 events, let's assume that I went through, I looked at
20 a -- enhanced my fire PR -- I enhanced my internal
21 events model at least for the Appendix R strategies
22 that were relevant to this case.

23 And, when I sequenced my number, I got
24 down to .001.

25 VICE CHAIRMAN SHACK: Does this mean I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 have to write new procedures now?

2 MR. GALLUCCI: No. This would be taking
3 your existing procedures for fire, your existing fire
4 procedures.

5 CHAIRMAN WALLIS: So I look at this
6 example. Your initiating frequency or your
7 components-based fire frequency is so low, 16 minus
8 four.

9 You multiply that by your C from this one
10 there --

11 MR. GALLUCCI: Oh, yes. I'm --

12 CHAIRMAN WALLIS: You're pretty well there
13 without going far at all.

14 MR. GALLUCCI: Oh, yes. I just wanted to
15 show for the -- obviously you could do -- after two
16 steps here you might be so small that you don't have
17 to look at anything else.

18 I just wanted to trace through the whole
19 path for the sake of illustration.

20 VICE CHAIRMAN SHACK: What would have
21 happened if I didn't cover my tray?

22 MR. GALLUCCI: Then I would have the
23 potential for a high energy arcing fault. I would get
24 no suppression credit.

25 CHAIRMAN WALLIS: It wouldn't make that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 much difference. I guess it would be one instead of
2 .3 or something. It wouldn't make much difference,
3 would it? So, why do you have to cover the tray?

4 MR. GALLUCCI: Maybe I don't have to. But
5 I'm saying I'm looking at that.

6 MEMBER ROSEN: Well, that's when you do
7 your second pass through the analysis.

8 MR. GALLUCCI: Yes. I might go back and
9 say the high energy arcing is -- but, of course, later
10 on -- we won't -- when I get to the end the number
11 isn't everything.

12 It's number defense in depth and safety
13 margin. So, for now I'm going to retain all my
14 numbers.

15 CHAIRMAN WALLIS: So you have to go and do
16 the MEFS part as well?

17 MR. GALLUCCI: No, I won't be doing that,
18 not --

19 CHAIRMAN WALLIS: It defines the safety
20 margin.

21 MR. GALLUCCI: No, that's -- safety margin
22 is defined as Reg Guide 1.174.

23 CHAIRMAN WALLIS: Well, I'm sorry. But
24 it's defined in Appendix D as the difference between
25 MEFS and LFS.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. GALLUCCI: But that's only for this
2 pathway.

3 CHAIRMAN WALLIS: What?

4 MR. GALLUCCI: MEFS and LFS are not the
5 definition of defense in depth and safety margins down
6 here.

7 CHAIRMAN WALLIS: He has two different
8 definitions of safety margin then.

9 MR. GALLUCCI: That's safety margin for
10 fire modeling.

11 MEMBER APOSTOLAKIS: He has already
12 decided that the left path doesn't help you. It's a
13 screening path. What he is doing now is he knows that
14 the left path is not going to help you, right?

15 MR. GALLUCCI: All I got out of that was
16 .3.

17 MEMBER APOSTOLAKIS: Nothing on the left
18 applies anymore.

19 VICE CHAIRMAN SHACK: Once he has a
20 probability of failure that isn't zero, he's off of
21 the left path.

22 MEMBER APOSTOLAKIS: I don't know about
23 the zero, how you guys decided the zero. But anyway,
24 yes. He didn't pass the screen test.

25 CHAIRMAN WALLIS: There is no such thing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 as zero in probabilistic.

2 MEMBER APOSTOLAKIS: If it's zero, we're
3 all going to be happy if it's zero.

4 MR. GALLUCCI: Okay.

5 MEMBER APOSTOLAKIS: Could you please
6 accelerate this?

7 MR. GALLUCCI: Yes. I plug all the
8 numbers in, I multiply and I get 70 ten to the minus
9 ten per year. This satisfies the criteria in NEI04-
10 02, one less than one to the minus seven.

11 So I'm happy with my number but I still --
12 I'm down here. The answer is yes. I've got to look
13 at the defense in depth and safety margins.

14 CHAIRMAN WALLIS: That's where I think a
15 lot of the problem may well be. But we'll get to it.

16 MR. GALLUCCI: And I'm not ignoring the
17 LERF in this example. I would have done the same
18 calculations for the LERF portion. But, to save time,
19 I didn't do it.

20 MEMBER DENNING: But you didn't have to
21 anyway.

22 MR. GALLUCCI: Yes, right. The
23 uncertainty in fire delta CDF can span several orders
24 of magnitude. So, even with the best estimate at 70
25 to the minus ten per year, the licensee must still

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 consider defense in depth and safety margin.

2 The magnitude of the uncertainty may
3 reflect a degree of safety margin that is present, and
4 may suggest acceptable level and suggest an acceptable
5 level of defense in depth.

6 So, if he's comfortable with the
7 uncertainty is only a factor of ten --

8 CHAIRMAN WALLIS: This is very much a
9 judgment of the person. I mean --

10 MR. GALLUCCI: Correct.

11 MEMBER APOSTOLAKIS: Yes, it's not
12 consistent with 1.174, which requires mean values?

13 MR. GALLUCCI: Yes. You could treat these
14 as mean values. But --

15 MEMBER APOSTOLAKIS: I mean, do we use
16 1.174 anywhere except saying that we might want to
17 look at it? This is not acceptable, especially if
18 you're way down there.

19 You have to do an uncertainty analysis.
20 These are mean values. 1.174 is very clear about it.

21 MR. GALLUCCI: Well yes, I would have --
22 in order to do the defense in depth and safety margin,
23 I would have done an uncertainty. I didn't show it
24 here, but --

25 MEMBER APOSTOLAKIS: Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. GALLUCCI: There's uncertainties on
2 all these. I can go the NUREG/CR-68.50 and pull out
3 the probability distributions on the fire frequencies.

4 I can pull out the heat release rate. And
5 I could plug them in. I didn't show them.

6 MEMBER APOSTOLAKIS: I understand that,
7 Ray. But it's the words again that bother me.
8 Uncertainty and fire delta CDF can span several orders
9 of magnitude.

10 So the licensee must still consider
11 defense in depth. This tells me that the defense in
12 depth of you or examination is an alternative, is
13 something that will take care of the uncertainty
14 analysis so I don't have to do it.

15 MR. GALLUCCI: No, it's something that you
16 have to consider. To me the safety margin -- defense
17 in depth are the actions you take in order to ensure
18 that you have sufficient safety margin.

19 Uncertainty is an approximation of the
20 qualitative term safety margin. And so, you look at
21 your safety margin. Obviously we consider the safety
22 margin for a meteorite strike to be sufficient that we
23 take no defense in depth against that, because it's
24 about ten to the minus 13.

25 MEMBER APOSTOLAKIS: Well, --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. GALLUCCI: At 70 to the minus ten if
2 I had a factor -- if this was my -- if I was in log-
3 normal space and this was my median, and I said my
4 error factor is 1,000, then I would say my upper-bound
5 95 or whatever, 70 to the minus seven, I'd say I need
6 some addition -- I don't have enough safety margin, I
7 need some additional defense in depth.

8 And that's all I'm saying here, is that I
9 would use the uncertainty estimate as a quantitative
10 way to give me insights into what currently in both
11 Reg Guide 1.174 is a qualitative discussion of safety
12 margin and defense in depth. I want to use some
13 quantitative judgment.

14 MEMBER APOSTOLAKIS: The way I read this
15 is different. But, anyway, that's not important.

16 CHAIRMAN WALLIS: Are we almost through,
17 George?

18 MEMBER APOSTOLAKIS: We should be because
19 we have another speaker in six minutes.

20 MR. GALLUCCI: Okay. So, at the end, the
21 plant change evaluation concludes only after all three
22 risk related elements are satisfied, the change in
23 core damage frequency and LERF, defense in depth and
24 safety margin, the licensee must also consider the
25 cumulative effect of multiple plant changes, such as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the sum of these delta CDFs if he has multiple plant
2 changes.

3 And then the licensee over here, he
4 documents his plant change evaluation according to his
5 procedures and maintains them for review by the
6 inspectors.

7 MEMBER APOSTOLAKIS: So now, your example
8 also refers to something that's in the document that
9 I kind of don't like. You didn't -- the document says
10 if the plant CDF and/or LERF, due to external hazards,
11 is not available or is otherwise not known, then the
12 delta CDF and delta LERF for a proposed change must be
13 limited to ten to the minus seven and minus eight
14 respectively.

15 An increase in these values is possible if
16 there is reasonable assurance that the plant risk is
17 in region two or three with fire and seismic risk
18 included.

19 If an increased value is used, a basis or
20 justification must be developed and documented. This
21 is of the same kind of thinking that you said earlier
22 that fire protection engineers' fear risk assessment
23 and they run away.

24 How can my make these judgments about
25 delta CDF and delta LERF without the fire risk

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 assessment? In fact, to say an increase in these
2 values is possible if there is reasonable assurance
3 that the plant risk is region two or three, and you
4 would judge that without CDF and LERF, I suppose.

5 You know, I'm at a loss. If we approve
6 anything like this, then what on earth are we doing
7 here? Okay? I am at a loss. The Committee may not
8 be.

9 I mean, this says, find delta CDF and
10 delta LERF. Try to imagine in which region -- well,
11 this is a pretty good plant. I'm probably in region
12 three.

13 Well, yes, delta CDF is probably low. I
14 think I will approve it. I mean, this is not the
15 spirit of risk informing our decision making process.

16 I'm done with my comments. Any comments
17 or questions from the Committee?

18 VICE CHAIRMAN SHACK: Aside from that,
19 George, what of you think of it?

20 (Laughter.)

21 MEMBER DENNING: Well, I do have another
22 question. I'm not sure if Ray is the right person to
23 address it to. But I think that basically when we
24 look at some of the elements of this that --
25 particularly going down that left-hand line there --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that we rely on the ability of the utility to use very
2 sophisticated tools that don't have very well
3 characterized validation and verification.

4 I realize those things are in progress.
5 But, they require a great deal of experience, even
6 when we get to the point of understanding what those
7 uncertainties are.

8 And, by allowing them to use that within
9 this context, it means that the utility can make a
10 change in its plant, and that it will eventually be
11 audited.

12 But, I think that today we can have
13 exemptions and along the same lines for certain
14 regions and stuff like that. But, it would be assured
15 that it would go through a regulatory review before
16 the plant made the change.

17 If we allow those things to happen now
18 within the context of this new approach, that it puts
19 a lot of trust in us that the utility is going to be
20 able to have the expertise to assess just how big
21 those uncertainties are.

22 And then it puts a lot of burden later on
23 the inspectors when they go through to really identify
24 that there's an issue here and bring it to the right
25 people to have it checked.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And I am just -- I don't feel real
2 comfortable with that. And I'd like to hear why I
3 should have more comfort that that's an acceptable
4 thing to do.

5 MR. WEERAKKODY: Yes, I could answer that
6 one. I wouldn't say that our inspectors and the old
7 licensees out there have that capability today. But,
8 I could assure you that the inspectors who would be
9 inspecting the plants will have procedures delivered
10 by us.

11 And they will have the training that is
12 compatible with implementing those procedures. In
13 fact, for the 805 plants we will be creating new
14 procedures just to look at the PRA and define -- up.

15 Now, with the licensees, we have the pilot
16 observation visits. I'm not saying that -- I don't
17 know how much expertise they have today. But I do
18 know that at this point, for example, we have -- you
19 know, I've been to region four once.

20 And we distributed all the CFAST models
21 because they wanted these modeling tools. So, the
22 level of knowledge even the licensees is on the
23 increase.

24 And it really goes with the pilots we have
25 every three or four months. For the pilots we do

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 observation visits from the head office. And these
2 are the things we need to work through and make sure
3 it does happen.

4 CHAIRMAN WALLIS: Are we finished?

5 MEMBER APOSTOLAKIS: Anything else?

6 (No verbal response.)

7 MEMBER APOSTOLAKIS: Well, thank you very
8 much.

9 CHAIRMAN WALLIS: You asked for comments,
10 George. My comment is it's somewhat miraculous we
11 finished by 12 o'clock despite all the excitement. And
12 I think the reason perhaps we did it is because we
13 knew something else is going to happen at 12 o'clock.

14 MEMBER APOSTOLAKIS: Yes, our guest
15 speaker is here.

16 CHAIRMAN WALLIS: I'm going to have a
17 break of an hour. And the question I have for the
18 Committee is whether you want to go away and get a
19 lunch and bring it up here or whether you want to hear
20 the speaker and then go to lunch.

21 I think we want to go and get a lunch and
22 go back.

23 MEMBER APOSTOLAKIS: Wait. We were
24 supposed to do that at 11:45.

25 CHAIRMAN WALLIS: I know George, but

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 unfortunately you didn't keep us on time. So, carry
2 on.

3 MEMBER APOSTOLAKIS: Can we ask the
4 speaker what other commitments he has?

5 CHAIRMAN WALLIS: Well --

6 MEMBER APOSTOLAKIS: He's not here just
7 yet.

8 CHAIRMAN WALLIS: There's also a
9 constraint. Okay. So, is that the agreement? That
10 we will go away and get some lunch, bring it up here,
11 those of us who have the time to hear the speaker.

12 And we will take a break from 12. And we
13 will return here at one for our regular business.

14 (Whereupon, at 12:00 p.m. the above-
15 entitled matter was concluded.)

16

17

18

19

20

21

22

23

24

25