

# Official Transcript of Proceedings

## NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards  
528th Meeting

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Friday, December 9, 2005

Work Order No.: NRC-768

Pages 1-78

**NEAL R. GROSS AND CO., INC.**  
Court Reporters and Transcribers  
1323 Rhode Island Avenue, N.W.  
Washington, D.C. 20005  
(202) 234-4433

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

+ + + + +

528<sup>TH</sup> MEETING

+ + + + +

FRIDAY,

DECEMBER 9, 2005

+ + + + +

The Committee met in Room T-2B3 of the U.S. Nuclear Regulatory Commission, Two White Flint North, 11545 Rockville Pike, Rockville, Maryland, at 8:30 a.m., Graham B. Wallis, Chairman, presiding.

PRESENT:

GRAHAM B. WALLIS

ACRS Chairman

WILLIAM J. SHACK

ACRS Vice Chairman

JOHN E. SIEBER

ACRS Member-at-Large

GEORGE E. APOSTOLAKIS ACRS Member

MARIO V. BONACA

ACRS Member

RICHARD S. DENNING

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   ACRS Member

2           THOMAS S. KRESS

3                   ACRS Member

4           DANA A. POWERS

5                               ACRS Member

6           VICTOR H. RANSOM

7                   ACRS Member

8

## A-G-E-N-D-A

1

2

8:30-8:35 am	Opening Remarks by the ACRS Chairman (Open)(GBW/JTL/SD)	3
--------------	--	---

3

8:35-10:00 am	Staff Activities Associated with Responding to the Commission's Staff Requirements Memorandum (SRM) related to Safety Conscious Work Environment and Safety Culture (Open) (MVB/GEA/JHF)	4
---------------	--	---

4

5

	12.1) Remarks by the Subcommittee Chairman	4
--	---	---

6

	12.2) Briefing by and discussions with representatives of the NRC staff regarding staff activities associated with responding to the Commission's RM related to safety conscious work environment and safety culture, and related matters	6
--	---	---

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1

	Representatives of the nuclear industry and members of the public may provide their views, as appropriate	8	
2	10:00-10:15 am	BREAK	74

3

4

5

6

7

8

9

10

11

P-R-O-C-E-E-D-I-N-G-S

(8:35 a.m.)

CHAIRMAN WALLIS: Good morning. The meeting will now come to order. This is the third day of the 528<sup>th</sup> Meeting of the Advisory Committee on Reactor Safeguards. During today's meeting, the Committee will consider the following: staff activities associated with responding to the Commission's staff requirements memorandum related to safety conscious work environment and safety culture. Future ACRS activities, report of the Planning and Procedures Subcommittee, reconciliation of ACRS comments and recommendations, election of ACRS officers for Calendar Year 2006, draft ACRS Report on the NRC Safety Research Program, and the preparation of ACRS Reports.

This meeting is being conducted in accordance with the provisions of the Federal Advisory Committee Act. Mr. Sam Duraisway is the designated federal official for the initial portion of the meeting. We have received no written comments, nor requests for time to make oral statements from members of the public regarding today's session. A transcript of a portion of the meeting is being kept and it is requested that the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 speakers use one of the microphones, identify  
2 themselves and speak with sufficient clarity and  
3 volume so that they can be readily heard.

4 The only other thing I wish to say is to  
5 remind you that we are having a Christmas party  
6 during lunchtime today and we will go to work  
7 directly after it.

8 The first item on the agenda concerns  
9 the safety conscious work environment and safety  
10 culture, and our lead member on this issue is Dr.  
11 Mario Bonaca. I turn this over to you, Mario.

12 MEMBER BONACA: Good morning. In  
13 response to the Commission's August 3, 2004 SRM, the  
14 NRC staff is developing an approach to enhance the  
15 reactor oversight process to more fully address  
16 separate culture. Implementation of the approach is  
17 scheduled -- or Phase I of the approach is scheduled  
18 for March 6, 2006.

19 The NRC staff has met with stakeholders  
20 twice and the last time was recently, November 29  
21 and 30, 2005, so they have feedback from the  
22 individual evaluations. At the meeting, three  
23 separate culture initiatives -- objectives were  
24 identified. The first one was to provide better  
25 opportunities for the NRC staff to diagnose safety

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 culture weaknesses and take  
2 appropriate action before the resultant development  
3 of cornerstones.

4 The second was to provide the NRC staff  
5 with a structured process to determine the need to  
6 specifically evaluate NRSC safety culture after  
7 Performance 12 problems have transpired to a  
8 degraded cornerstone.

9 And finally, to provide the NRC staff  
10 with a systematic safety culture evaluation process  
11 and the tool to review a licensee self-assessment.

12 Today, the staff presentation will  
13 update the Committee on these activities, and give  
14 us some information on the status. We have also  
15 planned the Subcommittee Meeting of Subculture for  
16 January 25, 2006 to examine international activities  
17 and also to continue to report a review as a  
18 committee on the safety culture area.

19 With that, I'll turn it over to the  
20 staff for their presentation.

21 MEMBER JOHNSON: Good morning. My name  
22 is Michael Johnson. I'm Director of the Office of  
23 Enforcement. I'm joined at the table by Isabelle  
24 Schoenfeld, who is Chief of the Safety Culture  
25 Working Group, and on my left is Jim Cobey, who is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 the Chief of the Reactor Project's Branch III in  
2 Region 1. And we're here, again, to talk about  
3 safety culture.

4 I believe it's been a couple of years  
5 since the staff last met with the ACRS on safety  
6 culture and, at that time, we and the industry had a  
7 renewed interest in safety culture, particularly as  
8 a result of the incident at Davis-Besse.

9 At the conclusion of that meeting with  
10 the ACRS, in the ACRS' letter, the ACRS agreed that  
11 a safety culture is important from a safety --  
12 important to safety performance. The letter stated  
13 that the regulatory framework is largely in place  
14 for monitoring aspects of safety culture, and that  
15 that framework is appropriately performance-based.  
16 The letter indicated that actions are appropriately  
17 based on risk significance and in accordance with  
18 the Action Matrix, the ROP Action Matrix, and that  
19 broader evaluations, such as evaluations of  
20 personnel attitudes and so on, really belong to the  
21 industry.

22 Since that time two years ago, as we  
23 promised, we've continued to monitor the efforts of  
24 the industry and international entities in their  
25 efforts related to safety culture. In addition to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that, we proposed a set of options for the  
2 Commission with respect to safety culture, and we  
3 got, at that time, a direction from them related to  
4 safety culture. And so one of the purposes -- in  
5 fact, one of the primary purposes of today's meeting  
6 was to bring you up to date, if you will, regarding  
7 what's transpired in the intervening couple of  
8 years, including our most recent direction from the  
9 Commission and our response to that direction.  
10 There's been a lot of -- of sort of a flurry of  
11 staff activities, particularly in the recent months,  
12 on safety culture. And so we want to talk about  
13 that.

14           Isabelle is going to discuss the  
15 background. Much of it will be familiar to you, but  
16 we think it's important to do that again, to remind  
17 you of where -- how we got started in this most  
18 recent push on safety culture.

19           Gene is going to discuss the current  
20 status and he's going to focus in on the November  
21 29<sup>th</sup> and November 30<sup>th</sup> meetings, including staff's  
22 planned approach, so you'll have, at least at a high  
23 level, an understanding of where we -- how we plan  
24 to move out to address the Commission's direction.  
25 And then I'll come back at the end and try to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 summarize and talk about the next -- what we see as  
2 the staff's next steps. That's what we're going to  
3 do.

4 If there are no questions on that,  
5 Isabelle?

6 MS. SCHOENFELD: As Mike already  
7 mentioned, I'm going to provide just quick  
8 background information for you and first discuss  
9 what some of the drivers were for this work.

10 The -- of course, the SECY paper, 04011,  
11 that was issued in August 2004. We also had  
12 recommendations from the Davis-Besse Lessons Learned  
13 Task Force, GAO recommendations related to enhancing  
14 safety culture and the reactor oversight process.

15 In addition, there has been strong  
16 Congressional interest in this area, as provided to  
17 the Commissioners from the Senators on the  
18 Environment and Public Works Committee and also  
19 Congressional staff in meetings with NRC staff.

20 I just want to quickly run through what  
21 the major direction was in that SECY 04011. One  
22 thing was to enhance the reactor oversight process  
23 treatment of cross-cutting issues to lead to safety  
24 culture, ensure inspectors are trained in safety  
25 culture, develop a process to determine the need for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 a specific safety culture evaluation for plans and  
2 cornerstone to the Action Matrix, and also to  
3 continue monitoring industry and international  
4 efforts and involve stakeholders in making changes  
5 to the ROP.

6 The -- as Mike mentioned, the SECY paper  
7 offered a number of options to the Commissioners and  
8 in their response, they not only told us what to do,  
9 but what not to do, and we thought it was important  
10 for folks to know that as well. They said not to  
11 revise the 1989 policy statement on the conduct of  
12 operations and not to encourage licensee self-  
13 assessment of safety culture through the development  
14 of a guidance document. Also, not to develop an  
15 inspection process for systematically assessing  
16 safety culture to result in additional Agency  
17 actions, or to use NRC surveys of licensee  
18 personnel. Not -- to proactively work with the  
19 international community to develop objective  
20 performance indicators, nor to engage the industry  
21 to develop an industry process to address safety  
22 culture, similar to what we've done in the training  
23 area. And not to develop criteria or possible  
24 intervention strategies for the NRC to take when  
25 training in the area of safety conscious work

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 environment, safety culture exists. And the  
2 licensee has failed to take appropriate action.

3 CHAIRMAN WALLIS: What did they approve?

4 MS. SCHOENFELD: Well, they approved  
5 what I have just mentioned there.

6 CHAIRMAN WALLIS: Oh, I see. Okay. I  
7 didn't know if I'd get that message.

8 MEMBER APOSTOLAKIS: So this is what  
9 they want you to do?

10 MS. SCHOENFELD: Yes.

11 MEMBER APOSTOLAKIS: And the other two  
12 slides is not?

13 MS. SCHOENFELD: That's right, correct.

14 MEMBER APOSTOLAKIS: Because the way  
15 they're listed here is as if they were asking you to  
16 do these things.

17 CHAIRMAN WALLIS: Yes.

18 MS. SCHOENFELD: Yes. This occurred --  
19 I'm sorry --

20 MEMBER APOSTOLAKIS: The next slide.  
21 Let's go to the next slide.

22 MS. SCHOENFELD: Yeah.

23 MEMBER APOSTOLAKIS: Okay. You have the  
24 word "disapproved" at the top --

25 MS. SCHOENFELD: Yeah.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER APOSTOLAKIS: -- and then it says  
2 "revised." So all these things --

3 MS. SCHOENFELD: Sorry.

4 CHAIRMAN WALLIS: Okay. So they  
5 approved that first --

6 MEMBER APOSTOLAKIS: Let us look at them  
7 because it doesn't make sense. It just doesn't make  
8 sense.

9 MS. SCHOENFELD: Okay. Okay.

10 MEMBER JOHNSON: Well, it seems to be  
11 incompatible and you're supposed to ensure  
12 inspectors are properly trained in safety culture,  
13 but you're not supposed to develop an inspection  
14 process. So how can you do one without the other?  
15 But maybe you're going to tell us about that.

16 MS. SCHOENFELD: Well, I can try to  
17 address that question right now. What we believe  
18 they meant there was that we should not develop a  
19 specific evaluation of safety processes --

20 MEMBER JOHNSON: No, not a checklist.  
21 Not a checklist, so they're saying.

22 MS. SCHOENFELD: We are okay -- as a  
23 safety culture inspection procedure.

24 MEMBER APOSTOLAKIS: But if we go, I  
25 think, to the next slide --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER JOHNSON: Yeah.

2 MEMBER APOSTOLAKIS: How can the  
3 Commission ask you not to do the last bullet? It  
4 doesn't make sense, does it?

5 MEMBER JOHNSON: Yeah, let me -- perhaps  
6 what we should do is provide a little bit more  
7 context on each of these individual bullets because  
8 what we did was we laid out a spectrum of options,  
9 Option 1 not being -- a spectrum of options and the  
10 Commission picked and chose, if you will, from those  
11 options. Now, this option -- what they were -- what  
12 we were really saying was, in this option, we would  
13 rely -- what the staff would do is wait until  
14 something happened and then react. That would be  
15 our sole approach, our primary approach to safety  
16 culture. And so that the Commission was telling us,  
17 with respect to disapproval of this option was,  
18 don't just wait to react, but be more reactive. And  
19 so you get that context if you think about the  
20 things that they approved.

21 MEMBER APOSTOLAKIS: But that's not what  
22 the bullet says.

23 MEMBER JOHNSON: Right. Well, yes. This  
24 should not be the only thing you do. You should  
25 also --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER APOSTOLAKIS: I understand that,  
2 Mike, but --

3 MEMBER JOHNSON: In addition to other  
4 things.

5 MEMBER APOSTOLAKIS: I mean, if we don't  
6 do the last bullet, we might as well go home.

7 MEMBER JOHNSON: You're right.

8 MS. SCHOENFELD: And I think that they  
9 responded -- they gave us direction to do that when  
10 plans for the cornerstone --

11 MEMBER APOSTOLAKIS: It seems to me that  
12 both of these bullets -- I mean, they should be  
13 positive. You should work with international  
14 communities.

15 MEMBER JOHNSON: Right.

16 MEMBER APOSTOLAKIS: You should engage  
17 the industry.

18 MS. SCHOENFELD: Yes. They did want us  
19 to continue to do that, to engage the industry and  
20 to work on the international efforts. They did  
21 state that in the SRS.

22 MEMBER BONACA: Well, they may have said  
23 it, but that is approved, these couple of bullets.

24 MEMBER JOHNSON: Yeah, let's --

25 MEMBER APOSTOLAKIS: They can't cut

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 these.

2 MEMBER JOHNSON: Let me just talk about  
3 the second bullet for a second. Let me talk about  
4 the second bullet, if I can.

5 CHAIRMAN WALLIS: Yes.

6 MEMBER JOHNSON: The second bullet -- we  
7 had an option that said, our approach to overseeing  
8 safety quality issues should be along the line of  
9 the INPO training accreditation, our INPO training  
10 process and the way we oversee that. So we would  
11 rely on the industry to establish standards, if you  
12 will, and to -- and to sort of oversee safety  
13 culture. And our role as the regulator would be  
14 simply to touch that and make sure that it is on  
15 track.

16 So, what the Commission said was, no,  
17 don't do that. And by implication, when you look at  
18 what they approve is, they were saying, do more.

19 MEMBER APOSTOLAKIS: Do more. That's  
20 what it says.

21 MEMBER JOHNSON: Do more, right. With  
22 respect to the first bullet, proactively work within  
23 international community to develop objective  
24 performance indicators, I think the emphasis you  
25 should take from that bullet is all performance

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 indicators. Don't rely on performance indicators as  
2 a way to try to oversee safety culture. Do -- you  
3 know, find some other way to engage to oversee  
4 safety culture.

5 So it's -- we probably need to provide  
6 greater context for these bullets.

7 MEMBER BONACA: Yeah, you already said  
8 that. So that means nonperformance in here -- that  
9 means not specific measures, okay. So what are they  
10 going to rely on, just quantitative insights? I'm  
11 trying to understand. I mean, it's just that --

12 MEMBER APOSTOLAKIS: You mean the ROP --

13 MEMBER BONACA: No, I'm talking about --

14 MEMBER APOSTOLAKIS: -- the psychosis?

15 MEMBER DENNING: But how do you do  
16 performance-based regulation without performance  
17 indicators? Are the two just so intimately tied  
18 that you can still do that?

19 MEMBER JOHNSON: Well, I think -- I  
20 think we're going to talk about -- I know we're  
21 going to talk about how we plan to approach it and I  
22 think we have a vision for how we could oversee  
23 safety culture without relying on, for examples,  
24 numbers of items in the backlog or numbers of trends  
25 in allegations that are reported to the Agency. It

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 was sort -- there was sort of a thought that was, if  
2 you think you're not going to be able to find a  
3 series of performance indicators that give you the  
4 insights that you need, that you can apply broadly,  
5 if you will, across plants to decide where there's a  
6 common safety problem, we think we have a way to do  
7 that, and we'll talk about that in a few minutes.

8 CHAIRMAN WALLIS: But does the  
9 international community already have performance  
10 indicators? Don't some --

11 MS. SCHOENFELD: No, they do not.

12 CHAIRMAN WALLIS: Don't some countries  
13 have some performance indicators?

14 MS. SCHOENFELD: Jay, do you want to  
15 address that?

16 MR. PERSENSKY: Jay Persensky from the  
17 NRC, from the Office of Research. There are a  
18 number of countries that are in the process of  
19 developing -- IAEA has actually a draft document  
20 that we've looked at in terms of their way of  
21 looking at performance indicators. I think beyond  
22 what Mike said is that this particular option -- you  
23 have to look at the Commission paper as discrete  
24 options, that each one of these was viewed as a  
25 separate thing. So, for instance, the one that you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 were concerned about, George, the one on developing  
2 a way to look at safety culture after a plant is in  
3 trouble. They didn't want us to do only that. So  
4 they disapproved that option, but included it in  
5 what they did approve. So, it's sort of an add-in.  
6 But from the standpoint of indicators, the  
7 Performance Indicator Program within the ROP is very  
8 specific and very specifically defined with a lot of  
9 interaction with the industry to come up with it and  
10 it's meant to be a single number, and I don't think  
11 the Commission believed that we could get to that  
12 point. And from my experience with the  
13 international community, they're not doing that  
14 either. They're looking at multiple measures in our  
15 language, rather than in indicators. So that's  
16 where's they're going.

17 MEMBER APOSTOLAKIS: I think, to repeat  
18 the same phrase, what we have here is failure to  
19 communicate. I mean, these two slides are very  
20 misleading.

21 MEMBER JOHNSON: I understand. And  
22 whenever we talk about this, we always find  
23 ourselves in the -- with the need to explain what we  
24 laid out for the Commission and how the Commission -  
25 -

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER APOSTOLAKIS: That's why it's a  
2 tough subject.

3 MEMBER JOHNSON: -- pick and choose,  
4 pick and choose.

5 Can we get back to the previous slide  
6 for a second? I wanted to make sure that we're also  
7 clear on that? Thanks.

8 So, if you look at those bullets, revise  
9 the 1989 policy statement on the conduct of  
10 operations, again, you know, if we take that  
11 approach -- if you take that single option that we  
12 provided, which was what we need to do on safety  
13 culture, and revise the policy statement, the  
14 Commission said, no. Now, we don't read that as the  
15 Commission ruling out that possibility in addition  
16 to some of the other things that we do, but that  
17 sole -- that wasn't going to be enough. We believe  
18 --

19 MEMBER APOSTOLAKIS: So they don't want  
20 you to revise the statements?

21 MEMBER JOHNSON: Alone, as an approach  
22 to safety culture. The second bullet, you might  
23 recall that we revised the -- we issued a RIS on  
24 safety conscious work environment that provides  
25 guidance to licensees on -- in the area of training,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 but expectations, guidance, if you will, with  
2 respect to safety conscious work environment. And  
3 this option was -- the staff was offering to do  
4 something very similar for safety culture and the  
5 Commission said no with respect to that. Again, as  
6 a, no, that's not -- don't rely on that as a single  
7 option to go forward. And I think that we've sort  
8 of touched on the last two, to some extent, or the  
9 last two are pretty self-explanatory. The third  
10 one, I'll just -- I'll just mention, that  
11 development inspection process for systematically  
12 assessing safety cultures is the result of  
13 additional Agency actions. I think of that sort of  
14 as a diagnostic inspection that we would do at every  
15 plant. So we would go out and sample plants,  
16 regardless of performance. Every plant is, for  
17 example, a part of the baseline inspections that we  
18 do and then we would come back and make conclusions  
19 about whether they had problems with safety culture.  
20 And the Commission was saying, don't do that.  
21 That's not a wise way to approach this. So that --  
22 I think that rounds out --

23 MEMBER APOSTOLAKIS: Let me ask you  
24 something a little more general, Mike, and the other  
25 presenters. Safety has been a concern to the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Nuclear people from Day One. In 1947, I believe,  
2 Edward Teller formed the predecessor to this  
3 Committee. So we're talking about nearly -- what,  
4 57-some years. And we've had some incidents in the  
5 way, and you know, safety, and the NRC being very  
6 active in all that. Why don't we have a good safety  
7 culture now? What is it that happened the last few  
8 years and then, all of a sudden, this has become an  
9 important issue? You would expect this industry to  
10 really have a very high level of safety culture.  
11 Maybe it does, and maybe we have some isolated  
12 incidents that turned out to be pretty bad. But I'm  
13 a little bit at a loss to understand, you know,  
14 after several decades of worrying about safety, all  
15 of a sudden, we have to worry about people actually  
16 thinking safety. Do you have any thoughts on that?

17 MEMBER JOHNSON: I have some that I'll  
18 offer and then I'll ask if other folks have  
19 thoughts. I think it is true that we have continued  
20 to worry about safety and we've done -- we've  
21 continued to revise our oversight, and I know the  
22 industry's advanced in terms of the way they  
23 consider safety, safety culture, in terms of what  
24 they looked at. And if you look at the -- what the  
25 international community has done, starting with some

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 of the early documents, NSAG4, but those documents  
2 have progressed. With respect to us in the NRC, I  
3 think one of the things -- I truly believe that even  
4 though we've made progress, Davis-Besse was sort of  
5 a watershed event for us because when we created the  
6 ROP, what we -- it was sort of created with the  
7 premise that if plants have green PI's and green  
8 inspection findings, we can infer that their safety  
9 culture is okay. And what we -- what Davis-Besse  
10 taught us is, it's possible for a plant to have  
11 green PI's and green performance indicators and  
12 still have underlying problems with respect to  
13 safety culture where you find a large -- a hole in  
14 the head and then, as you pull the string, you find  
15 substantial problems with respect to safety culture.

16 MEMBER BONACA: Since you brought up  
17 Davis-Besse, I mean, that's an important example  
18 because, again, there were no warnings that we saw  
19 from the ROP. Have you done an analysis of what has  
20 been found later to see if there are indicators of -  
21 - that the safety culture had been -- later on, we  
22 concluded, had been within the plant? I mean, has  
23 an analysis been done to understand specifically?

24 MEMBER APOSTOLAKIS: And what were the  
25 problems with the ROP itself?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MEMBER BONACA: That's right.

2 MEMBER APOSTOLAKIS: Why didn't the ROP  
3 give us some indication that something was going  
4 wrong?

5 MEMBER JOHNSON: Well, and in fact, some  
6 of that --

7 MEMBER BONACA: Well, I have a question.  
8 I don't know if an analogy has been done to see if  
9 there were indicators and one could have noticed if  
10 we had been sensitized to the importance of those  
11 indicators from a perspective of safety culture?

12 MEMBER JOHNSON: I think that analysis  
13 has been done. You'll recall that Art Howell -- I  
14 know Art Howell was before the Committee, talking  
15 about Davis-Besse Lessons Learned. We have -- there  
16 are recommendations that go to having the staff re-  
17 look at the ROP in light of Davis-Besse. And, in  
18 fact, that, I think, is really the genesis, the in-  
19 invigoration, if you will, of attention that really  
20 is what we're talking about today. Because we know,  
21 I've spoken with Art, I've spoken with Jim Dyer,  
22 there was a sense -- there is a sense, I think, that  
23 as we know -- look now at what we knew then, we  
24 probably didn't do a good enough job in terms of  
25 questioning, in terms of documenting, in terms of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 being able to handle it in the process, to bring it  
2 forward to take action. And so that's a part of  
3 what we're doing in terms of enhancing the ROP to  
4 better treat safety culture.

5 MEMBER BONACA: But within the ROP, you  
6 already had, you know -- you had safety culture in  
7 the environment. It is something you look at in the  
8 inspections, corrective action program and so on.  
9 So you already had some elements that you looked at.  
10 From further analysis after the event, I mean, you  
11 found that they were okay or there were indicators  
12 there that really had a degraded corrective action  
13 program, for example? I don't know.

14 MEMBER JOHNSON: Well, I guess, the thing  
15 -- the other point I should mention is, you remember  
16 that at the time of Davis-Besse, the ROP was still  
17 relatively new. We're talking about early 2001 --  
18 or in 2001 we were making the decision, or in 2002.  
19 So the ROP was a year into implementation. So, --  
20 and subsequent to that, we've done a lot. We've  
21 added some questions specifically to address proper  
22 identification inspection procedure. So we've made  
23 some changes since then. One of the things that we  
24 plan to do after we figured out all the changes that  
25 we want to make is to go back to Davis-Besse and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 say, now, with these changes in mind, would we have  
2 been better able to address the issues of Davis-  
3 Besse before they resulted in that?

4 MEMBER APOSTOLAKIS: But, Mike, my  
5 question was really broader than that. Why has  
6 there been a deterioration of this, or is it just  
7 that we're finding out now?

8 MR. COBEY: Let me take a crack, George.

9 MEMBER APOSTOLAKIS: Sure.

10 MR. COBEY: Gene Cobey. I'm a Branch  
11 Chief in Region One. The last time I spoke before  
12 you was when you were in Region One and I was the  
13 SRA, so I was talking a lot about PRA and that kind  
14 of stuff. So this is a little different for me.

15 To go to your question, George, I think  
16 the Nuclear industry and the NRC has, over the  
17 years, developed and has placed a priority on  
18 safety. Most facilities do have a healthy safety  
19 culture, all right. But over the years, if you look  
20 back, there has been those discrete plants that have  
21 been in the previous processes, labeled as watch  
22 list plants or whatever. They were the cyclical  
23 plants and the perennial performance problem plants.  
24 And we dealt with those performance problems within  
25 the processes that existed at the time.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I would say, given my experience with  
2 some of those plants, and my involvement recently  
3 here with safety culture, it's a fair assessment to  
4 look back and say, underlying those performance  
5 problems, although we didn't recognize it at the  
6 time, safety culture was really at the heart in  
7 driving much of that performance problem, and we  
8 just didn't recognize it and call it that at the  
9 time. We looked more at the outputs and didn't get  
10 as much into what was causing it. And as an  
11 implementer in the field, an individual that deals  
12 with licensees, from my perspective, there's been an  
13 evolving recognition over the past few years that  
14 there is something to meet where we looked before,  
15 and that's the safety culture that, does the utility  
16 put safety first and how in which they do that, and  
17 do they do that as an organization? Do they do that  
18 as individuals? Do they do that as leaders? And if  
19 the do not, over time, it will deteriorate. And  
20 it's those plants that do not recognize that and do  
21 not prevent that that ultimately become those plants  
22 that have performance problems.

23 So, I would say, to answer your  
24 question, the majority of plants do have a healthy  
25 safety culture. But I think what we recognize is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 those plants that we previously thought were  
2 performance problem plants really, probably at the  
3 end of the line, the heart of it, really had a weak  
4 safety culture.

5 MEMBER SIEBER: I think one of the  
6 factors that's very important is that the standards  
7 that an organization sets for itself, you know,  
8 basically the whole industry is self-regulating.  
9 And you're looking at performance indicators like  
10 the performance of mitigating systems and so forth.  
11 But those kinds of problems come far after the  
12 deterioration of the culture itself. If you have an  
13 organization that has become lax and doesn't -- is  
14 not inquisitive, has relatively low standards, it'll  
15 have a modest amount of corrective action work  
16 orders. And so from a performance standard, if  
17 that's one of the things you're measuring, it looks  
18 pretty good. The problem is that there's a  
19 catastrophe awaiting in the wings for an  
20 organization that's basically lazy and it's the  
21 management that sets that tone. So I think that you  
22 can have a plant whose culture is deteriorating.  
23 It's sort of a sleeper. You may not be able to pick  
24 it out right away, and that's why this Agency has to  
25 be proactive in looking at those kinds of things, so

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that it can flush out where the standards are low,  
2 where the degree of inquisitiveness of employees is  
3 low. I think there's been improvements over the  
4 last 30 or 40 years compared to what I remember from  
5 the 1960's. But we're not there yet.

6 MEMBER BONACA: Okay, why don't we see  
7 where we go.

8 MEMBER APOSTOLAKIS: How many slides  
9 have you got there?

10 MEMBER JOHNSON: We can get through this.  
11 This is not a problem.

12 MS. SCHOENFELD: Okay. So we had these  
13 directions, the direction to do something to enhance  
14 the ROP, to get it to lead into a safety culture and  
15 we took a number of steps. Initially,  
16 organizationally, we established a Safety Culture  
17 Steering Committee, which Mike Johnson, chairs. We  
18 established a Safety Culture Working Group and a  
19 Support Team. Recently, we have a Regional Team led  
20 by Gene Cobey with representatives from each of the  
21 regions to assist us in this work.

22 One of the first things the Working  
23 Group did, one of the first activities was to do a  
24 comprehensive review of safety culture and its  
25 features, and this includes the international

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 community, industry, to identify what is generally  
2 thought as being important features of safety  
3 culture, or those characteristics and attributes  
4 that make for a safety culture.

5 Next -- we had been working on that, and  
6 in October, we issued a Commission paper, the Status  
7 of Safety Culture Initiatives and Schedule for Near  
8 Term to deliverables, and we -- which addressed our  
9 activities, provided a status of what we had  
10 accomplished and provided a schedule. That was an  
11 information paper. The Commission has turned it  
12 into a notation code paper and we're now awaiting  
13 the SRM on that paper.

14 But since then, we have -- we had a  
15 meeting in August, a public stakeholder meeting in  
16 August. We had one in October and we had a 2-day  
17 meeting in November and we had one yesterday.  
18 Following the October meeting, we have taken a fresh  
19 start in working with our stakeholders and in  
20 developing an approach to enhance the ROP. Gene  
21 Cobey will be talking about that approach in terms  
22 of what we have identified with our stakeholders as  
23 being responsive to the Commission's direction in  
24 the August SRM.

25 With that, I'll turn it over to Gene.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER JOHNSON: I think --

2 MS. SCHOENFELD: Are there questions?

3 MEMBER BONACA: Just one question. It  
4 seems to me that, you know, if you really want to  
5 look at safety culture issues, which are really  
6 behind performance, I mean, they really -- that's in  
7 the monthly record of influencing their own  
8 performance, you have to have an intrusive process.  
9 I mean there is no way that you cannot be intrusive.  
10 But it seems to me that all this direction that is  
11 approved discourages intrusiveness and, in fact, the  
12 feedback you also get from the industry is, you  
13 know, don't come too close.

14 MS. SCHOENFELD: Well, I --

15 MEMBER BONACA: So maybe as you go  
16 through your presentation, you may want to address  
17 that?

18 MS. SCHOENFELD: Yes.

19 MEMBER BONACA: You know, put this too  
20 much constraint on. I mean, you may not be able to  
21 develop anything new if you try to stay on -- and  
22 you're kept that way.

23 MEMBER JOHNSON: Yeah, I think --

24 MS. SCHOENFELD: Gene will--

25 MEMBER JOHNSON: I think Gene will cover

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 that.

2 MEMBER BONACA: Okay.

3 MEMBER JOHNSON: I do think there is a  
4 way, in terms of what we looked at and being  
5 intrusive, if you will, some of that intrusiveness,  
6 I think, does belong to the industry legitimately.  
7 Some of it belongs to us, and so we've got to figure  
8 out where that is. And I think there is a way,  
9 actually, to get there to be -- to better approach  
10 it.

11 I don't want to minimize -- I do want to  
12 tell you that this "FRESH START," or this bullet  
13 that says, "FRESH START," the Commission had a  
14 meeting with the staff to talk about Davis-Besse  
15 Lessons Learned and primarily they were intending to  
16 focus on the Lessons Learned Corrective Action  
17 Program that the staff has developed. The staff  
18 went through its presentation and at the end of that  
19 presentation, the Commission, led by Commissioner  
20 Merrifield, but joined by some of the other  
21 Commissioners, said, hey, you know, Staff, we think  
22 you're headed off on the wrong path with respect to  
23 safety culture. And they were referring to what's  
24 in that paper there that Isabelle mentioned, that  
25 Section 050187. And so this FRESH START was the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Commission saying, "Go back to Ground Zero in terms  
2 of how you think about advancing safety culture to  
3 meet the direction that we gave you on the bullets  
4 that we covered earlier." Re-engage with  
5 stakeholders. And so what you hear Gene talk about  
6 is going to be how we went back, re-engaged, and  
7 where we are today. But I don't want to minimize  
8 the point that the Commission really, really gave us  
9 a strong message to stop and re-engage with  
10 stakeholders.

11 MEMBER BONACA: Gene?

12 MR. COBEY: Okay. On November 29<sup>th</sup> and  
13 30<sup>th</sup>, we held a 2-day public meeting with a fairly  
14 large number of external stakeholders. It was a  
15 very productive meeting. During that meeting --

16 MEMBER APOSTOLAKIS: Can you name a few,  
17 Gene? Who were these people?

18 MR. COBEY: Billy Garr, Dave Lockbaum,  
19 Paul Blanche, NEI, INFO, Dave Collins. We held it  
20 in Two White Flint Auditorium and there was a  
21 healthy collection.

22 MEMBER APOSTOLAKIS: Good.

23 MR. COBEY: And it was a very diverse  
24 set of news on safety culture and what's important.  
25 We -- the meeting was facilitated by Chip Cameron,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and because of that, we were able to --

2 MEMBER APOSTOLAKIS: Who is this person?

3 MR. COBEY: Chip Cameron is --

4 MS. SCHOENFELD: NRC Office of General  
5 Counsel. He's a Facilitator for NRC.

6 MR. COBEY: So we had a successful  
7 meeting where we discussed the definition of "safety  
8 culture" and what's important about safety culture.  
9 We discussed our current activities, both NRC as  
10 well as industry activities, and discussed how they  
11 cover safety culture today, without changing  
12 anything. From that, we identified what were the  
13 areas that we could enhance, both our processes and  
14 the industry processes, to more effectively cover  
15 safety culture, commensurate with the guidance the  
16 Commission gave us, which we've previously talked  
17 about.

18 And then the last big achievement was we  
19 developed the potential conceptual approach. We had  
20 come into the meeting with about ten conceptual  
21 approaches that had been identified by various  
22 stakeholders, and through the process of reviewing  
23 and discussing those, we developed a new approach  
24 that took into account various people's views, what  
25 people thought was important to accomplish, and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 consistent with the Commission's guidance, and that  
2 was now referred to as Option G. So you'll hear  
3 Option G referred to, and that is the conceptual  
4 approach that was developed during that 2-day  
5 meeting.

6 MEMBER APOSTOLAKIS: Now can you tell  
7 us, in your view, what was the major disagreement at  
8 that meeting? Was there a point where there were  
9 two diverging views? Because you had an interesting  
10 mix of stakeholders.

11 MR. COBEY: Actually when we left that  
12 meeting, I would say we had consensus or alignment  
13 on every issue. But we had general agreement on how  
14 to proceed forward on all issues.

15 MEMBER APOSTOLAKIS: Is that right?

16 MR. COBEY: Now, if you look at the  
17 various stakeholders, take an industry stakeholder,  
18 there would be a bias to having less intrusiveness.  
19 Okay. If you have an external stakeholder that's  
20 had an intervener type of history, there's a bias to  
21 more intrusiveness. But I would say when we left  
22 that meeting, we had general agreement in proceeding  
23 down a path, which we'll talk about as Option G. So  
24 it was a fairly successful meeting. And, as you  
25 know, the devil's always in the details. We got

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 general agreement on a conceptual approach and we  
2 have -- which I'll describe, and we have a meeting  
3 next Thursday to talk about the next level of  
4 detail.

5 MEMBER APOSTOLAKIS: Why is it "G?" Is  
6 there an "A," "B," "C" and "D"?

7 MR. COBEY: Those -- where the approach  
8 is coming into the meeting, A through F, and "G"  
9 just happened to be the next letter in the loop.  
10 Hopefully, we stop at "G" and move forward and not  
11 end up at "M," "N" and "O."

12 MEMBER JOHNSON: Just also very quickly,  
13 if I can add, one of the things that I think maybe  
14 fields some of the discussion, the differences in  
15 perspectives was, we found that there isn't really,  
16 there wasn't really a good understanding on  
17 anybody's part, I think, or on a lot of folks' part,  
18 with respect to what is currently being done related  
19 to safety culture. So it was very productive for us  
20 to talk about how the ROP currently -- how the ROP  
21 currently treats things that have a bearing on  
22 safety culture, what the industry's done with  
23 respect to safety culture since Davis-Besse. I  
24 think that helped everyone have a better  
25 understanding with respect to where we are, and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 formed a basis for us better understanding where we  
2 are to go.

3 MEMBER APOSTOLAKIS: You can actually go  
4 beyond the ROP. I mean when we visited the region  
5 and we got several letters that you guys could send  
6 to --

7 MEMBER JOHNSON: The spec letters?

8 MEMBER APOSTOLAKIS: They were pretty  
9 interesting. I mean, they really went beyond what I  
10 expected.

11 MEMBER JOHNSON: Right.

12 MR. COBEY: And when we talked about  
13 this in the public meeting, we talked about the ROP,  
14 but we also talked about other processes that the  
15 NRC uses to regulate reactor facilities. So we did  
16 specifically talk about, for example, the allegation  
17 process. And you'll see that in my presentation a  
18 little bit further on.

19 MEMBER APOSTOLAKIS: Very good.

20 MR. COBEY: One thing that we did decide  
21 as a result of that meeting is that before we had  
22 the planned December 15<sup>th</sup> meeting, that we were  
23 going to talk about details. We needed to have  
24 another meeting to talk about what's important to  
25 safety culture to come closer in alignment because

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you need to decide what's important about safety  
2 culture before you decide how you're going to  
3 address those things, and that meeting was held  
4 yesterday. So after I get done talking about Option  
5 G, I'll briefly cover that meeting from yesterday.

6 Option G. When we talk about the  
7 options, we like to talk about it using a 4-element  
8 framework because each of these elements is  
9 important and you can't specifically talk about one  
10 without talking about the others to you get an  
11 understanding holistically of how you're going to  
12 address a safety culture. And those elements are  
13 information sources, how you document, how you  
14 assess and what follow-up actions you take.

15 So in the area of information sources,  
16 Option G would leave our plant status activities  
17 performed by our resident inspectors unchanged. It  
18 would leave the baseline inspection procedures  
19 largely unchanged. There is one significant  
20 exception, and that is Inspection Procedure 71152,  
21 which is the Problem Identification And Resolution  
22 Inspection. We would enhance our Special Inspection  
23 Procedures, and these are the event follow-up  
24 procedures, such as Special Team Inspections or AIT.  
25 The NRC Inspection Investigations of Allegations

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 would remain unchanged, and this is important. This  
2 is how we would have traditionally, and how we would  
3 continue to address concerns brought to us about  
4 chilling effect or discrimination retaliation, and  
5 those sorts of things. We would also leave the fact  
6 that inspectors would identify cost-cutting aspects  
7 of findings unchanged.

8           You'll notice a piece that is an  
9 information source. It's not on my list and that's  
10 the ROP does include a PI Program, but we --  
11 currently there's not any concept of incorporating a  
12 revision to PI's or bringing that into our  
13 discussion about safety cultures. So, we won't --  
14 we tend not to discuss that.

15           Documentation. Currently when we  
16 interface with utilities, we do so via docketed  
17 correspondence. Inspection Reports, letters, joint  
18 effect letters, those sorts of things. We would  
19 expect that that would remain unchanged. We would  
20 not introduce a new vehicle for communicating with  
21 the licensee or member of the public.

22           MEMBER APOSTOLAKIS: I'd like to  
23 understand the sub-bullet that says, "Inspectors  
24 identify those aspects."

25           MR. COBEY: Okay.



1                   MEMBER APOSTOLAKIS: Is that consistent  
2 with the earlier statement that we will train  
3 inspectors? Do they know already what to look for?

4                   MR. COBEY: Let me try and answer that  
5 question this way. Currently, what we do, an  
6 inspector goes in the field and performs an  
7 inspection procedure. He identifies a performance  
8 deficiency. Part of his characterization of that  
9 performance deficiency, if it's more than a minor  
10 deficiency, would be, one, to determine whether  
11 there is a driver of that performance deficiency  
12 that has a relationship or an axis with one of the  
13 cross-cutting issues, which are human performance,  
14 problem identification resolution, or safety  
15 conscious work environment. If there is, then the  
16 documentation of that in the Inspection Report, the  
17 inspector, part of his documentation -- his or her  
18 documentation would be to articulate that the  
19 inspection finding had a cross-cutting aspect in the  
20 area of, say, human performance. Say, it was a  
21 failure to follow procedure type of violation that  
22 was more than minor. You would say that the  
23 inspectors determined that there was a crosscutting  
24 aspect in the area of human performance because the  
25 non-licensed operator failed to follow this

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 procedure, which was determined to be a personal  
2 error. All right?

3 And then in the assessment process,  
4 there's a framework by which a review of those  
5 findings which have been previously determined to  
6 have an aspect in that crosscutting area, are  
7 evaluated to determine whether a substantive cross-  
8 cutting issue exists. Okay.

9 What we're articulating here is that  
10 process would remain unchanged. Now, your point  
11 about whether the inspectors would need to be  
12 trained to know how to do that, the answer is yes  
13 and no. We don't have to train them on the  
14 framework because they're already doing it. Yes, we  
15 will likely have to train them if we modify the  
16 crosscutting areas that -- and the definitions and  
17 what's assumed with them then, which I'll get to in  
18 a minute.

19 So the answer is, yes, we'll have to  
20 train them, but not on how they do it.

21 MEMBER BONACA: But just on the same  
22 subject, you know, for example, one of the things  
23 that the ROP doesn't do is to count repeat events.  
24 For example, what I mean is that the ROP evaluates  
25 an event for what it is.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. COBEY: That's correct.

2 MEMBER BONACA: It's performance-based  
3 and makes a judgment. It's significant, it's not  
4 significant, and dispositions that. Now, you know,  
5 we have raised before the issue of because of this  
6 lack of what happens when you have a repeat event,  
7 which means this is not in a low-learning  
8 organization. I mean, simply low learning from your  
9 mistakes. That's a typical, I would characterize,  
10 as a safety culture issue. Are they -- do they have  
11 procedures to -- to identify that? Do you keep a  
12 count of those? Do you look at the similarities  
13 between events that happen?

14 MR. COBEY: Let me try and describe a  
15 case. Say, the facility event occurs due to INC  
16 technicians skipping a step in a calibration that  
17 results in a reactor spraying. Potentially, a risk  
18 significant event. Say, it's determined to be a  
19 green finding for failing to follow procedure, has a  
20 crosscutting aspect in the area of human  
21 performance. Three months later, they're performing  
22 that activity again. They perform this, they make  
23 the same mistake, they have a subsequent trip.  
24 During the -- and all things are essentially the  
25 same. In that case, likely, you -- the inspector

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 would determine that there was a finding against  
2 Criterion 16 of Appendix B for corrective action.

3 MEMBER BONACA: Okay.

4 MR. COBEY: And then he would determine  
5 that the -- that it had a crosscutting aspect not  
6 only in human performance, but also in problem  
7 identification resolution because they didn't  
8 correct the problem. So the emphasis on that  
9 problem would be corrective action.

10 Now in terms of --

11 MEMBER BONACA: You need to give me an  
12 example for, one, the results are already green.  
13 What if it's not a green? I mean, it's simply that  
14 there's nothing significant and, yet, it gets  
15 repeated again and again because the culture in the  
16 organization is lax.

17 MR. COBEY: Okay. In the case of -- for  
18 the finding I gave you just a second ago, we don't  
19 count those in terms of, you know, if you get five  
20 of those, that it would become -- instead of being a  
21 green issue, it would become a white issue. We  
22 don't aggregate them that way. But what we do have  
23 is we have a process that says if you have a  
24 sufficient number of findings that are more than  
25 minor that have a common causal relationship, and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the NRC has a concern with their addressing the  
2 problem or the progress in addressing the problem,  
3 then we can identify a substantive crosscutting  
4 issue. So there's that process. But it's not based  
5 on a strict count.

6 Now with regard to minor, as you  
7 mentioned, currently the process says if a problem  
8 is identified as minor, okay, when there's certain  
9 criteria for that, that it does not get documented.  
10 It does not get incorporated into the assessment  
11 process. Hence, a recurring minor problem would  
12 stay below the threshold for NRC engagement and we  
13 would expect the utility to address it. What's  
14 important here is, one, the criteria for minor is  
15 even if it occurred repetitively, it wouldn't create  
16 or could not create a more safety significant  
17 concern. If it could, then it would not, by  
18 definition, be minor.

19 MEMBER BONACA: I know. I'm more  
20 worried about the trait that characterizes the  
21 organization as being lax and saying, yeah, this is  
22 not important. So, therefore -- and, you know, that  
23 kind of mentality allows then the degradation of  
24 more important things. I would point out a concern  
25 there because many of these things, again, are below

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the detection, the way there were at Davis-Besse.

2 MR. COBEY: I think the philosophy that  
3 Option G continues to operate under is the one that  
4 exists within the ROP and that is if there's an  
5 underlying performance problem that's resulting in  
6 minor issues or issues of very low significance,  
7 that the licensees would be expected to identify and  
8 correct those. And if they don't, then they result  
9 -- they will ultimately result in more significant  
10 issues, at which point we would engage in a graded  
11 approach as the significance increased in a more  
12 aggressive fashion to hopefully bring them back to a  
13 point where their performance was being good.

14 CHAIRMAN WALLIS: I have a question for  
15 you. Mike mentioned Davis-Besse as being a  
16 watershed. You're leaving an awful lot unchanged.  
17 You're enhancing a few things. Is there any  
18 indication that what you're doing would have helped  
19 diagnose the Davis-Besse situation, if it would have  
20 been in place at the time?

21 MEMBER JOHNSON: I think that's a good  
22 question. That's -- I tried to indicate earlier, I  
23 think one of the things that we have to do at the  
24 end of this is to go back, particularly on this  
25 area, for example, of documentation where we said

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 we're going to leave unchanged our treatment of  
2 minor violations. If we look at all of the changes  
3 that we're going to propose and we go back and we  
4 look at Davis-Besse, would we have gotten to a point  
5 where we would have been more concerned?

6 CHAIRMAN WALLIS: That's something --  
7 that's where the fix is needed.

8 MEMBER JOHNSON: Right. And we're going  
9 to look at that. I will tell you that my gut is  
10 just based, based on conversations that I've had  
11 with folks like Art Howell and Jim Dyer is, that we  
12 will find that there are things that should have  
13 been -- would have been above threshold, should have  
14 been documented, would have -- should have been  
15 captured, could have been captured, that would have  
16 resulted -- but that's the test. That's the -- the  
17 proof is in the tasting.

18 MR. COBEY: We need to recognize, too,  
19 that when I say "unchanged," I'm talking about  
20 unchanged post to Davis-Besse improvements that have  
21 already been made. All right. There's been a  
22 number of enhancements to the existing inspection  
23 procedures and the ROP assessment process to address  
24 the issues, which were identified by the Davis-Besse  
25 Lessons Learned Task Force. But I'm talking about

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 unchanged after that as opposed to pre-that. But  
2 Mike is right. We have plans to do a -- for lack of  
3 a better way of describing it -- a test program to  
4 evaluate using historical plants, the proposed  
5 option.

6 MR. COBEY: So in the assessment piece,  
7 this is where we start talking about the meat and  
8 potatoes of --

9 CHAIRMAN WALLIS: The interesting thing  
10 about Davis-Besse, is that there must have been an  
11 awful lot of employees that knew what was going on,  
12 but somehow the inspectors didn't. And everybody  
13 knew. Everybody knew, but didn't do anything.  
14 Well, okay. You were going to check that out  
15 anyway.

16 MEMBER JOHNSON: Well, yeah. The Agency  
17 is working on it and continues to work on aspects of  
18 what was known and not known in Davis-Besse, and  
19 it's sort of separate from what we'll talk about  
20 here, but -- let me just leave it at that, if I can.

21 MR. COBEY: The NRC's assessment process  
22 is described in Manual Chapter 0305 and our  
23 intention in Option G would be to leave the  
24 framework largely unchanged. There are some minor  
25 changes. We think that they're relatively minor and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 incremental. And the notable ones are we would  
2 adjust the crosscutting issues to more closely align  
3 with what's important to safety culture. And what  
4 we mean there is currently, we have three  
5 crosscutting areas: human performance, problem  
6 identification/resolution, and safety conscious work  
7 environment. Underneath problem identification and  
8 resolution, there are three bins: they are  
9 identification evaluation/corrective action, and  
10 then under human performance, it's resources,  
11 personnel and organization. And there's a  
12 definition for those. But given our study of safety  
13 culture that's ongoing by the working group for the  
14 past year and a half, we've identified approximately  
15 15 to 16 items, which are important to safety  
16 culture. Some of those things fit within our  
17 construct of cross-cutting issues nicely and they  
18 more -- if we were to revise the cross-cutting area  
19 definitions, they would more closely align with  
20 what's important to safety culture, So, for  
21 example, you might see problem identification and  
22 resolution. Instead of it being -- the make-up of  
23 that being identification/evaluation resolution, you  
24 might see something along the lines of operating  
25 experience, self-assessment, corrective action

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 program, as being the three things about problem  
2 identification/resolution that are important, et  
3 cetera.

4 The details of this is yet to be  
5 finalized. We have a meeting next week to talk  
6 about it. But that's what we mean by making an  
7 adjustment to the crosscutting issues.

8 MEMBER APOSTOLAKIS: You mentioned  
9 resources and this comes back to the issue of  
10 intrusiveness.

11 MR. COBEY: Right.

12 MEMBER APOSTOLAKIS: As you know,  
13 starting with the IEA's report of whatever years  
14 ago, they raised the issue of safety culture. There  
15 have been numerous papers and reports that talk  
16 about safety culture and so on, what's important,  
17 and resource, of course, is always one important  
18 thing. And I'm not saying that it's not, but isn't  
19 the business of the regulator already to look at  
20 resources?

21 MR. COBEY: It depends on how you look  
22 at it. If -- I don't think there would be an  
23 intention on the NRC's part to go review licensee's  
24 business plan and the decisions they make in the  
25 financial arena. Okay. But what we do look at, is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 if you look at the way the communities define what  
2 resources means?

3 MEMBER APOSTOLAKIS: Yeah.

4 MR. COBEY: There are outputs. Are  
5 their training processes adequate? Are they  
6 providing them? Are they providing adequate program  
7 and procedures? Basically, are they providing the  
8 means for the organization to be successful? I mean  
9 there is an eloquent definition of it. One of the  
10 areas where we might look at it is when you're  
11 looking at performing inspections, and you find that  
12 the operators performed a task, and there was an  
13 adverse consequence. You pull the thread and you  
14 find out, well, the procedure was inadequate. They  
15 followed the procedure, but it told them to do  
16 something incorrect. Well, when you're asked the  
17 question, "Well, why was the procedure inadequate?"  
18 you find out it's been in the procedure backlog for  
19 five years to be corrected, and there's a very large  
20 number of procedure revs. And the utility hasn't  
21 addressed that. Okay, they've just let this problem  
22 linger. Well, that would be an outcome that we  
23 would be interested in and we could identify as the  
24 cause -- or an important aspect of what's -- of this  
25 inadequate procedure violation.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER APOSTOLAKIS: But it's not  
2 necessarily an issue of resources. We don't care  
3 why it was five years in the backlog. We care about  
4 the fact that it was there for five years. Whether  
5 they didn't have adequate resources to move it up or  
6 whether somebody was negligent is none of our  
7 business, is it? It's really performance-based  
8 again, but with a broader definition of performance.

9 MR. COBEY: Right.

10 MEMBER APOSTOLAKIS: I think it is. I  
11 don't think we should get into these --

12 MEMBER JOHNSON: I think it is  
13 performance -- I think it is performance-based, and  
14 in those instances where we find that at the root of  
15 this thing, this procedure having been in the  
16 backlog for five years, at the root of this -- the  
17 fact that training wasn't done and because that  
18 training wasn't done, people couldn't perform their  
19 -- it points to resources. That's what we're  
20 talking about in terms of looking at it from a  
21 performance-based perspective as opposed to going  
22 out, reviewing our business plan, looking at how  
23 they plan to make capital investments and those  
24 kinds of things.

25 MEMBER APOSTOLAKIS: But why would you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 want to use the word "resources?"  
2 You are looking at something specific that is  
3 tangible and performance-based, so why it happened -  
4 - this has been the major problem with safety  
5 culture, you know, over the years. That people are  
6 very reluctant to get into why did this person act  
7 this way. I mean, it's none of our business. The  
8 fact that he or she acted that way is our business  
9 if it's safety related. So, I wouldn't use the word  
10 "resources."

11 MEMBER JOHNSON: That's fair. I will  
12 point out that we certainly want the licensees in  
13 their self-assessments, we know that the industry in  
14 terms of what IMPO does in their evaluations, for  
15 example, looks at resources. If --

16 MEMBER APOSTOLAKIS: Sure.

17 MEMBER JOHNSON: And so, to the extent  
18 there's a performance problem, and the licensee does  
19 a root cause and points to resources, we want to --  
20 we need to be able to understand that in the context  
21 of what it means with respect to safety culture. We  
22 have -- but I take your point with regard to the  
23 term "resources."

24 MEMBER APOSTOLAKIS: Are you going to  
25 talk about what you expect the licensees to do?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. COBEY: Yes.

2 MEMBER JOHNSON: Yes.

3 MEMBER APOSTOLAKIS: Okay. Because one  
4 question there -- maybe later, we'll discuss it --  
5 is how much of the findings do you want to know?

6 MEMBER JOHNSON: Okay.

7 MR. COBEY: The second envisioned change  
8 to the framework would be to include the outputs of  
9 the allegation and traditional enforcement processes  
10 as inputs into the assessment process. Right now,  
11 for example, an allegation output might be a  
12 chilling effect letter to a facility. And there's a  
13 direct relationship with cross-cutting areas and  
14 what we do within the ROP, yet the two processes  
15 aren't tied together as well as they could be. So,  
16 there's an envisioned improvement in the reactor  
17 oversight process to better link those.

18 In terms -- and this, hopefully, will  
19 get to -- Gary, I think you're interested in --  
20 George, and that is follow-up. You know, right now  
21 what we do in the area of crosscutting issues, if we  
22 have a recurring substantive crosscutting issue,  
23 that means a substantive cross-cutting issue at a  
24 facility has been identified in two or more  
25 consecutive assessment cycles. So that would be a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 mid-cycle and end-cycle or an end-cycle and mid-  
2 cycle. The process allows the NRS to request that  
3 the facility provide corrective actions and/or to  
4 meet with us in a public meeting to discuss their  
5 actions to remedy their problem. One additional  
6 option, where Option G would allow us, the NRC, to  
7 request, in these cases, the licensees to have an  
8 assessment safety culture performed.

9 CHAIRMAN WALLIS: By whom, and how do  
10 you do it? By whom, and how do you do it? I mean,  
11 how do you assess safety culture? Is the NRC going  
12 to do it? Or a consultant in safety culture, or  
13 what?

14 MR. COBEY: The details of this, really,  
15 the subject of the December 15<sup>th</sup> meeting, the  
16 envision here is it would either be done by the  
17 licensee or be done by an independent party --

18 CHAIRMAN WALLIS: INPO already does  
19 this, right?

20 MR. COBEY: Yes, they do. They do it  
21 within the context of their process.

22 MEMBER JOHNSON: But this would be a  
23 specific follow-up assessment, outside of the  
24 regularly scheduled IMPO evaluation, for example, if  
25 they chose to use IMPO. This would be the licensee,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 us requesting the licensee, you either look at your  
2 safety culture, do an assessment, or find someone  
3 else to do it for you.

4 CHAIRMAN WALLIS: But IMPO already does  
5 that, don't they? But that's not available to you?  
6 Their assessments are not available to you, is that  
7 right? I thought IMPO regularly assesses safety  
8 cultures.

9 MR. COBEY: They do.

10 MEMBER JOHNSON: IMPO does evaluations  
11 and they built into those evaluations an assessment  
12 of safety culture. They're done at a regular  
13 frequency of plants, and we do have access to them.  
14 The residents can read them on site. We can go to  
15 IMPO Headquarters and read them. We don't document  
16 those -- we document our review of those. We don't  
17 follow-up on corrective actions identified by those.  
18 But this situation is -- could be where a plant is  
19 here. We've identified that there's a substantive  
20 crosscutting issue in two cycles and let's suppose  
21 that there hasn't been an IMPO evaluation, or there  
22 isn't one planned. What we want to make sure of is  
23 that because this issue has existed for a couple of  
24 cycles, that they do one. So that's really what  
25 we're going after. They can use IMPO. They can use

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 whatever they would choose.

2 MEMBER APOSTOLAKIS: Well, I don't know  
3 about that. I mean, there is a question here  
4 whether the assessment process is found adequate by  
5 you. I mean just because somebody goes and does an  
6 assessment on safety culture, they may come back  
7 with very good results or they may come back with  
8 very poor results. Like if they distribute a  
9 questionnaire to their people and say, "Do you put  
10 safety first?" What do you think the guys are going  
11 to say? So, 99 percent say, "Yeah, we put it  
12 first." Okay. We have a good safety culture. On  
13 the other hand, there have been, you know, some  
14 people who have studied this more seriously and they  
15 have questions and all that. Shouldn't you say --

16 MR. COBEY: Actually, the current  
17 process allows the NRC, when we ask them to provide  
18 us their corrective action, right now, the way in  
19 which we would follow up on those is DSR Inspection  
20 Procedure for Problem Identification/Resolution,  
21 71152. So we would envision that that framework  
22 would remain unchanged, that when they got done with  
23 their assessment, whether they did it themselves or  
24 they requested a third-party contract organization  
25 or IMPO to do it, we would anticipate that we would

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 review the results of that self-assessment for  
2 reasonableness. First, the details about what  
3 constitutes an adequate assessment, self-assessment.  
4 You know, those are good questions and they haven't  
5 been worked through yet. That's part of December  
6 15<sup>th</sup>'s meeting and subsequent meetings. And you'll  
7 see as we move on and we get into a situation where  
8 we move across the Action Matrix and we get into a  
9 more graded approach, that issue is going to arise  
10 repeatedly. So it is an issue that we have to  
11 address.

12 MEMBER APOSTOLAKIS: Right. But also, I  
13 think, it was raised a little earlier -- okay.  
14 Suppose they have an assessment process that you  
15 like. Another important question is, what should  
16 they tell you? I mean, I don't think we should  
17 demand that we should know everything they find.

18 MEMBER JOHNSON: Well, let me just say,  
19 to the extent we've issued a letter that says we  
20 believe you've got a substantive cross-cutting issue  
21 and that issue hasn't been addressed, hasn't gone  
22 away, and they do a self-assessment, we are, as Gene  
23 indicated -- we've got a letter on the docket. We  
24 need to close that letter out, do some follow-up.

25 MEMBER APOSTOLAKIS: Okay. So it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 specifically --

2 MEMBER JOHNSON: So we're going to look  
3 specifically at what they find and we're going to  
4 satisfy ourselves before we finish.

5 MEMBER APOSTOLAKIS: That cleared it up  
6 a little. That's a reasonable thing to do. Because  
7 if you -- you have to make sure to them -- certain  
8 to them that you don't want to know everything they  
9 find because then, of course, you know, that's the  
10 Heisenberg effect.

11 MEMBER JOHNSON: Right.

12 MR. COBEY: One of the big challenges  
13 here is when you look at, whether a safety conscious  
14 work environment or safety culture, you have to be  
15 careful how you communicate in a public arena the  
16 results of the findings because you certainly don't  
17 want the public nature of the findings to create an  
18 adverse effect. So that is a challenge before us.  
19 We've had to cross that bridge before with specific  
20 facilities.

21 MR. POWERS: I guess I don't understand  
22 then. If you found out that things were an absolute  
23 disaster, you wouldn't want the public to know about  
24 that?

25 MR. COBEY: No, the case that I'm

1 talking about is the case, for example, where you  
2 found out in a certain organization on the plant --  
3 within the plant that there was an unwillingness to  
4 raise issues because of whatever reason. The  
5 relationship with the supervisor has deteriorated  
6 and he's made statements and taken action, which has  
7 created a chilling effect. You have to be careful  
8 how you articulate that because  
9 what you don't want to do is then create an  
10 environment where those individuals feel like  
11 they've been labeled and then are reluctant to even  
12 speak to the NRC. So where the consequence of the  
13 action doesn't specifically identify individuals  
14 that labels them and creates a chilling effect in  
15 and of itself. So it's a difficult balance that the  
16 NRC walks when they speak about these issues.  
17 Because, you're right. We have to articulate that  
18 the problem exists, but we have to do it in a way  
19 that it doesn't adversely affect the individuals and  
20 create a problem in and of itself.

21 Okay. So the next -- as plant  
22 performance deteriorates, it is anticipated that it  
23 would move from left to right and across the Action  
24 Matrix. The first column over would be for a white  
25 finding. The Regulatory Response column or the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Action Matrix. We envision only a minimal change in  
2 this follow-up action and that would be to enhance  
3 the current supplemental inspection to validate when  
4 the licensee does its root cause, that it addresses  
5 what's important about safety culture. And if it  
6 determines that those were drivers to the  
7 performance problem, that it has appropriate  
8 corrective actions in place. We do that already.  
9 We would just amplify the existing guidance to  
10 ensure that it makes clear what's important to  
11 safety culture.

12 As the facility moves across to the next  
13 column, the Degraded Cornerstone column or the  
14 Action Matrix, this would be, say, where there's two  
15 white findings in the same cornerstone. We would  
16 perform an Inspection Procedure 95002. There, we  
17 look at the performance drivers for each of the  
18 performance issues, as well as cumulatively. Here,  
19 we would enhance the procedure to determine if  
20 safety culture attributes were a driver. And the  
21 conceptual approach would be if the NRC identifies,  
22 and the licensee did not, that the safety culture  
23 attributes were a driver, we would then request the  
24 licensee have an independent assessment of safety  
25 culture performed.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. KRESS: What form would that request  
2 take?

3 MR. COBEY: Currently, the framework is  
4 if we identify, in our 95002, that the root cause  
5 evaluation was inadequate, we articulate the reasons  
6 why it's inadequate and maintain that finding open  
7 until they address the inadequacies. So when our  
8 cover letter documenting the results in the 95002,  
9 we would articulate why we found the root cause to  
10 be inadequate and request that they have an  
11 independent assessment of safety culture performed.  
12 The reason is because we would not want it to be a  
13 self-assessment would be we have some concerns  
14 inherent in their ability to assess their  
15 performance, given the data on the table, which was  
16 they didn't do a good job the first time. So that's  
17 why we would request the assessment be independent.

18 MR. POWERS: I guess I don't know how  
19 you do this mechanically. First of all, it seems to  
20 me like they have an independent assessment of  
21 safety culture at any time you would request one. I  
22 would just say, oh, I've already done that. Here's  
23 my IMPO assessment. Why isn't that adequate?

24 MR. COBEY: The INPO's assessments are  
25 not done more often than every two years. We would

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 have to look at it in terms of context to  
2 relationship of time and what was addressed. If,  
3 for example, the performance deficiency in question  
4 occurred in January, we came in to do the  
5 supplemental inspection in May, and they had an IMPO  
6 assessment done in April that addressed the problem,  
7 I don't -- we would not be requesting them to do  
8 another one. We would just evaluate the one that  
9 was done. And if it addressed the problem, and was  
10 adequate, we would move on.

11 Now --

12 MR. POWERS: But suppose they don't --  
13 suppose they had it done in July the previous year,  
14 and so you said, "Gee, we want you to do an  
15 independent assessment." Again, I'm troubled about  
16 the -- what exactly constitutes independence here.  
17 If I call up my buddy, Tom Kress, and I say, "Tom,  
18 come and check my safety culture, and oh, by the  
19 way, Tom, when you're checking it, remember if you  
20 get in trouble with this, I'm going to get to come  
21 inspect you." Does that constitute an independent  
22 safety culture?

23 MEMBER JOHNSON: Let me -- I know where  
24 you're going. I would say that's not been our  
25 experience. We've had a lot of successes in Agency

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 with independent safety assessment, safety culture  
2 assessment, or safety conscious work environment  
3 assessments. But we do have to make a case-by-case  
4 determination about what are the most recent  
5 independent assessments that the licensee will be  
6 trying to get credit for. Did it -- could it have  
7 captured the issues that we think have bearing,  
8 current bearing, if you will, on safety culture? We  
9 have to make that decision in terms of deciding  
10 whether or not -- what the independent assessment  
11 that they would be supposing to do and where doing  
12 another independent assessment would be sufficient  
13 to us. We've got to decide that based on the  
14 specific circumstances. But in general, we think  
15 independent assessment is often more valuable -- we  
16 need to rely on the independent assessment because,  
17 as Gene indicated, we've gone from situations where  
18 they had all greens perhaps and just a substantive  
19 cross-cutting issue to a point now where they've had  
20 a number of -- at least two performance issues that  
21 are -- one that's particularly risk significant, and  
22 so whatever self-assessment they would have done, we  
23 have to be a little bit skeptical about, I think,  
24 because they didn't -- whatever they looked at  
25 didn't capture the problems perhaps as they would

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 have related to safety culture.

2 MEMBER SIEBER: I take it that the IMPO  
3 plant evaluation, at least from my experience, is  
4 not a safety culture assessment?

5 MS. SCHOENFELD: Part of it is. They  
6 now --

7 MEMBER SIEBER: There are some aspects  
8 that typically --

9 MS. SCHOENFELD: -- to safety cultures.

10 MEMBER SIEBER: Even now, it does not?

11 MS. SCHOENFELD: Yes. Yes, it is. Now  
12 the plant evaluation includes safety culture as part  
13 of the evaluation. It's one of their areas in the  
14 performance objectives and criteria --

15 MEMBER SIEBER: Since Davis-Besse?

16 MS. SCHOENFELD: Yes. Tony Harris from  
17 NEI is here.

18 MR. HARRIS: Yes, my name is Tony  
19 Harris. I'm a loanee to NEI from the STARS Alliance  
20 and I have been on IMPO evaluations and also a  
21 couple of industry-driven -- I don't know if you're  
22 familiar with the Utility Service Alliance Strategy  
23 for performing the safety culture assessments. I've  
24 done a couple of those and been the recipient at my  
25 station of one of those. IMPO has made the industry

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 work together to look at Davis-Besse. In post  
2 Davis-Besse, we identified 16 changes specific to  
3 how we assess and address safety culture through the  
4 evaluation processes, the training processes, the  
5 assistance and even the operating experience. All  
6 the four cornerstones of INPO were looked at and  
7 addressed.

8           Specific to evaluation, there are  
9 principles and attributes that INPO and the industry  
10 developed and during the -- every INPO evaluation,  
11 those principles and attributes are assessed. So it  
12 is specifically one of the -- through the  
13 Organizational Effectiveness Team and the team lead,  
14 that particular safety culture is assessed at every  
15 site. In addition, in the area of performance  
16 summary where you actually discuss what you found in  
17 every area, like organizational effectiveness, there  
18 is information put in there with respect to safety  
19 culture for every plant. So, yes, I would say that  
20 they are --

21           Let me -- I have one thing, while I'm  
22 here. As you know, the industry and INPO published  
23 an SOER, Significant Operating Experience Report,  
24 024, and every licensee was, you know, an INPO  
25 recommendation. And those are more than

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 recommendations. You just do them. Every licensee  
2 performed a safety culture assessment. And in  
3 addition, that recommendation is what is considered  
4 to be an ongoing recommendation. So on a periodic  
5 basis,

6 Licensees, again, do evaluate safety culture and  
7 INPO does look at those evaluations as a part of its  
8 every 2-year at the most evaluation.

9           And other plants, you know, it's just  
10 like a performance approach here. Plants -- the  
11 evaluation duration or interval for INPO is based on  
12 performance of plant. So there are some plants that  
13 are receiving them more often than two years. So  
14 there is a significant amount of work done here.

15           And one thing, you know, when you look  
16 at the problem identification/resolution, I believe  
17 that's one thing that -- that is fundamental to all  
18 of this. If you do not have good problem  
19 identification and resolution, as was the case at  
20 Davis-Besse -- I mean, frankly, the indicators were  
21 there. They did not put it together, and I  
22 understand what they had. They were pushing things  
23 out. The changes that were made there are already  
24 significant in that area and we believe will be  
25 further enhanced by what we're working with the NRC

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 staff to do.

2 CHAIRMAN WALLIS: Thank you.

3 MEMBER APOSTOLAKIS: Well, we have  
4 another Subcommittee Meeting in January, as Mario  
5 said. Can we talk about some of these attributes  
6 that you expect to see in the self-assessment  
7 process? I mean, we keep talking about a higher  
8 level management, but I would like to understand a  
9 little better what these attributes that INPO is  
10 using are and --

11 MEMBER JOHNSON: Can we do that in  
12 January, is that what you're suggesting?

13 MEMBER APOSTOLAKIS: Yes, that's what  
14 I'm asking.

15 MEMBER JOHNSON: Yes, absolutely.

16 MEMBER APOSTOLAKIS: Okay.

17 MR. COBEY: As the facility moves over  
18 to the Multiple Repetitive Degraded Cornerstone  
19 Column of the Action Matrix, this is in the event  
20 that they -- you know, they've had multiple  
21 repetitive degraded cornerstones, either -- or red  
22 findings, for example. In this case, if a licensee  
23 were to find themselves in  
24 This situation, they would perform a fairly  
25 comprehensive assessment. They would develop a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 detailed performance improvement plan, and they  
2 would provide that to us. We would issue a  
3 confirmatory action letter and then following that,  
4 we would come in and perform a fairly comprehensive  
5 supplemental section, 95003, to look broadly at the  
6 facility's performance.

7 MEMBER APOSTOLAKIS: So there seems to  
8 be every time you have a problem, you're asking them  
9 to do a self-assessment. Is that --

10 MR. COBEY: Not entirely. This -- in  
11 this case, we would not ask for the self-assessment  
12 based on them not identifying their problems that we  
13 did. In this case, we would ask them to do it  
14 regardless. And then in the Inspection Procedure  
15 95003, as part of that inspection procedure, we  
16 would, in fact, evaluate what's important to safety  
17 culture to determine whether or not their  
18 assessment, their performance improvement plan, and  
19 their corrective actions were adequate to address  
20 the problem.

21 The way this is structured, as  
22 performance degrades and you move to the left, you  
23 become more and more intrusive as the regulator. So  
24 in the area of safety culture, we would become more  
25 and more intrusive. For example, in 95001, it would

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 be, did they include what's important to safety  
2 culture? Did they identify appropriate corrective  
3 actions, et cetera? In 95002, we would actually be  
4 looking at what's important to safety culture and  
5 making a determination, do any of these aspects of  
6 what's important to safety culture, were they  
7 drivers? And did the utility identify them? If  
8 they did not, then we would request an intrusive  
9 look at safety culture. As performance degrades  
10 further, we would request they do it regardless and  
11 then we would come in and independently validate the  
12 results.

13 MEMBER JOHNSON: Just one addition to  
14 that. I just -- because there's a -- I just wanted  
15 to go to something that came up in your question,  
16 George. In today's ROP, we do 95001, 95002 and 95003  
17 each -- successively more comprehensive, as Gene has  
18 indicated. The timing of those is that we always  
19 wait for licensees to have looked at what the  
20 problem was, looked at extended condition, and  
21 looked at corrective actions. So even today, when  
22 we do a 95001, we time it so that we're looking at  
23 what the licensee has already done in terms of  
24 trying to figure out what the problem was and what  
25 corrective actions they put in place. That's --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 philosophically, that's how we approach those  
2 inspections. So we're just adding safety culture as  
3 a part of that role.

4 MEMBER BONACA: The other question I  
5 have -- and I appreciate that you have a plan here.  
6 And every time you say we'll assess safety culture.  
7 Now, I haven't heard yet on how you define "safety  
8 culture" and that's important. Now, I know you have  
9 developed some -- you know, a table with attributes  
10 and elements, if I remember, and now that, I guess,  
11 is being reworked after a review you had the first  
12 time or --

13 MR. COBEY: Actually, that's a good  
14 transition. That's what I was going to talk about.  
15 Yesterday, we had a public meeting with our external  
16 stakeholders to discuss what's important about  
17 safety culture. We have an understanding. We have  
18 -- I like to use the word "consensus" that our  
19 proposal would be to use the inside core definition  
20 of "safety culture." And then what makes up, or  
21 what's important about safety culture, we refer to  
22 as "components" or "subcomponents." And we have  
23 reached a consensus that our list of those  
24 subcomponents is comprehensive and includes  
25 everything that's important about safety culture.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Now --

2 MEMBER BONACA: I thought the industry  
3 disagreed with that.

4 MS. SCHOENFELD: Pardon?

5 MEMBER BONACA: I thought the industry  
6 had disagreed with that.

7 MS. SCHOENFELD: No. In fact, what we  
8 determined at yesterday's meeting is that whatever  
9 we have in terms of our components and subcomponents  
10 is covered by INPO.

11 MEMBER BONACA: Okay.

12 MS. SCHOENFELD: And so, there is a  
13 great overlap in these areas.

14 MEMBER APOSTOLAKIS: There are two  
15 issues here, it seems to me. One is the general  
16 definition of "safety culture," Insight did a good  
17 job. But equally important is, you know, how we  
18 view our role in that context and when Insight talks  
19 about questioning attributes, I'm not sure that it's  
20 our business to worry about that. We worry about  
21 some subset of that that is really performance-  
22 based, where performance now is broadened to go  
23 beyond those items being out of order and so on.

24 MEMBER JOHNSON: Let me suggest that in  
25 January when we talk about --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MEMBER APOSTOLAKIS: Good.

2 MEMBER JOHNSON: -- the attributes,  
3 we'll talk about the definition and the components  
4 and subcomponents because we will have had a chance,  
5 as Gene said, we got fairly well in alignment  
6 yesterday. We'll make revisions to that. We'll get  
7 comments on that. In January, we'll have a good set  
8 that we can show you and talk to you in terms of  
9 both of those aspects.

10 MR. COBEY: Actually, that was  
11 essentially what I was going to say next. That's  
12 okay. You said it well.

13 So the next action is to take the  
14 results of yesterday's meeting, all right, and take  
15 those attributes that are important about safety  
16 culture, incorporate them into the conceptual  
17 approach, and come up with the mechanisms of how  
18 we're going to do those things. And we have a  
19 public meeting next Thursday to work with the  
20 stakeholders to discuss our proposals on actually  
21 performing those conceptual activities.

22 MEMBER APOSTOLAKIS: So these guys are  
23 willing to come to Washington every week to meet  
24 with you?

25 MR. COBEY: So far. Even when it snows,

1 it turns out.

2 MEMBER APOSTOLAKIS: And all these days  
3 are being selected to conflict with ACRS meetings?

4 MR. COBEY: Well, not exactly.

5 (LAUGHTER.)

6 MR. COBEY: That was never our intent,  
7 George.

8 The last --

9 MEMBER APOSTOLAKIS: That's performance-  
10 based -- I don't question your intent.

11 MR. COBEY: So I did just want to end on  
12 a point that is, we do believe that we're on a path  
13 to make enhancements to the ROP that are consistent  
14 with the Commission's direction. We think it is  
15 possible to be more intrusive as performance starts  
16 to degrade. We think it's possible to, in terms of  
17 the framework that we already have with respect to  
18 crosscutting issues, to be more attuned to things  
19 that potentially bubble up, even though thresholds  
20 haven't been crossed. And so we're going to  
21 strengthen that. And I think when you put that  
22 together, we're going to be better able to ensure  
23 that we have an opportunity to diagnose these  
24 problems earlier. We've still got a lot of work to  
25 do. We've got to complete development of the plan

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 revision through the meetings that we've been  
2 talking about, and additional meetings that we  
3 haven't even scheduled. We'll need to conduct Just  
4 In Time Training for inspectors to make sure that  
5 they know how to implement this, and their managers,  
6 to make sure that they know how to implement the  
7 inspections and the assessments.

8 We'll need to test the plan revision  
9 against previous plant ROP experience, and those are  
10 the points -- that goes to the point that we talked  
11 about a couple of times. Whatever we come up with  
12 has got to go back and look at Davis-Besse and say,  
13 does this put us in a better place with respect to  
14 having an opportunity to diagnose those problems, if  
15 we had had this process in place.

16 And then finally, we are still driven by  
17 a Commission schedule, which is get ready, be ready  
18 to implement these revisions by March of 2006. As  
19 we've said, as Isabelle pointed out, we do have a  
20 notation vote. We are getting -- there is a draft  
21 SRM. We will expect to see --

22 MEMBER APOSTOLAKIS: Do you expect to  
23 see what these notations will be?

24 MEMBER SIEBER: It's the Commission --  
25 we sent up a Commission paper. The Commission is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 voting on that paper. And that guidance that we get  
2 in the SRM. We expect the Commission to say,  
3 "Staff, here's what we think with respect to the  
4 current direction and schedule." And so, we'll make  
5 sure that you're aware, certainly that John is  
6 aware, of what comes out because that could  
7 potentially give us additional guidance.

8 MEMBER APOSTOLAKIS: So are we going to  
9 get the comments on this, Mario, on the product of  
10 March? Is the ACRS going to write a letter on this?

11 MEMBER BONACA: I think there was. If  
12 there is a product presented to us, yes, for sure.

13 MR. POWERS: Tell him no. At best, the  
14 Committee gets it and he doesn't.

15 MEMBER APOSTOLAKIS: All right.

16 So we should schedule then a meeting, at  
17 the March meeting?

18 MR. FLACK: Yes, I think we should talk  
19 about this at the B&B coming up, following -- this  
20 is John Flack, ACRS Staff -- following the  
21 Subcommittee Meeting and the Retreat, and what our  
22 role -- the Committee's role will be in safety  
23 culture in the future as well. I think we need to  
24 talk about that as a proactive --

25 MEMBER APOSTOLAKIS: Well, this seems to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 me -- yeah, I agree we should discuss this. But, I  
2 mean, this is an important paper and the Committee  
3 should write something about it. I think the staff  
4 is off on a good posture. So we'll have to get on  
5 to more detail here to see what's happening.

6 MEMBER BONACA: We want to thank you for  
7 coming. I know you had -- you were pressed really  
8 for time, but we appreciate your -- your bringing  
9 the information to the ACRS.

10 MEMBER APOSTOLAKIS: And one minute  
11 early.

12 MEMBER BONACA: Yes.

13 MEMBER APOSTOLAKIS: It can't be an  
14 important subject if we finish early, George.

15 CHAIRMAN WALLIS: George, we're going to  
16 finish early if you stop talking. Are there any  
17 questions?

18 MEMBER RANSOM: I have one comment. In  
19 my experience, it seems like the biggest impact on  
20 the culture of an organization has been management  
21 changes and that doesn't matter -- it has happened -  
22 - in my experience, it has happened both because of  
23 evolutionary internal changes if they happen too  
24 frequently, but also as an organization is sold or a  
25 new contractor comes in and takes over, that there's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 a real disruption in trust in an organization. I'm  
2 wondering if you have a way of -- or have you looked  
3 at that or has that been noticed?

4 MR. COBEY: If you look at what's  
5 important about -- if you look at what's important  
6 about safety culture that we'll talk about in  
7 January, one of the pieces to that, one of the  
8 subcomponents is organizational change management.  
9 All right, this is, I think, exactly what you're  
10 talking about. And the staff has recognized that  
11 that is important. It's a driver to safety culture.  
12 What is still in the works is for that particular  
13 aspect, how we would, within the construct -- I just  
14 talked about Option G, to look at that. That has  
15 the potential to be one of the things that we look  
16 at only in the supplemental type of inspections as  
17 we move across in the Action Matrix, it doesn't seem  
18 to, on the surface, fit nicely in the existing  
19 crosscutting issue framework. So those are details  
20 that we have yet to work through, but I'm agreeing  
21 with you, it is a driver and it is very important to  
22 safety culture.

23 MEMBER RANSOM: I know with plants being  
24 sold and new management coming in, while you might  
25 think that this would be a factor.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER APOSTOLAKIS: But this is not our  
2 business.

3 MR. COBEY: It's what?

4 MEMBER APOSTOLAKIS: It's none of our  
5 business to ask why you did this. I mean, it's the  
6 fact that you did it.

7 MR. COBEY: Right.

8 MEMBER APOSTOLAKIS: Whether it is the  
9 result of some other company taking over or not, I  
10 don't think it's any of our business.

11 MEMBER RANSOM: It's like raising a red  
12 flag, though, I would think, to look carefully at  
13 what's going on.

14 MEMBER APOSTOLAKIS: I think this is  
15 going to be one very important Subcommittee Meeting.

16 CHAIRMAN WALLIS: You're going to  
17 follow-up on this in the Subcommittee Meeting.

18 MEMBER APOSTOLAKIS: Yes.

19 CHAIRMAN WALLIS: I'd like to finish  
20 this session, if I may.

21 MEMBER APOSTOLAKIS: Okay.

22 CHAIRMAN WALLIS: Does anyone object if  
23 I bang the gavel now?

24 (NO RESPONSE.)

25 CHAIRMAN WALLIS: So we'll have a break

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1       until 10:15 a.m. and then we'll consider the PMP  
2       Report. Thank you very much.

3                       (Whereupon, the above-entitled matter  
4       went off the record at 10:05 a.m.)

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25