

Official Transcript of Proceedings  
NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards  
538th Meeting

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Thursday, December 7, 2006

Work Order No.: NRC-1348

Pages 1-430

**NEAL R. GROSS AND CO., INC.**  
**Court Reporters and Transcribers**  
**1323 Rhode Island Avenue, N.W.**  
**Washington, D.C. 20005**  
**(202) 234-4433**

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS (ACRS)

538<sup>th</sup> MEETING

+ + + + +

THURSDAY,

DECEMBER 7, 2006

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

The meeting was convened in Room T-2B3 of Two White Flint North, 11545 Rockville Pike, Rockville, Maryland, at 8:30 a.m., Graham B. Wallis, Chairman, presiding.

MEMBERS PRESENT:

- GRAHAM B. WALLIS                      Chairman
- WILLIAM J. SHACK                      Vice Chairman
- SAID ABDEL-KHALIK                    Member
- GEORGE E. APOSTOLAKIS              Member
- J. SAM ARMIJO                         Member
- MARIO V. BONACA                      Member
- MICHAEL CORRADINI                    Member
- THOMAS S. KRESS                      Member

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

## 1 MEMBERS PRESENT: (cont'd)

2 OTTO L. MAYNARD Member  
3 DANA A. POWERS Member  
4 JOHN D. SIEBER Member-At-Large

5

## 6 ACRS STAFF PRESENT:

7 ERIC OESTERLE  
8 JERRY WILSON  
9 DONNIE HARRISON  
10 MARK RUBIN  
11 JOE COLACCINO  
12 DAVID FISCHER  
13 NICK SALTOS  
14 JENNIFER ULE  
15 HIPOLYTO GONZALEZ  
16 TIM COLLINS  
17 JOHN FERRER  
18 KAMAL MANOLY  
19 MIKE MAYFIELD  
20 BILL CULLEN  
21 DAN BARASS  
22 BRUCE MUSICO  
23 JIMI YEROKUN  
24 JOHN MONNINGER  
25 JOCELYN MITCHELL

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

ALSO PRESENT:

ROBERT GURDAL

BRYAN ERLER

ALAN NELSON

MARTIN HUG

ROBERT PRATO

CHARLES TINKLER

CHRIS HUNTER

RANDY SULLIVAN

BIFF BRADLEY

I-N-D-E-X

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

<u>AGENDA ITEM</u>	<u>PAGE</u>
Opening Remarks by the ACRS Chairman . . . . .	5
Draft Final Regulatory Guide DG-1145, "Combined License Applications for Nuclear Power Plants" . . . . .	9
Draft Final Regulatory Guide DG-1144, "Guidelines for Evaluating Fatigue Analyses Incorporating the Life Reduction of Metal Components Due to the Effects of the Lightwater Reactor Environment for New Reactors" . . . . .	112
Proposed Revisions to Standard Review Plan Section 13.3, "Emergency Planning" . . . . .	192
State-of-the-Art Reactor Consequence Analysis Project . . . . .	293
Adjourn	

P-R-O-C-E-E-D-I-N-G-S

(8:32 a.m.)

CHAIRMAN WALLIS: Good morning. The meeting will now come to order.

This is the first day of the 538th meeting of the Advisory Committee on Reactor Safeguards. We say all this so that the members know where they are and what they're doing.

During today's meeting the Committee will consider the following: Draft Final Regulatory Guide DG-1145, "Combined License Applications for Nuclear Power Plants"; Draft Final Regulatory Guide DG-1144, "Guidelines for Evaluating Fatigue Analyses Incorporating the Life Reduction of Metal Components Due to the Effects of the Lightwater Reactor Environment for New Reactors"; Proposed Revisions to Standard Review Plan Section 13.3, "Emergency Planning"; State-of-the-Art Reactor Consequence Analysis Project; and the Preparation of ACRS Reports.

This meeting is being conducted in accordance with the provisions of the Federal Advisory Committee Act. Dr. John T. Larkins is the Designated Federal Official for the initial portion of the meeting.

We have received no written comments or

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

1 requests for time to make oral statements from members  
2 of the public regarding today's sessions. A  
3 transcript of portions of the meeting is being kept,  
4 and it is requested that the speakers use one of the  
5 microphones, identify themselves, and speak with  
6 sufficient clarity and volume so that they can be  
7 readily heard.

8 I will begin with some items of current  
9 interest. Dr. John Larkins, our Executive Director,  
10 is retiring on January 4, 2007. As the Director --  
11 Executive Director for the past 13 years, he has been  
12 very devoted to the Committee, and has provided  
13 outstanding management support to the members.

14 He has continually ensured a high level of  
15 technical and administrative support to the Committee  
16 in performing its statutory obligations effectively  
17 and efficiently. His many contributions include the  
18 selection of new members and consultants to the  
19 Committee, reappointment of members, formulation and  
20 execution of the Committee's operating budget,  
21 resolution of conflict of interest issues, and quality  
22 assurance of ACRS office activities.

23 Increasing the number of ACRS members to  
24 the statutory maximum of 15 is one of his recent  
25 achievements. Additionally, Dr. Larkins was

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 instrumental in improving communications and  
2 cooperation between the ACRS, the NRC staff, and the  
3 Commission. His devotion, enthusiasm, and unrelenting  
4 effort to support the Committee are second to none and  
5 are very much appreciated by all of us and  
6 particularly by me personally.

7 On behalf of the Committee, I would like  
8 to thank Dr. Larkins for his dedication to the  
9 Committee, wish him happy retirement, and good luck in  
10 his future endeavors. Where is John? He's hiding  
11 behind --

12 (Applause.)

13 Now I turn to Frank Gillespie. You all  
14 know he started his career with the NRC in 1975 as an  
15 Inspector in Region I. From 1978 to 1980, he served  
16 as a Section Chief in Region II. Mr. Gillespie was in  
17 the Office of Nuclear Regulatory Research from 1980 to  
18 1986, first as the Safeguards Branch Chief and  
19 subsequently as the Director of the Division of  
20 Accident Evaluation and the Division of Risk Analysis  
21 and Operations.

22 In 1986, he worked at Batelle Memorial  
23 Institute, returning to the Office of Nuclear Reactor  
24 Regulation in 1987. From 1987 until the present, he  
25 has held various Division Director and Deputy Division

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 Director positions, the most recent being Director of  
2 the Division of License Renewal.

3 I'm happy to report that effective  
4 November 27, 2006, Mr. Gillespie started his  
5 transition into the new position of Executive  
6 Director, ACRS and ACNW, and will assume the full range  
7 of responsibilities effective January 4, 2007. So  
8 please congratulate Frank on his appointment.

9 (Applause.)

10 Also, Mike Snodderly, who has been with  
11 the ACRS since October 2002, is leaving to join the  
12 Office of New Reactors as the Branch Chief for the  
13 Containment Systems Branch for the ESBWR and ABWR in  
14 January 2007.

15 As a Senior Staff Engineer for two years,  
16 Mr. Snodderly provided outstanding technical support  
17 to the Committee in reviewing several complex  
18 technical issues, including risk-informed and  
19 performance-based regulatory approaches, use of PRA in  
20 the regulatory decision-making process, implementation  
21 of the Commission's phased approach for PRA quality,  
22 and risk-informed revisions to 10 CFR 50.44.

23 As a Branch Chief for both ACRS and ACNW  
24 staff, he provided leadership to the technical staff  
25 and ensured high-quality technical support to the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Committee in reviewing various regulatory issues,  
2 including license renewal, core power uprate  
3 applications, and PWR sump performance issues.

4 He was an outstanding Senior Staff  
5 Engineer and an exceptional Branch Chief. And on  
6 behalf of the Committee, I would like to thank him for  
7 his numerous contributions and wish him good luck in  
8 his new job.

9 Thank you very much, Mike.

10 (Applause.)

11 There are some other items of interest  
12 that have been handed out, this pink-covered  
13 collection here. You'll note there are some  
14 presentations by Commissioners. And for those of you  
15 who missed The Washington Post yesterday, the article  
16 on Commissioner McGaffigan has been reprinted on  
17 page 50.

18 I'd now like to move to our business. The  
19 first item on the agenda is the Draft Final Reg. Guide  
20 DG-1145. I turn to my colleague Tom Kress to lead us  
21 through this one.

22 MEMBER KRESS: Thank you, Mr. Chairman.

23 We had a spirited subcommittee meeting.  
24 And, as you know, DG-1145 is a substantial document,  
25 and it was difficult to decide which parts of a full

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 day meeting which was also too short we could cover in  
2 just a couple of hours here.

3 So you have the agenda in front of you,  
4 and those are the items we thought might be of both  
5 interest and might be of some controversy to the  
6 Committee. So without any further introduction, I'll  
7 turn it over to the staff and let them give you the  
8 right introduction.

9 MR. OESTERLE: Thank you, and good  
10 morning, everyone. My name is Eric Oesterle. I'm the  
11 Lead Project Manager on Draft Regulatory Guide  
12 DG-1145. I'm in the Guidance Infrastructure and  
13 Financial Review Branch with the Division of New  
14 Reactor Licensing in the Office of New Reactors.

15 I want to thank the full Committee for  
16 allowing the staff this opportunity to provide this  
17 informational briefing on DG-1145.

18 This morning I would like to provide the  
19 full Committee with an overview of DG-1145. As Dr.  
20 Kress indicated, we had a subcommittee meeting last  
21 week on Thursday, November 30th, and the staff came  
22 before the subcommittee on future plant designs and  
23 provided presentations on some specific areas of  
24 interest on DG-1145.

25 Based on the requests of that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 subcommittee, we are here today to provide selected  
2 presentations to the full Committee. Following this  
3 overview, you will hear a presentation on  
4 probabilistic risk analysis, public workshop issues  
5 and public comments, and then, finally, a discussion  
6 on conformance, completeness, and consistency of  
7 DG-1145.

8 With the increasing interest and attention  
9 focused on new reactor -- potential new reactor  
10 licenses, development of DG-1145 became a tremendous  
11 undertaking and a very important one. In recognizing  
12 that importance, and the importance of this guidance  
13 document for potential COL applicants, the ACRS  
14 requested that the staff provide it with an  
15 informational briefing and the status on its  
16 development, and that is our purpose here today.

17 This guidance document was developed in  
18 response to external stakeholder requests for timely  
19 guidance based on intended submittals of COL  
20 applications in 2007. This effort was very intensive,  
21 it was expedited, and it was a committed effort on the  
22 part of the staff, with a high level of external  
23 stakeholder participation during its development.

24 This guidance document has had a high  
25 level of NRO and NRR management attention, and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 certainly has the interest of the Commission.

2 This guidance document follows the Part 52  
3 rulemaking that was issued in March of this year. It  
4 does not impose any new requirements. And as someone  
5 eloquently put it in the subcommittee meeting last  
6 week, that the rule rules, so the guidance document  
7 cannot impose any new requirements. It must defer to  
8 the Part 52 rulemaking.

9 This guidance document is consistent and  
10 has been developed consistent with the SRP format and  
11 content, such that the sections correspond with each  
12 of the SRP sections. In addition, this guidance  
13 document provides a roadmap to other technical guides,  
14 technical regulatory guides, and industry standards.

15 One last thing before we get started into  
16 this presentation. This draft guide, which the ACRS  
17 members reviewed, was based on the proposed Part 50  
18 rule that was issued in March of this year. As you  
19 may know, the Part 52 rule has been revised and  
20 submitted to the Commission last month.

21 There were changes made to that rule, and  
22 as a result of those changes that were sent to the  
23 Commission, some of the presentations today will  
24 reflect or acknowledge changes that must be made to  
25 the guidance to conform with the rule that was sent to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the Commission. And we recognize that additional  
2 changes may be necessary to this guidance document to  
3 conform with any changes that the Commission decides  
4 are necessary when they disposition that rule.

5 The purpose for DG-1145 was to provide  
6 guidance to potential applicants on the format and  
7 content for a combined license application pursuant to  
8 10 CFR Part 52. This guidance document recognized  
9 that several scenarios were possible for a COL  
10 applicant, so this guidance document provides guidance  
11 for a COL applicant referencing neither a certified  
12 design nor an early site permit, and you may hear this  
13 referred to as a custom design.

14 It also provides guidance for a COL  
15 applicant referencing a certified design, but not an  
16 early site permit, and it also provides guidance for  
17 a COL applicant referencing both a certified design  
18 and an early site permit.

19 For several years prior to the development  
20 of these --

21 MEMBER APOSTOLAKIS: Just --

22 MR. OESTERLE: Yes, sir.

23 MEMBER APOSTOLAKIS: -- for my own benefit  
24 here, so when is this application submitted? Before  
25 they do anything on the site, right? Do they say, "We

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 intend to build a reactor, and here is our  
2 application," is that correct?

3 MR. OESTERLE: There are several  
4 scenarios, and I'll defer to Jerry Wilson to help me  
5 out with this question.

6 MR. WILSON: Jerry Wilson, Office of New  
7 Reactors. I call Dr. Apostolakis' attention to 10 CFR  
8 50.10. Applicants are allowed to do certain  
9 activities on the site without getting approval from  
10 the NRC, so there are site investigations.

11 We are currently doing a rulemaking on  
12 that provision in which the Commission is considering  
13 whether we should increase the amount of -- let me  
14 call them pre-construction activities on the site  
15 without any approval from the NRC, and even before  
16 submittal of an application.

17 So I can't give you an exact answer to  
18 that question at the moment, because it's before the  
19 Commission.

20 MEMBER APOSTOLAKIS: I guess, you know, I  
21 was reading selected chapters, and the thing is that  
22 this application -- wow --

23 (Laughter.)

24 There are certain things such as, you  
25 know, goals for core damage frequency and large

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 release frequency, and the reason why I'm asking is  
2 because depending on when the application is submitted  
3 a PRA may or may not be complete.

4 So when you say that, you know, here is a  
5 goal, and I haven't done anything yet, and all I have  
6 a certified design and maybe the early site permit,  
7 how do I demonstrate that I am complying with the  
8 goals? Or is this a continuing process, and you are  
9 updating the PRA as, you know, the testing strategies  
10 are defined and all that?

11 I mean, there are certain not quite  
12 requirements, but I don't know what to call them --  
13 goals. When is the final time when you say, "Now, if  
14 you don't demonstrate to me that you are meeting these  
15 goals, I'm sorry, but I have to refuse doing A, B, C"?

16 MR. OESTERLE: The changes to the Part 50  
17 rule that went to the Commission did make some changes  
18 with respect to the requirements for submitting a PRA.  
19 And I'm going to defer to Donnie Harrison, who is --

20 MEMBER APOSTOLAKIS: Okay.

21 MR. OESTERLE: -- providing the next  
22 presentation this morning specifically on PRA to try  
23 to address your question.

24 MEMBER APOSTOLAKIS: Yes. The question is  
25 not really specifically on PRA. It's the timing of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 things. I mean, when you ask for something --

2 MR. HARRISON: Yes, and I -- this is  
3 Donnie Harrison from the Division of Risk Assessment  
4 of NRR. To answer the question is is if you have a  
5 design certification, that means you addressed, at  
6 least at the design stage, the PRA -- a design-  
7 specific PRA that carries assumptions. Many of those  
8 end up with, if you will, ITAAC requirements or  
9 commitments to do walkdowns.

10 Obviously, even at a plant licensing  
11 stage, you haven't built a plant yet, so you still  
12 can't perform a walkdown. So what will happen is you  
13 will do a plant-specific update of that design-  
14 specific PRA, make it plant-specific, fill in the  
15 details that you've got. That will be what's used in  
16 the COL review, but you will still have assumptions  
17 result -- for confirming, if you will, what was  
18 actually built to make sure it represents.

19 That would occur prior to operation.  
20 You'll have the seismic walkdown, the fire walkdowns.  
21 All those things will occur there to, if you will,  
22 confirm or to meet the commitments that are made as  
23 part of the COL phase.

24 MEMBER APOSTOLAKIS: And is that kind of  
25 common knowledge? Because I didn't get that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 impression from the document. Everybody knows that?  
2 I mean, maybe that's the case.

3 MR. RUBIN: Well, this is Mark Rubin, also  
4 from the staff. A couple of the specific items you  
5 mentioned, such as large release frequency, kind of  
6 the Level 2 interface items, the NSSS vendor will do  
7 some envelope calculations to characterize a typical  
8 site and show that those can -- those metrics can  
9 typically be met by that design at a "typical" site.

10 When a COL vendor -- excuse me, when a COL  
11 applicant comes in, they will show that their site  
12 characteristics -- population density, meteorology,  
13 all those factors -- is well scoped or bounded by what  
14 was used, or they will do site-specific calculations  
15 to show that the metrics are met. So either way the  
16 specific requirements will be demonstrated for that  
17 site, either through bounding analysis or site-  
18 specific calculations at the COL stage.

19 MR. COLACCINO: This is Joe Colaccino,  
20 also from the Office of New Reactors. And Dr.  
21 Apostolakis has hit on one of the issues that was  
22 predominant during the workshop meetings between the  
23 NRC and the industry -- is the timing of when this  
24 information needed to come in.

25 Now, remember, under Part 52 we're

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 resolving all safety issues before the issuance of the  
2 license. And the staff needs information sufficient  
3 to resolve all its safety issues before that. Now,  
4 some of the industry has told us in certain areas that  
5 this information may not necessarily be available, but  
6 there's still -- I mean, in some areas I think they're  
7 looking at this from a Part 50 type strategy.

8 And I will just tier off of what Mr. Rubin  
9 said, just that when you discuss bounding analyses or  
10 bounding things, the staff is going to need, in those  
11 areas where that information is not available, like  
12 for instance that particular piece of equipment has  
13 not been procured yet, the licensee -- the applicant  
14 is going to have to make -- providing bounding  
15 information such that the staff will be able -- at the  
16 time of the license be able to resolve all safety  
17 issues.

18 So, and that has been a fundamental  
19 discussion that we've been having.

20 MEMBER APOSTOLAKIS: So the time of the  
21 license is when? I suspect when it is, but when is  
22 it?

23 MR. COLACCINO: Well, the timing of the  
24 license will be before -- you know, we think -- the  
25 way that we hear -- the industry discusses it will be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 before the vast majority of the construction has been  
2 started. I mean, Part 52 does tell them that they can  
3 proceed at their risk, and the information that the  
4 industry has been telling us is that they are very  
5 cognizant of this risk.

6 MEMBER APOSTOLAKIS: So at that point, you  
7 should have either specific information or some sort  
8 of bounding information that after they build it what  
9 they promise will, in fact, be met.

10 MR. COLACCINO: And that's what's embodied  
11 -- what should be embodied at the staff -- you know,  
12 if we've done it correctly, it should be embodied in  
13 the ITAAC, the verification process.

14 MEMBER APOSTOLAKIS: It's just that I  
15 didn't get that feeling of the time sequence of events  
16 by anything in the document.

17 MR. COLACCINO: And -- you know, and when  
18 the document was developed, you know, quite frankly we  
19 looked at this from a very generic basis. And I'll  
20 just take one of the timing -- I think it's the  
21 classical one -- is the meteorology example is that we  
22 have given a document that they needed two years of  
23 met data, but the COL applicants have told us they  
24 won't have that in time, but they want it at a later  
25 point.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           So, I mean, this is -- I just wanted to  
2 say that this is one of the predominant discussions we  
3 had in the workshops.

4           Thank you.

5           MEMBER APOSTOLAKIS: Thank you very much.

6           MEMBER CORRADINI: Since George raised it  
7 now, but I expect -- if you're going to get to this,  
8 I'll defer -- is that said actually at the  
9 subcommittee last time said it best, which is in some  
10 sense DG-1145 is a checklist of all the things that  
11 the licensee has to remember to have ready either by  
12 substantive information, bounding information, or an  
13 ITAAC to show the process to resolve it, and then pass  
14 all this information on to you all, and then you will  
15 then look at that information and say, "Okay. We have  
16 enough to proceed, or we don't have enough to  
17 proceed."

18           So the timing in some sense is they think  
19 they know the right time. They send it over the fence  
20 to you. You look at what's given, compare it to 1145  
21 saying you've got to have this, you've got to have  
22 that, you've got to have this, you've got to have  
23 that. And then you say, well, we're missing something  
24 here. What about this?

25           So in a sense it's a checklist to minimize

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the communication back and forth. Do I have it  
2 approximately right?

3 MR. OESTERLE: I would say very, very  
4 approximately. It's much, much more --

5 (Laughter.)

6 -- much, much more than a checklist. It  
7 provides applicants with the -- with guidance on the  
8 entire set of information --

9 MEMBER CORRADINI: Right. But it's --

10 MR. OESTERLE: -- that's needed, and it  
11 also contains a checklist.

12 MEMBER CORRADINI: But it's a guide that  
13 tells -- as we went through it last time, it's a guide  
14 that tells them for this particular thing, take  
15 Chapter 6, go look at this rule, this guidance. For  
16 PRA, go look at this rule, this guidance. Am I --

17 MR. OESTERLE: It includes that. It's  
18 more of a roadmap than a checklist. If you want to  
19 give --

20 MEMBER CORRADINI: Excuse me. That's a  
21 much better characterization. I apologize.

22 MR. OESTERLE: If you want to give some  
23 specific technical guidance, this DG-1145 document  
24 does point you to specific technical regulatory guides  
25 and industry standards for that technical guidance.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 This is the roadmap for how to put together your  
2 application and what information it needs to contain.

3 MEMBER CORRADINI: But then, as a roadmap,  
4 the timing of when this roadmap -- the timing at which  
5 you then submit down the road is not given. So in  
6 some sense it -- following the roadmap gives you  
7 enough information to say this is an appropriate time  
8 that we can actually understand where you're going and  
9 the timing is right, or generates questions.

10 MR. OESTERLE: I would say that the  
11 guidance document assumes that the large majority of  
12 information is required at the time of submittal.

13 MEMBER CORRADINI: Right.

14 MR. OESTERLE: There are specific areas  
15 where information is not available at that time, and  
16 the guidance document will reflect, I would say,  
17 options that the applicant has, which we'll discuss  
18 also a little bit later this morning, on either  
19 providing that information, updating that information,  
20 or verifying that the as-built or as-procured  
21 information conforms with the design as licensed.

22 MEMBER APOSTOLAKIS: How long is the  
23 process expected to take?

24 MR. OESTERLE: I'm not in a good position  
25 to answer that question. This is guidance for the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 applicant to provide us with the information. If  
2 you're asking me, how long does it take the staff to  
3 review that application and issue the license, I'm not  
4 knowledgeable enough to answer that question.

5 MEMBER APOSTOLAKIS: Do you --

6 MR. OESTERLE: Perhaps another member of  
7 the staff could.

8 MR. WILSON: Jerry Wilson, Office of New  
9 Reactors. We have planning assumptions. The specific  
10 answer, of course, is very case-dependent. Just  
11 recalling off the top of my head, why don't you assume  
12 three years. You know, it depends on what they're  
13 referencing or not referencing, and a variety of other  
14 factors.

15 MEMBER APOSTOLAKIS: But from the time of  
16 submission.

17 MR. WILSON: Yes.

18 MEMBER APOSTOLAKIS: Okay. To the  
19 license. Okay. Thank you very much.

20 MR. OESTERLE: Okay. Moving on, for  
21 several years prior to the development of DG-1145, the  
22 staff was engaged with the industry, in particular  
23 Nuclear Energy Institute, otherwise known as NEI, in  
24 their effort to develop guidance for COL applicants.  
25 And that document was NEI 04-01.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1           The guidance developed in NEI 04-01 was  
2           considerable. However, it considered what we call the  
3           base case. That is, the base case is a COL  
4           application that referenced a certified design and an  
5           early site permit. In addition, although this  
6           guidance document had a very substantial amount of  
7           usable information and guidance, it was focused  
8           predominantly on one standard design, the AP1000,  
9           which had yet to be certified.

10           During staff reviews of NEI 04-01,  
11           consistent questions came up about a roadmap -- how do  
12           we use this document to get us to where we need to be  
13           in terms of issuing a license? And the guidance in  
14           DG-1145 attempted to provide that roadmap.

15           During the last quarter of 2005, following  
16           approval of the Energy Policy Act, the NRC engaged in  
17           interactions with a growing number of external  
18           stakeholders who expressed serious interest in  
19           applying for a COL.

20           The increase in the number of potential  
21           COL applicants resulted in the possibility for several  
22           different COL application scenarios. That is, the  
23           staff heard about potential plans for COL applications  
24           referencing a certified design, COL applications  
25           referencing design certifications in progress, COL

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 applications referencing an early site permit and a  
2 design certification in progress, etcetera.

3 So it became clear to the staff as a  
4 result of these interactions that a more comprehensive  
5 guidance document for COL applicants was needed. And  
6 at that time, the staff did not hear from any  
7 particular applicant that would meet the base case.  
8 That is, no COL applicant was talking about  
9 referencing a certified design and an early site  
10 permit. In response to those discussions with  
11 external stakeholders, the staff began development of  
12 DG-1145.

13 To develop DG-1145, the staff went back to  
14 Reg. Guide 1.70, which was the standard format and  
15 content of safety analysis reports for nuclear  
16 powerplants, lightwater reactors. And with that being  
17 said, DG-1145, using Reg. Guide 1.70 as its basis,  
18 also provides guidance to that limited set of  
19 reactors, lightwater reactors. It does not provide  
20 guidance to high-temperature, gas-cooled reactors or  
21 other non-LWR reactors.

22 Project managers were assigned the heavy  
23 lifting, if you will, during the drafting of the  
24 initial sections of DG-1145 using Reg. Guide 1.70 as  
25 the basis and updating it to include information from

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 updated SRPs including the draft '96 updates of the  
2 standard review plan, guidance contained in the draft  
3 NEI 04-01 document, and experience from NRC  
4 certification of standard designs, experience from NRC  
5 reviews of ESP applications, and numerous SECY papers  
6 and their associated SRMs that were related to new  
7 reactor licensing.

8           These draft sections of DG-1145 were  
9 provided to staff technical reviewers to update,  
10 refine, and include any additional applicable  
11 guidance.

12           The format and content requirements for  
13 DG-1145 was also based on the proposed Part 50 rule  
14 that was issued in March of this year. Planning for  
15 the development of DG-1145 took place during the  
16 latter part of 2005, and in January of this year is  
17 when we started developing DG-1145 in earnest.

18           Upon completion of the draft work in  
19 progress sections of DG-1145, they were placed on the  
20 NRC's public website. Monthly public workshops were  
21 held beginning in March 2006 to discuss these draft  
22 work in progress sections that had been completed, and  
23 public comments and feedback were solicited on these  
24 sections.

25           The public workshops continued through

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 September of 2006, even though all draft work-in-  
2 progress sections were posted on the NRC's public  
3 website by June 30, 2006.

4 This was an extraordinarily intense and  
5 focused effort over six months, and took place in the  
6 public domain. External stakeholder participation and  
7 involvement was consistently high and very  
8 constructive.

9 The public workshops resulted in over 500  
10 comments, which the staff reviewed, resolved, and  
11 discussed with external stakeholders, and included in  
12 an appendix to DG-1145 when it was issued as a draft  
13 for public comment. Incorporation of these public  
14 workshop comments took place during July and August --  
15 a challenging time for any major work activity.

16 The draft was issued for a 45-day public  
17 comment period on September 7, 2006. But prior to  
18 that, on September 1st, the draft DG-1145 document was  
19 made available to external stakeholders on the NRC's  
20 public website.

21 The format and structure of DG-1145 is  
22 consistent with the structure of other NRC regulatory  
23 guides. Part C, which provides the regulatory basis  
24 and the real heart of this regulatory guide, is  
25 divided up into four different sections. Part C.1

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 provides guidance for a COL applicant that references  
2 neither a certified design nor an early site permit,  
3 and it is often referred to as a custom design.

4 It reflects the requirements and it's  
5 consistent with the information content requirements  
6 of 10 CFR Part 52.79, again, as it was proposed in  
7 March of 2006.

8 In Section C.1, although it was not  
9 intended to be guidance for a design certification  
10 applicant, much guidance can be gleaned from this  
11 section by such an applicant, and we have been told of  
12 that effect by General Electric as they were  
13 developing their ESBWR certification.

14 It was also anticipated that Section C.1  
15 could provide some benefit for guidance to a COL  
16 applicant referencing a certified design in progress.

17 Section C.2 provides guidance on the  
18 requirements for additional technical information and  
19 is consistent with the proposed requirements of  
20 Part 52.80.

21 Section C.3 developed guidance for COL  
22 applicants referencing certified designs and early  
23 site permits and provides guidance associated with  
24 topics unique to these scenarios.

25 Part C.4 provided guidance on

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 miscellaneous topics associated with the COL  
2 applications and new reactor licensing.

3 Now, to help clarify the differentiation  
4 between these sections, I've provided a little  
5 viewgraph that hopefully puts things in better  
6 context.

7 This large gray stack you may want to  
8 consider as the entire stack of information that a COL  
9 applicant needs to submit, whether they reference a  
10 certified design and early site permit or not.

11 Sections C.1 and C.2 of DG-1145 provide  
12 information for the entire stack needed by a COL  
13 applicant.

14 In Section C.3, C.3.1 provides guidance  
15 for a COL applicant that references a certified  
16 design. So you can see, although this stack is not to  
17 scale, you can see that there is a large portion of  
18 information that has already been resolved by the  
19 certified design, and that -- the portion on early  
20 site permit information and remaining information is  
21 what that type of applicant would need to submit,  
22 remaining information being information on site-  
23 specific design features, like cooling towers or  
24 intake cooling structures or that sort of thing.

25 CHAIRMAN WALLIS: Now, is the size of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 these boxes supposed to represent the amount of effort  
2 or content or something? Because it looks as if  
3 there's a real advantage to having an ESP, and the  
4 remaining information looks pretty small. Is that  
5 realistic, what you have up there?

6 MR. OESTERLE: In general, yes. Although  
7 it's not to scale, the way this has been represented  
8 is designed to show that there are some advantages to  
9 resolving safety issues early on in the process by  
10 referencing a certified design and an early site  
11 permit, and that was fundamentally the intent of the  
12 Part 52 process -- early resolution of safety issues.

13 CHAIRMAN WALLIS: And there are people who  
14 have an ESP without a certified design, where one is  
15 underneath the other.

16 MR. OESTERLE: Right.

17 CHAIRMAN WALLIS: Is that permutation  
18 covered by this picture or --

19 MR. OESTERLE: No, it's not.

20 MEMBER CORRADINI: Does that exist -- does  
21 what Graham just said really occur? I wasn't aware of  
22 that.

23 MR. COLACCINO: This is Joe Colaccino from  
24 the staff. All the COL applicants are referencing  
25 designs that are either certified or under review. So

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 ultimately everyone will reference a design that is  
2 certified.

3 MEMBER POWERS: I guess it a little bit  
4 depends on what you mean by "under review." I mean --

5 MR. COLACCINO: I'm sorry. Actually,  
6 thank you very much. Either -- there is a third  
7 permutation for that, because with the EPR we actually  
8 do not have that design certification application.  
9 Thank you for pointing that out.

10 MR. OESTERLE: So Sections C.3.1 and C.3.2  
11 were intended to provide guidance for COL applicants  
12 referencing a certified design and an early site  
13 permit. C.3.2 really identifies guidance for what we  
14 previously referred to as the base case, a COL  
15 applicant referencing both a certified design and an  
16 early site permit.

17 CHAIRMAN WALLIS: So in terms of the ACRS  
18 work on this, the bottom box is by far the biggest.  
19 What do we have to do with the remaining information,  
20 if anything? How much work is involved for us with  
21 what you call "remaining information"?

22 MR. WILSON: This is Jerry Wilson, Office  
23 of New Reactors. I'd first like to emphasize the  
24 point Mr. Oesterle made that that diagram is not to  
25 scale. So let's not try and draw too many conclusions

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 from it.

2 Now, focusing on the remaining  
3 information, a key facet there are the operational  
4 programs that the licensee is going to use to operate  
5 their plant. Those clearly have safety significance,  
6 and I would envision that the Committee would want to  
7 review those programs.

8 MEMBER MAYNARD: There would also, I would  
9 assume, be some site-specific issues with cooling,  
10 whether it's cooling towers, your essential surface  
11 water system. They are some site-specific things that  
12 also are going to get into some of the safety systems,  
13 too.

14 MR. WILSON: That's correct.

15 MEMBER APOSTOLAKIS: But we will have to  
16 write a letter on the license itself, right? So  
17 whatever it takes to help us write that letter we will  
18 do.

19 MR. OESTERLE: The remaining set of  
20 information also depends on the specific reactor  
21 technology that is referenced in the certified design.  
22 For example, we have reactor designs that incorporate  
23 passive safety systems that have already been  
24 certified or are under certification review, and we  
25 have reactor designs that are in pre-application

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 process that incorporate the traditional active safety  
2 systems.

3 So for the COL applicant it really depends  
4 on which one of those reactor technologies they  
5 choose.

6 CHAIRMAN WALLIS: I'm just trying to look  
7 at sort of our workload. I know that certifying the  
8 design takes many subcommittee meetings and a lot of  
9 technical work. Early site permits we have some  
10 experience with. We have some idea how big that  
11 workload is. And it may be that the remaining  
12 information is about the same effort as the early site  
13 permit or could in some cases be more, couldn't it?

14 MR. COLACCINO: It could -- this is Joe  
15 Colaccino. It could certainly be more. And I'll just  
16 point out that of the 19 COLs -- I don't know what the  
17 number is today. I haven't checked. I haven't  
18 checked this morning. But only three of them  
19 reference an early site permit, so 16 of them do not.  
20 And that's very important. So that there will be a  
21 number -- you know, the COL referencing an ESP and a  
22 design certification is really more the exception than  
23 the rule.

24 MEMBER MAYNARD: Well, even those with an  
25 early site permit, not all the early site permits are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 a complete, everything included type permit. There  
2 are still out issues or questions to still be  
3 submitted and resolved as part of the COL application,  
4 too.

5 MR. OESTERLE: Right.

6 MEMBER POWERS: How many of the COL  
7 applications that you've looked at up 'til this  
8 morning have greenfield sites?

9 MR. COLACCINO: Well, we haven't gotten --  
10 this is Joe Colaccino again. We haven't -- obviously,  
11 we haven't gotten any COL applications. But of the 19  
12 that are in, I don't know if there are any. I don't  
13 think there are any that are in the first wave, or at  
14 least in the -- like I said, I haven't checked. But  
15 I'm not going to say that 100 percent sure, because I  
16 don't have the list in front of me.

17 MEMBER POWERS: Sure.

18 MR. COLACCINO: One comes to mind, but I  
19 don't know if that -- I think the vast majority -- I  
20 think I'd be safe to say that the vast majority are at  
21 a -- have operating reactors adjoining the site.

22 MR. OESTERLE: All right. Moving on, I  
23 just want to show the makeup of Section C.1. It  
24 includes all of the traditional FSAR chapters with  
25 some additions. Chapter 19 is a new chapter, and that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 will include the results of the PRA. Chapter 1 has an  
2 asterisk by it as well. The reason being is that that  
3 chapter is expanded, based on the information that is  
4 provided in the certified designs.

5 MEMBER APOSTOLAKIS: You said Chapter 19  
6 will be the results of the PRA, but not the PRA  
7 itself.

8 MR. OESTERLE: That's correct.

9 MEMBER APOSTOLAKIS: And why is that?

10 MR. OESTERLE: The reason for that is the  
11 Part 52 rule, as I mentioned this morning --

12 MEMBER APOSTOLAKIS: Yes.

13 MR. OESTERLE: -- DG-1145 provides  
14 guidance, and the rule rules. The current Part 52  
15 rule does not require submittal of a PRA. However, it  
16 does require that the results of the PRA are included  
17 in the FSAR portion of the application.

18 MEMBER APOSTOLAKIS: But you cannot take  
19 them at face value. I mean, the moment you look at  
20 some results you will ask questions, how did you get  
21 this, how did you get that. So, I mean, how do you  
22 convince yourselves that the PRA results are valid?

23 MR. OESTERLE: On that point, I'm going to  
24 defer to Donnie Harrison.

25 MR. HARRISON: This is Donnie Harrison

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 again with the Division of Risk Assessment. If we can  
2 maybe defer for another 15 minutes, we'll get to some  
3 slides that talk explicitly about that.

4 MEMBER APOSTOLAKIS: Fine.

5 MR. HARRISON: So, but you're right.

6 MEMBER APOSTOLAKIS: I am right. So we  
7 did defer it, then. Why did you want to defer it?  
8 You said I'm right.

9 (Laughter.)

10 CHAIRMAN WALLIS: George, this is a  
11 question raised by the subcommittee. We had quite a  
12 discussion about it, and I would very much appreciate  
13 your discussion of it as well, you know, when we get  
14 to it. We spent some time on this in the  
15 subcommittee.

16 MEMBER SIEBER: On the other hand, the  
17 Commissioners told him to do it this way.

18 MR. HARRISON: That's correct.

19 MEMBER APOSTOLAKIS: But from the  
20 practical point of view, I'm trying to understand what  
21 will happen.

22 MEMBER SIEBER: Well, you can ask all the  
23 questions you want.

24 MEMBER KRESS: Well, the short answer is  
25 that the PRA will be available for audit by the staff.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 That's the short answer.

2 MEMBER APOSTOLAKIS: How about -- I mean,  
3 are there going to be 365 RAIs flying all over the  
4 place? I mean, you get the PRA eventually piecemeal,  
5 is that really -- well, I'll -- we'll wait until  
6 Donnie --

7 MR. HARRISON: Yes, we'll get there.

8 MEMBER APOSTOLAKIS: -- gets to the hot  
9 seat.

10 MR. HARRISON: Okay. Thank you.

11 MR. OESTERLE: Moving on to Part C.2, the  
12 format of Part C.2 also was based on the proposed  
13 Part 52 rule issued in March of this year. And that  
14 included requirements -- or this included guidance on  
15 the PRA, ITAAC, and the environmental report. The  
16 latest Part 52 rule that was sent to the Commission  
17 will require a change in these topics.

18 For example, just like I mentioned, the  
19 Part -- the current Part 52 rule with the Commission  
20 now does not require submittal of the PRA, so much of  
21 the guidance from C.2.1 will be relocated to  
22 Chapter 19.

23 Part C.3 includes guidance for COL  
24 applicants referencing certified design and an ESP.  
25 Those -- that guidance is provided in Section C.3.1

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and C.3.2. The additional sections under C.3 provide  
2 guidance for topics associated with COL applicants  
3 that reference a certified design and an ESP, like the  
4 finality of an environmental impact statement  
5 associated with an early site permit, COL action items  
6 that are included in certified designs and early site  
7 permits, design acceptance criteria that are included  
8 in certified designs, COL application timing, which  
9 addresses the scenario where a COL applicant  
10 references a design certification in progress, for  
11 example, and then ITAAC for COL applications  
12 referencing a certified design and/or an early site  
13 permit. Part C.4 also includes guidance on  
14 miscellaneous topics related to COL application.

15 And to wrap this up, I'll go over the  
16 status of DG-1145. The comment period for DG-1145  
17 closed on October 23, 2006.

18 CHAIRMAN WALLIS: I'm curious about this  
19 certified design in progress. Does that mean that the  
20 design itself is in progress, or that the  
21 certification is the only thing which is in progress?

22 MR. OESTERLE: The certification is --

23 CHAIRMAN WALLIS: The design would have to  
24 be complete?

25 MR. OESTERLE: As complete as required by

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the design certification guidance.

2 CHAIRMAN WALLIS: Thank you.

3 MEMBER APOSTOLAKIS: Now, when you say 700  
4 total comments received, I mean, we have a long list  
5 of NEI comments.

6 MR. OESTERLE: Yes.

7 MEMBER APOSTOLAKIS: These are counted  
8 here. I mean, they don't count as one.

9 MR. OESTERLE: Yes. All those -- that  
10 entire list of NEI comments, plus a few additional  
11 comments, comprise that 700 number. Right. They  
12 include typos and editorials and some larger issues.

13 Staff is currently working on resolving  
14 these public comments and revising DG-1145 as  
15 appropriate, and also revising DG-1145 to conform with  
16 the final proposed Part 52 rule that went to the  
17 Commission.

18 CHAIRMAN WALLIS: Now, are these going to  
19 result in any substantial changes? Say, because, you  
20 know, we have seen the version, and we think -- do you  
21 anticipate any significant change as a result of the  
22 public comments?

23 MR. OESTERLE: In some areas, the comments  
24 are consistent with the changes in the Part 52 rule.  
25 So with respect to those changes, yes, there will be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 some significant changes, although minimal.

2 CHAIRMAN WALLIS: Significant, although  
3 minimal. That's --

4 MR. OESTERLE: The number of --

5 (Laughter.)

6 The number of significant changes will be  
7 small.

8 (Laughter.)

9 MEMBER APOSTOLAKIS: One would expect  
10 that. I mean --

11 MR. OESTERLE: We have a process in place  
12 to ensure consistency between DG-1145 and the updates  
13 to the standard review plan and the updates to  
14 regulatory guides. We have project managers assigned  
15 to DG-1145 sections for coordination and resolution of  
16 public comments with tech staff, and they are also  
17 assigned the same sections for the SRP updates for --  
18 to ensure the coordination and consistency.

19 The plan is to publish DG-1145 final as  
20 Reg. Guide 1.206 after incorporation of these public  
21 comments and final issuance of the Part 52 rule.

22 The staff is considering additional public  
23 forums to update external stakeholders on Reg.  
24 Guide 1.206 prior to publication. And we are looking  
25 at such things as putting the completed sections of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Reg. Guide 1.206 up on the NRC's external website, and  
2 we're also looking at holding a public workshop, board  
3 workshops.

4 MEMBER MAYNARD: I don't know if you're  
5 going to cover this later or not, but on the standard  
6 review plan, consistent with the reg. guide standard  
7 review plan, one of the comments that I had on 1145 is  
8 that it referenced a whole lot of generic letters,  
9 branch technical positions, and the staff is going  
10 through reg. guides and updating them to new rules.

11 I didn't understand the need for  
12 referencing a lot of old correspondence. I'm not sure  
13 why the SRPs and reg. guides can't be brought up to  
14 date.

15 MR. OESTERLE: In fact, one of the changes  
16 that we need to make to the guidance document to  
17 conform with the final proposed Part 52 rule is to  
18 update the requirement associated with looking at  
19 incorporation of operational experience contained in  
20 those old generic letters and bulletins.

21 There is a new requirement that doesn't go  
22 all the way back to, say, 1980. It just makes you  
23 look at more recent examples.

24 MEMBER MAYNARD: It just seems like it's  
25 -- it would be a lot cleaner for everyone if we could

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 clean all that up maybe.

2 MEMBER SIEBER: Well, this whole effort is  
3 schedule-driven, I think.

4 MR. OESTERLE: Yes.

5 MEMBER SIEBER: And that's why some of the  
6 intermediate documents are not being consolidated and  
7 updated. They're just referenced to carry them along  
8 as a package, and it's more complicated this way.  
9 Otherwise, we would be two years getting all this  
10 done, I think, if you had to go back and do that work  
11 for each one of the sub-level reg. guides that are  
12 involved, and standards.

13 MR. OESTERLE: And that's a good segue  
14 into the next slide.

15 MEMBER APOSTOLAKIS: This Committee will  
16 have a chance to review the final version of the  
17 regulatory guide.

18 MR. OESTERLE: The final version of Reg.  
19 Guide 1.206?

20 MEMBER APOSTOLAKIS: Yes. Sorry? This is  
21 it?

22 MR. OESTERLE: I understand this is --

23 MEMBER APOSTOLAKIS: But you are going to  
24 change things.

25 MR. OESTERLE: We were requested to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 provide an informational briefing, and that's what  
2 we're doing today.

3 MEMBER APOSTOLAKIS: No. I understand  
4 what you are doing today. But even if we issue a  
5 letter this time around, when do we issue --

6 MEMBER SIEBER: If they issue it again, we  
7 have an opportunity to review it again.

8 CHAIRMAN WALLIS: If the changes turn out  
9 to be significant and not minimal --

10 MEMBER APOSTOLAKIS: Who will judge that?

11 CHAIRMAN WALLIS: -- then I think you  
12 might want to let us know. And we have, then, a  
13 choice of saying whether or not we want to comment on  
14 those changes.

15 MEMBER APOSTOLAKIS: David?

16 MR. FISCHER: I was going to say the same  
17 thing. If we want, in our letter we could ask them to  
18 report on significant changes that are made to DG-  
19 1145.

20 MEMBER APOSTOLAKIS: It seems to me this  
21 is important enough for the Committee to plan on  
22 writing a letter when 1.06 is in its final draft form.  
23 The letter may be, "It's very good. Thank you." But  
24 I think we should plan on writing a letter, not rely  
25 on somebody's judgment that these changes are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 significant. We should make that judgment.

2 MR. OESTERLE: To put this all into  
3 schedule context, we are schedule-driven, and this  
4 shows the reason for the schedule. If you look all  
5 the way over on the right, we anticipate the first new  
6 COL applications coming in around September of '07.  
7 And with the -- at least one requirement of Part 52  
8 for applicants to evaluate the standard review plan in  
9 effect six months prior to docketing.

10 So if we go back six months, that brings  
11 us to March. So that is one of the drivers for the  
12 schedule on Reg. Guide 1.206.

13 And with that, that concludes my prepared  
14 remarks on DG-1145 overview. Next is a presentation  
15 on probabilistic risk assessment.

16 MEMBER APOSTOLAKIS: Did you make -- did  
17 members make detailed comments on the PRA at the  
18 subcommittee meeting?

19 MEMBER KRESS: We had a significant  
20 discussion on it, yes.

21 VICE CHAIRMAN SHACK: I think we addressed  
22 all the comments that you made in your e-mails to us.

23 MEMBER CORRADINI: Yes, I think they  
24 overlap to some extent, too.

25 MEMBER APOSTOLAKIS: Okay. So I shouldn't

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 raise them again, then?

2 VICE CHAIRMAN SHACK: You can raise them  
3 again, so you get your answers, but we did discuss  
4 them.

5 MEMBER APOSTOLAKIS: Okay. Do we get the  
6 same answer today?

7 (Laughter.)

8 MEMBER KRESS: One reason we put this on  
9 the agenda is because we knew you'd be here --

10 MEMBER APOSTOLAKIS: Okay.

11 MEMBER KRESS: -- and could take advantage  
12 of this opportunity.

13 MR. HARRISON: My name is Donnie Harrison.  
14 I'm with the Division of Risk Assessment. And for the  
15 members that were here at the subcommittee meeting,  
16 this is going to look very familiar. We're basically  
17 going to present the same information and --

18 CHAIRMAN WALLIS: So we didn't change your  
19 mind in any way at all.

20 (Laughter.)

21 MR. HARRISON: We had lots of discussion,  
22 but we didn't have any resolutions I guess.

23 What we're going to talk about is -- the  
24 first thing will be the recent change that was made to  
25 Part 52, and its impact on the staff's review, and the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 guidance document. We'll then briefly talk about the  
2 bases for the regulatory guidance, where the PRA bases  
3 come from, the grouping of the objectives of the PRA  
4 and severe accident evaluations, and then just an  
5 outline of what the Chapter 19 of the FSAR regulatory  
6 guidance is.

7 As hopefully as you're aware of by now is  
8 -- in the proposed rulemaking there was a requirement  
9 under 52.80(a) that the PRA be submitted as additional  
10 technical information. So it was addition to the  
11 Chapter 19 of the FSAR by the applicant.

12 We got public comments on that. After  
13 completion of the draft guide, our original approach  
14 was to reject the public comment and to maintain the  
15 requirement for the submission of the PRA. After we  
16 drafted the DG-1145, that NRC position was changed,  
17 and we accepted the public comment, that the PRA did  
18 not need to be submitted but needed to be maintained  
19 available for staff audit at the vendor or plant site  
20 location.

21 MEMBER CORRADINI: Just -- you probably  
22 did this, and I just don't -- I didn't write it down,  
23 so it's my memory. What was the rationale for the  
24 public comment that didn't -- that suggested that it  
25 not be submitted? Can you --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. HARRISON: It's basically this basis.  
2 It's that it wasn't necessary to submit it because it  
3 would be available for review to the staff at an  
4 offsite location. So the submission was --

5 MEMBER CORRADINI: And, logistically, that  
6 -- from the comment that was better, you know, and no  
7 worse, not a burden? The logistics of it are kind of  
8 still throwing me.

9 MR. HARRISON: Well --

10 MEMBER CORRADINI: But is that -- what  
11 that discussed at all?

12 CHAIRMAN WALLIS: That seems to -- we said  
13 this at the subcommittee. This seems extraordinary.  
14 I mean, with modern electronics, it's no different to  
15 send it than to have it available at your site.

16 MEMBER APOSTOLAKIS: It's just a CD.

17 MEMBER SIEBER: It's not uncommon to have  
18 documents like this available only at the plant site,  
19 you know, not only PRAs but other kinds of documents.  
20 This is not unusual.

21 MEMBER CORRADINI: You gave some examples.  
22 What were a couple of those that you mentioned that  
23 were --

24 MEMBER APOSTOLAKIS: You have to speak  
25 into the microphone.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MEMBER CORRADINI: Sorry.

2 MEMBER SIEBER: There aren't submitted --  
3 a lot of tech spec bases aren't submitted. They are  
4 submitted in summary form, but the real basis or the  
5 technical basis is at the plant. Perhaps the staff  
6 can come up with a couple of others like that.

7 MR. HARRISON: The details of the  
8 Chapter 15 analyses, the thermal hydraulic codes,  
9 those are not -- those aren't submitted.

10 MEMBER SIEBER: The reload safety analysis  
11 is --

12 MR. HARRISON: The detailed analysis --

13 MEMBER SIEBER: -- just a letter? But it  
14 does not have the analysis connected to it and is not  
15 submitted?

16 MEMBER APOSTOLAKIS: But maybe that was  
17 appropriate at the time when everything was on paper.  
18 I mean, this is a matter of submitting a CD.

19 MEMBER SIEBER: Well, it's appropriate  
20 now. That's the way it is now, today.

21 MEMBER APOSTOLAKIS: Yes. But, I mean,  
22 because of the tradition. But now, you know, a CD is  
23 -- you know, a PRA can be there.

24 CHAIRMAN WALLIS: There has to be another  
25 rationale. I think in the subcommittee we talked

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 about the business of it -- there being some reason,  
2 legal reason or something that this should not be  
3 officially part of the application.

4 MEMBER MAYNARD: Well, there are --

5 CHAIRMAN WALLIS: But it still should be  
6 available.

7 MEMBER MAYNARD: -- number of reasons  
8 other than just, I mean, you can submit anything quite  
9 easily on a CD. But whenever you start submitting  
10 things on the docket, there are -- you do incur --  
11 there's more legal issues, there's more complications  
12 as to what has to be done, the reviews of that. You  
13 have other regulations that start coming into play  
14 that makes it far more complicated than if you can  
15 just have the document available for review at the  
16 site. So there are a lot of good reasons for that.

17 MEMBER BONACA: And one example is, by the  
18 way, you know, now you have this information in great  
19 detail in the hands of another analyst who may raise  
20 questions on a daily basis about things which are in  
21 the PRA. And that's some of the reasons for them --  
22 for concern about submitting a PRA.

23 The other one is the PRA will change all  
24 the time. There will be modifications, and so on and  
25 so forth. So there is -- I think the applicant will

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 submit a PRA.

2 I'm just telling you what I've seen in the  
3 past. The applicant submits a PRA. He will have to  
4 commit practically to submitting every modification he  
5 makes to the PRA, because he has a document submitted  
6 on the docket that now has changed. So there has to  
7 be some change process that is -- goes together with  
8 that. So there are a number of issues which I'm not  
9 -- which have to be dealt with when you submit that  
10 kind of information.

11 MEMBER CORRADINI: If I might just -- if  
12 this is appropriate, I just wanted to ask, though,  
13 Mario -- the second part of that -- I thought last  
14 week, now I may have misheard again, that there is no  
15 requirement that the PRA be updated. So this is --  
16 even if it was a static document, having it reside at  
17 the locale versus somehow here is in some sense a  
18 filter for -- now I'm going to say this, and maybe  
19 this is an inappropriate -- a filter for unwanted,  
20 just I want to call it useless interchange, whereas if  
21 it were here you could get a lot of people asking  
22 questions that would just not be -- it would be  
23 appropriate for the licensee and the staff to deal  
24 with.

25 MEMBER BONACA: I think the issue --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 mentioned the changes, because the PRA will change all  
2 the time.

3 MEMBER CORRADINI: But it's not required,  
4 though.

5 MEMBER BONACA: It's a critical issue.  
6 That's a central issue. If, in fact, you perform a  
7 PRA and put it on a shelf, I would say that any  
8 licensee wouldn't care. I mean, that's fine. Put it  
9 on the shelf, put it on --

10 MEMBER CORRADINI: And I would say --

11 MEMBER BONACA: -- it stays there, and  
12 that's it. It becomes an obsolete document very  
13 quickly.

14 MEMBER SIEBER: If you submit it to the  
15 agency, it becomes a public document.

16 MR. HARRISON: Well, no, not in this  
17 situation. It would have been under -- Part 52.80(a)  
18 would have been additional information. It would not  
19 be part of the FSAR. So it would have been -- it  
20 would be docketed but not available, if you will.

21 MEMBER MAYNARD: Well, it's still  
22 available. I think anything admitted is available,  
23 unless you are able to get it withdrawn.

24 MR. COLACCINO: Yes. This is Joe  
25 Colaccino. Just a clarification on a point Donnie

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 just made. If it was submitted on the docket, then it  
2 would be available to the public.

3 MEMBER MAYNARD: That's right.

4 MR. COLACCINO: So in this scenario, the  
5 way it's now proposed in Part 52, it would be  
6 available at the site for staff audit.

7 MEMBER MAYNARD: Right.

8 MEMBER APOSTOLAKIS: But it could be  
9 submitted according to Donnie and not be available to  
10 the public.

11 MR. COLACCINO: And this came up -- Joe  
12 Colaccino again. That came up last week, is that  
13 we're -- certainly, there isn't anything in Part 52  
14 right now that would preclude an applicant from  
15 submitting their PRA.

16 MR. RUBIN: And also, there are procedures  
17 in place to submit information and withhold it from  
18 public disclosure, such as proprietary withholdings,  
19 which many PRAs have come in with, or safeguards  
20 material.

21 MEMBER SIEBER: On the other hand, that's  
22 just not a rubber stamp. You actually have -- there  
23 actually has to be proprietary stuff in there.

24 MR. HARRISON: page by page verification.

25 MEMBER SIEBER: Yes.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER CORRADINI: So just to drive the  
2 point home, if -- let's take the path that Eric had  
3 mentioned, which is -- or somebody had mentioned,  
4 there is 19 out there and they all had design  
5 certifications, either on the docket or being  
6 reviewed. All of those design certifications have a  
7 PRA attached to them, correct?

8                   MR. HARRISON: Correct.

9                   MEMBER CORRADINI: And those are part of  
10 the record already, public record?

11                  MR. HARRISON: Correct. Yes.

12                  MEMBER CORRADINI: So the --

13                  VICE CHAIRMAN SHACK: But the EPR one  
14 won't be submitted, as I understand it.

15                  MEMBER CORRADINI: Well, I thought I heard  
16 the opposite last week.

17                  MR. WILSON: This is Jerry Wilson. Let me  
18 give a little bit of background from a rulemaking  
19 perspective.

20                  MEMBER CORRADINI: Let me finish my  
21 question, and you can see why I'm asking it, because  
22 then what I'm kind of thinking from my head is if  
23 Mario's point about certain things are reasonable  
24 because they'd be there, then it would be things  
25 related to the site -- to site-specific issues. But

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the base, full scope, whatever the right terminology  
2 is of the PRA via design certification, is already  
3 publicly available.

4 So I know a good deal of where one is  
5 going with the plant already, I thought, if I  
6 understand this, except now for the one thing that  
7 Bill has mentioned, that the EPR may not be in this  
8 mode.

9 MR. WILSON: Jerry Wilson. I want to  
10 remind the Committee that I and my colleagues on the  
11 Part 52 rulemaking working group were here before the  
12 Committee with the proposed Part 52 rule, and this was  
13 part of what we were discussing at that time. And  
14 this Committee wrote a letter on that subject, and  
15 I'll call your attention to the fact in the letter,  
16 you know, they said that you don't have to submit the  
17 PRA.

18 Now, with that in mind, and a couple of  
19 other factors that we considered while we were  
20 deciding how to put the rule together that we  
21 submitted to the Commission, one is that my colleagues  
22 in the PRA Branch are working with industry to develop  
23 guidance on performing PRAs.

24 It's the expectation of NRO management in  
25 the future applicants and licensees will have PRAs

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 performed in accordance with that guidance, and in  
2 their view would reduce the need for the staff to be  
3 reviewing these PRAs to the level of review that we  
4 have done in the past.

5 And that factored into this decision as  
6 well, and so -- and also, you know, it's a forward-  
7 looking rule. We're looking to the future on this.  
8 But the other factor is the point that Mr. Harrison  
9 mentioned. We have the vision that it's like analyses  
10 done for Chapter 15.

11 The applicant summarizes their Chapter 15  
12 analysis in their FSAR. But if the details in the  
13 analysis aren't submitted, and if the staff feels the  
14 need to look at that, they can do it. And so looking  
15 forward in the future, NRO management felt that the  
16 PRAs could be handled in a similar manner. And that's  
17 why the rule is as it is today, that you have to have  
18 a PRA. If you reference a certified design, you have  
19 to update that PRA to take into account those  
20 additional site-specific design features.

21 But you have to submit, as Mr. Harrison is  
22 going to point out, the results and summary of the  
23 PRA. But the detailed PRA you don't have to submit.  
24 That's the staff's view at this point in time.

25 MEMBER APOSTOLAKIS: If the staff has a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 question about a particular number or result, they  
2 would have to go to the site to find out why this is  
3 so, or they can request information that will be  
4 submitted?

5 MR. WILSON: Both options are available.  
6 As in anything else, it's like thermal hydraulic  
7 analyses that this Committee looks at. They don't  
8 necessarily submit the details of that, but the staff  
9 either goes out and does an audit at the vendor's  
10 place or asks questions and has additional information  
11 provided.

12 MR. HARRISON: And, George, just -- the  
13 jump forward, on the next slide we talk about the  
14 impact of that change, and one of the impacts is for  
15 us to be able to understand and confirm the PRA  
16 results and insights. It's expected that we'll need  
17 to do audits, and fairly long-term audits, at the site  
18 location, so that we can fully understand the PRA and  
19 its bases and developing the RAIs even. So we're  
20 going to --

21 MEMBER MAYNARD: Yes. But I would contend  
22 that you would probably save time in the long run by  
23 doing it that way, because otherwise you're going to  
24 be going back and forth with requests for information.  
25 It's going to be handled, and it's going to take a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 long time and a lot of time on both the licensee and  
2 the NRC staff in just reviewing and submitting  
3 questions.

4 And you're a lot better off being right  
5 there where the information is available. You'll get  
6 a lot more resolved in a shorter period of time.

7 MR. HARRISON: Right. And that's the staff  
8 -- in response, that's how the staff sees going  
9 forward is that that will need to be done.

10 MEMBER BONACA: I would expect that also  
11 the staff would develop a SPAR model at some point to  
12 these plants, and, you know, to develop that you go to  
13 the plant, you sit down with the analysts, and you  
14 review the PRA.

15 PRA without the analysts that work on it  
16 really it's not very understandable, because there are  
17 so many assumptions you have to communicate back and  
18 forth what is represented there.

19 MEMBER APOSTOLAKIS: So when this  
20 Committee, then, writes a final letter, say approving  
21 the license of a particular reactor, we will have to  
22 go to the site to review the PRA, to look at the PRA  
23 if we want to look at it?

24 MEMBER SIEBER: Yes.

25 MEMBER APOSTOLAKIS: We will have to do

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that?

2 MEMBER SIEBER: Sure.

3 MEMBER APOSTOLAKIS: Why can't we get it  
4 on a CD? It's not part of the docket if they give it  
5 to us.

6 MEMBER SIEBER: If it's sent to us, it is.

7 CHAIRMAN WALLIS: No, I don't think that's  
8 exactly true. I think the subcommittee went through  
9 this.

10 MEMBER APOSTOLAKIS: Oh, come on.

11 CHAIRMAN WALLIS: And I thought you said  
12 there was nothing that prevented the licensee from  
13 sending supplementary information, which could be a CD  
14 of the PRA.

15 MEMBER SIEBER: But once it gets into the  
16 agency's paper system, it's a public document.

17 CHAIRMAN WALLIS: It's labeled  
18 proprietary. It doesn't have to --

19 MEMBER SIEBER: Because it's proprietary  
20 or one of these other --

21 MEMBER APOSTOLAKIS: No. But the PRA we  
22 have now for the ESBWR, we are not allowed to give it  
23 to the public. It says don't do that.

24 (Laughter.)

25 It's a control document, whatever they

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 call it, a control document.

2 MEMBER APOSTOLAKIS: It is proprietary  
3 information.

4 MR. RUBIN: Right. This is Mark Rubin.  
5 An ESBWR PRA was submitted to the staff, but not as  
6 part of the safety analysis report.

7 MEMBER APOSTOLAKIS: So it can be done.

8 MR. RUBIN: It was, but Part 52 says it  
9 doesn't need to be submitted.

10 MR. HARRISON: And you need to --  
11 actually, take me back to the slide before the last  
12 bullet. Under Part 52, under design certification,  
13 which an ESBWR was submitted under that guidance, I  
14 think that's 5247, they had a requirement that the PRA  
15 be submitted.

16 Okay. When the change was made to Part 52  
17 to eliminate the requirement in 52.80(a), they made  
18 conforming changes. So they also deleted the  
19 requirement going forward for plants that make  
20 submissions under design certification will also not  
21 have to submit a design-specific PRA. Those would be  
22 maintained at the design vendor's site for review and  
23 audit.

24 MEMBER BONACA: I don't see --

25 MEMBER APOSTOLAKIS: The question is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 really simple.

2 MEMBER BONACA: Yes.

3 MEMBER APOSTOLAKIS: Is this Committee  
4 going to have access to it? Or we will be told no,  
5 you travel to Texas to see it?

6 MEMBER SIEBER: Well, it's the rule that  
7 governs what gets submitted and what doesn't. And the  
8 rule says the licensee doesn't have to submit it.

9 MEMBER BONACA: But the question is --

10 MEMBER APOSTOLAKIS: The statutes also say  
11 that this Committee has to write a letter.

12 CHAIRMAN WALLIS: What George is saying  
13 is, how does this Committee make a decision?

14 MEMBER APOSTOLAKIS: Yes.

15 CHAIRMAN WALLIS: This Committee may say,  
16 without the PRA, we would refuse to make a decision.

17 MEMBER MAYNARD: Well, I believe we would  
18 be able to get the information that we needed. And I  
19 personally don't see a problem if some of this  
20 required or would call for us going to the site. I  
21 don't think there's -- I think it would be even a good  
22 idea for the ACRS to --

23 CHAIRMAN WALLIS: No, that's a  
24 tremendous -- the 19 applications this Committee has  
25 to travel to sites. That's ridiculous.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER SIEBER: Let's face it, none of  
2 these applications are risk-informed.

3                   MEMBER BONACA: The Thermal Hydraulic  
4 Committee makes decisions regarding the adequacy of a  
5 LOCA analysis.

6                   MEMBER SIEBER: But why do you need to  
7 look at it?

8                   MEMBER BONACA: Without having the  
9 analysis in front, right? I mean, you get the vendor  
10 coming in describing to you the analysis, the  
11 assumptions. You ask specific questions. You don't  
12 have the analysis in front of you. You don't have a  
13 computer code with the actual results of everything.  
14 You can ask for that, but --

15                  CHAIRMAN WALLIS: Sometimes we do get the  
16 analysis.

17                  MEMBER BONACA: Get information.

18                  CHAIRMAN WALLIS: In the case of AP600, I  
19 got several boxloads of --

20                  MEMBER BONACA: And, in fact, I believe it  
21 was for the PRA we are getting the PRA to do the  
22 design phase. I think there is a distinction to be  
23 made for the reluctance of the licensee at the moment  
24 in which you have an operating plant, and you have a  
25 docket there. And you now have a commitment -- a moot

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 commitment to so many things in the PRA, including  
2 training, operating crews, the assumptions you made in  
3 human factors inside the -- they're all inside the  
4 PRA.

5 I mean, PRA reaches so far, and as far as  
6 I know from the years I was in the industry that was  
7 one of the reasons for the reluctance to give the  
8 information, because you have a changing model all the  
9 time. You are making decisions there regarding --

10 CHAIRMAN WALLIS: I don't think you're  
11 right about thermal hydraulics. I have a whole stack  
12 of stuff in my -- at home which is to track the GE  
13 code that's used for thermal hydraulic analysis.  
14 Everything is there, supposedly, all the assumptions  
15 and equations and coefficients and everything are  
16 there. I can see it.

17 MEMBER CORRADINI: So can I ask an analogy  
18 question? Since you had a very good analogy, one of  
19 you three back here, which was it's just like a  
20 Chapter 15 analysis. You don't want to send all that  
21 junk over the wall. It's going to be at the plant.  
22 So how is that handled if this Committee was reviewing  
23 an old-fashioned reactor with a Chapter 15 analysis in  
24 great detail? How is that information properly  
25 transferred, so that one could make a decision?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER KRESS: In the FSAR.

2 MEMBER CORRADINI: And it seems to me --  
3 no, no, the results were in the FSAR, the way I  
4 understood Jack's point, and all the rest of the stuff  
5 was sitting back at the utility or the --

6 MEMBER SIEBER: The vendor.

7 MEMBER CORRADINI: -- at the vendor,  
8 excuse me, or whatever.

9 MEMBER SIEBER: They reviewed AP1000, and  
10 that's where we went. We went to the vendor's shop in  
11 Pittsburgh.

12 MEMBER CORRADINI: Okay.

13 MEMBER SIEBER: That's the way you do it.

14 MEMBER CORRADINI: Okay.

15 MEMBER APOSTOLAKIS: No, but we had the  
16 PRA.

17 CHAIRMAN WALLIS: But it's not true that  
18 they didn't submit -- as I say, with AP600, which is  
19 very much like AP1000, I had several boxloads of stuff  
20 sent by Westinghouse, which contained all of the  
21 assumptions in their --

22 MEMBER SIEBER: Well, they like to give it  
23 to you. On the other hand, under the rule they don't  
24 have to give it to you.

25 CHAIRMAN WALLIS: They don't have to, but

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 I just don't think --

2 MEMBER SIEBER: And if you ask them for  
3 it, they can say, "Go away."

4 MEMBER CORRADINI: But just from an  
5 analogy standpoint, it seems to me, to answer George's  
6 question, we would have to follow a similar thing as  
7 a Chapter 15 analysis, which is when there's detail  
8 there is some protocol that we have to go through.

9 MEMBER SIEBER: And we don't need the PRA  
10 to make our decision, because this is not a risk-  
11 informed application.

12 MR. SALTOS: Excuse me. This is Nick  
13 Saltos. If I can add a clarification between the  
14 analogy between Chapter 15 and Chapter 19. Chapter 15  
15 requires that they submit their input to the codes to  
16 the staff. The analogy in the PRA, the input is the  
17 fault trees, event trees, DARTA, all that stuff are  
18 input, are not codes. We never ask for codes in a  
19 PRA. We never ask for thermal hydraulic codes. We  
20 never asked for CAFTA or codes used for quantification  
21 for uncertainty analysis. But we always asked for  
22 input like fault trees, the logic model.

23 MEMBER BONACA: Well, that's because you  
24 already approved the code --

25 MEMBER APOSTOLAKIS: We have that.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER BONACA:  -- the topical, right?  We  
2                   had a topical for --

3                   MR.  SALTOS:  We have that in the  
4                   certifications that we've had so far.  But the  
5                   proposed rule, I don't know what -- how it is going to  
6                   be implemented.  It talks about a summary description  
7                   of the PRA.  Whatever does that mean?  It means that  
8                   we are not going to have the event trees and the fault  
9                   trees and the fire analysis.  I don't know.

10                  CHAIRMAN WALLIS:  I might disagree with  
11                  you, but you never asked the codes.  We went through  
12                  this many times.  You did ask for codes, and the ACRS  
13                  recommended that you were able to run the vendor's  
14                  thermal hydraulic codes.  And some vendors actually  
15                  gave you their codes.

16                  MR.  SALTOS:  Are you talking about PRA?

17                  CHAIRMAN WALLIS:  One particular one that  
18                  refused to give you --

19                  MR.  SALTOS:  I'm talking about the PRA.

20                  CHAIRMAN WALLIS:  Yes.  I'm talking about  
21                  thermal hydraulic.

22                  MR.  SALTOS:  Yes.

23                  CHAIRMAN WALLIS:  You put that in the same  
24                  box with PRA.

25                  MR.  SALTOS:  Well, we do not ask -- it's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 my understanding, never asked in the past anybody who  
2 applied to certify the design to submit any thermal  
3 hydraulic code to us.

4 MEMBER BONACA: Well, because they are  
5 already submitted and reviewed as part of the topical  
6 report. I mean, the NRC makes a separate  
7 determination for the computer code. Licensing the  
8 code -- I mean, approve it, and then --

9 MEMBER APOSTOLAKIS: But not for the PRA  
10 codes, that's his point, which is true.

11 MR. HARRISON: Yes. Nick's point is that  
12 for the Chapter 15 analyses all the methodologies and  
13 codes, they use approved NRC-endorsed codes.

14 MEMBER APOSTOLAKIS: Right.

15 MR. HARRISON: For the PRA, that is not  
16 the case. It has not -- we have not done reviews and  
17 approved the code for --

18 MEMBER APOSTOLAKIS: Again, I'm trying to  
19 envision the process here. Let's say there is a  
20 particular COL that's submitted next September or  
21 October. This Committee will start reviewing it,  
22 right? Because eventually we'll have to write a  
23 letter. Is there going to be a PRA subcommittee  
24 meeting?

25 MR. HARRISON: I would be surprised if

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 there wasn't at least a discussion on PRA during a  
2 subcommittee meeting. I don't know which --

3 MEMBER APOSTOLAKIS: Okay.

4 MR. HARRISON: -- subcommittee would --

5 MEMBER APOSTOLAKIS: So that subcommittee  
6 -- now, the members preparing for the subcommittee, I  
7 hope they will not have to go to the site to read the  
8 PRA.

9 MR. HARRISON: From the submission, what  
10 you will have is the --

11 MEMBER APOSTOLAKIS: The results.

12 MR. HARRISON: -- the description of the  
13 PRA and its results and the severe accident evaluation  
14 description.

15 MEMBER APOSTOLAKIS: But we will not know  
16 what kind of data they used? I mean, Nick said that  
17 they will be -- these are inputs.

18 MR. RUBIN: Let me supplement a little  
19 bit. This is Mark Rubin again from DRA. Under the  
20 current guidance in 1145 and the expectations from our  
21 industry stakeholders, the information in SRP 19 --  
22 with respect to the PRA would be relatively brief,  
23 high-level, qualitative information.

24 Now, with the change in Part 52, we're  
25 thinking of revisiting that to see if we can get more

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 detailed results information. But it will be a  
2 function of whether we can get agreement from OGC that  
3 it's not part of the plant's design basis, because as  
4 many of the members have indicated PRA conceptually  
5 changes and it's to reflect plant changes. And you  
6 don't want to really hold a plant to PRA changes.  
7 It's the opposite you want to do -- reflect changes in  
8 the plant.

9 So senior NRO management has indicated its  
10 desire that severe accident and PRA information not be  
11 part of the plant's licensing basis. Industry  
12 stakeholders have also indicated that. From the  
13 working level of the staff, it seems reasonable that  
14 that be the case, because we use it as a licensing  
15 evaluation tool in severe accident space.

16 What we need to do is get a consensus view  
17 from OGC along those lines, and then we could perhaps  
18 beef up the SRP 19 submittal to include more detailed  
19 quantitative PRA information. But currently it's  
20 restricted to qualitative very brief summary  
21 information.

22 MEMBER APOSTOLAKIS: But some --

23 MEMBER SIEBER: But you haven't crossed  
24 that bridge yet?

25 MR. RUBIN: Excuse me, sir.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: You have not crossed that  
2 bridge yet. OGC hasn't agreed to that, right?

3 MR. RUBIN: We're working with senior  
4 members of OGC, and we're laying the planks for the  
5 bridge.

6 MEMBER APOSTOLAKIS: Is information  
7 submitted to the ACRS for evaluation -- does it become  
8 part of the licensing basis?

9 MR. RUBIN: No.

10 MEMBER APOSTOLAKIS: So I can see, you  
11 know, the legal problem resolved. No, it's not part  
12 of the licensing basis for the reasons you have --

13 MEMBER SIEBER: If it's in the application  
14 it is.

15 MEMBER APOSTOLAKIS: But every single  
16 piece of information we get becomes part of the  
17 licensing basis. I don't believe that. I mean,  
18 that's incredible. So --

19 MEMBER SIEBER: Okay. I stand corrected.

20 MEMBER CORRADINI: He said public  
21 information, not licensing --

22 MEMBER APOSTOLAKIS: Well, it can be  
23 controlled. It can be controlled.

24 MR. RUBIN: Dr. Apostolakis, I believe you  
25 are absolutely correct. It certainly does not become

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 part of the licensing basis, but my limited  
2 understanding is that it becomes public if it's part  
3 of an ACRS meeting and deliberations. But your staff  
4 can advise you, certainly, much better than I.

5 MEMBER APOSTOLAKIS: It becomes -- the  
6 public part is what is discussed here.

7 CHAIRMAN WALLIS: Right.

8 MEMBER APOSTOLAKIS: But not all details  
9 are --

10 CHAIRMAN WALLIS: But what we get as  
11 members, I often get stuff which is stamped  
12 proprietary information.

13 MEMBER APOSTOLAKIS: Yes, sure. Even the  
14 documents we have now for --

15 CHAIRMAN WALLIS: And I don't give it to  
16 the public.

17 MEMBER KRESS: We quite often have closed  
18 meetings.

19 CHAIRMAN WALLIS: Right.

20 MEMBER APOSTOLAKIS: Another thing that  
21 the members should remember --

22 MEMBER SIEBER: The e-mails among us are  
23 public documents.

24 MEMBER APOSTOLAKIS: It's one thing to say  
25 it's available on the site for audit. That's not a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 day's work. I mean, the staff can afford to go there  
2 for maybe two weeks to review it, but the members  
3 cannot. So to say that we will go there and spend a  
4 day, day and a half, that's not really a review.  
5 That's not really very informative, because, really,  
6 you have to have it at home and sit down and study it.

7 So I think there's going to be a problem  
8 there, and the language has to be such that there will  
9 be a lot of flexibility, because I do appreciate all  
10 the issues about making it part of the licensing  
11 basis. And that's not my problem. I don't want to --  
12 I mean, if that's a problem, don't do it.

13 But to say that, if you want to see what  
14 happened, you have to travel there, it just seems  
15 unreasonable to me, because I have to write a letter  
16 at the end that says, yes, go ahead and operate.

17 MR. WILSON: This is Jerry Wilson. If I  
18 could remind the Committee that the regulations we're  
19 discussing are regulations applying to the applicants  
20 who are submitting applications to NRC staff. The  
21 ACRS is an independent statutory committee, and you're  
22 not constrained by the staff's rules. And you can ask  
23 for whatever you want to ask for.

24 MEMBER APOSTOLAKIS: We are constrained by  
25 the Commission's rules, though, aren't we?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1                   VICE CHAIRMAN SHACK: Well, you can ask,  
2 George. They don't have to supply.

3                   MEMBER KRESS: And we don't have to agree.

4                   MEMBER BONACA: No, I don't think that  
5 there will be a reluctance, I think, from the plant to  
6 supply until they start the plant. I think that the  
7 problem becomes when you start a plant and you have --

8                   MEMBER APOSTOLAKIS: Yes, that's when you  
9 start changing things.

10                  MEMBER BONACA: And that's really where  
11 you would want to have --

12                  MEMBER APOSTOLAKIS: Yes. I don't really  
13 care about that.

14                  MEMBER BONACA: But up to that point, I  
15 don't see that there should be any reluctance. I  
16 mean, this is, you know, information to do with a  
17 decision and --

18                  CHAIRMAN WALLIS: I think, George, what we  
19 need to do is just put a couple of sentences in our  
20 letter.

21                  MEMBER APOSTOLAKIS: We should, yes.

22                  CHAIRMAN WALLIS: Which we can then appeal  
23 to later on, and then that will help us to --

24                  MEMBER ABDEL-KHALIK: Can I ask a  
25 question?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER APOSTOLAKIS: Of course.

2 MEMBER ABDEL-KHALIK: Would the staff  
3 expect to approve any COL without doing an onsite  
4 audit?

5 MEMBER APOSTOLAKIS: That's a good  
6 question.

7 MEMBER ABDEL-KHALIK: Do you foresee a  
8 situation where you would approve a COL application  
9 without an onsite audit?

10 MR. RUBIN: This is Mark Rubin again.  
11 Boy, it's hard to answer absolute. Let me  
12 characterize --

13 MEMBER ABDEL-KHALIK: Can you make a  
14 judgment?

15 MR. RUBIN: Sure. I'll be glad to give  
16 you a judgment. Under the conditions that the  
17 majority of the PRA analysis is done during the final  
18 design approval and the design certification, because  
19 that's where we look at the NSSS, and the majority of  
20 the plant PRA parameters, and all that a COL has to do  
21 is changes in that design which very likely will be  
22 nothing, plus site-specific parameters that were  
23 probably scoped by bounding calculations.

24 I could conceive it's possible that a COL  
25 could submit sufficient information through RAIs to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 alleviate the need for a site-specific audit. But I  
2 would characterize it as doubtful. I would  
3 characterize the need for a site-specific audit for  
4 the FDA part of a PRA review as essential, and I could  
5 see no way that we would get through a PRA review for  
6 that state of the PRA assessment without a site-  
7 specific audit to look at the actual PRA.

8 MEMBER ABDEL-KHALIK: So in the majority  
9 of cases, you would expect that, you know, you receive  
10 this information as specified in 1145, but inherent in  
11 this process the staff will have to do an onsite audit  
12 to check the details of the PRA.

13 MR. RUBIN: Yes. We do onsite audits of  
14 PRAs for much less significant PRA scope issues than  
15 this. We do it for risk-informed applications now  
16 where we think there may be some questionable modeling  
17 or scope issues. This is much more broad, and I'll  
18 defer to Nick Saltos here who does a number of these  
19 evaluations.

20 Nick, could you conceive of us not doing  
21 an audit?

22 MR. SALTOS: Well, we are talking about  
23 here a COL with a -- that references a certified  
24 design or an application for a certification of a  
25 design. Those things are different. If you have a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 certified design, you have a PRA, you have reviewed  
2 the PRA, you have applied the PRA to identify design  
3 and operational requirements like what systems are  
4 going to be safety-related versus non-safety-related,  
5 regulatory treatment of non-safety systems, tech  
6 specs, ITAACs.

7 The PRA provides input to the licensing  
8 basis. I heard here people saying that the PRA is not  
9 part of the licensing basis. That's true. But the  
10 PRA is used -- is applied, is an application of the  
11 PRA to provide input to the licensing basis. The PRA  
12 has identified that these are not ITAACs, that they  
13 are not identified by the deterministic reviewers, has  
14 modified ITAACs, has contributed to a change -- non-  
15 safety-related systems to safety-related systems, has  
16 identified tech specs --

17 CHAIRMAN WALLIS: Well, I --

18 MR. SALTOS: -- requirements of non-safety  
19 systems, we know all that stuff.

20 CHAIRMAN WALLIS: I'm going to ask Tom  
21 Kress if it isn't time to move on. We could spend a  
22 lot of time on this.

23 MEMBER KRESS: It is time to move on. I'd  
24 like to make one more statement about the PRA. I  
25 think our problem stems from the fact that we dance

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 around the issue of whether the PRA is part of the  
2 licensing basis. I personally think it ought to be,  
3 and that would solve our problems. We could deal with  
4 -- we could deal with how the -- get to it and look at  
5 it, and everything.

6 You know, we just heard that it's part of  
7 determining RTSS, it's part of determining safety  
8 systems, it's used for the site EIS. I think it ought  
9 to be part of the licensing basis, and then we'd quit  
10 dancing around this issue. But that's a personal  
11 opinion.

12 MEMBER SIEBER: Well, that's also a  
13 subject -- policy subject --

14 MEMBER KRESS: Oh, sure. It's a policy --

15 MEMBER SIEBER: -- for the Commissioners  
16 to --

17 MEMBER KRESS: -- issue.

18 MEMBER APOSTOLAKIS: But also, I think  
19 it's important to come back to something that Mr.  
20 Wilson said, that in our letter of May 22, 2006, we  
21 agreed that the PRA should not be submitted. It's not  
22 really clear that that's what we're saying. We are  
23 saying updates to the PRA need not be submitted to the  
24 NRC. There is a slight difference there. Big  
25 difference.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER KRESS: There's a way to handle  
2 that with the thermal hydraulic codes that have been  
3 blessed that changes the rules.

4 MEMBER APOSTOLAKIS: Well, I'm glad it  
5 was --

6 CHAIRMAN WALLIS: We were quoted out of  
7 context. We were -- we're missing a key word  
8 "updates," right?

9 MEMBER APOSTOLAKIS: Well, if you read it,  
10 it's not very clear what it means, but I think the  
11 intent was that the updates should not --

12 CHAIRMAN WALLIS: Our letter is not clear,  
13 George?

14 MEMBER APOSTOLAKIS: -- be submitted. But  
15 some original PRA should be. Anyway, I mean, it will  
16 be a major problem for me if we have to write a letter  
17 -- well, we will have to write a letter at the end  
18 saying, yes, go ahead, operate, or not, and, you know,  
19 to have had meetings where I don't have the  
20 information.

21 MEMBER KRESS: Let's move on, please.

22 MR. HARRISON: Okay.

23 CHAIRMAN WALLIS: I think eventually you  
24 would get that information, George.

25 MEMBER APOSTOLAKIS: I believe I -- we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 will, too. Yes.

2 CHAIRMAN WALLIS: So let's move on.

3 MR. HARRISON: Okay. And I'll try to move  
4 quickly to catch us up a little bit here.

5 MEMBER APOSTOLAKIS: Well, Donnie, let me  
6 ask you a question, because we are running out of time  
7 here.

8 (Laughter.)

9 You don't have to -- I'm sorry. I notice  
10 that a lot of this presentation is we did this, we did  
11 that, we were told this, and we were told that. And  
12 there isn't really any technical content, and there is  
13 only half an hour left. So I'm proposing to the  
14 Committee that we discuss some of the technical issues  
15 and forget about who said what, unless there is  
16 something very important, you know, okay, we got 700  
17 comments, yes, all right, what do you think?

18 MR. HARRISON: No, that's fine. If you've  
19 got --

20 MEMBER APOSTOLAKIS: Does the Committee  
21 agree?

22 CHAIRMAN WALLIS: Well, we had the same  
23 problem with the subcommittee. I thought we were  
24 meeting to receive comments from the subcommittee that  
25 would help the staff, and we spent a lot of time on

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 other things. I'm not quite sure, Tom, how are you  
2 going to fit that in today? Are you going to fit in  
3 some technical matters or not?

4 MEMBER APOSTOLAKIS: I mean, this issue of  
5 large release frequency, Donnie, maybe I'm missing  
6 something, but have we defined it anywhere? And where  
7 is this  $10^{-6}$  per year coming from?

8 MR. HARRISON: Okay. And that one I can  
9 actually give you an answer.

10 MEMBER APOSTOLAKIS: Well, I'm sure you  
11 can, but --

12 (Laughter.)

13 But this is the kind of question I want to  
14 ask, not we have experience with design certification.  
15 I know you are very experienced, very experienced.

16 MR. HARRISON: This fits into this slide.

17 MEMBER APOSTOLAKIS: Tom, what --

18 MEMBER KRESS: I think it's a good idea.  
19 We shouldn't be a slave to --

20 MEMBER APOSTOLAKIS: Okay. So if we look  
21 at the PRA section -- as a side remark first, it seems  
22 to me the statements like "applicants should not  
23 artificially increase PRA results" don't belong here.  
24 I mean, you are -- you should delete that kind of  
25 thing.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MR. HARRISON: Okay. That was a comment,  
2 because in addressing the multiple different goals you  
3 don't want to be in a situation where an applicant is  
4 slightly not meeting a goal. And to meet it they --

5 MEMBER APOSTOLAKIS: But that's  
6 understood.

7 MR. HARRISON: -- finagle their results.

8 MEMBER APOSTOLAKIS: The issue of bright  
9 lines has been discussed, and I don't think it -- but  
10 there are two questions on this particular point.  
11 First of all, when did the agency decide to use the  
12 large release frequency as opposed to the large early  
13 release frequency as a metric? And the  $10^6$ , and then  
14 a probabilistic goal for the condition or containment  
15 failure probability of .1, is that consistent or  
16 inconsistent with a  $10^{-6}$ ?

17 MR. RUBIN: It was -- Mark Rubin. It was  
18 in 1990, and Donnie will give you the specific  
19 references. All these came from direct Commission  
20 guidance when we started the evolutionary and advanced  
21 reviews, starting from the EPRI requirements document.  
22 And I'll remind those Committee members who weren't  
23 here then that these were the first times that the  
24 PRAs were actually used an integral part of the  
25 staff's safety review process.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   And Donnie will give you the actual policy  
2 guidance, because the staff sent up --

3                   MEMBER APOSTOLAKIS: Okay.

4                   MR. RUBIN: -- some position and technical  
5 resolution and criteria papers, and the staff --  
6 excuse me, and the Commission modified them  
7 significantly for our review process.

8                   MEMBER APOSTOLAKIS: When was this?

9                   MR. RUBIN: It started in 1990, and we  
10 continued to get guidance for about three or four  
11 years as we continued with ABWR and AP600.

12                   MEMBER APOSTOLAKIS: So the concept of  
13 large release frequency has been in the book since  
14 1990?

15                   MR. RUBIN: Yes, sir.

16                   MR. HARRISON: For advanced reactors. For  
17 evolution in --

18                   MEMBER APOSTOLAKIS: And then, in 1990 --  
19 oh, for advanced --

20                   MR. HARRISON: Yes. It was -- this is  
21 related to SECYs and SR --

22                   MEMBER APOSTOLAKIS: And the  $10^{-6}$ , too?

23                   MR. HARRISON: The  $10^{-6}$  was actually  
24 brought up in I think the '90 timeframe. It was  
25 actually explicitly reconfirmed in a later SECY SRM

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to --

2 MR. RUBIN: This is the only place that  
3 the staff applies the decision that -- the severe  
4 accident decision metric of  $10^{-6}$  for large release  
5 frequency, and it's only applied for new reactor  
6 licensing. And that's Commission-specific direction.

7 MEMBER APOSTOLAKIS: So if those guys,  
8 then, later want to invoke Regulatory Guide 1.174 to  
9 make a risk-informed change, then they will have to  
10 live with this new goal.

11 MR. RUBIN: That gets to the heart of the  
12 issue of whether severe accident and PRA evaluations  
13 that are part of the initial Part 52 licensing is part  
14 of the plant's licensing basis or not. If we go under  
15 the assumption that it is not, then we do the  
16 assessment one time for the design certification  
17 evaluation, and then they will be covered by the same  
18 Reg. Guide 1.174 delta assessment that everyone else  
19 is.

20 If we assume that it's a living  
21 requirement, then your postulate is correct. And  
22 that's why we're seeking OGC guidance.

23 MEMBER CORRADINI: He understood that.  
24 Can you do that one more time?

25 (Laughter.)

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   Slower.

2                   MR. RUBIN: I would say it would be my  
3                   pleasure, but I'm confusing myself. But, sure, I'd be  
4                   glad to. Here's the issue. This is the only place  
5                   that we have a large release versus a large early  
6                   release frequency, and it's a baseline rather than a  
7                   delta change criteria. And when the staff sent up a  
8                   policy Commission paper proposing a CDF and a large  
9                   early release criteria, the Commission responded with  
10                  essentially, "No, we believe there are other metrics  
11                  and other values that are more appropriate to the  
12                  advanced reactors."

13                  They proposed a different baseline CDF  
14                  value than the staff had proposed, and they proposed  
15                  large release frequency in combination with a  
16                  conditional containment --

17                  CHAIRMAN WALLIS: You said there were  
18                  other metrics. That really mystified me. You meant  
19                  there were other values of the conventional metrics.

20                  MR. RUBIN: No. There were other metrics.

21                  CHAIRMAN WALLIS: What are those  
22                  mysterious metrics which are superior?

23                  MR. RUBIN: Conditional containment  
24                  failure probability.

25                  CHAIRMAN WALLIS: Okay. So it --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           MR. RUBIN: And there are values to those  
2 other metrics, but they were different. And the large  
3 release frequency they proposed as one in a million  
4 chance of having a large release.

5           And if we look at it as a one-time review  
6 checkoff, then we will look at the Level 2 PRA  
7 analysis, and we have Mr. Paola here to explain in  
8 detail how that's done, and so we won't look at just  
9 the early releases, which have the potential for early  
10 fatalities and consider timing and evacuation. We'll  
11 look at all of the releases that could be considered  
12 roughly large and independent of timing.

13           And then, we'll see if it meets the one in  
14 a million probability that the Commission mandated,  
15 but we would only do it through -- for the final  
16 design approval and design certification review. If  
17 the severe accident and PRA acceptance guidelines that  
18 the Commission policy SECYs -- and there were about  
19 three or four of them -- is considered part of the  
20 plant's licensing basis, then those guidelines would  
21 have to be considered through the life of the plant,  
22 and continuously reevaluated as the plant changes,  
23 data changes, model changes, and your state of  
24 knowledge changes.

25           And that seems perhaps overly burdensome

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and perhaps unnecessary, because we already have in  
2 place risk change control metrics that both the staff,  
3 the Commission, and at the time the Advisory Committee  
4 thought were adequate to control changes in plant  
5 risk.

6 So we're working on it with OGC and senior  
7 management, but right now we think doing it just  
8 during licensing -- and it's the only place that  
9 metric exists right now from Commission guidance -- is  
10 probably enough and --

11 CHAIRMAN WALLIS: I'm really puzzled,  
12 Mark. You seem to be using OGC to interpret what the  
13 Commission meant. Why don't you just ask the  
14 Commission?

15 MEMBER SIEBER: That's why they're using  
16 OGC.

17 MR. RUBIN: The Commission sent guidance  
18 down for the review of the advanced reactors.

19 MEMBER APOSTOLAKIS: It was a different  
20 Commission.

21 CHAIRMAN WALLIS: Yes.

22 MEMBER CORRADINI: So since I started this  
23 by asking you to do it again, so let me just try to  
24 translate back so I get it in less words. And I'll  
25 probably get it wrong, but just let me try to say it.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: And less time maybe?

2 MEMBER CORRADINI: Well, that's all right.  
3 Probably not. So, but the other piece -- so what you  
4 said was there is going to be, I'll call it, measure 1  
5 at the time of licensing, and there will be measure 2  
6 which, if I use measure 1, would be -- have been  
7 included in it, because the LERF is essentially a  
8 subset of the LRF.

9 But let's just say I've got measure 1  
10 during licensing, and I've got a different measure as  
11 life proceeds down a path. The other thing that you  
12 -- that somewhere in there you've said, and then you  
13 pointed to the young man behind you, was that I've got  
14 a third measure which is the containment failure  
15 probability, which would only be applied at licensing,  
16 and then, from then on, not at all.

17 MR. RUBIN: It would --

18 MEMBER CORRADINI: Have I got it right?

19 MR. RUBIN: Not quite. Sorry I didn't go  
20 into those areas. The quantitative containment  
21 performance conditional failure probability was  
22 imposed by the Commission for licensing. The staff --

23 MEMBER CORRADINI: But only for licensing.

24 MR. RUBIN: Only for licensing. However,  
25 the staff doesn't have a quantitative containment

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 performance goal in Reg. Guide 174. It uses a  
2 qualitative defense-in-depth concept to roughly  
3 achieve the same thing. High confidence that you have  
4 containment integrity long term if at all possible.  
5 And so we look for -- we look for challenges to the  
6 containment that will give containment failure, and we  
7 try to find ways to prevent that from occurring. But  
8 we don't have an actual numerical metric like the  
9 Commission gave us for licensing.

10 MEMBER CORRADINI: But what I said,  
11 though, to begin with is that's the containment  
12 failure probability of 0.1.

13 MR. RUBIN: Only used once.

14 MEMBER CORRADINI: It was only used once,  
15 just as the LRF is only used once.

16 MR. RUBIN: Yes, sir.

17 MEMBER CORRADINI: Okay. Thank you.

18 MR. HARRISON: Yes, and just -- that's  
19 assuming that OGC provides the guidance that  
20 Chapter 19 input is not part of the licensing bases.

21 MEMBER CORRADINI: Okay. Thank you.

22 MEMBER KRESS: I think specifying both in  
23 LRF and a conditional containment failure probability  
24 is an overspecification. One can be derived from the  
25 other.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1                   MEMBER APOSTOLAKIS: In fact, I'm not sure  
2 they are consistent here.

3                   MEMBER KRESS: They have to be made  
4 consistent in my mind. And not only that, you are  
5 very correct in saying that LERF, L-E-R-F, is a subset  
6 of LRF. Not only is it a subset, it's more than  
7 likely about 95 percent of it. So specifying one or  
8 the other doesn't make much difference in PRA space.

9                   MR. RUBIN: Dr. Kress, the one thing I  
10 would just amplify your point on -- and you're  
11 absolutely correct -- is that other than the baseline  
12 initial licensing, the Commission has given us no  
13 goals for baseline plant risk. All the other guidance  
14 we have from the Commission is risk changes after  
15 licensing. There are no baseline plant risk goals.  
16 Only for initial licensing on new reactors.

17                   MEMBER KRESS: That ought to be part of  
18 the site approval, the risk criteria. But we don't  
19 really have them. We have site characteristics and  
20 site population densities and other things, but we  
21 don't have any risk goals -- risk rules. We have  
22 goals, we have the QHOs, but so far they are not  
23 individual plant risk metrics that have to be met.  
24 But, you know, if I had my way, I'd change all of  
25 that.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: Tom?

2 MEMBER KRESS: Yes.

3 CHAIRMAN WALLIS: I want to ask you  
4 something. We have this agenda here. We're way  
5 behind. Is there any time we're ever going to get  
6 comments on anything other than PRA?

7 MEMBER KRESS: Well, I'll tell you how I  
8 suggest we proceed. Let's dispense with the agenda  
9 and say, does anybody have any questions in these  
10 areas --

11 MEMBER APOSTOLAKIS: Well, some people  
12 have left now, so --

13 MEMBER KRESS: Yes.

14 MEMBER SIEBER: I think there's one thing  
15 that we can say is there is no new ground being formed  
16 in the preparation of DG-1145. All this does is  
17 endorse a lot of existing regulatory guides, codes and  
18 standards, rules and other documents, and then it  
19 specifies what has to be in the application. And so  
20 from that standpoint, there is nothing new here.

21 And in our review, we all reviewed and  
22 found a few little things that we wondered about. For  
23 example, in my own case, I've wondered where some  
24 things I expected to find were, but the document is  
25 very big, and I didn't read the entire document. And

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 it turned out they're in there.

2 And so from the standpoint of looking at  
3 the details of what these regulatory guides, rules,  
4 Appendix A criteria, and all these other documents  
5 say, nothing is new.

6 MR. HARRISON: That's correct. If you  
7 look at it from like the design cert experience, the  
8 SECYs and SRMs, the draft guide, at least in the PRA  
9 area, is trying to bring that all into one place and  
10 provide a concise --

11 MR. COLACCINO: This is Joe Colaccino from  
12 the staff. I just want to change one word. Instead  
13 of "endorse" I would say "roadmap," because the  
14 endorsements would be contained without the regulatory  
15 guides themselves. But what the document does is  
16 provide a roadmap to that information.

17 MEMBER SIEBER: And an analogy that turned  
18 up in the subcommittee meeting is that with DG-1145 in  
19 the current rules that are there, we could submit an  
20 application and build a perfect 1980s-type plant.

21 (Laughter.)

22 MR. HARRISON: Yes, I think that was your  
23 comment the last --

24 MEMBER APOSTOLAKIS: Is the .1 CCFP  
25 consistent with a  $10^{-6}$  for LRF?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. HARRISON: Yes, that I would clarify.  
2 I think they are different, because no matter how low  
3 you get the CDF -- you could have a plant come in with  
4 a design that says their core damage frequency is less  
5 than  $10^{-8}$ , therefore, their large release frequency is  
6 going to be less than  $10^{-8}$ . So they automatically  
7 meet the large release frequency.

8 However, they still have to meet the goal  
9 of .1 for the containment, so you have that -- so that  
10 would mean that they would --

11 MEMBER KRESS: But that .1 --

12 MR. HARRISON: -- it acts as a defense-in-  
13 depth --

14 MEMBER KRESS: -- that .1 is weighted by  
15 the CDF, and that sort of takes care of that problem.  
16 The .1 is not just multiplied by the CDF. It's  
17 weighted by the -- each sequence has a CDF and a  
18 conditional containment failure --

19 MEMBER APOSTOLAKIS: Okay.

20 MEMBER KRESS: -- but the one we're  
21 talking about has that sequence's contribution to that  
22 weighted by the CDF. It's divided into it. So it's  
23 a percent.

24 MR. RUBIN: Yes, sir. It's weighted,  
25 but --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER KRESS: That takes care of that  
2 problem.

3                   MR. RUBIN: It's weighted, but it doesn't  
4 eliminate the fact that as you reduce CDF lower and  
5 lower and lower, the remaining very severe sequences  
6 have very high conditional containment failure  
7 probability. So as you make the plants safer and  
8 safer, you drive up the conditional failure  
9 probability higher and higher. And so that gives a --  
10 it seems to give an incentive to a designer to run the  
11 CDF higher, so they can come closer to achieving the  
12 .1 value. And that's not our objective.

13                   MEMBER KRESS: Yes.

14                   MR. RUBIN: And we wanted to make that  
15 clear as Dr. Apostolakis pointed out. That's foolish.

16                   MR. HARRISON: And, again, if you think of  
17 it, if you're dominated by -- because you get the risk  
18 low enough at your plant, you get the CDF low enough,  
19 you may be dominated by very high CCFPs for the  
20 sequences that are left. I mean, it's proportional.  
21 So you could end up with a plant with a very high  
22 containment failure probability for its CDF, because  
23 you've gotten rid of everything that's successful  
24 containment, so --

25                   MEMBER APOSTOLAKIS: Okay. Changing the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 subject, in the RTN assessed discussion chapter, it  
2 says that this process started with a comprehensive  
3 Level 3 baseline PRA.

4 MR. HARRISON: And that's incorrect.

5 MEMBER APOSTOLAKIS: Okay.

6 MR. HARRISON: We need to revise that  
7 section.

8 MEMBER APOSTOLAKIS: Okay.

9 MR. HARRISON: The metrics are LRF, CDF,  
10 CTFP. Those are all taking you up to -- they take you  
11 up to a Level 2 PRA, if you will, but they don't take  
12 you to Level 3. So that's a -- that was something  
13 that --

14 MEMBER APOSTOLAKIS: So that will be  
15 fixed.

16 MR. HARRISON: Yes.

17 MEMBER APOSTOLAKIS: And the final  
18 conclusion, LRF will be used one time for the approval  
19 or --

20 MR. HARRISON: That's an open question.  
21 That's the question with OGC.

22 MEMBER APOSTOLAKIS: But that's --

23 MR. HARRISON: That's the current  
24 understanding.

25 MEMBER APOSTOLAKIS: And then, from then

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 on, risk-informed changes will go back to 1.174.

2 MR. RUBIN: That is --

3 MEMBER APOSTOLAKIS: Could be.

4 MR. RUBIN: Right. That's one path  
5 forward. Yes. The other path --

6 MEMBER APOSTOLAKIS: I don't know. The  
7 issue of making sense has to be --

8 MR. HARRISON: Well, the issue becomes if  
9 OGC rejects that path, then you would have to maintain  
10 the metrics that are in the LRF, the CDF, the CCFP.  
11 Even under a Reg. Guide 1.174 submittal later, you  
12 would have to -- you would have to maintain those  
13 bases. So --

14 MEMBER APOSTOLAKIS: Of course, this is a  
15 technical question more than a legal question. But --

16 MR. HARRISON: Because it would become  
17 part of the licensing basis, yes.

18 MEMBER APOSTOLAKIS: Oh.

19 MR. HARRISON: So that's the ultimate  
20 question to the lawyers.

21 MR. RUBIN: None of these plants would --  
22 this is Mark Rubin again. None of these plants will  
23 have problems meeting the CDF goal. They're much  
24 safer than that.

25 MR. HARRISON: It's just that the LRF is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 more restrictive than the LERF. And so you may not  
2 have as much flexibility for mods down the road.

3 CHAIRMAN WALLIS: Well, I hear a silence.  
4 Maybe we can move on?

5 MEMBER KRESS: I think so. Or let --

6 MEMBER APOSTOLAKIS: The uncertainty  
7 analysis should identify major contributors to the  
8 uncertainty. We don't do that now, do we?

9 MR. HARRISON: As part of your design  
10 certs, I believe -- Nick, correct me if I'm wrong here  
11 -- but they have done fairly extensive both  
12 uncertainty sensitivity analyses to get an idea of the  
13 magnitude of the uncertainty in the calculations  
14 and --

15 MEMBER POWERS: Well, the common practice  
16 -- I mean, the practice that the staff is using in  
17 some of its phenomenological models is to come back  
18 and have a ranking of the uncertainties, and bounds to  
19 a linear correlation coefficient between the  
20 uncertainty and the calculated output with a  
21 probability and, in fact, an uncertainty range on that  
22 ranking.

23 MEMBER APOSTOLAKIS: I think they are  
24 identifying the major contributors to risk, but not  
25 the contributors to uncertainty.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MEMBER POWERS: These are specifically  
2 contributors to uncertainty.

3 MR. SALTOS: If I can answer what we did  
4 so far in the design certifications. We identify the  
5 areas of uncertainty. For example, squib valves, we  
6 don't have a lot of information about squib valves,  
7 especially the size that are used in advanced  
8 reactors.

9 Software common cause failures, we don't  
10 have a lot of experience about these. So we identify  
11 these kind of areas of uncertainty, and then we  
12 perform sensitivity studies to see how it will impact  
13 the results, and then go from there, take that into  
14 account in the decisionmaking -- you know, identify  
15 requirements for the design changes or operational  
16 requirements.

17 MR. HARRISON: And I think one of the  
18 insights on like the AP600 or AP1000 was the  
19 uncertainty in the thermal hydraulics for the passive  
20 features, right? That was another area where --

21 MR. RUBIN: Low delta P for injection.

22 MR. HARRISON: -- low delta P.

23 I'll go through this very quickly, then.  
24 And if there's nay technical questions, ask. But the  
25 basis for the reg. guide for the PRA section comes out

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 of the SECYs that -- much as Dr. Sieber mentioned, the  
2 policy statements, experience with design  
3 certification reviews, and then just the requirements  
4 that are in 10 CFR 52.79 specifically requiring a  
5 description of the PRA and its results, the severe  
6 accident evaluations that have to be performed.

7 The objectives that are derived from those  
8 policy statements and SECYs with -- endorsing SRMs can  
9 be grouped -- I think we had nine objectives  
10 identified of the PRA and severe accidents. You can  
11 lump them into two groups.

12 The first group, which includes the goals,  
13 the quantitative goals, are to assess the balance of  
14 preventive and mitigated features, and to show that  
15 there's a risk reduction from the current plants. And  
16 that dates to the severe accident policy statement in  
17 1985. So you're comparing it to plants of that  
18 vintage.

19 The other group is how the PRA is being  
20 used and applied. It's being used to support RITNESS.  
21 It's being used to support the RATH program. You'll  
22 develop ITAACs, other commitments and interface  
23 requirements. So those are the uses and applications  
24 of the PRA, so you can lump them into those two  
25 groups.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           This is just an outline of what the  
2 Chapter 19 regulatory guidance is. This would be the  
3 topics that you would cover in the FSAR. So there  
4 would be an introduction. The applicant would -- you  
5 would expect him to describe the objectives, the nine  
6 objectives, any others that they're applying for the  
7 PRA.

8           19.2 would be the PRA results and  
9 insights. This would include how they're using the  
10 PRA. And if they're making an application in parallel  
11 with a COL, or even a design certification, but if  
12 they're making, for example, a risk-informed ISI  
13 application to go along with their COL application,  
14 they would need to describe that and how the PRA is  
15 being used in that application.

16           You have the severe accident evaluations,  
17 which is the more traditional deterministic severe  
18 accident topics that are split into preventive and  
19 mitigative categories. There is a section on PRA  
20 maintenance. And, again, this is PRA maintenance for  
21 the applications. So how you're using the PRA, what's  
22 the PRA quality, level of detail, scope that you need  
23 for those applications, and how do you maintain that  
24 going forward.

25           Section 19.5 is -- it becomes a commitment

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 section or the ITAAC, the COL action items. What  
2 things are you going to have to confirm or verify  
3 after you get your license and establish those at this  
4 stage, so that you know I've done a PRA-based seismic  
5 analysis, or I've done a fire analysis. When I build  
6 a plant, if I move cables or I change something, I  
7 need to come back and make sure my results haven't  
8 changed, my overall results and insights haven't  
9 changed.

10 And then, the last section is a conclusion  
11 section where we're asking that the applicant  
12 explicitly address the nine objectives and state at  
13 that point how they believe they've met those  
14 objectives.

15 CHAIRMAN WALLIS: Have you finished?

16 MR. HARRISON: Yes.

17 CHAIRMAN WALLIS: Thank you very much.

18 Tom, we do have another item I'd like to  
19 finish this morning, if we can get to it. And then we  
20 have -- not your business, but we have another item on  
21 the agenda after the break. I would hope we could  
22 finish up before lunch.

23 MEMBER KRESS: We have until 10:45.

24 CHAIRMAN WALLIS: We have until 10:30.

25 You've got five minutes now.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER KRESS: My agenda says --

2 CHAIRMAN WALLIS: Well, it's okay. But  
3 I'm just wondering what you're -- how you're going to  
4 get us through --

5 MEMBER APOSTOLAKIS: No, that's a break,  
6 Tom.

7 MEMBER KRESS: Well, I suggest -- yes, I  
8 see. I suggest that, since there's only one slide  
9 basically on the conformance, completeness, and  
10 consistency -- and we can read that -- why don't we  
11 get a -- spend five to ten minutes on the industry  
12 concerns and public comments, and maybe skip to slides  
13 -- in that area I have slides 4, 5, and 6. Maybe  
14 present those three slides, and we can --

15 MEMBER APOSTOLAKIS: What is the industry  
16 concern?

17 MEMBER KRESS: And take no more than 10  
18 minutes.

19 MR. OESTERLE: This is Eric Oesterle again  
20 from Division of New Reactor Licensing. We held a  
21 number of public workshops on development of DG-1145.  
22 We had a lot of participation from industry. Some of  
23 those workshops identified comments that did carry  
24 over through into the public comment period, and I  
25 summarize some of these issues and comments in these

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 next three slides.

2 They are certainly not in order of  
3 priority, but they are issues that still need to be  
4 worked through by the staff and industry. The first  
5 bullet is on COL information availability. That was  
6 a consistent item throughout the workshops and  
7 comments.

8 Due to the use of Reg. Guide 1.70 as the  
9 basis for DG-1145, and the staff's predominant  
10 experience in licensing plants using the Part 50  
11 process, workshop discussions focused on areas of the  
12 guidance document in which information was requested  
13 that would not be available at the time of the COL  
14 application submittal, or even after the COL issuance.

15 This is one of the most challenging areas  
16 for the staff in terms of being able to negotiate the  
17 paradigm shift from the Part 50 licensing process to  
18 the Part 52 licensing process. Comments on COL  
19 information availability were made in several areas  
20 where the guidance document requested information that  
21 would not be available at the time the COL application  
22 was submitted.

23 I'll give you an example. Section  
24 C.I.8.3.2 for onsite DC power systems requested  
25 battery characteristic curves. These battery

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 characteristic curves will not be available until  
2 batteries have been procured, which will be after the  
3 submittal of the COL application and could likely be  
4 even after the issuance of the COL license.

5 As another example, the guidance in  
6 Section C.I.3.6.2 for determination of pipe rupture  
7 locations and dynamic effects associated with  
8 postulated rupture of piping requested that applicants  
9 provide information in addition to their design  
10 criteria on detailed information on containment  
11 penetrations and protective assemblies or guard pipes  
12 to be used for piping penetrations of containment  
13 areas. This detailed information is not expected to  
14 be available at the time the COL application is  
15 submitted.

16 The staff is currently reviewing the  
17 available methods by which verification can be  
18 performed to ensure that the information, once  
19 provided by the COL applicant or licensee, conforms  
20 with the licensing design, and those verification  
21 methods include ITAAC, they include engineering design  
22 verification, and also include construction  
23 inspections by the staff.

24 Another area that incurred some discussion  
25 during the workshops were the verification activities

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 themselves. Do we do inspections, or do we impose  
2 ITAAC? In areas where the guidance document requested  
3 that information, that would not be available at the  
4 time the application was submitted. There were  
5 certain places where the guidance requested the  
6 applicant to identify the ITAAC that had been proposed  
7 to verify that information.

8 Commenters suggested that instead of ITAAC  
9 that construction inspections rather than ITAAC were  
10 more -- the more appropriate verification method. We  
11 are still looking at that.

12 There were some discussions on first-of-a-  
13 kind engineering inspections. Those areas are very  
14 limited to the first time that the vendors actually  
15 translate the high-level design information contained  
16 in the certified design documents to documents that  
17 you can take and go build a plant with -- construction  
18 drawings, procurement specs, and things like that.

19 Right now, you could not take the design  
20 certification document and hand it to an AE and say,  
21 "Hey, here, go build this." There needs to be some  
22 translation of these high-level design documents.

23 So the FOAKE inspections were designed to  
24 ensure that this translation was adequate, and those  
25 would be limited. There was also discussions on

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 engineering design verifications, and that's more or  
2 less once -- once the procurement specs had been  
3 developed, it was kind of like a QA/QC check to ensure  
4 that the applicant's or the licensee's process now  
5 ensures that the equipment that they asked for is what  
6 they got.

7 CHAIRMAN WALLIS: Are there any of these  
8 public comments that are substantial or make  
9 substantial changes in the -- well, I asked you that  
10 before, and you said they were minimal. Which ones of  
11 these are significant?

12 MR. OESTERLE: The one on COL information  
13 availability is --

14 CHAIRMAN WALLIS: That's important.

15 MR. OESTERLE: Right. It won't make a  
16 significant or substantial change to the document, but  
17 it will be a -- we're intending more of a generic  
18 change, and we're considering having applicants  
19 identify those areas where information will be  
20 provided later or will be updated, and to propose  
21 methods for doing so, including identifying what  
22 section of the application those items are included  
23 in.

24 One area that -- another area that's going  
25 to change in a more generic nature is providing

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 guidance for plants that incorporate passive safety  
2 system designs. Originally, we intended this document  
3 to be a very generic document, and not focus  
4 specification on particular reactor vendor designs.  
5 But in some areas, we acknowledge that providing  
6 another level of generic guidance for areas for  
7 passive plants, if you will, would be beneficial.

8 And examples include guidance in Chapter 8  
9 for applicants to identify or provide guidance for  
10 applicants that do not rely upon safety-related  
11 Class 1E emergency diesel generators, because they  
12 have 72-hour capacity batteries.

13 Likewise, we looked at providing guidance  
14 for those applicants in Chapter 9 in the areas that  
15 included guidance on diesel generator support systems.  
16 There's intake air, combustion air, lubrication  
17 systems, starting air systems, cooling water systems.  
18 If you don't have Class 1E safety-related diesel  
19 generators, the pedigree of those supporting systems  
20 also changes.

21 I think we talked quite a bit about plant-  
22 specific PRA, and I'll just move on.

23 One area that we had some good success on  
24 was on the maintenance rule discussions. In fact, we  
25 have a separate breakout session on that from the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 workshops. And the initial guidance that was provided  
2 in DG-1145 was -- provided comprehensive guidance on  
3 the maintenance rule and practically gave everything  
4 that the agency knew about in terms of maintenance  
5 rule and how plants are to maintain their program,  
6 even after they've begun operating.

7 We have scaled that back somewhat based on  
8 workshop comments and discussions to -- for  
9 applicants, just to provide the information necessary  
10 to get their license.

11 Digital I&C continues to be an area where  
12 there are discussions between staff and industry. I  
13 will point out that most, if not all, of the digital  
14 I&C areas are covered by DAC, the design acceptance  
15 criteria. And those contain elements of design  
16 completion and design implementation, so the staff and  
17 industry are continuing discussions on those in order  
18 to reach resolutions on design issues. In fact, there  
19 have been some -- one of the brings to the Commission  
20 on new reactor licensing included digital I&C as one  
21 of the specific topics.

22 MEMBER SIEBER: And some of the  
23 fundamental issues in I&C are not yet codified.

24 MR. OESTERLE: I think that's correct.

25 MEMBER SIEBER: Yes. There's got to be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 more work.

2 MR. OESTERLE: There were some --

3 MEMBER SIEBER: We'll be revising this  
4 document once that work is complete.

5 MR. OESTERLE: There were some discussions  
6 on ITAAC, the guidance that was provided on ITAAC, and  
7 certain areas seemed to be much more detailed than  
8 necessary, and it was not consistent with the idea  
9 that ITAAC was intended to verify top-level  
10 performance requirements or design requirements for  
11 the plant.

12 Other areas of workshop discussion and  
13 comments included the format and content for an  
14 environmental report. Also, the finality of an  
15 environmental impact statement associated with an  
16 early site permit. The Part 52 rule that went up to  
17 the Commission largely clarified the issues with  
18 respect to finality of an environmental impact  
19 statement associated with an ESP that a COL applicant  
20 references. And we will revise DG-1145 to conform  
21 with that rule.

22 There were also some discussions on human  
23 factors engineering which are also covered by design  
24 acceptance criteria, rad waste treatment systems with  
25 a focus there on temporary or mobile skid-mounted rad

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 waste treatment systems, and then what I call varied  
2 guidance.

3 When we resolved comments that came up  
4 during the workshops, we included the responses to  
5 those comments in an appendix to DG-1145. And in some  
6 areas where we acknowledged or accepted the comments,  
7 we failed to move the basis for acceptance into the  
8 guidance document, and we want to make sure that --  
9 and we are making sure that the basis for accepting  
10 that guidance does not stay in the appendix and gets  
11 moved forward into the guidance document.

12 Does that get us back on track?

13 MEMBER KRESS: I think that does it. Why  
14 don't we turn the meeting back to you now.

15 CHAIRMAN WALLIS: Well, how about the  
16 other members who haven't spoken yet. Do they have  
17 comments on this guide?

18 MEMBER KRESS: Well, we could ask for  
19 those, yes.

20 CHAIRMAN WALLIS: Nothing wishing to  
21 speak?

22 MEMBER MAYNARD: I've got just a couple.  
23 I don't know if they got discussed in the subcommittee  
24 meeting or not. I'll keep it real brief.

25 In Chapter 9, the auxiliary systems, to me

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 there appear to be some discrepancies as to what's  
2 being asked for some of the things. Up towards the  
3 front of it, it's pretty methodical. You wanted this,  
4 this, this, and this, and then toward the end of  
5 Chapter 9 sometimes the safety analysis or safety  
6 evaluation wasn't asked for, sometimes an inspection  
7 wasn't, and it wasn't clear that there was logic or  
8 rationale for that. So just kind of consistency  
9 through that.

10 Another comment -- I think it's  
11 Chapter 13, Operations, a lot of things that need to  
12 be submitted, including like organization charts and  
13 things and resumes. I think you need to take a look  
14 at how much of that do you really need to have and  
15 continue to get updated? What gets done with that  
16 when it's here? And how timely is that anyway when  
17 that's known ahead of time?

18 Take a look at that and see -- I believe  
19 some of those things become a burden not only on the  
20 licensee but also on the staff, and doesn't  
21 necessarily add any safety benefit whatsoever. So  
22 those are kind of -- I've already covered my other  
23 generic comments on reg. guides and references to  
24 generic letters and just a hodge-podge of a lot of  
25 things here.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. OESTERLE: We received similar or  
2 identical comments to those which you just mentioned  
3 from NEI, and we are looking at those to resolve.

4 CHAIRMAN WALLIS: Anything else?

5 SB\*: I just have a couple of comments on  
6 Chapter 15. You -- in particular for new designs, and  
7 that -- I know that it doesn't apply to certified  
8 designs, right? These are custom plants that you're  
9 talking about. But quite often the word "limiting,"  
10 and things like this are used. And it's not very  
11 clear what you mean by these things exactly.

12 And also, with regard to new designs, how  
13 these scenarios can be found, because I think there is  
14 mention there that analysis doesn't have to be done,  
15 but somehow you're going to pull these cases out of  
16 the air or wherever. So I think the guidance is  
17 rather unclear with regard to what should be done, in  
18 particular for cases where there isn't a lot of  
19 experience.

20 And in that chapter also there doesn't  
21 seem to be that much guidance for what happens with  
22 designs which are, for example, passively cooled, you  
23 know, so there needs to be a little bit more clarity.  
24 In any case, I've given my detailed comments, which  
25 hopefully will be passed on to you regarding that.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. OESTERLE: Yes, we have those  
2 comments, and we'll be considering them.

3 SB: Let's clear it up a little bit.

4 CHAIRMAN WALLIS: Thank you very much.

5 Are we now through with other member  
6 comments?

7 MEMBER KRESS: I was wondering if this is  
8 the right time, or maybe later, to ask members if they  
9 have specific comments about what should go in the  
10 letter, or should we wait until --

11 CHAIRMAN WALLIS: Well, we have time when  
12 we're writing the letter to do that probably --

13 MEMBER KRESS: Okay. Well, we'll --

14 CHAIRMAN WALLIS: -- rather than now.

15 MEMBER KRESS: Why don't we wait and do it  
16 then.

17 CHAIRMAN WALLIS: Yes. When we actually  
18 pull things together for the letter, we'll do that.

19 NEI is on the program. I told -- they're  
20 not going to have anything to say.

21 MEMBER KRESS: No, they're not --

22 CHAIRMAN WALLIS: So let's move on to the  
23 break, and we will take a break for 15 minutes until  
24 five minutes before 11:00. Then, we will take up the  
25 next item at that time.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 (Whereupon, the proceedings in the  
2 foregoing matter went off the record at  
3 10:41 a.m. and went back on the record at  
4 10:57 a.m.)

5 CHAIRMAN WALLIS: Please come back into  
6 session and we'll move on to the next item on the  
7 agenda which is the Draft Final Regulatory Guide DG-  
8 1144, "Guidelines for Evaluating Fatigue Analyses"  
9 etcetera.

10 Before I hand over to my colleague, Dr.  
11 Armijo, I'd like to note that the presentation that  
12 I've been given here contains too many slides and I  
13 hope that we can somehow get through them  
14 expeditiously.

15 MEMBER APOSTOLAKIS: It's not PRA, Mr.  
16 Chairman. It will be very quick.

17 (Laughter.)

18 CHAIRMAN WALLIS: I was tempted to say  
19 that myself. Thank you. Okay, so let's get started.

20 MEMBER ARMIJO: Mr. Chairman, we reviewed  
21 this topic at the Metallurgy Material from Reactor  
22 Fuel Subcommittee yesterday. We had very detailed  
23 discussions and presentations from the staff from  
24 Argonne National Laboratory, as well as presentations  
25 from ARIVA and the ASME Code people.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           There was a lot of discussion. I think it  
2 was a very valuable discussion and the really  
3 addressed is focused on the appropriate way to design  
4 for the effects of coolant environment on structural  
5 materials.

6           We have a lot of data and fortunately we  
7 now have a lot of data and so the issue is how to use  
8 that data instead of arbitrary margins to do your  
9 design.

10           This morning the presentations will be  
11 made by the staff, by Mr. Gonzalez. He will be  
12 introduced by Jennifer Ule of the Office of Research.  
13 In addition, we've had requests for five-minute  
14 presentations each by Mr. Gurdal of ARIVA and Mr.  
15 Erler of the ASME.

16           So with that, I'd like to turn it over to  
17 Jennifer Ule.

18           MS. ULE: Hi, thank you. Good morning.  
19 I'd just like to represent the Office of Research  
20 Management. My name is Jennifer Ule. I'm a Deputy  
21 Division Director for Materials Engineering in the  
22 Division of Fuels, Engineering and Radiological  
23 Research.

24           Yesterday, you heard a very detailed  
25 technical presentation from the staff regarding

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 incorporating the effects of the environment on  
2 fatigue life and we're hoping today we'll have a brief  
3 summary of that and continue to defend the position  
4 that the staff is looking for your support for going  
5 out with a reg. guide to deal with the situation about  
6 the environmental effects of fatigue life. The  
7 purpose for that is support new designs which we feel  
8 is something that is of vital importance to do so.

9 Thanks for that and Hipolito Gonzalez will  
10 start the presentation.

11 MEMBER POWERS: I don't want you to get  
12 away that easily, Jennifer.

13 (Laughter.)

14 MS. ULE: Okay, this isn't thermal  
15 hydraulics.

16 (Laughter.)

17 MEMBER POWERS: This is an important issue  
18 as opposed to thermal hydraulics.

19 (Laughter.)

20 MEMBER POWERS: Looking back through the  
21 document and I'm sure the presentation of the  
22 subcommittee last, although I didn't attend, you know,  
23 this is an exposition in empiricism that's quite  
24 impressive. But I see little in this exposition that  
25 would reflect what I would call fundamental

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 understanding of the fatigue phenomenon. And  
2 recognizing that that's a fairly challenging area to  
3 undertake, I pose this question to the Office of  
4 Research. Is there anything going on within research  
5 or should there be anything going on to develop what  
6 I would call a fundamental, mechanistic understanding  
7 of fatigue?

8 MS. ULE: I could say and certainly the  
9 technical staff can support me on this, our goal here  
10 was to get a reg. guide that supports new designs  
11 because we have concerns with the situation that the  
12 current fatigue rules would not have an environmental  
13 effect. And with that we had a certain amount of time  
14 to get something in place and we did so.

15 We always with any modeling you have to  
16 understand a certain amount of the mechanisms, but  
17 with regard to -- and rightly said, it is an empirical  
18 argument.

19 We have a certain amount of activities  
20 associated with moving forward into a more proactive  
21 arena for materials management and we have budget set  
22 aside to do exactly what you're saying, not only to  
23 look into more of the mechanistic understanding of  
24 some of the degradation mechanisms associated with the  
25 materials arena.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           So with that we are heading in that  
2           direction, but at the same time when we have a safety  
3           issue at hand, we do have to get something in place  
4           that we're comfortable, is acceptably accurate and  
5           conservative.

6           MEMBER POWERS: Could you provide the  
7           Committee, actually, I don't care if you provide the  
8           Committee or not, but provide me with a list of those  
9           programs that you think fall within this development  
10          of fundamental understanding of the materials  
11          degradation?

12          MS. ULE: Sure, we can get that very  
13          quickly back to you.

14          MEMBER POWERS: Thank you.

15          MS. ULE: Does the tech staff want to have  
16          any other comment about any other modeling area of the  
17          mechanistic or fatigue? So we agree there is a need  
18          to have that. It's a matter of balancing priorities  
19          with regard to a finite --

20          MEMBER POWERS: Well, I understand that I  
21          did not take the position that there's a need. I  
22          asked if you thought there was a need and you said  
23          that there is.

24          MS. ULE: I didn't say it quite that  
25          strongly.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER POWERS: I understand.

2 MS. ULE: Don't get me wrong.

3 MEMBER POWERS: I've got your exact words.

4 (Laughter.)

5 MS. ULE: In a perfect world, we would  
6 understand mechanistically everything. And certainly  
7 the more you understand something mechanistically, the  
8 more confident you are, but at the same time, there  
9 are finite resources and in providing we can  
10 demonstrate through empiricism and appropriate test  
11 conditions that are considered prototypic, then we can  
12 establish the safety.

13 MEMBER POWERS: The challenge I see, of  
14 course, is that you reveal in your empiricism a  
15 substantial environmental effect and, of course, you  
16 characterize that environment as best you can at the  
17 time. You're very likely to find something new and  
18 exciting, especially as we move to designs where you  
19 haven't an experiential data base as rich as we have  
20 for the existing reactors.

21 MS. ULE: Right. And note that we do have  
22 in-service inspection programs to try to monitor  
23 things as they --

24 MEMBER POWERS: Which I would be prepared  
25 to take the position that they've largely been

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 unsuccessful.

2 MS. ULE: ISI programs. That's a whole  
3 different argument.

4 MEMBER POWERS: That's a whole different  
5 argument, but I would be prepared to defend that point  
6 of view.

7 MS. ULE: ISI has been proven effective in  
8 a variety of situations. We do recognize that in  
9 certain particular areas, certain geometries, certain  
10 specific materials that some ISI techniques are not as  
11 effective as we'd like.

12 MEMBER POWERS: Or you're telling me that  
13 the technique is successful except where it isn't.  
14 And that's --

15 MS. ULE: Yes.

16 (Laughter.)

17 MS. ULE: Certain specific situations. We  
18 do have inspections going on in the Office of Research  
19 to demonstrate and determine the effectiveness of ISI  
20 programs and we can come back to the Committee on it  
21 if you --

22 MEMBER POWERS: I think about every three  
23 years, we augment those lists of special situations  
24 where it's not effective.

25 MEMBER ARMIJO: I think that's the issue

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 of mechanistic understanding is very important because  
2 when changes occur, you don't know whether those  
3 changes are going to increase the degradation effect  
4 of the environment or decrease it and we've seen the  
5 effects of, funny effects of the oxygen content,  
6 different for ferritic materials versus austenitic  
7 materials. So I think that's work that's valuable.  
8 It's a little off the subject at this point and I  
9 think we have limited time, so I would like to just  
10 proceed with the presentations and keep it as brief as  
11 you can.

12 MR. GONZALEZ: Thank you, Jennifer. First  
13 of all, I would like to acknowledge William Collins  
14 from the Office of Research and John Ferrer for NRR  
15 for their help and comments on this project.

16 So basic agenda is first we're going to  
17 talk about the motivation to perform this work, to  
18 have an overview of the Regulatory Guide 1.207, have  
19 an overview of the technical basis report and present  
20 a summary of the regulatory positions and show their  
21 resolution of the public comments for both draft NUREG  
22 and draft reg. guide.

23 NRR requested RES to develop guidance for  
24 determining acceptable fatigue life of ASME pressure  
25 boundary components with a consideration of light-

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 water reactor environment. This guidance is going to  
2 be used for supporting reviews, application that the  
3 Agency expects to receive for new reactors.

4 The industry was notified of the  
5 initiation of this work. And in addition, this is one  
6 of the high priority reg. guides, has to be completed  
7 by March 2007.

8 Here is an overview of how the reg. guide  
9 relates to the regulatory requirements. General  
10 Design Criterion 1 and General Design Criterion 13  
11 states that safety-related structural system and  
12 component must be designed, fabricated, tested and  
13 erected to a quality standard commensurate with the  
14 report of the safety function performed and to the  
15 highest quality, practical quality standards.

16 10 CFR 50.55(a) endorses the ASME boiler  
17 and pressure vessel code for the design of safety-  
18 related system and components. That's Class 1  
19 components and the ASME Code Section includes the  
20 design fatigue curves.

21 This ASME fatigue curves, design curves do  
22 not address the impact of the reactor and coolant  
23 system environment.

24 So the objective of the reg. guide is for  
25 providing guidance for determining an acceptable

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 fatigue life of the pressure boundary component with  
2 consideration of the light-water reactor environment  
3 and for the major structural materials. That would be  
4 carbon steel, low-alloy steels and austenitic  
5 stainless steels and nickel-based alloys, for example,  
6 Alloy 600 and 690.

7 And so doing I will describe the approach  
8 that the NRC staff considers acceptable to support  
9 reviews of application for new reactors.

10 Limitations, it's only going to apply to  
11 new plants and this means there's no backfit intended.

12 So now I'm going to -- Omesh is the  
13 contractor that came from Argonne National Lab that  
14 developed the technical basis report.

15 CHAIRMAN WALLIS: Just looking at this,  
16 "compliance regulatory guides is not required." But  
17 it is required that they analyze fatigue and they must  
18 use some kind of a curve or something. Is there  
19 anything else available?

20 I don't see what else they could do but --  
21 they use either the ASME Code or they use your guide,  
22 that's it.

23 MEMBER POWERS: Or they can submit another  
24 --

25 CHAIRMAN WALLIS: Are there other things

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 out there?

2 MEMBER APOSTOLAKIS: These are the  
3 legalities of the issue.

4 CHAIRMAN WALLIS: No, but --

5 MEMBER APOSTOLAKIS: You have a regulatory  
6 guide.

7 CHAIRMAN WALLIS: Essentially, these are  
8 the choices, aren't they? They don't have a choice of  
9 doing something else, do they? Just from the point of  
10 view of what's there technically that's available? Is  
11 there some other guidance that they could use?

12 MEMBER APOSTOLAKIS: There's --

13 MR. FERRER: This is John Ferrer from NRR.  
14 I think as we discussed yesterday there are several  
15 proposals within the ASME code that were made either  
16 by the --

17 CHAIRMAN WALLIS: Yes, they're within the  
18 ASME code, yes.

19 MR. FERRER: But they could be used as a  
20 basis for submitting an alternative proposal.

21 CHAIRMAN WALLIS: Well, that's where the  
22 alternative might lie then.

23 MR. FERRER: Yes.

24 CHAIRMAN WALLIS: Okay. Thank you.

25 MR. GONZALEZ: I will, I'll make sure --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 we probably will do the technical basis report  
2 presentation.

3 MEMBER POWERS: I hope you have reduced  
4 the number of sentences.

5 MEMBER ARMIJO: Yes. Give me just about  
6 15 or 20 minutes.

7 MEMBER POWERS: Okay.

8 MR. COLLINS: What we're discussing is  
9 the effect of light-water reactor cooling environments  
10 on the fatigue life of structural steel. And there's  
11 a large amount of data developed during the last 20 to  
12 30 years which shows that there's a significant effect  
13 of coolant environment on the fatigue live of these  
14 steels. And this data is very consistent irrespective  
15 of where it was generated, which lab. It shows  
16 similar traits without any exception. And it's also  
17 consistent with the larger data base which we have on  
18 crack growth rates.

19 Environmental effect on crack growth rates  
20 are quite well established. The mechanism is quite  
21 well established, at least in several of these alloys,  
22 and the mechanism of environmental effects on crack  
23 initiation also appear to be similar. And this data  
24 has been evaluated to identify the key parameters  
25 which influence fatigue life. And these parameters

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 are very similar to what effects we see on crack  
2 growth rate. And the analysis has also defined the  
3 range of these parameters over which environmental  
4 effects are significant. So we know exactly the  
5 conditions under which there will be environmental  
6 effects.

7 The question is if these conditions exist  
8 in the field, then we will see similar effects and  
9 they have to be addressed. As we know, subsection NB-  
10 3121 recognizes that the current fatigue design curves  
11 do not include the effect of aggressive environment  
12 which may accelerate fatigue failure.

13 So the burden in a way is on the designer  
14 to better define the design transience so that we  
15 understand what possible effects of environment --

16 CHAIRMAN WALLIS: So this figure, this  
17 number of 20 was just introduced out of the air? It  
18 wasn't used to cover other environments at all?

19 MR. COLLINS: No.

20 MEMBER ARMIJO: It happened to do that.

21 CHAIRMAN WALLIS: It happened to do that,  
22 but it wasn't because they had tested in other  
23 environments?

24 MEMBER ARMIJO: Correct.

25 CHAIRMAN WALLIS: And that was

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 appropriate, okay.

2 MEMBER ARMIJO: That was good judgment by  
3 people a long time ago.

4 MR. COLLINS: A little background  
5 information. We are talking about fatigue life. What  
6 do we mean by fatigue life?

7 The data which was used to generate  
8 current core design codes, the specimens were tested  
9 to failure. So quite often these curves are termed as  
10 cycles to failure, but the attempt was to define  
11 conditions to avoid crack initiation.

12 All the data which we have obtained in the  
13 last 20 to 30 years in this fatigue life is defined as  
14 the decrease of the peak load by 25 percent. For the  
15 size of specimens, this would correspond to about 3  
16 millimeter crack.

17 CHAIRMAN WALLIS: Is it dependent on how  
18 thick the steel is?

19 MR. COLLINS: All this happens about  
20 quarter to three-eighth inch --

21 CHAIRMAN WALLIS: In the samples.

22 MR. COLLINS: In the samples. So what the  
23 data is showing is initiation of 3 millimeter cracks.  
24 The number of cycles needed.

25 MEMBER APOSTOLAKIS: What does 25 percent

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 load drop mean?

2 MR. COLLINS: After crack advances, the  
3 total load on the sample will decrease because the  
4 cross section is depleted.

5 MEMBER APOSTOLAKIS: I see.

6 MR. COLLINS: So you can relate how deep  
7 the crack is.

8 And we know on the cyclic loading --

9 CHAIRMAN WALLIS: So this is the same  
10 thing when you have a pipe which has a thick wall?

11 MR. COLLINS: It will start as a small  
12 crack and it will propagate.

13 CHAIRMAN WALLIS: But the life is the  
14 same, independent of how thick it is?

15 MR. COLLINS: No. For complete failure,  
16 it would be different, but to initiate a crack depends  
17 on the loading initiatives are there and so on.

18 CHAIRMAN WALLIS: How do you define life  
19 for a big pipe compared with life for your little  
20 sample?

21 MR. COLLINS: Life would be only to  
22 initiate a crack and beyond that we use crack growth  
23 rate correlations or expressions to see how it will --

24 CHAIRMAN WALLIS: There's still a lot of  
25 life left in this thing after it's had its fatigue

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 life?

2 MR. COLLINS: Fatigue life is initiation,  
3 number of cycles to initiate a crack, which we can  
4 defect.

5 CHAIRMAN WALLIS: So it doesn't fail. It  
6 still has got a lot of life left in it after that.

7 MEMBER POWERS: After the cracks form,  
8 then they use this probabilistic fracture mechanics  
9 and come up with  $10^{45}$  years.

10 CHAIRMAN WALLIS: Are you not talking  
11 about complete failure, once they reach this life.

12 MR. COLLINS: So fatigue life can be said  
13 to be associated with more of these cracks from some  
14 10 micron size to 3 millimeter size and fatigue life  
15 is divided into two stages, initiation stage and a  
16 propagation stage.

17 Initiation is growth of about 300 micron  
18 and beyond that --

19 CHAIRMAN WALLIS: Could you tell me, I'm  
20 sorry, I have to pursue my question a bit more. When  
21 we look at your curves and you've got a syllabus, a  
22 cycle life and all that, that's related to the life of  
23 the plant, 40 years, 60 years and so on. But because  
24 you're only going to 3 millimeters doesn't that mean  
25 that there's still something like a 100 years of life

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 left in this pipe?

2 MR. COLLINS: That's where flow evaluation  
3 analysis --

4 CHAIRMAN WALLIS: Is that true or am I  
5 wrong? Is that true that you've still got decades of  
6 life left in the pipe?

7 MR. FERRER: It's totally dependent on the  
8 type of loading. We do have an evaluation of that  
9 issue and when we resolved GSI-190 we had a risk  
10 assessment performed where they took the Argonne  
11 correlations to determine how long it took for crack  
12 initiation. Then they went through crack growth  
13 evaluation to determine how long it took to go through  
14 a wall.

15 In some cases, under some loading  
16 conditions, it goes through very quickly and under  
17 other loading conditions --

18 CHAIRMAN WALLIS: Tomorrow?

19 MR. FERRER: Not tomorrow, but very  
20 quickly in terms of multiples of the time it takes to  
21 initiate the crack.

22 CHAIRMAN WALLIS: But it takes maybe 30  
23 years to initiate the crack to get to 3 millimeters.  
24 Is it another 30 years before anything happens?

25 MR. FERRER: Well, the intent is to go to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the design life before you initiate the crack and then  
2 there should take -- again, it's a variable, depending  
3 on the loading conditions how long it would take for  
4 the crack to grow through a wall and cause a leak.

5 CHAIRMAN WALLIS: So are you answering my  
6 question? I'm trying to put this in perspective.  
7 Does it really matter that we get this precisely if  
8 there's a whole lot of life anyway?

9 MR. FERRER: I think if we go on to the  
10 basis that we discussed yesterday for the fatigue  
11 initiation was a 95/5 basis, so you have a 95 percent  
12 confidence, fewer than 5 percent fatigue initiation.  
13 The only reason that that's acceptable is because you  
14 have some remaining life after you initiate the crack.

15 MEMBER SIEBER: I suspect the uncertainty  
16 of crack growth rate is substantially more than the  
17 initiation rate and so it's much more difficult to say  
18 how much longer will it last once a crack initiates  
19 than it is to predict when the crack --

20 CHAIRMAN WALLIS: It's reasonably  
21 conservative to assume that the fatigue life is the  
22 life of the pipe?

23 MEMBER SIEBER: I wouldn't want to run it  
24 up to the last minute.

25 MR. FERRER: I wouldn't.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: Okay, I'm just trying to  
2 put it in perspective. Three millimeters seems very  
3 small in a very thick wall.

4 MR. FERRER: Let me add one thing to this.  
5 The piping system has to be able to sustain the design  
6 loads, so if you were to get a situation where you  
7 would say it's acceptable to run the crack through the  
8 wall, you might not have enough section thickness to  
9 take something --

10 CHAIRMAN WALLIS: We have examples of  
11 pipes which have had long, big cracks. We have them  
12 now.

13 MR. FERRER: Yes, you have examples, but  
14 they may not have been loaded up to their design  
15 loading.

16 CHAIRMAN WALLIS: You still haven't  
17 answered my question, really. Maybe you won't. I  
18 still don't have an idea. Is this important in the  
19 life of the pipe?

20 MR. FERRER: Yes.

21 CHAIRMAN WALLIS: How important is it?

22 MEMBER POWERS: Depends on the pipe.

23 CHAIRMAN WALLIS: Depends on the pipe.

24 Okay, so there is no answer to my question.

25 These are big pipes. It must make a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 difference.

2 MEMBER POWERS: What he's telling you is  
3 -- I think what you're telling him is it depends on  
4 what service the pipe is receiving.

5 CHAIRMAN WALLIS: You know the service the  
6 pipe is receiving, so you should be able to answer  
7 that question.

8 MEMBER APOSTOLAKIS: But is it a matter of  
9 years? That was your original question?

10 CHAIRMAN WALLIS: How many years is it?  
11 If it's 30 years to get a 3 millimeter crack, does  
12 that mean I've got another something like 30 years  
13 left in the pipe? That's the question I'm trying to  
14 ask.

15 MR. MANOLY: May I respond to that? My  
16 name is Kamal Manoly and I'm the Branch Chief of the  
17 General Mechanics Branch, NRR.

18 In response to your question, the pipe  
19 during operation does not see the design load. The  
20 design load is much higher than what you see during  
21 operation. So if you have a crack and then you see a  
22 design load like seismic event, with a cracked pipe,  
23 it's not the cross section that you need. It's a lot  
24 less than you need.

25 CHAIRMAN WALLIS: Can the ASME answer my

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 question?

2 Are you from ASME?

3 MR. MAYFIELD: No, they disowned me years  
4 ago. This is Mike Mayfield. I'm the Director of the  
5 Division of Engineering in the Office of New Reactors.

6 Professor Wallis, you're talking about  
7 great, thick pipes which is true for the primary  
8 coolant loop. They'll run 2.5 to 3 inches or more.  
9 That's not necessarily the biggest concern.

10 As you start getting to smaller diameter  
11 pipes, the thickness comes down. Surge lines will run  
12 a bit over an inch --

13 CHAIRMAN WALLIS: All those are true  
14 statements.

15 MR. MAYFIELD: Sir?

16 CHAIRMAN WALLIS: All those are true  
17 statements. What's the answer to my question?

18 MR. MAYFIELD: Let me go back to the  
19 relative importance of three millimeters. Three  
20 millimeters is a nice size that we typically see in  
21 well-controlled laboratory samples. If you impose the  
22 same number of cycles on a pipe specimen and you get  
23 to that initiated size, three millimeters may not be  
24 the appropriate size. It's the nice size we can  
25 detect at the 25 percent load drop in a well-

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 controlled, polished laboratory sample.

2 So I think there are two things I would  
3 challenge in the proposition you put forward. First  
4 of all, all the pipes aren't great thick things. And  
5 secondly, three millimeters isn't necessarily the  
6 initiation size you would see in a pipe.

7 CHAIRMAN WALLIS: You see the question is  
8 what does a test in these little samples with a three  
9 millimeter crack have to do with what happens in a  
10 pipe in a plant. That's a very simple question. I'd  
11 like to have an answer.

12 MR. MAYFIELD: And the answer is just as  
13 one of the Members suggested, it depends. And it  
14 depends --

15 CHAIRMAN WALLIS: That's no use at all.

16 MR. MAYFIELD: I disagree. I think it's  
17 very useful and it depends on is the pipe, has the  
18 pipe been counterbored? How thick is it actually?  
19 What are the cyclic loads imposed? And it varies  
20 where you are --

21 CHAIRMAN WALLIS: You're acting like a  
22 professor. I just want a simple, straightforward  
23 answer.

24 The designer must know.

25 MR. MAYFIELD: The answer is yes and the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 reason is depending, as John pointed out, when we  
2 looked at GSI-190, what we found is that you can drive  
3 a crack, an initiated crack through wall in much less  
4 than the design life of the pipe of the plant in some  
5 cases.

6 In other cases, it's multiples of the  
7 design life of the plant. There isn't a simple yes or  
8 no answer to your question.

9 VICE CHAIRMAN SHACK: This is Bill Shack.  
10 Let me try another shot at it just to -- the design  
11 basis for the pipe says there are no cracks in it.  
12 Now that you've got a crack, you have to address the  
13 fact that you've got a cracked pipe. You go through  
14 a crack disposition analysis.

15 What you find from that crack disposition  
16 analysis will vary from case to case, depending on the  
17 loads that you have, but you now have to address the  
18 situation that you've initiated a crack.

19 CHAIRMAN WALLIS: But what I'd like to get  
20 is an answer. Let's same the main circuit pipes won't  
21 fail for another 100 years, but there are certain  
22 pipes which we've analyzed when they get cracks like  
23 this which would fail in 10 years. Some answer, which  
24 is --

25 VICE CHAIRMAN SHACK: Failure is a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 relative thing. Do you mean growth through the wall?

2 Do you mean --

3 CHAIRMAN WALLIS: You don't know. You  
4 don't know.

5 VICE CHAIRMAN SHACK: It varies in  
6 situation. As John has said, you do the analysis, you  
7 get relatively --

8 CHAIRMAN WALLIS: People must have done  
9 the analysis. Okay, I won't ask any more. I'm very  
10 disappointed.

11 MEMBER ARMIJO: Graham, I mean we have  
12 detected fatigue cracks in components, reactor  
13 components. They're not through wall. They probably  
14 would not grow for a long time, but yet we've repaired  
15 or replaced them because we just don't want to operate  
16 with those kinds of defects for reasons. Good  
17 reasons.

18 And so I think the issue here is try to  
19 design a plant so that you don't create a lot of small  
20 cracks. And these are relatively small, but if it's  
21 a thin-walled pipe, it could be significant. It might  
22 not last very long.

23 MEMBER MAYNARD: The purpose of all this  
24 seems to be two-fold. One is to identify the types of  
25 conditions and situations that cause fatigue so that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 you can help in the design phase to design as much of  
2 that out as possible. The other is identifying those  
3 characteristics, those things that will cause, shorten  
4 the fatigue life or have a crack initiation earlier so  
5 you know what places to monitor and where to help with  
6 the inspection process.

7 Is that --

8 MEMBER ARMIJO: Yes. It's just a --

9 MEMBER MAYNARD: It's a tool to be used to  
10 identify vulnerabilities.

11 MEMBER ARMIJO: And to eliminate them, if  
12 we can.

13 MEMBER POWERS: Because the Committee has  
14 so much interest in cracks, I'll help to continue the  
15 discussion.

16 In the exposition in the document, there  
17 is really a quite nice discussion of these, I believe  
18 you call them microstructural cracks and then you have  
19 mechanical engineering cracks.

20 What was -- and they had different  
21 characteristics. One will propagate and the other  
22 does not at given stress levels. But you get high  
23 enough from stress level and they all propagate.

24 What I wondered and came away from the  
25 document wondering is that there is some understanding

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 of what is qualitatively different about these cracks,  
2 other than the fact that they are shorter and longer?  
3 Or do we not know? Probably what I'm asking is, is  
4 there something very different about the cracked tips  
5 on these two classes of cracks that you identify?

6 MR. COLLINS: Very small cracks, less than  
7 200 microns. The growth is sheer crack growth. It is  
8 typically 45 degree to the stress action, along strip  
9 lines. And that extends about a couple of grains.  
10 Typically grain sizes would be 25 to 50 microns. So  
11 it extends beyond that. It switches to a densely  
12 cracked growth, which is perpendicular to the stress  
13 cracks.

14 What we typically see in a fracture  
15 surface for fatigue is that densely cracked growth,  
16 which is very well marked with striations. You can  
17 see inside them.

18 MEMBER POWERS: Yes, looks like fatigue  
19 striations.

20 MR. COLLINS: The effect of alignment on  
21 densely cracked growth is very well known. The reason  
22 we added that part in our document was to see does  
23 environment affect even the small cracked growth? And  
24 that's what we have done to mark these samples,  
25 fatigue samples, to see how much of an effect

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 environment does. And we see that in fact the effect  
2 of environment may be even larger than what we see in  
3 crack growth rates.

4 CHAIRMAN WALLIS: N is the number of  
5 cycles to get a 3 millimeter crack in your sample?  
6 What does the same number of cycles do to a major pipe  
7 in a reactor loop? Would it create a 3 millimeter  
8 crack or does it create a 30 millimeter crack? What  
9 does it do? What does the same N do in a real  
10 situation?

11 MR. COLLINS: There are three parameters  
12 which we have defined now in this fatigue life. At  
13 certain stress levels, how much number of cycles would  
14 be needed to create a 3 millimeter crack. Now if the  
15 same conditions are known in a pipe, if the same  
16 stress condition is there, the same number of cycles,  
17 would create -- this will give you a probability -- if  
18 you follow the design curve, it defines certain  
19 problems.

20 CHAIRMAN WALLIS: Does it give you a three  
21 millimeter crack or does it give you a 25 percent load  
22 drop? What does it give you? What does it give you  
23 in the real --

24 MR. COLLINS: The way we define in the  
25 lab, because all we want to know is measure a crack

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 size.

2 CHAIRMAN WALLIS: What does it give you in  
3 a real pipe?

4 MR. COLLINS: It would give me a crack  
5 which I can detect, a crack of a size that I can  
6 detect.

7 CHAIRMAN WALLIS: Three millimeter?

8 MR. COLLINS: About three millimeter.  
9 That's an approximate number. It depends on the shape  
10 of the crack --

11 CHAIRMAN WALLIS: That's all right. Thank  
12 you. That's all.

13 VICE CHAIRMAN SHACK: This is Bill Shack.  
14 It gives you a crack that now grows by fracture  
15 mechanics. You know, one of the difference between  
16 the microstructural crack is that you have a very  
17 localized plastic zone. It's a grain by grain thing,  
18 because it's not a continuum. When the crack gets to  
19 be three millimeters or so, this material no longer  
20 looks like individual grains. It's a continual --

21 MEMBER POWERS: You're only clear about  
22 one question because whenever they try to answer it,  
23 you say well, that's not answering my question.

24 CHAIRMAN WALLIS: We never get to the end  
25 of the answer. That's okay.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           MEMBER POWERS: Because you interrupt them  
2 every time they try to answer.

3           MR. COLLINS: Just to briefly mention, the  
4 Code design curves. The data that we have is obtained  
5 on the small specimens, which are very smooth and  
6 tested at room temperature under constant loading. In  
7 the real situation, to apply this data to a real  
8 reactor component, which is much larger in size,  
9 surface roughness is there, there may be residual mean  
10 stresses and all, to account for all these other  
11 effects of variables which do it in fatigue life but  
12 were not included in this data.

13           To account for that, what the code  
14 procedure -- what the procedure Code uses now, is to  
15 take the best fit of the data and then adjust this  
16 mean curve for mean stress corrections and to account  
17 for this using this factor of 2 and 20. These are  
18 factors to account for variables which were not  
19 included in the data, not investigated in the data.  
20 And that's how we get the design curves.

21           Now the current design curve for  
22 austenitic stainless steels is not consistent with the  
23 current data. I plotted the ASME code mean curve for  
24 austenitic stainless steels. This was the curve which  
25 was used to draw up the current design curve. And the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 data which we have for type 316, 304, all of the data,  
2 most of the data at low strain levels is to the left  
3 of the curve. So the code curve is predicting longer  
4 lives. So in this reg guide, a new design curve which  
5 is consistent with the data is being proposed.

6  
7 Now the affect of environments. For  
8 carbon and low alloy steels, there are several  
9 parameters which influence fatigue life. It doesn't  
10 matter which steel type, a grade of steel, greatest  
11 carbon steels or low alloy steels, effect is similar.  
12 But there is strain threshold, below which effect of  
13 environment is insignificant, or it does not occur.  
14 And that is closer to the fatigue limit of the steel.

15 Other three parameters are very important,  
16 strain rate, lower the strain rate, higher the effect.  
17 And there is a threshold below which effects are  
18 significant. Above that, more great effects. Maximum  
19 factor of two. Temperature effect, again of  
20 threshold, higher temperatures, larger effect. Same  
21 dissolved oxygen, there is a threshold of low .04 ppm.  
22 Higher oxygen, larger effect. And these are --  
23 although you can say these are empirical, but they are  
24 really consistent with the mechanisms that we know on  
25 cracked growth rate. How dissolved oxygen would

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 affect and environmental effects.

2 Same thing in carbon, low-alloy steel.  
3 Sulphur content of the steel is very important. And  
4 the higher the sulfur content, the higher effect.  
5 Surface roughness we know rough samples have lower  
6 life in air, because they provide sites for crack  
7 initiation, any scratch. And water, high dissolved  
8 oxygen water, for carbon and low alloy steels, the  
9 surface effect was not observed in some tests done in  
10 the lab. Both smooth and rough samples gave similar  
11 life.

12 Flow rate, all the tests which have done  
13 in the lab, very slow flow rates, very low flow rates.  
14 Whereas in the real systems they are higher flow  
15 rates. Tests done to study the effect of flow rates  
16 suggests that higher flow rates effect is less. And  
17 this is again consistent with the understanding of the  
18 mechanisms. It seems to flush the sulfide content  
19 away --

20 CHAIRMAN WALLIS: Does the effect go away  
21 in a main pipe in a reactor because the flow rate is  
22 so big?

23 MR. COLLINS: If the flows are higher, it  
24 would show a lower effect.

25 CHAIRMAN WALLIS: So why isn't that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 accounted for in your predictions here? It seems to  
2 be part of the reactor?

3 MR. COLLINS: Cracking may occur in a  
4 stagnant region, so you know you have to consider the  
5 locations and so on. If it can be demonstrated that  
6 certain location flow is higher, on a case by case  
7 basis this could be evaluated.

8 Similar effects on austenitic stainless  
9 steels, there are certain parameters which affect --  
10 steel type is not important. Radius grades have  
11 similar effect. Gas stainless steels also have  
12 similar effect. Same strain threshold, effects of  
13 strain rate temperature are similar. There is a  
14 threshold. Lower strain rate, higher effect. Higher  
15 temperatures, greater effect.

16 Dissolved oxygen surface, roughness and  
17 flow rate seem to have different effects on austenitic  
18 stainless steels compared to carbon steel.

19 In this case, low oxygen has large effect  
20 irrespective of the type of steel or what heat  
21 treatment, whether it is sensitized steel or solution,  
22 all have the same effects. High oxygen, some of the  
23 nonsensitized steels have longer lives. Low carbon  
24 grades, 316 ND and so on have longer lives.

25 Surface roughness in this case both rough

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 and smooth, we did see the effect of roughness in  
2 water and in air. Typically, life can be a factor of  
3 up to three shorter for rough samples.

4 Flow rate, there was no effect of flow  
5 rate on fatigue life of austenitic stainless steel.

6 MEMBER POWERS: In your document, you  
7 report taking specimens, I presume on a lathe and  
8 taking some emery paper to rough them up. And you  
9 report here what your observations were on those.

10 I came away and said gee, you know, when  
11 I think about large components being installed, yes,  
12 they're certainly not mirror polished like typical  
13 specimens, but they also seem to accumulate dents and  
14 dings and scratches of macroscopic character and I  
15 said is surface roughness correlation applicable to  
16 those or is there something else that should be  
17 applied to what I call macroscopic flaw.

18 MR. COLLINS: I think the next slide may  
19 give you -- two slides down.

20 MEMBER POWERS: Sure, I'm patient.

21 MR. COLLINS: Based on these data which we  
22 have, we can have correlations which would predict  
23 fatigue life in air and in environment. Environmental  
24 effects are lumped here, depending on the strain rate,  
25 dissolved oxygen temperatures, sulphur content.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Expressed by these, we can determine the effect of  
2 fatigue life in these environments, air or light water  
3 reactor environments.

4 Now these expressions represent average  
5 fatigue of the material for the median material. Same  
6 correlations are for austenitic stainless steels and  
7 can be used to predict life.

8 These correlations were determined from  
9 distribution of heat to heat distribution, so that's  
10 why these correlations represent the median material.

11 Now quite often it's suggested that lab  
12 data may not apply to a real reactor condition. There  
13 is one component test recently, this was sponsored by  
14 EPRI. A stainless steel, U-bend tubes were tested in  
15 PWR water at 240, and I plotted as the given strain  
16 amplitude for the test what is the life they observed  
17 for a leak through the pipe.

18 CHAIRMAN WALLIS: A leak, that's --

19 MR. COLLINS: Because you have relatively  
20 thin walls --

21 CHAIRMAN WALLIS: Thin walls.

22 MR. COLLINS: So we define by leak. The  
23 diamonds are very low strain rate. Circles are the  
24 highest strain rate. And we know their lives. If I  
25 know the number for base number in air, I can

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 determine what is the reduction. There are two  
2 methods I've used to determine life in air. An  
3 average of about 10,000. So I get a reduction factor  
4 of 5.8 at the low strain rate, 2.8 at the high strain  
5 rate. And those correlations that I showed predict  
6 reductions of 5.5 and 3.6.

7 CHAIRMAN WALLIS: What's the velocity of  
8 the water?

9 MR. COLLINS: They use flow, regular flow.  
10 It's in the paper. I can give you that number.

11 MR. GURDAL: They used different flow  
12 rates.

13 MR. COLLINS: And actually, they did not  
14 see the effect of flow rates, so they confirmed what  
15 we see in the lab. That's another thing.

16 CHAIRMAN WALLIS: No effect of flow rates?

17 MR. COLLINS: Right.

18 MR. GURDAL: No. Wait a minute. This is  
19 for stainless steel. For carbon steel, there is --

20 MR. COLLINS: Right. I'm just talking  
21 about --

22 MEMBER MAYNARD: You've got to get to a  
23 microphone.

24 MR. GURDAL: Sorry about that. My name is  
25 Robert Gurdal from ARIVA. The goal, and I say it was

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the only purpose to start with of these tests was to  
2 find if, for stainless steel you have the same flow  
3 rate effect as you have for carbon steel and LAS.  
4 What LAS means is low alloy steel. And they found  
5 exactly like Omesh said that for stainless steel the  
6 effect of flow rate is maybe something like 10 percent  
7 maximum. In other words, negligible or you would say  
8 none.

9 But for carbon steel, it's very important  
10 for carbon steel and LAS, there is an effect of high  
11 flow rate which is not in the methodology.

12 MEMBER POWERS: Excuse me, I'm confused.  
13 We have two strain rates here. I see no measure of  
14 flow rate on these plots.

15 MR. COLLINS: Irrespective of flow rate,  
16 they got similar numbers, so these tests that you see  
17 here, one is at a low strain rate, flow rate and  
18 another at a higher flow rate and they gave similar  
19 answers.

20 So the flow rate, I have not given that  
21 information.

22 MR. GURDAL: The red ones, do you see the  
23 red ones in the middle of the picture there, the  
24 picture on the left?

25 MEMBER POWERS: I don't see any red ones.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. GURDAL: Sorry, that's four points and  
2 these four have two high flow rate tests and two low  
3 flow rate tests and they are together.

4 MEMBER POWERS: I'm just really confused.  
5 The plot seems to have nothing to do with flow rate.

6 MEMBER ARMIJO: Right, it has nothing to  
7 do with flow rate because there is no flow rate --

8 MEMBER POWERS: I am wondering why they're  
9 bringing this point up.

10 MEMBER ARMIJO: I don't know. I agree  
11 with you. I don't know why that's a discussion. The  
12 issue here is would a small sample test predict  
13 behavior of a real component, albeit a small U-bend  
14 tube. That's all --

15 CHAIRMAN WALLIS: The reason flow rate  
16 comes up is we were told that the higher flow rates there  
17 is less effect of this fatigue on some circumstances.  
18 That's why the question is --

19 MEMBER ARMIJO: In carbon steel, it is.

20 MEMBER POWERS: Again, flow rate has  
21 nothing to do with this. It's a stainless steel and  
22 it seems not to have a flow rate effect.

23 CHAIRMAN WALLIS: That's very useful  
24 information.

25 MEMBER POWERS: I'm still trying to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 understand a little bit about your comparison there,  
2 is when you compared, did that come from the normal  
3 installation flaws and dings and things like that?

4 MR. COLLINS: It was normal fabricated  
5 tube, what you would use in a real system. So the  
6 idea is to show that what we observed, the only  
7 purpose of this slide would be to show what we predict  
8 in the lab on a small specimen.

9 Actually, it shows good agreement with  
10 what they observed in real material which was a normal  
11 tube, not polished. In fact, they used different  
12 surface finishes and so on.

13 Now getting back to how do we determine  
14 the design curves. We get data on smooth specimens  
15 and I mention just this specimen data to apply to a  
16 real component, there are these adjustment factors of  
17 2 and 20. Let's look at this 20. The current code,  
18 this 20 is made up of three sub-factors, material  
19 variability, tube size 2.5 surface finish, loading is  
20 fitted in, taking into account. Total 20.

21 From our analysis of the current data we  
22 get a number of materialability anywhere between 2.1  
23 to 2.8. Size, minimum. This is from the literature  
24 survey. We have looked at the studies which have been  
25 conducted, the effects of these things and we get

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 minimum and maximum numbers.

2           Surface finish, we get a number of 2 to  
3 3.5. To answer your question, there is a good  
4 correlation which has been developed based on the  
5 experimental data correlating the surface finish, RMS  
6 value of the surface finish on reduction in fatigue  
7 life.

8           So when we used our samples to grind, we  
9 measured the surface finish and used that correlation  
10 to see what it would predict and that's what we saw.  
11 And these numbers, 2 to 3.5 are based on typical  
12 milling, machining, grinding, what surface roughness  
13 we get from various fabrication and machining  
14 processes, what range we would get and that's how we  
15 established this.

16           So based on these, we see a minimum adjust  
17 of 6, maximum of 27. If we use 20, then we are  
18 suggesting that I have a very poor material. I have  
19 rough surfaces and the worse loading history. That  
20 would be somewhat conservative. So we used these four  
21 sub-factors, used Monte Carlo simulations, as you  
22 allow normal distribution for this, to come up with  
23 the best adjustment needed to define the constant A  
24 for the component.

25           And here, we see this is a distribution of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 A, the constant A for a specimen and solid is for the  
2 component. The median value has shifted by about 5.3  
3 and 95th percentile number is an adjustment of about  
4 12. So at least this analysis with what we have done  
5 suggests that the 20 adjustment which is currently  
6 used may be somewhat conservative.

7 CHAIRMAN WALLIS: Now would you say that  
8 again? This business of the component, what do you  
9 mean by the curve to the component?

10 MR. COLLINS: Our specimens were very  
11 small and smooth. We make sure that there are no  
12 scratches left. In a real component, surface finishes  
13 are there and we know that surface finish would create  
14 sites where cracks can form.

15 CHAIRMAN WALLIS: This isn't based on  
16 tests of components?

17 MR. COLLINS: No. This is based on --  
18 yes, correlating a surface finish.

19 CHAIRMAN WALLIS: Yes.

20 MR. COLLINS: So there is a conservatism  
21 in the adjustment of 20.

22 To include environmental effects in  
23 fatigue evaluations, two approaches have been  
24 proposed. Either we come up with new design curves  
25 which are applicable to light-water reactor

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 environments or we use some adjustment, correction  
2 factor,  $F_{en}$ .

3 Because life in environment depends on  
4 several parameters, we would need several design  
5 curves to cover the range of conditions which occur in  
6 actual reactor operation. If we come up with a  
7 bounding curve, it would be very conservative, whereas  
8 this correction factor,  $F_{en}$  approach is simple. It's  
9 flexible. It can -- it allows you to calculate the  
10 correction factor for any specific condition. The  
11 only burden is we need to know what those conditions  
12 are in the plant.

13 And these are the expressions, the  
14 correction type is nothing but a ratio of life and  
15 air, was there life in water.

16 CHAIRMAN WALLIS: Can I ask you about the  
17 roughness of these pipes? Is this roughness  
18 independent of age?

19 MR. COLLINS: Yes. Right. If you have a  
20 rough spot, it will provide a potential site for  
21 initiating a crack.

22 CHAIRMAN WALLIS: Is it independent of age  
23 of the pipe. Does the pipe get rougher as it gets  
24 older or smoother?

25 MR. COLLINS: No. Certain processes may

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 create sites, corrosion, pitting and all may create  
2 sites.

3 CHAIRMAN WALLIS: Austenitic steels and  
4 oxygen environment don't suffer any kind of change in  
5 the surface?

6 MR. COLLINS: Most austenitic stainless  
7 steels form a protective oxide film which is quite  
8 thin.

9 CHAIRMAN WALLIS: And the non-stainless  
10 steels don't?

11 MR. COLLINS: It depends on the oxygen  
12 level that you form a very stable oxide film in these  
13 materials.

14 Water chemistry says that you would not  
15 allow massive corrosion to occur.

16 CHAIRMAN WALLIS: That's massive. So I  
17 don't need to worry about the effect of age on this  
18 roughness?

19 MEMBER ARMIJO: It doesn't change very  
20 much unless there was a lot of corrosion going on.  
21 Then it would tend to literally smooth out unless you  
22 got into a pitting phenomenon and then you'd have  
23 another initiator --.

24 CHAIRMAN WALLIS: But there are, there is  
25 a removal of material. We know that there are sudden

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 thoughts of these pipes where material is actually  
2 removed. The wall gets thinner. So there must be  
3 some effect on the surface if there's erosion.

4 MEMBER ARMIJO: It would tend to be more  
5 of a smoothing --

6 CHAIRMAN WALLIS: Smooth? Does it produce  
7 channels and things?

8 MEMBER POWERS: The worst reactive piece  
9 in a surface --

10 CHAIRMAN WALLIS: You'd think so, you'd  
11 think so. So it smoothes, these bends that get  
12 eroded, the wall thinning occurs. They're smoother  
13 where they're eroded than they were when they started?

14 MEMBER MAYNARD: Not necessarily. It  
15 depends on what mechanism is causing that, especially  
16 if there's any cavitation involved of water -- I've  
17 seen some pipes that are like a lot of itty bitty pits  
18 where it's been from an erosion from a cavitation.

19 CHAIRMAN WALLIS: Doesn't that affect this  
20 roughness he's talking about?

21 MEMBER ARMIJO: I think those could lead  
22 to other initiators of fatigue, but I think the  
23 roughness here that you were asking about was the  
24 initial as fabricated roughness and he's --

25 CHAIRMAN WALLIS: But he is moving this

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 curve by a factor of 12 or something because of  
2 roughness --

3 MEMBER ARMIJO: Right, known variability  
4 in roughness in the --

5 CHAIRMAN WALLIS: As built.

6 MEMBER ARMIJO: As built.

7 CHAIRMAN WALLIS: As built. There are  
8 places where the steel actually erodes and if it  
9 erodes for the pitting mechanism, the roughness  
10 changes.

11 MEMBER ARMIJO: That's correct.

12 CHAIRMAN WALLIS: Okay, and that's not  
13 considered in this analysis?

14 MEMBER POWERS: I would not look at that  
15 pitting in the same way I looked at roughness.  
16 Pitting -- it's different and --

17 CHAIRMAN WALLIS: Finish is different than  
18 roughness.

19 MEMBER POWERS: It's large scale.

20 MEMBER SIEBER: This isn't the dominant  
21 failure mode of piping anyway. If you get a lot of  
22 corrosion in pitting, that becomes the dominant  
23 failure mode.

24 CHAIRMAN WALLIS: Well, maybe there's a  
25 synthesis between the two.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: It might occur a day  
2 earlier.

3 MEMBER POWERS: Or 10<sup>45</sup> years.

4 MEMBER SIEBER: Depending on where you're  
5 standing.

6 (Laughter.)

7 MR. COLLINS: We have the correlations to  
8 determine this correction factor, the actual  
9 conditions, to incorporate environmental effects we  
10 take the usage factors in air, U-1, U-2, and multiply  
11 it by the corresponding correction factor and we get  
12 the cumulative usage in the environment.

13 So the way we calculate the usage in air  
14 is to use a design curve which is consistent with the  
15 existing data or conservative with respect to the  
16 data. The current Code curves for carbon steels and  
17 low-alloy steels can be used, but since they use this  
18 adjustment of 20 on life, you could reduce the  
19 conservatism by using the design curves proposed in  
20 this reg. guide. For austenitic stainless steels the  
21 existing Code curve is not conservative, is  
22 nonconservative with respect to the data and the new  
23 curve, which has been proposed, should be used.

24 I'll get Hipo give some of the details  
25 about the position.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. GONZALEZ: Thank you, Omesh. Now I'm  
2 going to go through a summary of the regulatory  
3 position that is in the reg. guide.

4 Regulatory Position 1 has -- is related to  
5 carbon and low-alloy steels. It basically gives you  
6 the guidance on how to perform the evaluations,  
7 incorporate environmental effect in the fatigue  
8 analysis. First, you have to calculate the fatigue  
9 uses in air with the current ASME Code analysis  
10 procedure, plus use the -- you're allowed to use the  
11 ASME Code air curves or the UNAL air curves for carbon  
12 and low-alloy steels.

13 MEMBER ARMIJO: And the reason for that is  
14 because one is more conservative. If you want to use  
15 it, go ahead.

16 MR. GONZALEZ: If you use the ASME current  
17 code, it will be more conservative. So that's an  
18 option that we -- the designers want it to be more  
19 conservative, then they can use it.

20 Then we'll calculate the  $F_{en}$ , the  
21 environmental factor to the equations and then  
22 calculate the environmental fatigue uses factor with  
23 the data equation, uses factor equation.

24 Regulatory Position 2 is for --

25 CHAIRMAN WALLIS: Can you apply this usage

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 factor to the ANL model, not to the ASME model?

2 Right? You have to apply the F to the ANL model.

3 MR. GONZALEZ: At the end to --

4 CHAIRMAN WALLIS: That's what it's based  
5 on.

6 MR. GONZALEZ: You will apply the  $F_{en}$  to  
7 the use factor.

8 MR. FERRER: This is John Ferrer. For the  
9 carbon steel, we've given them two options. ANL has  
10 developed a model based on their procedure for  
11 environmental, for the air curves. And if you use  
12 that ANL curve, you will use the ANL model with the  
13 ANL  $F_{en}$  factor with the ANL calculated for fatigue  
14 uses.

15 The other option that we've left in the  
16 reg. guide is so we could stick with the existing ASME  
17 fatigue curve which is more conservative. That would  
18 be up to the designers' option. And if they would do  
19 that, they would use the  $F_{en}$  factor with the ASME  
20 calculated fatigue usage.

21 CHAIRMAN WALLIS: Which has no real basis  
22 in the experiment. It's just a compromise of some  
23 sort.

24 MR. FERRER: It's conservative compared to  
25 a position we're recommending here for the carbon

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 steel.

2 CHAIRMAN WALLIS: Only for carbon steel  
3 where ASME is conservative?

4 MR. FERRER: Right.

5 CHAIRMAN WALLIS: Okay, thank you.

6 MR. FERRER: Somebody corrected me, and  
7 low-allow steel.

8 MR. GONZALEZ: Regulatory position 2 will  
9 apply to austenitic stainless steels. In this case,  
10 we'll have to use the new ANL model stainless steel  
11 curve when performing the ASME Code analysis  
12 procedure. And then use the  $F_{en}$  equation and  
13 calculate the environmental fatigue issues factor.

14 Regulatory Position 3 applies to the  
15 nickel-chromium-ferric alloys will be Alloy 600, 690  
16 and you can use the new ANL model air stainless steel  
17 curve for the nickel-based alloys and then use it with  
18 the ASME Code analysis procedures. Plus use the  $F_{en}$   
19 equation that is in there, in the technical basis.  
20 Again, calculate the environmental fatigue uses  
21 factor.

22 In summary, this reg. guide will endorse  
23 the new air code for stainless steels and will also  
24 endorse the  $F_{en}$  methodology. It will give guidance on  
25 incorporating environmental correction fatigue, excuse

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 me, for incorporating and the environment correction  
2 fatigue, the fatigue design analysis and this is shown  
3 in Appendix A of the NUREG report. And also, the  
4 report describes in detail the technical basis.

5 Now I'm going to move to the resolution of  
6 the public comments. The draft guide and the draft  
7 NUREG 6909 report were published on July 24th this  
8 year and it was public comment for 60 days comment  
9 period. This comment period ended September 25, 2006.

10 We received a lot of comments. Eight  
11 correspondents submitted a total of 56 comments on the  
12 draft guide and the draft NUREG reports and all  
13 comments were addressed individually.

14 The resolution of the comments are  
15 reflected in the final reg. guide and the final NUREG  
16 report. And there were about six main issues that we  
17 identified in the comments.

18 This next slide is just showing the  
19 example of the table that I provided to the ACRS with  
20 all the comments and the responses, staff response.  
21 You can highlight that there were comments provided by  
22 ARIVA, NEI, GE and even Japan, some commenters from  
23 Japan.

24 MEMBER ARMIJO: Also ASME.

25 MR. GONZALEZ: Yes, ASME, of course,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 sorry. The six issues that, main issues that were  
2 discussed. This is a list of the six. I'm going to  
3 go quickly to some of them and probably give more  
4 detail in the main ones.

5 The first one has to do with the operating  
6 experience and applicability of the specimen data.  
7 The comments were that there's no operating experience  
8 that supports the need for this conservative design  
9 rules. There were numerous examples of fatigue  
10 cracking and nuclear power plant components reported  
11 in an EPRI report that we reference here, 106696.

12 And the second comment was on questioning  
13 the applicability of the specimen data being  
14 representative of the actual components in service and  
15 applicability of the lab data to conform the behavior  
16 has been demonstrated by mock-up and component tests.  
17 And in fact, it's the basis for the current ASME Code  
18 T-curves.

19 MEMBER POWERS: I wonder, do you  
20 understand why someone would say gee, there's no  
21 operating experience that supports the need for  
22 looking at these things?

23 MR. GONZALEZ: Probably they also were  
24 referring to the -- any component failure experience.  
25 There's no component failure actually to fatigue. But

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 there has been indications and flaws that --

2 MEMBER POWERS: Yes, it seems to me there  
3 have been a half a dozen things, especially thermal  
4 striping and things like that that suggest that  
5 nuclear components are. I'm just wondering what would  
6 motivate somebody to say there's no operating  
7 experience.

8 MR. FERRER: I think that the motivation  
9 behind that comment is that they have not been able to  
10 translate the experience into showing, demonstrating  
11 there was an environmentally-enhanced fatigue  
12 initiation --

13 MEMBER POWERS: I see what you're saying.

14 MEMBER ARMIJO: But they couldn't show  
15 that there wasn't either.

16 MR. FERRER: Yes. One of the reasons is  
17 it's very difficult to have enough detailed data to do  
18 that evaluation.

19 MEMBER SIEBER: This kind of evaluation  
20 focuses on heat ups and cool downs of the entire  
21 plant, as opposed to striping or oscillations of  
22 valves or things like that.

23 I don't think there has been any of these  
24 steep cycle failures.

25 MEMBER ARMIJO: Sort of the classic

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 fatigue failure.

2 MEMBER POWERS: Thank heavens.

3 MR. GONZALEZ: The second issue is under  
4 details on the approach, the methodology. There were  
5 references made. The comment was there were  
6 references made in other guidance in the report and  
7 the papers listed in the report are for reference use  
8 only. The regulatory position on the draft guide  
9 contains the methodology that is endorsed by the reg.  
10 guide and by the staff.

11 The second one, I'm going to read this.  
12 Since the Draft Guide 1144 utilizes similar F<sub>en</sub>  
13 methodology that has been evaluated in MRP-47, the  
14 issues in MRP-47 are considered to be equally  
15 applicable to Draft Guide 1144 methodology. Some, but  
16 not all of the issues raised in MRP-47 have been  
17 specifically addressed in the Draft Guide 1144, so  
18 based on this, the MRP would like to see more  
19 clarification on remaining issues including Draft  
20 Guide 1144 and the supporting documents.

21 I responded that the -- our staff  
22 responded is that the level of analytical details  
23 discussed on these comments are additional items under  
24 MRP are beyond the scope of this regulatory guide. We  
25 only address the F<sub>en</sub> methodology has to be used.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           The third issue is on adding the nickel  
2 base on fatigue curves and we already incorporated in  
3 the final guide, in the final NUREG, the nickel-based  
4 alloy curves and  $F_{en}$  methodology.

5           The fourth comment is that an increase in  
6 the component usage factor will lead to more analyzed  
7 piping break locations to more installed pipe whip  
8 restraints and to the science that will be more  
9 detrimental for normal operating conditions. And we  
10 had a discussion yesterday on this and the staff  
11 responds the staff will consider just defining the  
12 modification with the appropriate technical basis of  
13 the fatigue criteria for the postulation of pipe  
14 breaks if implementation of the criteria results in a  
15 significant increase in the number of required pipe  
16 whip restraints.

17           And in addition, the necessity for  
18 additional pipe restraints will disappear with a  
19 susceptible leak before break analysis.

20           The fifth issue -- the commenter believes  
21 that the attentive methods for fatigue analysis  
22 provided in the report and the draft guide are too  
23 conservative and should not be used for the design of  
24 new reactors. So we responded that the staff position  
25 is based on a 95 percent confidence that there is less

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 than 5 percent probability of fatigue crack  
2 initiation. And the implementation of this criteria  
3 resulted in a carbon steel and low alloy steel air  
4 curves which are less conservative than the  
5 ASME code curve.

6 The six issue has to do with the ASME code  
7 case that ASME will develop a code case including the  
8 ASME methodology that we presented, that is presented  
9 in the reg. guide. The NRC staff will consider  
10 endorsing the code case through its normal process for  
11 revising regulatory guide 1.84.

12 I want to show in this slide that the main  
13 revisions that were made from the draft guide to the  
14 final regulatory guide 1.207. And the two main  
15 points, we incorporated the ASME methodology for  
16 nickel-base alloy material in the reg. guide in the  
17 Regulatory Position 3 and the NUREG report in Section  
18 6. And also, there was a revision of the high cycle  
19 fatigue regime. The regime was  $10^6$  or more cycles.  
20 And there were some editorial changes that were  
21 clarifications of the technical basis report.

22 The conclusion to this presentation, we  
23 feel that Reg. Guide 1.207 is ready for issuance and  
24 the final Reg. Guide and the final NUREG 6909 report  
25 reflects the resolution of the comments. Both

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 documents plan to be published in March 2007 and we  
2 are seeking ACRS concurrence to publish the final  
3 effective guide.

4 Thank you.

5 MEMBER ARMIJO: Any questions for Mr.  
6 Gonzalez?

7 MEMBER MAYNARD: What does the staff  
8 believe, what's the biggest impact this change will be  
9 to the licensees or the designers? And what's the  
10 biggest benefit from a safety standpoint? Just  
11 summarize that.

12 MR. FERRER: I think the biggest impact,  
13 I think ASME presented it and it may require them to  
14 do some more detailed stress analysis to show  
15 compliance with the new criteria.

16 Another impact that they brought up was a  
17 potential for increased number of pipe rupture  
18 locations and we've, in response to that comment said  
19 we will consider adjusting the criteria so that we  
20 don't get a big increase in the number of pipe rupture  
21 locations.

22 The biggest benefit to safety is based on  
23 the study that we did on the resolution of GSI-190  
24 that this is not a major safety concern, however,  
25 there is -- we would predict an increase in the amount

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 of leakage to occur if you had significant fatigue  
2 damage that wasn't accounted for in the criteria.

3 MR. CULLEN: This is Bill Cullen from the  
4 Office of Research.

5 I'd like to also add a couple of points  
6 here that occasionally seem to be lost in the  
7 conversation. Remember that this procedure that is  
8 described in the Reg. Guide, both gives and gets, we  
9 are giving back to the industry because we have  
10 reduced the code lines, created the code lines based  
11 on factors of 2 and 12, rather than 2 and 20.

12 That's a give. On the other hand we have  
13 developed very carefully, very statistically  
14 accurately this concept of an  $F_{en}$  to account for the  
15 environment, though we are getting back something in  
16 that sense. They do now, the licensees bringing in  
17 these applications will have to account for the  
18 effects of the environment.

19 But on that score, I'd like to also add  
20 another point. As you look at these equations for  
21  $F_{en}$ , you'll notice that they contain factors for  
22 dissolved oxygen level, contain factors in the cases  
23 of the carbon and the non-alloy steel, contain factors  
24 for the sulphur content of those steels. We fully  
25 expect that the materials that are going to go into

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 these new reactors will be far better than the  
2 materials that are in the existing fleet. If these  
3 guys choose good materials for their carbon and low-  
4 alloy steels, if they choose materials with low  
5 sulphur contents, that  $F_{en}$  factor pretty much  
6 disappears.

7 And if they keep the dissolved oxygen  
8 under control, if the boilers keep their hydrogen  
9 water chemistry carefully controlled, the dissolved  
10 oxygen contents are going to be very low. The  $F_{en}$   
11 virtually disappears. Not quite. Not quite, but  
12 virtually disappears.

13 So I want to make those points very well  
14 that I think we should have new paradigms in the new  
15 reactor fleet, the GEN 3 Plus Plus fleet that will  
16 strongly affect the way this code gets applied and  
17 I'll speak solely for myself, I'm not at all convinced  
18 that this is going to be a hardship on the designers  
19 of the new reactor fleet.

20 MEMBER SIEBER: You could actually say  
21 that it would require a higher degree of control over  
22 the chemistry.

23 MEMBER ARMIJO: It might.

24 MEMBER SIEBER: To avoid an impact.

25 MEMBER ARMIJO: It might.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. CULLEN: There would be that  
2 consequence, that is true.

3 MEMBER SIEBER: That's a good thing, I  
4 think.

5 MR. CULLEN: Right.

6 MEMBER ARMIJO: Any other comments or  
7 questions from the Committee?

8 MEMBER POWERS: Just a phenomenological  
9 question. Dissolved oxygen is important in some  
10 circumstances and we have people trying to control  
11 dissolved oxygen. Every once in a while they fail.

12 Has anyone ever looked at episodic events  
13 of high oxygen in a background of low oxygen and how  
14 it affects things?

15 MR. COLLINS: Yes, there have been studies  
16 where they change oxygen and now the question is this  
17 loading, somebody mentioned these are start ups and  
18 shut downs or turbine trips. Depends where they  
19 occurs. If it's a long period, then it may have, but  
20 normally those are very short.

21 MEMBER POWERS: And short is a small  
22 effect is what you're saying?

23 MR. COLLINS: I think once the water  
24 chemistry is back --

25 MEMBER POWERS: It readjusts itself?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. COLLINS: Right, right.

2 MEMBER ARMIJO: All right, if there's no  
3 more questions for the NRC staff, I'd like -- I guess  
4 I'll have the ASME representative and then Mr. Gurdal.  
5 So it's Mr. Erler first. Sure, wherever you're  
6 comfortable.

7 MR. ERLER: I am Bryan Erler, the Vice  
8 Chairman of the Board of Nuclear Codes and Standards  
9 for ASME. And we had a good discussion yesterday at  
10 the subcommittee meeting and I appreciate the  
11 opportunity for that.

12 ASME has been a leader in developing the  
13 fatigue criteria for over 40 years. I think we've  
14 been taking a look at the data. We look across at all  
15 of the monitoring of what happens and try to make sure  
16 that we design rules and what I mean design rules, how  
17 to design a plant adequate to be safe for the life of  
18 the plants.

19 We're committed to working with regulatory  
20 body to make sure that we consider all the facts and  
21 one of the things that I'd like to make sure it's  
22 clear is that clearly in the original criteria  
23 document, we've talked about environment. Environment  
24 was included in a discussion of 2 and 20. It wasn't  
25 explicitly identified as to which, how much comes from

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 each of the elements of the variables, but we  
2 recognize it was a significant contributor.

3 I think the difference that we have here  
4 in the discussion has been primarily in the fact that  
5 where we're starting from. In an introduction by Dr.  
6 Jennifer Ule, she stated that it was addressed to get  
7 a guide. We wanted to get a guide out to address  
8 environmental -- so they started with the objective of  
9 developing a guide for including fatigue into the  
10 curves.

11 What the NRC -- I don't think they made a  
12 case to say that it needs to be done. The design  
13 basis curves have been serving the industry quite  
14 well. ASME Committee, made up of the experts that we  
15 have around the world and certainly experts in  
16 metallurgy and fatigue have been reviewing the same  
17 data for 25 years and keep evaluating not the question  
18 of how do we -- is do we need to and it's both  
19 questions are being addressed as we, as a committee.  
20 And the debate has been significant by many, many  
21 experts across the board and many committees. We have  
22 a Fatigue Committee. We have a Design Committee. We  
23 have several task groups and it's a challenge to make  
24 sure that we're doing the right thing.

25 At the same time, ASME has been very

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 effective at making sure we're addressing  
2 environmental impact of fatigue. We have passed  
3 several appendices in Section 11 in order to deal with  
4 Appendix L. We've addressed code cases to make sure  
5 that we're addressing the in-service inspection side  
6 of it.

7 So in case, from the very beginning in the  
8 1960s, we have been aware of it and have been  
9 following all of the data. It's where does it fit  
10 into the design curve that we're talking about now.  
11 Where does it really fit in our design basis and where  
12 do we have to go?

13 If we go and look back at the experience  
14 now we've had in Section 11, in collecting the data in  
15 ISI and we see a license renewal, then we're really in  
16 very good shape with regard to these plants. We have  
17 allowed an additional 20 years. You look at the  
18 transients. You look at the performance and fatigue  
19 has not been a driver in terms of limiting the life of  
20 the plant.

21 There's a lot of items with fatigue in  
22 terms of vibration, temperature striation, other --  
23 corrosion comes into the picture, but fatigue in  
24 itself as an entity particularly environmental fatigue  
25 or contributing part of fatigue has not been a key

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 driver. I think that's the part that the Committee  
2 Members really wrestle with quite a bit.

3 CHAIRMAN WALLIS: But there have been  
4 fatigue failures.

5 MR. ERLER: There have been --

6 CHAIRMAN WALLIS: Fatigue has led --

7 MR. ERLER: Not due to the fact that the  
8 design basis of the code was inadequate. If you look  
9 at the Japanese and the French, they've proceeded with  
10 their design rules dealing with this as not changing  
11 the RCCM and not changing the Japanese code in dealing  
12 with environmental fatigue and they are based on the  
13 ASME Code.

14 So I don't think we're -- we're kind of --  
15 we follow and work with the experts around the world  
16 and work with the NRC and will work with them.  
17 Obviously, if we want -- one of the challenges if we  
18 say okay, we're going to put environmental fatigue  
19 into the code, what we would do is we would probably  
20 change significantly design basis and look at all of  
21 the new variables and say what should we use as far as  
22 our total design basis, rather than just say let's put  
23 an impact of environment.

24 And that's where some of the discussion  
25 comes, is our overall curve of 20 adequate and has it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 served us well? So that's a debate that we can --  
2 well, will go on for a long time. But we do know we  
3 need to keep our codes consistent with the regulatory  
4 rules.

5 CHAIRMAN WALLIS: I ask you this question.  
6 How big does F have to be before you decide you do  
7 need to make a change to incorporate the environmental  
8 effects? Apparently, you don't think it's necessary,  
9 but clearly, if this effect got big enough, you'd have  
10 to do something.

11 MR. ERLER: That's correct. I mean if you  
12 look at --

13 CHAIRMAN WALLIS: Is it a question of it  
14 not being big enough? Is that the issue and how big  
15 would it have to be?

16 MR. ERLER: I really can't address that  
17 because it's -- if you look at the various code cases  
18 and various changes we've had, we've had F<sub>en</sub> code  
19 cases drafted up and get voted down. We've had  
20 revised curves drafted up and voted down. And  
21 everybody has their different set of rules, you now,  
22 different set of reasons for it.

23 And the negatives are very clearly  
24 documented in our balance that we have. And some of  
25 it has to do with the issue of not a significant

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 contributor or why should we just address fatigue, the  
2 environment when we really have other issues and we  
3 should go back to the complete drawing board of our  
4 design approach and then the issue comes up, but what  
5 we had served us well, so it's kind of a -- the  
6 consensus process amongst experts makes it a a  
7 challenge to say I can't speak for ASME and give one  
8 answer.

9 I can tell you what -- the stories of  
10 what's been going on for 20 years and why our focus  
11 has been on the operating cycle.

12 CHAIRMAN WALLIS: It's more of a technical  
13 rationale. It's sort of a voting down as the  
14 decision, a collective decision.

15 MR. ERLER: It's a technical --

16 MEMBER POWERS: It seems to me that the  
17 staff agrees with you, don't they? Doesn't the staff  
18 say yes, you can go ahead and use the ASME curves?

19 MR. FERRER: The ASME air curve for carbon  
20 steel and then you apply the  $F_{en}$  factor. The question  
21 is we should apply the  $F_{en}$  factor.

22 MR. ERLER: I think the issue of working  
23 with the staff on an appropriate solution, given the  
24 directive that says we should include it, I think is  
25 a different objective for the Committee and maybe,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 when you issue the reg. guide, that kind of puts us on  
2 notice that the U.S. is saying you want explicitly  
3 covered environmental action, not just part of the 20  
4 and 2. It's -- we want something that's in there.

5 And given that direction, the Board will  
6 go back to the committees and go back and we'll  
7 provide that, the direction, if that's the decision of  
8 the staff and of the regulator. I guess the point  
9 that we're making is that that's not necessarily the  
10 uniform position around the world or of the experts.  
11 The experts, you know, are quite happy debating this  
12 issue. So the issue therefore is showing the cause or  
13 the need is the challenge that we have.

14 The other part that I really wanted to  
15 address a little bit because we didn't see it until  
16 yesterday is the response, the six responses.

17 The first response is the need response  
18 and I think referring to the EPRI document really  
19 wasn't a good answer in terms of showing -- it  
20 includes all other kinds of failures that you have and  
21 are not just fatigue and not just environmental impact  
22 of fatigue. I think it's worth the staff showing  
23 specifically the need based on specific experience for  
24 operating plants.

25 The other issue, if you look at item 2,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 they agreed with the fact that it's difficult to  
2 implement the F<sub>en</sub> and the issues that are identified  
3 in MRP-47 are still an issue, but what they say is  
4 that becomes our problem. They're making it sound  
5 like the industry can go ahead and implement the F<sub>en</sub>  
6 procedure. There's issues in here that basically say  
7 it's beyond the scope of this guide. They leave it up  
8 to us to try to figure out how to implement it.  
9 That's kind of -- it didn't really answer the issue.

10 The other one that I think that they  
11 agreed with us on, two, is the fact that it has the  
12 potential of adding more pipe-break restraints and  
13 more pipe-break locations which could lead to more  
14 pipe-break restraints and so okay, we're going to take  
15 that away now. We'll change that. Which is a good  
16 thing. I'm glad to get rid of breaks any place, as  
17 long as it has a legitimate basis that we have.

18 But the fact of the matter is is the usage  
19 higher in those locations, really? And you really  
20 don't know because it just says that by the F<sub>en</sub>  
21 method, it will show higher usage factors in certain  
22 locations.

23 So they've agreed basically as to how to  
24 resolve it. It's sort of an IOU. We won't make you  
25 put in restraints later on.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           So I mean there's a lack of really  
2           addressing some of the specific comments that we have  
3           sent and working with the staff, I think it could be  
4           a benefit of the rest of the industry. I mean that's  
5           the benefit of the committees that we have is the  
6           experts and the experience.

7           These are not just vendors. These are  
8           people who do research in the labs, who are present on  
9           the committee, people who are at universities. We've  
10          got some of the vendors, we've got engineering firms.  
11          So it's a range and people from around the world and  
12          that's a little different group to develop a solution  
13          than just hiring Argonne to find a solution.

14          Using the benefit of what the expertise is  
15          we would certainly like to work with the staff more  
16          diligently to --

17          CHAIRMAN WALLIS: This is an aside.  $F_{en}$ ,  
18          to me, is as fine an elements method used to get the  
19          stresses in the first place and that's part of the  
20          whole problem.  $F_{en}$  meaning two different things in  
21          this context, which is not a very good idea.

22          MR. ERLER: This is a factor for  
23          environmental.

24          CHAIRMAN WALLIS: But it's too bad that  
25          you -- but it sounds very similar. So it's very good

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to change -- yes.

2 MEMBER ARMIJO: Thank you very much.  
3 Thank you. I think our last speaker and we're -- if  
4 you hold the time, Mr. Gurdal, we'll be on time. five  
5 minutes. You've got a full five minutes.

6 CHAIRMAN WALLIS: Then you're going to  
7 stop it, right?

8 MEMBER ARMIJO: No, then I'm going to have  
9 five minutes.

10 CHAIRMAN WALLIS: Okay.

11 MR. GURDAL: My name is Robert Gurdal,  
12 that's G-U-R-D-A-L. I'm from Lynchburg, Virginia with  
13 ARIVA. Thank you for giving me the opportunity.

14 First, is to come back to what Mr. Erler  
15 just said, most of the fatigue failures the plants  
16 have seen is again to the best of my knowledge, from  
17 transients which were not known, but not from the fact  
18 that fatigue analysis was done without the  
19 environmental effects and then suddenly, because of  
20 the environmental effects, you have a failure;  
21 especially for thermostratification in a surge line.  
22 That's the best example. All those thermostripping and  
23 then you have all those SCC phenomenon. I think at  
24 the low 600 welds of the surge line and different --  
25 but not in the surge line itself. The surge line

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 itself which is ossiated steel, very important, 30  
2 years, at least for the ARIVA plant and I think it  
3 could even be 35 years, I've not seen a fatigue  
4 failure which would be catastrophic, of course, but  
5 not even a crack detection. Now that's what I would  
6 say and that's to the best of my knowledge.

7 And that was to Mr. Erler. To the  
8 gentlemen of the NRC there is something there they  
9 said to look at the DO. The austenitic steel and the  
10 fatigue curve, the new fatigue curve, of course, are  
11 completely independent of DO. So it does not matter.  
12 You don't need to do anything with a DO for the  
13 stainless steel, and there is no s-factor for  
14 stainless steel. So, for stainless steel and Omesh  
15 can say and say if it's correct, it would be only  
16 temperature and strain rate.

17 Strain rate is extremely difficult to  
18 calculate in the FEA, finite environmental analysis,  
19 so that at the end it's only temperature and maybe you  
20 have to take the most severe strain rate, that's  
21 extremely severe, factor 10, probably, maybe 8, I  
22 don't know. Plus the fact that the new inert curve is  
23 more severe. And, again, the surge line has not seen  
24 fatigue failure due to the environmental effects of 35  
25 years or something like that. So that was even before

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 my comments. I'm sorry about that. I'm probably  
2 already through.

3 The other thing may be a surprise today  
4 during the break is that ARIVA does not get the  
5 answers to our technical comments before the reg.  
6 guide is issued, 1.207. So if it's issued on March  
7 15, whether it's in the morning or in the afternoon,  
8 it does not matter. At the same time we get our  
9 comments. So, that means we lost our time. That  
10 means, that what it means, correct?

11 I mean, why did we work, we had those  
12 conversations with the French, we lost our time,  
13 correct? I mean --

14 MEMBER ARMIJO: You say, you mean wasted  
15 your time?

16 MR. GURDAL: Yes.

17 MEMBER ARMIJO: Okay.

18 MR. GURDAL: Oh, did I say lost? Yes.  
19 Wasted our time.

20 MEMBER ARMIJO: Okay.

21 MR. GURDAL: We worked for nothing. All  
22 right. Oh, okay. A big thing is that it's important  
23 to know for the industry that because of those new  
24 rules, which will come out in March, we need to  
25 redefine all our transients and make them a lot more

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 accurate, detailed, including strain rate  
2 calculations. In other words, the stain rate is a  
3 function of the transients, so a big manager was  
4 telling me the other day we have to turn around  
5 completely the conservatism which used to be in the  
6 transients and which is very important is going to be  
7 now completely in the fatigue analysis.

8 In the transients they will have to be  
9 exact, but exact I mean within maybe 10 percent and  
10 which leaves a very big problem at the operation, how  
11 do you call that? The room? You know, where they  
12 have to follow the transients to be sure -- that's  
13 going to be of course a nightmare, to say the truth.  
14 But they need to live with it. That's for the new  
15 plans. So that's just a comment.

16 So, in addition, that's in addition to  
17 having the big location. So it's going to be more  
18 severe because if there is a small deviation for a  
19 transient, you cannot go back to your design,  
20 functional spec., which is called the transients, and  
21 go and okay, it's all right, it's all right. No, you  
22 have to go back to the  $F_{en}$  analysis. Okay, so that's  
23 going to be something.

24

25 Now, all right, that was the last,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 hopefully that's my last topic. And it's that there  
2 is a paper, a technical paper from PVP 2006 which has  
3 gained so much importance and that's on those tests  
4 from Ireland that Omesh has mentioned, and there are  
5 two things about that that I wanted to say. I wrote  
6 it, but I'm going to try to say it quicker than that,  
7 is the first one is I think when we perform  
8 comparisons between the test results and anything that  
9 we develop we should really compare with the design  
10 curves and not to the best-fit curves, because that  
11 gives you how much margin you have compared to the  
12 design. Because what you do is design for the  
13 component and not best-fit from the specimen. That  
14 was the first comment. Is that clear?

15 And we haven't done that. I mean, we have  
16 done it within our company but it was not shown today.  
17 Or yesterday.

18 Second comment on that is the famous  
19 comment, probably on the surface, and it's the fact  
20 that there are four tests which are exactly the same  
21 except for the flow rate. Too high flow rate and too  
22 low flow rate. Otherwise, those flow tests are  
23 exactly the same. It comes out that three of those  
24 tests are what they call not polished and one is  
25 electro-polished. That was so lucky that they had

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 that. Because the electro-polished gave a number of  
2 cycles to failure to 3,800 if I cut the last two  
3 digits, and the other one is three numbers, 3,600 two  
4 times and 3,400.

5 If you make the ratio and you stay with a  
6 high flow rate, the factor is 1.06. If you take the  
7 minimum of the other three, so the most severe, the  
8 factor is 1.12. In the method of what we saw today,  
9 this is the end for me, he gives the low number of 2  
10 for that factor and 3 and one-half high. So, it's  
11 the difference between 2.62.7 on one side and 1.1 on  
12 the other. That's it.

13 MEMBER ARMIJO: Okay. Thank you. Thank  
14 you. Well, any --

15 MR. GURDAL: We have a lot more.

16 MEMBER ARMIJO: Oh, we could, we'd be here  
17 all day. But thank you for being brief.

18 MR. MAYFIELD: Mr. Chairman, if I could,  
19 this is Mike Mayfield from Division of Engineering and  
20 the Reactors. A couple of things that were said that  
21 just in the last few minutes that I wanted to address.

22 I certainly agree with Mr. Erlar that this  
23 has been an active debate going back 25 years that I  
24 know of personally. I would also say that it's not a  
25 unanimous view among the international technical

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 community. There are at least one more views than  
2 there are experts in the room at any given time.

3 So this thing has been pretty much all  
4 over the map. The staff has moved forward because we  
5 believe that there is sufficient evidence that this  
6 environmental effect on fatigue life needs to be  
7 addressed.

8 The second issue that has come up a number  
9 of times is, well, the service experience does not  
10 indicate that there are a huge number of  
11 environmentally-induced fatigue failures. If, in  
12 fact, the service data indicated a large number of  
13 fatigue failures where the environmental effect was a  
14 driving consideration, we would be having an entirely  
15 different conversation with this committee and with  
16 the industry. We're looking to back-fit this  
17 requirement and do additional analysis.

18 We agree that the ASME methodology  
19 fundamentally is not flawed. There is a lot of  
20 conservatism in it. However, as we move forward and  
21 as the ASME has made changes, quite appropriately, to  
22 the design methodology, there is the potential for  
23 higher cyclic stresses in piping components over the  
24 lifetime of a plant. And we believe that there is  
25 sufficient evidence to show an environmental effect,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 particularly that's going to show up in the later  
2 life, if in fact you have these higher cyclic  
3 stresses.

4 We believe that you put those things  
5 together, there is a preponderance of evidence that  
6 says this regulatory guide is timely and needs to move  
7 forward as we look a designing and licensing new power  
8 plants.

9 We, from the new reactor side, we  
10 certainly hope the committee will endorse the  
11 publication of the reg guide.

12 Thank you.

13 MEMBER ARMIJO: Okay. We've got two  
14 minutes. I just ask the committee members for any  
15 other comment.

16 MEMBER ABDEL-KHALIK: Can I make a  
17 comment?

18 MEMBER ARMIJO: Yes. Of course.

19 MEMBER ABDEL-KHALIK: Thank you. You  
20 know, we are all familiar with water chemistry  
21 guidelines and frequently they change. And the  
22 question is is there something that would  
23 automatically trigger the licensee to re-analyze the  
24 fatigue strength of various components if they're  
25 contemplating a change in water chemistry guidelines?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER ARMIJO: Yes.

2 MEMBER POWERS: If they knew, if they knew  
3 it was significant, it could have a significant  
4 impact, I think they would do it, sure. I don't know  
5 if that would be a regulatory requirement, but if I  
6 was an operator I'd sure want it --

7 MR. MAYFIELD: I'm sorry.

8 MEMBER SIEBER: There has been a couple of  
9 instances where a licensee, particularly in license  
10 renewal space, has had enough transients, you know,  
11 heat-ups and cool-downs on the plant, where they're  
12 approaching their maximum analyzed number and  
13 therefore a re-analysis would be appropriate.

14 MR. MAYFIELD: This is Mike Mayfield. The  
15 issue comes in if they're going to do something in  
16 plant operation that would violate their licensing  
17 basis or their design basis, they're going to have to  
18 re-analyze to address it to show that they stay within  
19 accepted limits.

20 MEMBER SIEBER: Before they do it.

21 MR. MAYFIELD: Before they do it.

22 MEMBER ARMIJO: Okay. Okay. Well I think  
23 that will wrap up the presentation. I think we'll  
24 have plenty of time to discuss the committee position  
25 this afternoon or --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           MEMBER POWERS:  There is with all of these  
2 standards this issue.  We have on the one hand an NRC  
3 staff whose interest is solely focused on protection  
4 of public health and safety.  Whereas the balance of  
5 the community of experts has various kinds of  
6 pressures on them and motivations.  I wondered if Mr.  
7 Mayfield would care to comment on that?

8           MR. MAYFIELD:  I suppose it would be  
9 inappropriate to simply say no?

10                   (Laughter.)

11           From my own involvement with the codes and  
12 standards, and I think it's actually a positive as a  
13 part of the consensus standards process where you do  
14 in fact bring diverse views to the table in  
15 establishing codes and standards through that  
16 consensus process.  And I think that you generally get  
17 a very robust product that addresses common interests  
18 of not only plant operation and efficiency,  
19 effectiveness, but also generally addresses public  
20 health and safety.  Just because they also have a  
21 vested interest in it from a consensus standards  
22 process.

23           I think this one of the, this  
24 environmental effects issue is one of those areas  
25 where the staff, with its driving consideration of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 public health and safety, has a different view that we  
2 believe outweighs the various views from the consensus  
3 standards process.

4 That's one of the things that we have  
5 historically discussed with ASME, that at the end of  
6 the day, through our endorsement of the ASME code and  
7 the various code cases, at the end of the day we have  
8 to make the health and safety finding and, once in a  
9 while, it doesn't happen very often, but once in a  
10 while, the staff has to do something that is  
11 inconsistent with where the code is. We then, we  
12 don't do those things lightly. We don't do them very  
13 often. But we, and we, I think, rarely have done them  
14 when we haven't known that we were in conflict with  
15 the code.

16 And when we are in a situation where we  
17 have to make that kind of finding and take that step,  
18 we try to work, as we go forward with the code, to  
19 reconcile the dispute, but at the end of the day we  
20 have to make a finding that we believe is consistent  
21 with public health and safety and the regulations.

22 Does that help?

23 MEMBER POWERS: That was a superb answer.

24 MR. MAYFIELD: Thank you. I'd like to  
25 know myself.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 (Laughter.)

2 MEMBER MAYNARD: I think we'll have a  
3 chance to discuss this later in more detail. I just  
4 don't want the lack of comment at this point to  
5 necessarily give the impression that I'm in full  
6 compliance or in full agreement. Because I don't  
7 think its -- I think there's a better time probably to  
8 discuss some of that.

9 CHAIRMAN WALLIS: Okay, thank you. We'll  
10 take a break until 1:30. Lunch break is 1:30,  
11 something easy to remember, not fractional. we'll  
12 take a break to 1:30.

13 (Whereupon, at 12:35 p.m., the meeting was  
14 recessed, to reconvene at 1:30 p.m.)

15

16

17

18

19

20

21

22

23

24

25

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

A F T E R N O O N   S E S S I O N

1:34 P.M.

CHAIRMAN WALLIS: Before we get started with our business -- oh, okay. Before we get started with our business, I would like to recognize one of our outstanding staff members, Ethel Barnhard, who has after approximately 40 years working with the Committee will retire on January 3, 2007.

Ethel has handled several different jobs for the ACRS over her tenure on the staff. This includes managing the Committee's reference library and ensuring compliance with FACA requirements, for document retention retrieval, possibly the only person left in the Agency who knows how to read microfiche film.

(Laughter.)

Manages the classification of Committee documents and assures that we appropriately handle classified material. She prepares the NUREG documents that include compilation of ACRS ACNW reports and letters. She's also responsible for handling Freedom of Information Act requests relevant to ACRS ACNW activities.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1           There are a long lists of tasks she's  
2 handled for the Committee which I will not go into,  
3 but I'm beginning to wonder as I read these who is  
4 going to do it when she is gone.

5           (Laughter.)

6           And the thing I really note, the thing I  
7 really note which is my contact with her and I think  
8 many of our contacts with Ethel is how the exceptional  
9 job she has done in handling computer hardware and  
10 software matters for the Members and for the ACRS ACNW  
11 office staff. Without her, I probably wouldn't be  
12 able to run my computer at all.

13           She has been rock solid in her devotion  
14 and support of the ACRS or what amounts to most of her  
15 professional career. Her professionalism and  
16 willingness to assist the Members and the staff have  
17 been very much appreciated, so thank you, Ethel, very  
18 much indeed.

19

20           (Applause.)

21           As we are on the record, I think we should  
22 move on with the next item of business.

23           The next item of business concerns  
24 emergency planning. Our cognizant Member who has  
25 really come up to speed on the business of this

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Committee is Michael Corradini. I'll pass it on to  
2 you to lead us through the next couple of hours.

3 Mike, please.

4

5 MEMBER CORRADINI: Thank you, Mr.  
6 Chairman. So I'm Mike Corradini. I share the  
7 responsibility of reviewing the design certification  
8 applications for the current chairman of the Future  
9 Plant Design Subcommittee, Dr. Kress.

10 The purpose of this part of the meeting is  
11 to review the staff proposed revisions to the NUREG-  
12 0800 Standard Review Plan, section 15.3 entitled  
13 Emergency Planning. The proposed revision to SRP 13.3  
14 was published in the Federal Register for public  
15 comments, and the comment period has expired.

16 We will hear presentations from the  
17 representatives of the Offices of Nuclear Security and  
18 Incident Response, NSIR, and New Reactors NRO,  
19 regarding the proposed changes, technical bases for  
20 those changes, and the resolution of the public  
21 comments. We will also hear from the NEI regarding  
22 their comments on the proposed SRP. So we'll proceed  
23 and I'll call upon Dan Barss or the NSIR to begin.

24 MR. BARSS: Thank you. Dan Barss, I'm a  
25 Senior Emergency Preparedness Specialist. I use that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 word senior carefully, that means I've been here the  
2 longest and also they titled me as that. Also,  
3 emergency planning is an interesting field. You know,  
4 everybody is an expert in emergency planning.  
5 Fortunately for me, I'm the one that gets paid for it.  
6 So hopefully if I do my job right, I'll continue to  
7 get paid for it today.

8 As was said, we're going to talk about the  
9 Standard Review Plan, NUREG-0800, particularly section  
10 13.3, a small section of that very large document.  
11 We're also going to talk about the DG-1145, the COL  
12 application guide section 13.30, though it may not be  
13 titled exactly that in the document. It is basically  
14 covering the same section, the same type of material.  
15 And those documents were written by the same person to  
16 make sure we had some continuity between them  
17 hopefully.

18 Before I get into them, I want to take a  
19 little tour through the regulatory process and talk  
20 about emergency planning a little bit, because I think  
21 it's good to have that fresh in our minds as we begin  
22 a discussion of emergency planning. As I've said,  
23 everyone is an expert and we made a few changes in the  
24 last few years or ten years or so, that may affect how  
25 we do business.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           This diagram has been used many times in  
2 public. It shows starting in the center here, the  
3 nice round circle, the combined license review and  
4 hearing. That's where the rubber meets the road and  
5 somebody gets a permit eventually to build a reactor.  
6 Coming into that combined license they could choose  
7 one of two paths, or I guess multiple paths, as you  
8 heard this morning coming there. They could come with  
9 an early site permit. They could come with a standard  
10 design, they could come with both, or they could come  
11 with neither.

12           And I want to talk a little bit about how  
13 emergency planning fits in each of those different  
14 parts of the process as we go along.

15           MEMBER APOSTOLAKIS: Which part of this  
16 column on the upper left hand corner is the ACRS?

17           MR. BARSS: You guys fit in all three, the  
18 standard design, the early site --

19           MEMBER APOSTOLAKIS: I know --

20           MEMBER POWERS: We're the blue background.

21           MR. BARSS: Emergency Planning has been  
22 and continues to be part of the licensing process. I  
23 list there on the slides some of the pertinent  
24 regulatory sections. We'll talk a little more about  
25 some of them as we go forward. And most important to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 remember, there was a presidential decision in  
2 December 7, 1979.

3 In that decision, the President re-emphasized  
4 the importance of the NRC and the continued statutory  
5 responsibility we had for the radiological health and  
6 safety to the public. That same presidential decision  
7 though is the one that really established FEMA, which  
8 is now part of DHS. And a role which they play in the  
9 emergency planning process concerning reactors, and  
10 it's important to remember that as we look forward.

11 CHAIRMAN WALLIS: The President got  
12 involved because of TMI? Is that why?

13 MR. BARSS: Yes, that was following the  
14 Three Mile Island event and the events that came  
15 after.

16 MEMBER APOSTOLAKIS: I'm a little  
17 curious. You moved again. You're quick. Why when we  
18 cite other regulations, it's always so many? I mean,  
19 emergency planning in 50.33 and 50.47, what's the  
20 difference?

21 MR. BARSS: Well, in 50.33 and 50.34,  
22 that's the part, if I remember correctly, and my staff  
23 will correct me if I'm wrong, talks about the PSAR and  
24 the FSAR and it identifies different portions of  
25 different parts of emergency planning that you have to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 address at different levels going into that. 50.47 is  
2 the primary, and we'll talk more about that as we move  
3 forward. However, emergency planning regulations  
4 along with Appendix E, 50.54 is conditions of license  
5 and we'll talk about that as we move forward too.  
6 They all play into it.

7 MEMBER APOSTOLAKIS: So in most of these  
8 is just mentioned, it's 50.47 where --

9 MR. BARSS: 50.47 is the 16 planning  
10 standards. But they all play a part in the  
11 requirements of when things are submitted and what's  
12 required. EP is sprinkled throughout the document.

13 You need to remember how EP came about.  
14 EP or some type of emergency planning was there from  
15 the beginning, but part of 1979 it was not heavily  
16 emphasized. In fact, I have a copy of the sites'  
17 emergency plan prior to 1979, and it's about 15-20  
18 pages. That same document now is probably 15 books  
19 because of the changes that have happened and the  
20 amount of planning involved.

21 And it was after the Three Mile Island  
22 accident that actually 50.47 came about, and those 16  
23 planning standards which built on some of the work  
24 that had gone on before that. So EP was, I don't want  
25 to say a backfit, but EP was kind of embellished

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 greatly back then, and as time went on some of the  
2 licenses that were already in place, and those that  
3 were in the process of building they had to answer a  
4 lot of additional requirements then.

5 And for the new applicants, hopefully  
6 we're not adding new requirements to them but holding  
7 them to the same standards which has gone before. And  
8 that's kind of the whole point I want to make as we go  
9 through this, is your already existing set of  
10 standards.

11 Focusing now on emergency preparedness,  
12 there is what's called the reasonable assurance  
13 finding for emergency preparedness that has be reached  
14 before we issue a license.

15 CHAIRMAN WALLIS: Reasonable assurance of  
16 what?

17 MR. BARSS: Reasonable assurance that the  
18 applicant, or that the plans that are in place, both  
19 the applicants and the state and local governments can  
20 adequately protect the health and safety of the public  
21 in the event of a radiological emergency. That's the  
22 reasonable assurance finding, that we believe that  
23 they have in place the mechanisms that they could  
24 protect the health and safety of the  
25 public if there was an emergency. That's what the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 reasonable assurance findings based on and focuses to.

2 MEMBER CORRADINI: So this isn't really  
3 not directly relevant, but just two examples pop in my  
4 head and maybe if they're not applicable, one is  
5 Shoreham and one is Seabrook.

6 MR. BARSS: Well, Shoreham and Seabrook  
7 are two late examples of what happened. And without  
8 spending a lot of time on them, in the Shoreham case  
9 you had the state and local authorities decided that  
10 they didn't want to participate in the process. And  
11 therefore -- I'll talk about this in a bit too further  
12 on -- therefore, there was a need for us to figure out  
13 a licensing process where what do we do with that  
14 situation? And that's where 5047C, and I'll talk  
15 about that as we move forward, was created. And  
16 eventually that plant was licensed, but there was a  
17 business decision made by the license holder to not  
18 operate that plant and it was since decommissioned and  
19 disassembled.

20 In the Seabrook case --

21 MEMBER CORRADINI: It wasn't the local,  
22 state and local, but across the state lines, state and  
23 local, if I remember correctly?

24 MR. BARSS: Well, I'm not sure who.

25 MEMBER CORRADINI: It was Massachusetts,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 it wasn't New Hampshire.

2 MR. BARSS: Well, in the Seabrook case it  
3 was the Massachusetts part of the emergency planning  
4 zone that wasn't participating. That's correct.

5  
6 MEMBER APOSTOLAKIS: I'm sure they had a  
7 good reason.

8 MEMBER POWERS: Actually, they focused on  
9 one of the toughest aspects of emergency planning, and  
10 that's how you treat transients and tourists.

11 I'd like to ask, you've highlighted here  
12 reasonable assurance. There's another aspect of  
13 emergency planning and that is adversity of plans, and  
14 I hope you'll be able to talk about that diversity as  
15 well as we go through here.

16 MR. BARSS: Yes, I address that later.  
17 I'm aware of that question coming. Thank you for the  
18 forewarning. Now I didn't finish quite there.

19 That 5047A, part of our regulations, I  
20 think is somewhat unique at least for emergency  
21 planning in that it specifically requires in there  
22 that we, the NRC, make the final decision as to  
23 whether or not we have this reasonable assurance and  
24 whether or not the license can be issued. But it  
25 clearly states in there that we rely on FEMA, now

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 known as DHS, for part of that finding.

2 They look at the off-site part of the  
3 planning and give us their findings and  
4 determinations. We look at the on-site part of the  
5 planning, and then the results of their review come to  
6 our ultimate conclusion and we remain the licensing  
7 authority. But we share the responsibility for that  
8 review work with DHS and with FEMA. It says FEMA in  
9 our regulations, FEMA is now DHS because of changes.

10 MEMBER APOSTOLAKIS: So what is the  
11 relationship between FEMA and the NRC? I mean, they  
12 set regulations and then we have to meet them or have  
13 our own or what?

14 MR. BARSS: The regulatory authority rests  
15 with the NRC. In our regulations that stipulate what  
16 is required for the emergency planning are the NRC  
17 regulations, 10 CFR. You will find in 44 CFR 350 a  
18 companion set of regulations that FEMA has, and it  
19 repeats the 16 planning standards that you find in  
20 5047.

21 The common document that we use for our  
22 evaluation we'll talk a little more about this as we  
23 go forward, is NUREG 0654, which is also known as FEMA  
24 rep 1. It's a joint document that was developed by us  
25 and published jointly by us.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           There is also a Memorandum of  
2 Understanding, you see there, the last thing on the  
3 slide. It's published in 44 CFR 3503A, appendix A.  
4 That's an MOU between our two agencies which basically  
5 talks about how we do that licensing and how we share  
6 those responsibilities, who does what and establishes  
7 a steering committee to basically govern the day-to-  
8 day operations of that.

9           MEMBER APOSTOLAKIS: But in the actual  
10 implementation of the emergency plans, FEMA plays a  
11 role too?

12           MR. BARSS: When you get into response,  
13 yes. FEMA and many federal agencies play response.

14           MEMBER MAYNARD: For exercises, in passing  
15 we have been evaluators. They evaluate the off-site.

16           MR. BARSS: That is correct. There is an  
17 exercise prior to licensing the plant, prior to where  
18 any site is allowed to have a reactor, there's what we  
19 can call a qualifying exercise. And biannually after  
20 that, there's a requirement that there be an exercise  
21 that involves state and locals as well as the utility  
22 participate. And those are generally evaluated, I  
23 would say generally but they are all evaluated to my  
24 knowledge, the biannual exercise, by the NRC looking  
25 at the on-site, by FEMA or DHS, looking at the off-

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 site part of that. If there are deficiencies  
2 identified, they need to be corrected whether they are  
3 on-site or off-site. And we'll talk a little bit  
4 about that too as we move forward.

5 MEMBER MAYNARD: While we're on the  
6 division responsibilities, I may have misread it but  
7 it seems to me that in either the reg. guide or the  
8 draft guide, it talked about the licensee needing to  
9 submit off-site procedures, and I don't believe that  
10 has been in the past and it looks like it could really  
11 cause -- guess I would like to have some comments on  
12 that. It doesn't seem appropriate to me.

13 MR. BARSS: We'll talk about that a little  
14 bit later.

15 MEMBER MAYNARD: Okay, that's fine.

16 MR. BARSS: That's in here.

17 CHAIRMAN WALLIS: I am going back to my  
18 reasonable assurance of public health and safety. I  
19 don't quite know what that means. I mean, if you have  
20 10,000 people on the beach and something happens at  
21 Seabrook, do you expect no injuries of any sort to  
22 those all 10,000 people? What does reasonable  
23 assurance mean?

24 MR. BARSS: That's a good question. It  
25 means in our concern that you have a plan that you can

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 implement, that could provide for the evacuation. The  
2 basis of emergency planning --

3 CHAIRMAN WALLIS: But it could be a very  
4 poorly implemented plan, and there could be quite a  
5 few injuries.

6 MR. BARSS: Remember, the purpose of  
7 emergency planning is not dose avoidance, but dose  
8 reduction. And that's the intent here is to save  
9 dose, if you can, if there is going to be an event.

10 CHAIRMAN WALLIS: You have to have some  
11 idea of how, when your plan is good enough. I'm not  
12 quite sure. Maybe you're going to explain that to us?  
13 There are good ways of telling when your plan is good  
14 enough.

15 MR. BARSS: And that's what our review  
16 process and our exercise process is, is the review  
17 establishes whether or not you have a workable  
18 mechanism that meets the requirements that we've  
19 established. And then through exercise, you  
20 demonstrate the capability of implementing that plan  
21 and being able to --

22 CHAIRMAN WALLIS: Your objective is to  
23 have nobody suffer in any way?

24 MR. BARSS: No, I did not say that. I  
25 said the purpose of emergency planning is dose

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 savings. To have a plan in place that if there is  
2 going to be an event, you have a way of mitigating  
3 that somehow. And if you can't mitigate it but  
4 there's going to be an off-site release, that you have  
5 a way of reducing or minimizing the dose that the  
6 public could be receiving.

7 MEMBER POWERS: There is somewhere in the  
8 various things that the Agency has published on  
9 emergency planning, a very nice hierarchy, where it  
10 says the first thing to do is avoid a lethal dose.  
11 Then once you've been able to do that it moves down  
12 into the point that you have nobody being dosed at  
13 all. But it takes it stepwise into thinking about  
14 things. It's a nice hierarchy.

15 MR. BARSS: You need to remember, the  
16 emergency plans are developed and we talk about the  
17 ten mile and 50 mile EPZ. There was a whole range of  
18 considerations that went into, or how big of a plan --  
19 amount of planning area do you need, which accident do  
20 you have to worry about, and the conclusions that were  
21 made long ago is you don't worry about any particular  
22 accident. You look at a range of them and you have to  
23 have the capability to implement what would be  
24 necessary for the worse case accident, but you don't  
25 want to have to plan for the worst-case accident

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 because that would be rather constraining or limiting.

2 What you need is something that you can  
3 expand, should that happen. And you kind of pick  
4 something that is reasonable and I don't want to say  
5 in the middle, but that is reasonably implementable  
6 and plannable.

7 As we've already talked about, there are  
8 16 planning standards in NUREG 0654. They are found  
9 in  
10 -- I'm sorry, in 10 CFR 50.47(b). That's where the 16  
11 planning standards, you find them in the regulation.  
12 Also in appendix E to 10 CFR 50 is additional  
13 requirements for emergency planning. Originally,  
14 appendix E was what was there, the 50.47(b) stuff what  
15 was added later after Three Mile Island. In reg.  
16 guide 1.01, that's where we the NRC tell the world  
17 that we will use the Reg 0654 FEMA-REP-1, Rev.1 as the  
18 acceptance criteria for our review of emergency plans  
19 in accordance with the regulations. In also reg.  
20 guide 1.01, I believe it's revision 4 of that, we  
21 identify NEI 99-01 as an alternate set of emergency  
22 actions or EALs that can be used.

23 There are others, schemes, other emergency  
24 actions or schemes that can be used but the N 99-01  
25 document is the latest and probably the most viable

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and what we expect most people to go to and I believe  
2 Alan Nelson will talk about that a little more later  
3 today.

4 There are some other things in emergency  
5 preparedness in the regulations I want you to be aware  
6 of. As I said, 10 CFR 50.54(q) is a license condition  
7 that applies after the license is issued. That  
8 requires an applicant to maintain in effect an  
9 emergency plan that meets the previously stated  
10 requirements. Once they've got the license they have  
11 to continue to do that.

12 There is also in 50.54(s) again,  
13 conditions of license, what I call the deficiency 120-  
14 day clock. If, in running an exercise or our  
15 inspections or whatever, we identify a deficiency or  
16 FEMA identifies a deficiency in the off-site plans, we  
17 can initiate what's known as a 120-day clock, which  
18 gives the applicant or the licensee at that point the  
19 opportunity to correct whatever that deficiency is.  
20 And they get that time frame because emergency  
21 preparedness is kind of a backup measure to the  
22 multiple barriers and things which we have. It's  
23 important but it's not critical to the safety at that  
24 point. It's only a planning deficiency usually that  
25 needs corrections, so we want to see it done timely

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 but it's not an immediate action.

2 At the conclusion of that 120-day clock or  
3 process, and it's a whole process that it goes  
4 through, if the applicant hasn't, or the licensee  
5 hasn't successfully remedied or at least shown us a  
6 plan of how they're going to remedy that, the agency  
7 does have the opportunity or the ability to shut the  
8 plant down until such time as that is corrected. So  
9 that capability exists in our regulations today.

10 MEMBER BANERJEE: Are these plans mainly  
11 evacuations and --

12 MR. BARSS: No.

13 MEMBER BANERJEE: -- shelter or what --

14 MR. BARSS: Yes.

15 MEMBER BANERJEE: -- what are the crux of  
16 this?

17 MR. BARSS: Well the plans are, one, the  
18 first part is identifying that you have an emergency.  
19 The second part of that is knowing who to contact.  
20 And the third part is once you contact them, providing  
21 them a recommendation as to what's going on and what  
22 they, you think they need to do as a licensee. Then  
23 it's the responsibility of the off-site agency,  
24 whichever level that information goes to and the  
25 decision-makers are, is to decide what type of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 protective action they would need to take and then  
2 implement that protective action based upon the  
3 conditions, the recommendations, the local conditions,  
4 the weather conditions, many factors. And that could  
5 be --

6 MEMBER BANERJEE: But what are the options  
7 they have?

8 MR. BARSS: The options are shelter, tell  
9 people stay where they are. Evacuate, a combination  
10 of those. It depends on the event and the conditions.  
11 There is --

12 MEMBER BANERJEE: Iron tablets?

13 MR. BARSS: Potassium iodide, KI, is one  
14 of the options involved that they can --

15 MEMBER BANERJEE: There aren't that many  
16 things you can do, right?

17 MR. BARSS: Pardon?

18 MEMBER BANERJEE: Are there a lot of  
19 things that you can do, or --

20 MR. BARSS: Well, those are the three  
21 primary ones. It's shelter, evacuate or take KI.  
22 That's --

23 MEMBER POWERS: There are within each one  
24 of those many subcategories. You could have preferred  
25 sheltering. You could have radial evacuation. You

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 could have non-radial evacuation.

2 MEMBER MAYNARD: Another big part of the  
3 plan is the staff necessary to try to mitigate  
4 whatever release, so a big part that's going on is to  
5 try to prevent any release too. That's all part of  
6 the emergency plan too.

7 MR. BARSS: And the important thing here  
8 is, the plan is probably the most important thing in  
9 that, you have established and you do this through  
10 your exercises, the communication links, where people  
11 know who to talk to. They know how it functions.  
12 Because we don't know what the accident is going to  
13 be. And what the conditions are going to be when the  
14 accident happens.

15 So you have to kind of, I don't what to  
16 say wing it, but emergency planning, a lot of  
17 emergency planning, emergency response is done on a  
18 wing-it basis. You take what plans you have. You  
19 take the conditions you have, and you figure out  
20 what's the best course of action using that  
21 information and move forward. Having a structured  
22 plan that you practice regularly gives you a structure  
23 and a knowledge base to wing it effectively.

24 (Laughter.)

25 CHAIRMAN WALLIS: You've got to move a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 large number of people who are all doing different  
2 things. I may be out there, or not me or someone may  
3 be near Vermont Yankee out there on a winter's day  
4 cross-country skiing somewhere, you know. And there's  
5 an accident. How is this person to know something has  
6 happened?

7 MR. BARSS: If he's out cross-country  
8 skiing, then he deserves what comes to him -- we have  
9 standards.

10 (Laughter.)

11 MR. BARSS: That's an important  
12 consideration. And there are hunting areas, all  
13 kinds of fishing areas ---

14 MEMBER BONACA: You do have sirens --

15 MEMBER MAYNARD: You have a siren system.

16 MEMBER BONACA: And ultimately, the state  
17 is the one responsible for implementing whatever they  
18 want to do.

19 MEMBER CORRADINI: Just to, just to get  
20 back to Professor Wallis' question though, just to  
21 push the point. I mean, at least in Wisconsin, the  
22 same FEMA or the emergency planning at least there  
23 whenever I hear a siren, the first thing one thinks of  
24 is tornado. And there is a series of radio stations  
25 or connection points that you then have to go to if

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you want to know more. Either it would be radio or  
2 television to find out what that siren means. But  
3 that, as I remember it, since --

4 CHAIRMAN WALLIS: When I hear a siren, I  
5 think my local fire department is out putting out a  
6 fire.

7 MEMBER CORRADINI: Oh, it's a different  
8 siren for the FEMA --

9 MR. BARSS: Generally, the siren is a 3-  
10 minute blast so you will know that there's something  
11 going on. But, more importantly, each of the plans  
12 has to have specific to its area, and this is one of  
13 the things that DHS looks at, figure out how to handle  
14 transients like that. If you have large recreational  
15 areas, we expect them to have specific plans as to how  
16 they will get that information to them.

17 A lot of the time it is done with posters,  
18 information, things in the phone book, posters at the  
19 facility. There's hopefully training for people that  
20 work at the facility and they would know to tell  
21 people, here's what you do in this event.

22 So there is a lot of that that goes on  
23 ahead of time and that's part of the exercise, I  
24 guess, to make sure that those plans can be  
25 implemented, that those people know how to do that and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 can accomplish it.

2 CHAIRMAN WALLIS: I don't want to belabor  
3 this, when we went to Vermont Yankee for a power  
4 uprate, we had a lot of people from the public there  
5 who talked to us and made statements. And one of the  
6 things that came up many times was this lack of  
7 confidence in emergency planning. They said they had  
8 sort of rehearsals and things and the buses didn't  
9 show up at the school and things didn't happen.

10 Is that being sorted out effectively or is  
11 this something that's in their perception which is not  
12 true or what?

13 MR. BARSS: Without discrediting those  
14 folks, I would say it's in there perception and not  
15 true, because we have an evaluation done on those  
16 exercises and if there are findings, we make sure that  
17 they're correct, that DHS does that.

18 CHAIRMAN WALLIS: So it could be rumors  
19 and things?

20 MR. BARSS: It could be rumors. And we do  
21 get what we refer to as allegations, frequently, from  
22 individuals, where they say hey, you know, this is  
23 supposed to happen and it's not happening and here's  
24 my reasoning and then we go out and we investigate  
25 these things and we resolve those allegations and get

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 back to the people.

2 We take each and every one of those  
3 instances very seriously. We even have these things  
4 come up when we have public meetings for the new sites  
5 where people will come up and say hey, this is an  
6 existing site, well I have a problem with what's going  
7 on there now. That becomes if not an allegation,  
8 something that we do look at and consider and make  
9 sure that the question is answered.

10 MEMBER MAYNARD: Not all exercises are  
11 full-blown exercises where you actually evacuate  
12 people and everything like that.

13 MR. BARSS: I would say we never evacuate  
14 people. Our regulations specifically state that we're  
15 not supposed to make people move because that would be  
16 unnecessarily --

17 MEMBER MAYNARD: But there are times when  
18 you have an exercise you'll have maybe one school bus  
19 and you'll have one group. It's all voluntary. It's  
20 not a mandated thing, but typically, you're not going  
21 to get all the buses. You make sure that you can find  
22 the people that you need and everything like that, but  
23 it could be the public could easily perceive that  
24 things aren't happening if they don't see those  
25 things, but they really are being taken care of.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: I guess it must be very  
2 difficult because suppose there's a major snowstorm in  
3 a place and you have this happening. One thing, the  
4 range of the sirens is decreased and also people can't  
5 move.

6 MR. BARSS: That's where you rely on the  
7 local authorities to make the right decision based  
8 upon the existing conditions.

9 CHAIRMAN WALLIS: Ad hoc.

10 MEMBER MAYNARD: That's one of the major  
11 considerations. Some times you come into sheltering  
12 as opposed to evacuation and stuff.

13 MR. BARSS: As I've said, you've got the  
14 plans, but the important thing is you have knowledge  
15 of people to make the right decision.

16 MEMBER MAYNARD: But the other thing, if  
17 you have some severe weather, licensees have  
18 requirements also to report if they have a situation  
19 that has degraded their ability to execute their plan  
20 and what compensatory measures that they've put in  
21 place for that too.

22 MR. BARSS: And in fact, when we have  
23 hurricanes or other major events such as that, we do  
24 monitor around the plants. We make contact with DHS  
25 to find out whether or not there are concerns that we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 need to be aware of and if there are, we make sure  
2 that the appropriate things are taken care of. The  
3 most notable example of that is Hurricane Andrew. It  
4 went through Florida and the site there, Turkey Point  
5 site, and in fact, the plant remained shut down for a  
6 considerable amount of time until the roads were  
7 cleared because there were palm trees laying all over  
8 the road. The plant was in good shape and could run,  
9 but the evacuation wasn't cleared, so they remained  
10 shut down until such time as those things were  
11 remedied and there was better off-site conditions.

12           Just two last points. I don't know if I  
13 talked about the reality presumption; 50.47(c) came  
14 about pretty much because of the Shoreham and the  
15 Seabrook type events. What that section of the Code  
16 of Federal Regulations is basically it says if there  
17 is a situation where the off-site agencies have  
18 refused to participate or no longer want to  
19 participate, the licensee or the applicant can provide  
20 an emergency plan to cover that situation. And we can  
21 evaluate that plan and what is known as a reality  
22 presumption, as I've called it here is, when there is  
23 a real emergency, the state and locals are going to  
24 use whatever plan is available and they will act to  
25 protect their public and based upon that, we have the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 authority through the regulations and the ability to  
2 approve those plans and have confidence that they can  
3 be implemented when the time comes to do that. So  
4 that provision exists in our plan or in our  
5 regulations already.

6 Again, a point, remember, there are two  
7 sets of plans. Actually, I would say there are  
8 multiple sets of plans. There is the on-site, the  
9 utility plan; and the off-site, which could be the  
10 state and local. When you start talking about locals,  
11 you've got counties, you've got townships, you've got  
12 towns, you've got hamlets and there can be up to 20,  
13 25 different individual plans involved in one -- for  
14 one utility. So there are multiple plans that need to  
15 be reviewed and looked at.

16 MEMBER MAYNARD: Multiple states too.

17 MR. BARSS: Multiple states, multiple  
18 jurisdictions and sometimes countries, depends on  
19 where they build them.

20 Going back a little bit, in Part 50, it's  
21 a two-step process where we issued a construction  
22 permit and then later we issued an operating license.  
23 That process, as we know, from the Shoreham and  
24 Seabrook and other plants, was a difficult process so  
25 in 1989 we were directed. We came back with an

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 alternative licensing process which you're familiar  
2 with. It's called Part 52. And I won't spend a lot  
3 of time on that, but it was to improve the regulatory  
4 efficiency at greater predictability. It's  
5 essentially the same information as Part 50, the  
6 process is a little different. It combines that  
7 construction and operating license into one license,  
8 one permit, and it adds these what we call ITAACs,  
9 inspection, test, analysis and acceptance criteria.  
10 And that criteria, that acceptance criteria, that's  
11 what provides us the reasonable assurance that the  
12 facility is going to be constructed and will operate  
13 in conformity with the license and the applicable  
14 regulations. That's what's built into the process  
15 now.

16 Understand that as we go through the Part  
17 52 process before they can load fuel, they have to  
18 clear those ITAACs. They can clear the ITAACs  
19 individually as they go along through construction.  
20 We will publish that in the Federal Register at least  
21 180 days before this scheduled initial fuel loading.  
22 There is a publication made in the Federal Register of  
23 that intent for operation and that provides then an  
24 opportunity for one last chance at hearings for any  
25 intervenors or petitioners, if they can show at that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 point that the acceptance criteria has not been met.

2 Important to remember in the licensing  
3 process now in Part 52 and it's currently in 52.79(d)  
4 in the proposed or changes to the regulation will be  
5 52.79(22). It's important that they, in their  
6 application provide to us, the NRC, certifications  
7 from off-site agencies that have emergency  
8 preparedness responsibilities that those agencies  
9 agree that the plans are practicable, that those  
10 agencies are committed to further development of those  
11 plans including field demonstrations which can be  
12 interpreted to be exercises and whatever else they  
13 need to do, and that those off-site agencies are  
14 committed to executing the responsibilities, so before  
15 we're going to begin reviewing that COL, we have to  
16 see those certifications and those certifications have  
17 to accompany that application.

18 MEMBER MAYNARD: This is compatible with  
19 the 50.47(c) as far as if you end up with the  
20 situation where there's, they're not playing, so to  
21 speak?

22 MR. BARSS: If there is agreement that the  
23 plans are practicable and they're committed to further  
24 developing and that they agree to execute those, I  
25 think that they're participating or if they agree to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1       them.  So you get -- this allows you to get out of  
2       that adversarial relationship where they say we're not  
3       going to participate, not involved.

4                   MEMBER MAYNARD:  What if they don't  
5       provide --

6                   MR. BARSS:  If they don't, then if they're  
7       not agreeing that the plans are practical, then I  
8       think we're at an impasse and I would leave it to our  
9       lawyers to decide what we do there.

10                   MEMBER CORRADINI:  Actually, Otto is  
11       bringing up something that we were kind of thinking  
12       about here which is so if A, B and C are not met, then  
13       they can't go forward with the COL.

14                   MR. BARSS:  That is my read of this is you  
15       wouldn't go forward with the COL.

16                   MEMBER CORRADINI:  But just to say it from  
17       the standpoint of in deference to 50.47(c), in that  
18       case, there was a construction permit.  I'm just doing  
19       the old version of this.  There was a construction  
20       permit.  They built the plant, it's been inspected.  
21       They're now trying to obtain a fuel load and there's  
22       no participation by the state and local or some  
23       portion of the state and local agencies.  And then  
24       50.47(c) is triggered.  There's no equivalent in 52.  
25       That's what I'm kind of -- that's what I'm kind of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 asking here.

2 MR. BARSS: The equivalent in 52 is that  
3 the licensee can submit a plan that they developed on  
4 their own in Part 52, just as they can in Part 50.  
5 But there still needs to be this certification that  
6 the plans are practical, that they're committed to,  
7 that the off-sites are committed to participating in  
8 that and that they'll execute their responsibilities.

9 If you can't get that certification, then  
10 I'm not sure what they do.

11 CHAIRMAN WALLIS: How do you certify the  
12 plants are practical?

13 MR. BARSS: I'm not sure yet.

14 MEMBER CORRADINI: Let me ask this  
15 question differently, would you expect the -- so let's  
16 break it down into pieces. If it was on an existing  
17 site, a practical plan from all, you have empirical  
18 evidence what were past practical plans, so that would  
19 be it.

20 If it was a green-field site, in some terrain,  
21 geography, whatever that was similar to existing  
22 sites, but wasn't an existing site, still you have  
23 some empirical evidence of practical. So it would  
24 have to be a not making those two areas where I'd have  
25 some potentially unusual set of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Am I off-base? I'm just trying to think

2 --

3 MR. BARSS: As far as what is practical,  
4 I guess that's in the eye of the beholder there and  
5 coming to decision. If someone has developed a plan

6 --

7 CHAIRMAN WALLIS: Certification can't be  
8 so flexible that it is just in the eye of the  
9 beholder.

10 MR. BARSS: You need to remember that  
11 emergency planning is expected to be an integrated  
12 plan. This isn't just the utility saying okay, I'm  
13 going to build a plant and here it is. There needs to  
14 be an agreement that these -- this is how we're going  
15 to do business and is this going to work? And that's  
16 where the practical part comes in, that there's  
17 agreement to that.

18 We certainly have -- we've got 65 sites  
19 out there built in many different regions of the  
20 country with different government and organizations  
21 and different people, so it's quite practical to  
22 develop an emergency plan for just about anywhere.  
23 It's just getting the parties to agreeing and working  
24 at it to make that happen.

25 CHAIRMAN WALLIS: The big challenge from

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the public about this practicability, presumably  
2 there's some way in which you can respond which is  
3 convincing?

4 MEMBER CORRADINI: There's somebody who  
5 seems to be waving.

6 MR. MUSICO: Excuse me, if I can help?  
7 This is Bruce Musico. I'm a Senior Emergency  
8 Preparedness Specialist. I worked with Dan on this  
9 document in Emergency Planning.

10 Just to clarify an issue, the question was  
11 if we failed to obtain or the applicant failed to  
12 obtain the appropriate certifications from the off-  
13 site, could they still get the COL. The answer is  
14 yes, they could. If you look at 52.79(22)(c)(ii), it  
15 says "if certifications cannot be obtained after  
16 sustained good-faith efforts by the applicant, then  
17 the application must contain information including a  
18 utility plan, sufficient to show that the proposed  
19 plans provide reasonable assurance that adequate  
20 protective measures can and will be taken in the event  
21 of a radiological emergency at the site."

22 In essence, if you obtain the appropriate  
23 certifications that address these criteria, there's no  
24 need for utility plan. The off-site state and locals  
25 are playing. If you cannot obtain these for whatever

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 reasons, then they couldn't get the COL and the  
2 utility plan would have to be developed to account for  
3 off-site emergency planning. So I hope that clears it  
4 up for you.

5 MEMBER MAYNARD: That is helpful.

6 MEMBER ARMIJO: How could a utility plan  
7 work without the cooperation of the local and state--

8 MEMBER POWERS: The Commission's decision  
9 was, in fact, that the local authorities would, in the  
10 event of an emergency, participate. It's impossible  
11 to believe that they would not.

12 MR. BARSS: That's where 50.47 comes in  
13 and the reality presumption is that when the problem  
14 is there, they're going to act to protect and save the  
15 public. They're not going to ignore that fact.  
16 They're going to have to.

17 MR. MUSICO: Let me add to that. This is  
18 Bruce Musico again. 50.47(c) is sometimes referred to  
19 as the realism rule. There's a presumption or  
20 assumption that where you have state and local  
21 agencies that have stated in some way that they are  
22 not going to play, if there is an emergency at the  
23 plant, they're not just going to run away. There's a  
24 presumption that in reality, they're going to utilize  
25 any existing plan that can help them protect the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 public around that area. That's called the realism  
2 rule, 50.47(c).

3 Now that was what occurred about Seabrook  
4 and Shoreham and some staff view that as a band-aid to  
5 the rules. Subsequent to that, my understanding is  
6 that Congress directed the NRC to fix the problem,  
7 hence the development of Part 52 to account for all  
8 these issues before the plant is built.

9 If you look at the administrative  
10 legislative history of the Part 52 rulemaking, you'll  
11 see that language in the discussion where it talks  
12 about you want to settle these issues prior to  
13 spending \$2 billion building a plant and then finding  
14 you can't operate it.

15 MEMBER MAYNARD: And I think from a  
16 practice standpoint, it's not going to be an issue  
17 much with the new plants coming on, recognize that for  
18 the plants when the existing rules were imposed, many  
19 of these plants were either already built or in the  
20 process of being built.

21 Now I don't think too many people are  
22 going to build one in an area where they did not  
23 believe they would get some support from them.

24 CHAIRMAN WALLIS: This agency's  
25 responsibilities, would that include, for instance,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 local police department?

2 MR. BARSS: Yes.

3 CHAIRMAN WALLIS: But there are police  
4 departments in towns in New Hampshire and Vermont. Is  
5 there no confidence in the citizenry at all? There  
6 are all kinds of things that happen in small towns  
7 with police departments, give rise to scandals and  
8 hassles and dismissals.

9 MR. BARSS: They are all part of the  
10 planning process.

11 CHAIRMAN WALLIS: They're all part of  
12 this. You're dealing with people. I can just see all  
13 kinds of things that come into this.

14 MEMBER MAYNARD: They have to have a  
15 responsibility.

16 MR. BARSS: They're part of the process.  
17 They're part of the planning. They have  
18 responsibility, but there are state laws and  
19 regulations that identify who has the decision-making  
20 process and who has signature authority for those  
21 things and that's where you need to get the  
22 certifications.

23 MEMBER BONACA: Plus, I mean, there is a  
24 planning phase. For example, all the roads by which  
25 you are going to evacuate are identified and the rules

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 are made on who controls them. I mean there is full  
2 planning in place. Now they also tested the  
3 emergencies, in fact, because if only the plant does  
4 the emergency exercise, there is local authority that  
5 is trying to get lessons learned. So to what degree  
6 may work in a natural condition, I don't know. But  
7 the planning is there.

8 MR. BARSS: Another thing to remember too  
9 is that the Nuclear Emergency Plan, or the  
10 Radiological Emergency Plan is generally a small  
11 subsection of the all hazards emergency plan that a  
12 community will have. It's not the only thing that  
13 they have to worry about. They've got trains going  
14 through their community, they've got trucks from the  
15 highway with chemicals in them, things like that.  
16 This is just another hazard, but it's only one of  
17 many. And most police and fire departments and most  
18 emergency services people know how to deal with those  
19 things and deal with them quite frequently. And this  
20 is just another aspect of the planning that they do.

21 MEMBER SIEBER: And it's not only local  
22 police, it's the county sheriff and the state police,  
23 and they have a hierarchy they use if they need  
24 additional assistance.

25 MR. MUSICO: Let me add something. This

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 is Bruce Musico again. To address the question more  
2 specifically with respect to individual police  
3 departments, one of the items that we look at in order  
4 to support our reasonable assurance determination in  
5 most cases is the existence of letters of agreement  
6 that have been put together that are available prior  
7 to us making that final finding.

8 Now understanding that the reasonable  
9 assurance determination made pursuant to 10 CFR  
10 50.47(a) is not a conclusion of absolute assurance.  
11 It's reasonable assurance. And the way that we make  
12 that reasonable assurance, there may be deficiencies,  
13 but we utilize NUREG 0654 primarily, which has very  
14 detailed evaluation criteria in it. We look at the  
15 individual evaluation criteria and looking at it as a  
16 whole, we determine can they reasonably respond to an  
17 emergency. Is the super structure in place, are the  
18 agreements in place, and we make a call on it. Again,  
19 it's a subject matter expert call, in our judgement is  
20 there are reasonable assurance? I don't believe  
21 reasonable assurance is defined anywhere, but again  
22 reasonable assurance is not absolute assurance.

23 MR. BARSS: All right. Let me move  
24 forward if I can, and this may create more fireworks  
25 but there is in the proposed regulation a new

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 50.54(gg), which allows operation --

2 CHAIRMAN WALLIS: G or --?

3 MR. BARSS: GG. It's double g, it's double  
4 g. That's correct, it's not a typo. It allows  
5 operation of up to five percent power with off-site  
6 deficiencies. That's very much like what is already  
7 in there under 50.47(d) in the existing regulation,  
8 and basically that provision became necessary looking  
9 at the ITAAC process and how it works in that the on-  
10 site agents or the on-site plan and the utility is the  
11 ones reasonable for ITAACs, but there can be things  
12 off-site that need to be developed further after the  
13 COL is submitted. Certainly there will be, but they  
14 can't really write an ITAAC because it's the licensee  
15 that has to do ITAACs, not the off-site. So there may  
16 be conditions or things which need to be finished or  
17 resolved after the exercise has been conducted, and  
18 that's what this provision is meant to employ or to  
19 accommodate. And remembering that there is the  
20 50.54(s), which we talked about earlier, that we  
21 maintain the ability to shut a plant down any time,  
22 should there not be reasonable assurance to adequately  
23 protect the health and safety of the public.

24 MEMBER KRESS: Was the determination made  
25 that five percent power public health and safety is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 safe enough even without an evacuation?

2 MR. BARSS: It's not that there  
3 is not an evacuation. There are criteria in 50.54(g)  
4 and in 50.47(d), they're exactly the same criteria.  
5 There are seven criteria with regards to the off-site  
6 plan that we do need to look at, and have some level  
7 of confidence that they exist. So it's not saying  
8 that there is a complete absence of any off-site  
9 planning. It's saying that the off-site planning may  
10 not be fully complete or may not be the FEMA finding  
11 of reasonable assurance there. But I would say that  
12 there are major pieces of that plan in place and  
13 functional.

14 MEMBER KRESS: That's part of the  
15 definitions of deficiencies in, that they not be a  
16 bridge out of --

17 MR. BARSS: Bridge not built yet --

18 MEMBER KRESS: Or something.

19 MR. BARSS: Generally, a bridge-out, and  
20 it happens frequently in construction and things like  
21 that, they have alternate means and the locals know  
22 how to do that. That's not really a significant --

23 MEMBER KRESS: But I was wondering, if  
24 off-site deficiencies actually has some sort of  
25 definition?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. BARSS: It does. In the FEMA  
2 regulations, there is a definition for that. I'm not  
3 sure that I can quote it exactly, but basically if I  
4 remember right it says that in an exercise, if you  
5 identify something that in real life would have  
6 prevented them from protecting the health and safety  
7 of the public, then that's considered deficiency. If  
8 they cannot physically do what their plan says they  
9 should be able to do, that's a deficiency. And that  
10 needs to be fixed. It's a fairly high bar.

11 MEMBER KRESS: It seems to imply to me  
12 that the five percent power is okay without an  
13 evacuation, or without emergency planning.

14 MR. BARSS: Well, the source term is low  
15 enough at that point.

16 MEMBER KRESS: Well, I just wondered if  
17 that was the basis of that.

18 MR. BARSS: That is, I think, the basis  
19 for that number is the fact that the --

20 CHAIRMAN WALLIS: Why is the source term  
21 low if you have five percent power for a very long  
22 time.

23 MEMBER CORRADINI: You'd have to  
24 do the equivalent of 20 years at five percent power to  
25 get close to that.

CHAIRMAN WALLIS: In saturation.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1                   MEMBER MAYNARD: First of all, I don't  
2 think you're going to find plants operating for a long  
3 period of time at five percent power. What this  
4 really allows them to do is go ahead and load fuel and  
5 do a lot of the testing for plant systems, and get  
6 some of their physics testing out of the way. But  
7 you're not going to set there a long time. You're not  
8 going to make any money off of five percent power.  
9 You're better off shutting down.

10                   CHAIRMAN WALLIS: But you're operating at  
11 full pressure and temperature and all of that?

12                   MEMBER MAYNARD: Yes.

13                   CHAIRMAN WALLIS: So the typical accident  
14 might be very similar.

15                   MEMBER SIEBER: If your boiler --

16                   CHAIRMAN WALLIS: Just as your inventory  
17 is left?

18                   MEMBER CORRADINI: Decay heat is  
19 proportional to your power. You're not going to have  
20 high burn-up fuel.

21                   MEMBER MAYNARD: It depends on how much  
22 inventory you've got.

23                   MR. BARSS: Let me move forward, if I can.  
24 Part 52, the combined license, there are, as we said,  
25 two additional considerations there. In the combined

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 license you can incorporate by a reference a design  
2 certification and an early site permit. That adds a  
3 degree of excitement or difficulty to us in the  
4 emergency planning world and I'd like to explore some  
5 of that with you.

6 One of the things to remember though that  
7 once we issue an early site permit in a design  
8 certification, the things which we resolve in those  
9 permits or those certifications is -- are considered  
10 or they're precluded at that point from  
11 reconsideration at the COL stage. That gives the  
12 applicant some finality in that once we've made that  
13 finding on the design certification, or the early site  
14 permit, particularly pertaining to emergency planning,  
15 they get the finality and that issue is not reopened,  
16 once they come in for the COL. That's what's  
17 important to them and buys them a lot in this process  
18 and why they might pursue, particularly the early site  
19 permit in looking at emergency planning.

20 In subpart B of Part 52 is where it talks  
21 about the design certification. It's important to  
22 note there are no specific requirements for EP in the  
23 design certification.

24 In the early site permit, which is  
25 independent of plant design, it can be done for 10 to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 20 years and it's renewable for another 10 to 20  
2 years. And its intent was to resolve early issues  
3 such as site safety, emergency preparedness and  
4 environmental protection.

5 In the early site permit regulations in  
6 52.17, we find some unique things. First, is (b)(1).  
7 They are required, anyone who has applied for an early  
8 site permit, to identify the physical characteristics  
9 of the site that could cause a significant impediment  
10 in developing emergency plans.

11 Everyone that applies for an early site  
12 permit has to do that. Then they're allowed two other  
13 options. That's the minimum; (b)(1), all of them have  
14 to do that. They can choose either (b)(2)(i) or  
15 (b)(2)(ii), (b)(2)(i) being a major feature's plan  
16 where they could submit certain features and those  
17 features can be identified probably most easily if you  
18 take the 16 planning --

19 CHAIRMAN WALLIS: Let's go back to this.  
20 Almost all of these new plants will be on sites where  
21 there were existing reactors. They have an existing  
22 emergency plan. It must be very easy to say we have  
23 an existing emergency plan, here are its features.

24 MR. BARSS: That's correct. That is the  
25 great advantage of using the existing site. Yes.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER POWERS:  And it has never been --  
2                   it is not easy to do this.

3                   MR. BARSS:  It is not easy.

4                   CHAIRMAN WALLIS:  It's already there.  
5                   They already have this emergency plan.  And presumably  
6                   it's been approved and everything.

7                   MEMBER POWERS:  No, they don't.  They have  
8                   an emergency plan for an existing facility.

9                   MEMBER SIEBER:  They have to get new  
10                  letters of agreement.

11                  CHAIRMAN WALLIS:  Is it going to be very  
12                  different.

13                  MR. BARSS:  It could.  I will talk about  
14                  that as we go forward.  That's one of our  
15                  considerations is how they treat that existing plan in  
16                  their application.

17                  Remember two options to them here, major  
18                  features would be taking those 16 planning standards  
19                  and addressing some or all, some parts of -- some of  
20                  them or some parts of all of them, but not the entire  
21                  part.

22                  If they come in under (b)(2)(ii), complete  
23                  integrated plans, at that point they basically have to  
24                  send everything that they would for a COL at the early  
25                  site permit stage and that buys them the most as far

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 as certainly, is they can get their emergency planning  
2 part of it cleared at the early site permit stage.

3 MEMBER CORRADINI: So a clarification  
4 here, so you said it and I just want to repeat it so  
5 that I get it right. That under (b)(2)(i), they  
6 wouldn't address all 16 of the features, necessarily.

7 MR. BARSS: It's up to them to choose what  
8 they want to address.

9 MEMBER CORRADINI: And complete integrated  
10 implies addressing all 16 of the features? That's  
11 what I guess I'm trying to --

12 MR. BARSS: That's correct. Under  
13 (b)(2)(ii) complete integrated, they have to address  
14 the full spectrum of emergency planning as they would  
15 at the COL stage.

16 MEMBER CORRADINI: And then just to get  
17 back to Graham's question, when Dan was kind of  
18 explaining this to us, does that mean that under  
19 (b)(2)(ii) that then they would relate the plan to the  
20 other sites -- the other units that would be on the  
21 site?

22 Is that coming later? Okay, fine.

23 MR. BARSS: I'll get into that as we go  
24 forward. That's a significant issue.

25 MR. MUSICO: Dan, excuse me, can I clarify

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 something? This is Bruce Musico again. The  
2 distinction between the planning standards under major  
3 features are somewhat different than the planning  
4 standards under complete integrated plan. Where the  
5 planning standards for major features consist of 14 of  
6 the 16 basic planning standards, and then you have an  
7 additional planning standard that deals with the  
8 evacuation time estimates.

9 The scope of detail in the major feature  
10 planning standards are such that they merely require  
11 a description of various aspects of the plan, the  
12 proposed plan that's not in place yet. Compared to  
13 that, the complete and integrated plan would add two  
14 additional planning standards dealing with exercises  
15 and recovery/re-entry operations and what it would  
16 require is the implementation versus just a basic  
17 description of the earlier stage, it would require the  
18 implementation of the plants.

19 So major feature requires a description of  
20 what the plans would be. Complete integrated would  
21 require not only a description, but the  
22 implementation.

23 MR. BARSS: Not to confuse too much, but  
24 there is a minimum level and that's the description  
25 that Bruce has referred to, that we would need to see

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 in the major features part, but the way the regulation  
2 is going forward and the intent of the staff and our  
3 discussions with NEI is the major feature can be that  
4 minimum which is kind of laid out now in R002 and  
5 Supplement 2 to NUREG 0654 in that there's a minimum  
6 threshold of descriptions, but they can also flesh out  
7 the entire -- if they picked number two or B of those  
8 planning standards, they could flesh out the entire  
9 part of that and get that and they maybe did F and G,  
10 but that's the only ones they addressed, they could  
11 get those major features and get some certainty on  
12 those. But they're not getting the full plan.

13 MR. MUSICO: One more clarification,  
14 that's a good point. What Dan has just described is  
15 the proposed final rule for Part 52 that's not out  
16 yet. It's out for review. What I described is the  
17 current Part 52 rule.

18 MEMBER CORRADINI: Go ahead.

19 MR. BARSS: Hopefully, we don't have you  
20 too confused on that. We need to move forward.

21 There are also in 52.17(b)(3) if they  
22 choose either the minimum which is only the  
23 impediments part for the major features, they have to  
24 describe the contacts they've made and the  
25 arrangements with the off-site agencies that have the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 emergency preparedness responsibilities. If they  
2 choose the (b)(2)(ii), complete integrated plans, then  
3 they have to meet those same criteria we talked about  
4 under the COL application and that is that the plans  
5 are practical, that the off-site agencies are  
6 committed to further development and that they will  
7 implement or execute the responsibilities when the  
8 time comes.

9 Now let's get eventually, finally to the  
10 standards themselves.

11 MEMBER POWERS: Let me ask before you go  
12 to the next slide, but you may want to answer in  
13 connection with your next slides rather than  
14 immediately, have you attempted to benchmark your  
15 requirements and review standards for emergency  
16 planning against those of other countries?

17 MR. BARSS: I wouldn't say that we have  
18 done a line-them-up comparison, but I would say that  
19 many people on our staff have experienced through  
20 travel and review work. For example, myself, I've  
21 done two OSARTs. If you're familiar with what an  
22 OSART is, one in Mexico and one in the Czech Republic.  
23 So I have some knowledge of how their programs are  
24 implemented and how they do them.

25 Recently, this year, we sent someone to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 England and watched a plan or an exercise there. We  
2 had someone in Russia this year also from our staff.  
3 So we are aware and knowledgeable of how they do it.  
4 A lot of them use our regulations and our guidance or  
5 shadow it somewhat. But as far as benchmarking, have  
6 we lined them up side by side, I would say we have not  
7 done that specifically. But I believe that we are on  
8 parallel with them and I don't think that --

9 MEMBER POWERS: The fact that you might be  
10 commensurate with Czechoslovakia or Mexico or Russia  
11 is comforting, but I would think that you find some  
12 interest in comparing yourself against those that  
13 might take a different view and not be parroting  
14 American regulations such as Germany or France or  
15 Sweden and I -- or Belgium.

16 MR. BARSS: South Africa, too.

17 MEMBER POWERS: I'm quite certain that you  
18 would learn nothing in comparison yourself to South  
19 Africa, but you might learn something in Japan. And  
20 I'm wondering why that wouldn't be a good idea to not  
21 saying that they have anything better or worse or  
22 anything like that, but more as a benchmark, an  
23 edification, an exploration of the space for emergency  
24 planning.

25 I have no reason to think that they do a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 better job than you do. As you know, I have quite a  
2 great deal of confidence in your abilities in this  
3 area. But just for the -- the problem is that you  
4 lack peers. To some extent, FEMA might constitute  
5 peers of yours, but in truth because of your unique  
6 responsibilities to radiological protection of the  
7 health and public, you lack peers in this country.  
8 And so you have to go search for peers and your peers,  
9 you know, with equal levels of experience and equal  
10 sizes of nuclear communities would probably lie in  
11 Europe and Japan and probably not in Czechoslovakia or  
12 Mexico or Russia.

13 MR. BARSS: Let me add, beyond the scope  
14 of our discussion today, but currently before the  
15 Commission, in fact, is we did a review of our  
16 emergency plan regulations and our guidance documents  
17 and submitted it to the Commission some  
18 recommendations and they're right now writing the SRM  
19 and it may come out today or in the near future.

20 We've seen a draft already. But in that  
21 we're proposing to go through our regulations and to  
22 refresh some of them, do some revision work add in  
23 some of the things that have come out since 9/11, some  
24 of the security things that need to be put in the  
25 regulations and as part of that process, the process,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 we did some looking at some of the international  
2 things. And I believe as we go forward, and those  
3 that are responsible for that are in the room, we will  
4 do that, to look at that. That is a longer range  
5 project.

6 MEMBER POWERS: Long range, yes. Not on  
7 any crisis review. It's again peer review. Quite  
8 frankly, you carry a huge burden because you're kind  
9 of on your own right now and I think that if I were in  
10 your position I would relish the opportunity to share  
11 it with somebody with somewhat similar kinds of burden  
12 and experience.

13 MR. BARSS: I'm faced with the pleasant  
14 opportunity of doing that on a long-range. However,  
15 I do have a rather tight budget and time line getting  
16 ready for some new reactor applications that are  
17 coming in. So understanding that --

18 MEMBER POWERS: I understand there's penny  
19 wise and pound foolish.

20 MR. BARSS: Yes, I appreciate that wisdom.  
21 Let me move forward now. We've covered many of the  
22 points, but into the guidance documents themselves.  
23 The standard review plan 13.3 addresses emergency  
24 planning. It provides for us and when we do our  
25 review, how to review the emergency preparedness part

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 on a construction permit, an operating license, an  
2 early site permit, the standard design certification  
3 and also combined license. They're all covered in  
4 that same document.

5 The document includes the many things  
6 listed there. I'll try to expedite some of this, but  
7 it talks about the interfaces throughout the standard  
8 review plan, who looks at different sections of it and  
9 how we interface with different parts of it, the  
10 siting criteria and things like that, the  
11 instrumentation. Those all play into emergency  
12 planning and how we interact with those different  
13 parts of the plan or of the review itself.

14 It identifies the regulatory requirements.  
15 It establishes the acceptance criteria and identifies  
16 existing regulatory guidance to use. It provides the  
17 technical rationale. It outlines the review procedure  
18 that would be followed by a reviewer. It proposes  
19 some generic evaluation findings that can be used.  
20 There is an extensive reference list included in there  
21 and it also includes the generic EP ITAAC table which  
22 we'll talk more about in just a moment.

23 One of the considerations we've built into  
24 the standard review plan is how do we deal with  
25 existing programs? We mentioned this earlier. This

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 is important because an applicant has the opportunity  
2 to do many different things and in the three  
3 applications or four applications we've seen so far,  
4 for early site permits they've chosen each a different  
5 path it seems. They can -- I don't want to say  
6 ignore, but they can set aside the existing plan and  
7 create a separate and independent plan for the new  
8 facility.

9 They can use the existing plan almost  
10 wholly and just make minor modifications to it to add  
11 in the new features of the new facility or they can do  
12 some hybrid combination of both of those. And it  
13 depends upon what the applicant chooses to do, what  
14 amount of review work we have and what we have to look  
15 at. But what we have tried to state and make clear to  
16 everybody is that when we are looking at an existing  
17 program, the part we want to look at is is what's  
18 there applicable to the proposed reactor?

19 Is the information they're using  
20 applicable to this site, this design and does it  
21 apply? Is it up to date? Is it current in the form  
22 that they're providing it and does it reflect or  
23 incorporate that new reactor into the process?

24 That's how we plan on dealing with  
25 existing programs, using those three criteria as we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 look at them going forward.

2 MEMBER BONACA: Just a question I have, on  
3 this Section 13.3 ultimately, at the end of the game,  
4 the emergency plan will be what? Does it matter if  
5 you enter through with the, you know, early site  
6 permit or if you can't. So this is more, I mean, how  
7 flexible is the process to the fact that the applicant  
8 will maybe miss some information, but ultimately will  
9 have to get back to the emergency planning anyway at  
10 a later time, I mean.

11 MR. BARSS: At the COL stage, he won't  
12 miss anything. We're not going to let him

13 MEMBER BONACA: Right.

14 MR. BARSS: At the early site permit  
15 stage, it depends on what he chooses to do. But if  
16 he's chosen the minimum of just the significant  
17 impediments, it's not a very high hurdle to jump over.  
18 If he's chosen the major figures, he can address  
19 whatever he feels he can appropriately cover. If he's  
20 chosen the complete integrated plan at that stage,  
21 then it all needs to be in there. Like Ragu, it's all  
22 got to be there.

23 MEMBER BONACA: But you're leaving it  
24 pretty open, I mean.

25 MR. BARSS: It's open, but it's up to the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 applicant to choose which path they're taking. Once  
2 they've chosen that path, there's constraints as to  
3 what they need to do.

4 MEMBER POWERS: We'll be coming back to  
5 that in just a little bit. It can take any one of the  
6 16 categories for his major features, and he does so  
7 and he comes in and he persuades gosh and darn he's  
8 got the best damn thing I've ever seen in my life. He  
9 doesn't come into effect for 20 years, some not all of  
10 us, 16. But in some cases, that no longer reviewable  
11 plan is out of date badly. It may not be applicable  
12 anymore.

13 MR. BARSS: We expect that they will  
14 update that information when they come into the COL.

15 MEMBER POWERS: They're required to update  
16 it after they get started. But I'm not sure they're  
17 required to update it when they come in for the COL.

18 MR. BARSS: I believe we've built that  
19 into the regulation, that they are required to do that  
20 when they submit it. And we built in there, at the  
21 industry's encouragement, if you're familiar with the  
22 50.54(q) process, which says basically an applicant or  
23 a licensee can make changes to the plan. And these  
24 are done, emergency plannings are dynamic. We expect  
25 them to change and to grow. And they can make changes

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to that plan without our approval as long as they  
2 don't decrease the effectiveness of the plan. If they  
3 do something that's going to decrease the  
4 effectiveness of the plan, they need our approval  
5 first.

6 And we've stated in the regulation at  
7 least as it's proposed now that when they submit those  
8 revised plans or those updated plans, if they made  
9 changes under the 50.54(q) process or a like process  
10 that don't affect, or don't decrease the  
11 effectiveness, that's okay. But if they are going to  
12 decrease the effectiveness, they have to specifically  
13 tell us because that requires our review. But there  
14 is a process built into it.

15 MEMBER POWERS: You've answered my  
16 question.

17 MR. BARSS: EALs, Emergency Action Levels,  
18 and I believe Alan Nelson will talk a little bit more  
19 about that. The existing document NEI 9901 is  
20 applicable, but some of the EALs, and we expect them  
21 to use that document or whatever else they choose, but  
22 that's the one we expect most of them will use. We  
23 expect them to use that and most of those EALS will be  
24 applicable.

25 However, with the passive plant designs,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 particularly the AP 1000 and the ESBWR, there are a  
2 lot of those EALs that are currently existing that  
3 would no longer apply, such as ones dealing with off-  
4 site power and on-site diesels. You no longer worry  
5 about them with the passive plant, at least not from  
6 a safety standpoint. So there's some significant  
7 modifications that need to be made to some of those  
8 EALs. And the industry is working on that and we  
9 expect -- we'll let Alan tell us about what they're  
10 doing with that.

11 We do expect them to use the guidance  
12 that's in that document in developing those new EALs  
13 to address the passive reactors. The inspection test  
14 and analysis acceptance criteria or ITAAC. There's a  
15 generic table in there, these were developed by us and  
16 industry and DHS and public participation through a  
17 series of workshops, and as you know if you read the  
18 comments from NEI in the Standard Review Plan and also  
19 DG 1145, we've included the table of those.

20 We've expanded upon that table from what  
21 was reviewed and added some additional ITAACs that we  
22 think are usable. It's important to remember that  
23 these were based on existing criteria in NUREG 0654.  
24 That's where we started when we started looking at  
25 what could be ITAAC-able, as we call it.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           What the staff did was look for those  
2 things which we felt the applicant could not show us  
3 at the time of the application, but they needed to  
4 physically build something before they could show us  
5 that. That's the kind of thing that we thought they  
6 could ITAAC, and that's kind of the process we went  
7 through in developing them. When we expanded that, we  
8 were thinking particularly about an early site permit-  
9 type applicant, where you're talking about a 20 year  
10 or more time period before they may use that.

11           There may be a need for them to expand  
12 that ITAAC a little bit, where the original set that  
13 were developed were more focused on a COL applicant,  
14 where the construction was more likely to be within  
15 three to five years, than it was 20 years or more out  
16 window. So that's one of the reasons we added things.

17           We think ITAAC are the friend to everybody  
18 because they add some flexibility to the process and  
19 give the ability to do that flexibility. We support  
20 it. It's important to recognize that what we propose  
21 for the generic ITAAC are not all inclusive, nor are  
22 they exclusive. We expect that the applicant will  
23 have to pick and choose from them and all of the  
24 things that are in NUREG 0654 and decide which ones  
25 they want to ITAAC.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           The important thing to remember is the  
2           burden is on the applicant to propose those ITAACs.  
3           It's their responsibility to propose them and their  
4           responsibility to accomplish them and to report to us  
5           the accomplishment of them. We inspect to make sure  
6           that's been accomplished. But the ITAAC really are  
7           theirs to propose them to do. And these will be  
8           developed and approved on a case by case  
9           determination, depending on the applicant and what  
10          they're doing.

11           Off-site EP guidance. This is one of the  
12          comments that we'll get to later. But our document is  
13          rather scant referring to off-site things. It pretty  
14          much says what's on the slide there, that we will use  
15          the current REP-series guidance documents, the  
16          associated memorandums. These are guidance  
17          memorandums that FEMA published over the years and a  
18          document published in February of 2003, called  
19          Radiological Emergency Preparedness Planning Guide.  
20          It's kind of an update. Those are, as far as we're  
21          aware, the current available documents and that's what  
22          are going to be used until such times there are new or  
23          additional documents provided or produced.

24                   MEMBER CORRADINI: So there is nothing  
25          else simply because of the lack of it being exercised,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 or

2 --

3 MR. BARSS: Well, I wouldn't say being  
4 exercised. These documents are looked at and used  
5 every day as FEMA does their daily business. The  
6 people that are responsible for the off-site planning  
7 and the FEMA reviewers are very aware and know what  
8 their documents are and what they're using, and those  
9 that do the off-site planning are aware of them.

10 It's not that these things are a mystery  
11 and not well-known, but they are somewhat I would say  
12 in a state of flux because of the changes of FEMA from  
13 one organization to another and back again. Not that  
14 their guide's documents change, but there's been a lot  
15 of changes there and for that and probably other  
16 reasons there's not been a refurbishment of them or a  
17 publication of them. But certainly that's a project  
18 that is ripe for work on, I guess.

19 Again, FEMA is an independent agency. I  
20 don't speak for them. We rely upon them for their  
21 participation in this process and we work hand in hand  
22 with them. So these are their guidance documents  
23 pretty much.

24 MEMBER CORRADINI: Well, let me just  
25 translate what you said to go back to. So there is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 early in 13.3 guide on the second page it says  
2 something like it goes off -- it says, at a minimum,  
3 and applies it to the ESP, but I think it's applicable  
4 to COL also. At a minimum, the review includes, that  
5 is for off-site, it includes physical characteristics  
6 unique to the proposed site that could pose a  
7 significant impediment to emergency plans and the  
8 description of contacts or arrangements made with  
9 state, local, and federal government agencies,  
10 etcetera. So these three bullets essentially give  
11 further guidance beyond that, because as I search  
12 through the 13.3 for off-site guidance in terms of how  
13 you review it, what should you look for when you  
14 review it? As you said, it's scant.

15 MR. BARSS: It is. And NUREG 0654, which  
16 is a common document, is the base backbone that they  
17 will use. But there are additional guidance  
18 memorandums and things that they use that embellish  
19 upon that. And they are well known in the community  
20 of reviewers that I guess would be using them.

21 MEMBER CORRADINI: Okay, thank you.

22 MR. BARSS: Standard design criteria for  
23 emergency planning. As I said, there is nothing  
24 required. However, we do provide guidance in Section  
25 13.3 about that. Specifically, that the features that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 may be addressed, they need to be technically relevant  
2 to the design. They shouldn't be site specific and  
3 they should be usable at a multiple number of sites or  
4 units. That's one of the criteria we expect for what  
5 we would be looking at in design certification.

6 Generally speaking though, EP aspects are  
7 a programmatic type thing and would usually be left up  
8 to the COL applicant and not the designer to address.  
9 Some of the things that they could address though are  
10 the facilities, the functions, and the equipment that  
11 support emergency planning. Particularly, the TSE or  
12 the technical support center, the operational support  
13 center, personal decontamination facilities, things  
14 like that. They could choose to describe if they  
15 wanted to. There is guidance available which talks  
16 about where the location of those things should be the  
17 size, habitability of them, ventilation systems,  
18 things like that and they would need to comply with  
19 those guidance documents if they do choose to address  
20 them.

21 The emergency response data system or the  
22 safety parameter display system, SPDS, the voice and  
23 data communications, those are other things that they  
24 could also address should they choose to, but that's  
25 up to a designer, if they want. Again, no

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 requirement.

2 MEMBER CORRADINI: So if I could just turn  
3 to, Mr. Chairman, we're officially at the point where  
4 we should turn to NEI comments. Can we proceed a  
5 little bit longer on this because we're switching over  
6 to DG1145.

7 CHAIRMAN WALLIS: We seem to be getting  
8 very close to the end. Let's wrap this up quickly and  
9 move on.

10 MR. BARSS: Okay, basically DG1145  
11 provides guidance on EP information in a combined  
12 license as we talked about this morning. For custom  
13 design, one that's not referencing a certified design  
14 with an early site permit and it also addresses  
15 certified design in the certified design with an early  
16 site permit. That just basically tells the applicant  
17 what information they need to provide us and it  
18 addresses information that should be in both the  
19 application and the emergency plan.

20 There are basically two things that they  
21 need to submit to us. One is their application and  
22 there is a lot of information that would be in it and  
23 then along with that is the actual emergency plan  
24 itself.

25 When I say application and additional

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 information, the additional information is things like  
2 the state and local plans. Those are not the  
3 applicant's plans, but are things to submit. DG1145  
4 also addresses how to deal with multi-unit sites and  
5 some considerations there that we've addressed and  
6 again, that talks about the plans and how to integrate  
7 the plans and it also talks about the EP ITAAC and  
8 gives guidance on them.

9 We had some preliminary questions from you  
10 folks which I hope I've answered to some degree and I  
11 think we talked about many of them here. What  
12 substantive changes did Section 13.3 have? Really,  
13 there's no substantial changes in 13.3, but it  
14 integrates the Part 52 process. The things that are  
15 really new is the EP ITAAC, the predictive reasonable  
16 assurance finding be made, basically the COL stage  
17 instead of after they've demonstrated it in an  
18 exercise They still have to do that exercise before  
19 making a predictive finding much sooner and the timing  
20 of that exercise is different in the new Part 52  
21 process, where that exercise had to be completed  
22 before operating. If the license was issued, it has  
23 to be done before they can load fuel in order to meet  
24 that ITAAC that they will be presenting to us.

25 Guidance on green-field sites was another

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 question you had. In our opinion, existing guidance  
2 is applicable. We have 65 sites out there and they  
3 are all green-site at one time, so it's not something  
4 new to us. We do have guidance to address that. The  
5 green-field site was considered when we developed the  
6 ITAAC, that was one of the things in our mind, at  
7 least when we generated our initial -- that that is  
8 what do you with a site that's brand new and how could  
9 they do this?

10 We continue discussions with DHS to figure  
11 out what we need to review and on what level for a  
12 green-field site. It needs to be clear to everyone,  
13 the applicants and those present that the plans need  
14 to be submitted at the COL application stage and we do  
15 require those plans, but implementing procedures are  
16 not required with the COL application. The  
17 implementing procedures come later and they have time  
18 to develop that information as they go along.

19 Preliminary question we received about the  
20 completeness of the ITAAC table for the early site  
21 permit and I think I explained it, we've added a few  
22 ITAAC in there. Again, it's not all inclusive or  
23 exclusive and it's got the flexibility for the  
24 applicant to include what they want.

25 MEMBER CORRADINI: I'll wait until you get

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to comments.

2 MR. BARSS: Okay, diversity of the  
3 planning options, Mr. Powers asked about and it does  
4 include evacuation, sheltering or KI. If you look at  
5 NUREG 0654, particularly the planning standards or the  
6 subcriteria mentioned in there, J10, F, G and M, it  
7 gets into very specifics about using KI, about doing  
8 evacuation or about sheltering. That's part of the  
9 planning process and what we expect them to include in  
10 their plans to have those considerations as part of  
11 the planning, so there is the full spectrum of  
12 response capability there and then they can choose as  
13 appropriate when they need.

14 MEMBER POWERS: What experience tells us  
15 is that the combination of inspection emphasis and  
16 staff's prejudices leads licensees to draw logical  
17 conclusions and to deemphasize J10M, in favor of J10G  
18 and J10F is site- and locale-dependent, so whether  
19 they address it or not is -- but it's really the  
20 discrepancy between on sheltering and evacuation.

21 As we move toward plants whose risk-  
22 dominant accident is going to be a seismic event or  
23 the infrastructure to support evacuation, emergency  
24 plans gets degraded along with the plant, sheltering  
25 becomes much more important.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 My question to you is how do we counteract  
2 this emphasis that in the inspection of plans and the  
3 review of plans the emphasis on evacuation at the  
4 expense of sheltering?

5 MR. BARSS: And in fact, supplement 3 that  
6 was put out some time ago really pointed to evacuation  
7 as the preliminary thing we expected them to do. So  
8 that's true, there is an emphasis on that in the  
9 current mindset, I would say.

10 I think following our presentation here  
11 later today, you're going to have Randy Sullivan here  
12 talking about some studies that they're doing and one  
13 of the studies he's working on is looking at that.  
14 We're using Sandia Lab, look at what other things can  
15 you do instead of evacuating all the time, when would  
16 sheltering may be a better possibility? And that is  
17 being studied by this and will be factored in. We're  
18 giving a look at our regulations and our guidance and  
19 we'll be revising them in the future here. So we're  
20 not blind to that that consideration is going forward.  
21 But as far as the current standard review plan, we've  
22 not factored a change in there to our guidance  
23 documents.

24 MEMBER POWERS: Shouldn't we -- the new  
25 plants we're talking about are going to have internal

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 events, core damage frequencies that are quite low,  
2 yet the seismic hazard is going to be handing in  
3 roughly  $10^{-5}$  or maybe  $10^{-6}$ , but it's somewhere in that  
4 region. And so it's going to be just totally dominant  
5 over the internal events. And quite frankly any  
6 seismic event capable of damage to the nuclear power  
7 plant is going to damage all your infrastructure for  
8 supporting these magnificent -- you're simply not  
9 going to have overpasses and bridges for evacuation  
10 processes.

11 And so, you know, we're planning for the  
12 events that are not going to occur, it seems to me and  
13 that's silly.

14 MR. BARSS: I understand your point. I  
15 don't have an answer for you today.

16 MEMBER POWERS: I only ask you to think  
17 about it.

18 MR. BARSS: It's an important  
19 consideration.

20 MEMBER POWERS: Luckily we're building  
21 plants where seismic won't be the dominant risk.

22 (Off the record comments.)

23 CHAIRMAN WALLIS: Very quickly, is KI  
24 required?

25 MR. BARSS: They are required by our

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 regulations to consider KI as a protective action. It  
2 is up to the individual states whether or not they  
3 implement or have a plan for that. And in fact,  
4 you're probably familiar with that we have offered to  
5 buy potassium iodide for states that choose to use it  
6 and not all of them have taken us up on the offer.

7 MEMBER APOSTOLAKIS: How is the seismic  
8 issue handled in existing plans, existing emergency  
9 plans?

10 MR. BARSS: Seismic is considered --

11 MEMBER APOSTOLAKIS: I mean the issue of  
12 the same earthquake damage the civil infrastructure.

13 MR. BARSS: That's why you have a flexible  
14 emergency plan and you have local authorities that  
15 know their communities and the roads and things like  
16 that and if there is an event like that, it will be up  
17 to them to look at what available infrastructure they  
18 have left and determine what they can do and how they  
19 can do it.

20 MEMBER APOSTOLAKIS: So that's not part of  
21 the planning?

22 MR. BARSS: It is part of the planning in  
23 that you don't -- but you don't plan for an earthquake  
24 that wipes out all your bridges, I wouldn't say that.  
25 That's not specific --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER POWERS: But you have to.

2 MEMBER BONACA: But you would focus on  
3 sheltering.

4 MR. BARSS: Then you would focus on  
5 sheltering at that point.

6 MEMBER CORRADINI: I guess -- if I could  
7 just interject, so I think where Dana is going with  
8 this is and maybe this is -- I'm slicing it a bit is  
9 that the 13.3 doesn't necessarily speak to this, but  
10 the 0654 and the supplement you mentioned in some  
11 sense, as you said seems to be pointing people to a  
12 direction that's not as diverse as we might need to.

13 So does that mean that we're going to have  
14 to -- that there's going to be a relook at 0654? Is  
15 that in the plan?

16 In other words, to address what Dana's  
17 concern is, which seems quite valid, it's not 13.3.  
18 It's really the base document that 13.3 points to that  
19 gives him guidance that might be leading him down one  
20 preferable path and may not be appropriate for the  
21 future.

22 Is there any plan to look at 0654 again?

23 MR. BARSS: Yes. 0654 is one of the  
24 documents that we are currently planning to work on,  
25 I believe. I see Catherine back there and she's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 shaking her head in the affirmative, so that's on our  
2 list of things to look at. I wouldn't say that this  
3 specific concern was on our radar prior to today's  
4 discussion, but it certainly is now and will be. And  
5 I'm not sure in the studies that Mr. Sullivan has been  
6 conducted with Sandia, whether or not that's played  
7 into it, but it's certainly a data point that we would  
8 consider and we appreciate the insight that you bring  
9 to that.

10 There were comments from the public,  
11 primarily from NEI. One about not opening the  
12 existing site emergency plan for review. That was  
13 the three criteria I talked about earlier, whether or  
14 not it's applicable to the new reactor, up to date and  
15 addresses the new reactor. That's how we intend to  
16 handle that. It's up to the applicant as to how they  
17 address their existing plan and what they submit to us  
18 for the new site. We agree that they shouldn't fear  
19 their existing plan being open for review. However,  
20 I would add that as we do these reviews, if we do  
21 identify problems or things there, that deal with the  
22 site, then we would expect them to be corrected.

23 However, I would also add that these plans  
24 have been around for a long time. They've been  
25 exercised and tested and we have reasonable assurance

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 for them, so I'm not so concerned that that's going to  
2 be a big issue. And it has not, to this date, been a  
3 big issue for the three we've done and the fourth one  
4 we're working on now where they've been open for this  
5 review.

6 We did ask a lot of questions initially  
7 that caused some concerns. Hopefully, we've reined in  
8 our question asking to keep it focused on the right  
9 thing, but I don't think we did any harm to anybody's  
10 plan or planning programs in that.

11 Expansion of the ITAAC was expressed as a  
12 concern and I've already addressed that as to why we  
13 did it and we think it is a good thing and beneficial.  
14 I don't believe in the comments we got that anybody  
15 said there was anything wrong with what we expanded,  
16 but just that they were disappointed that we had gone  
17 beyond what had already previously been discussed in  
18 the public forum.

19 Use of the term "generic communications"  
20 was mentioned, particularly because we seem to  
21 reference a lot of generic communications and it's  
22 clear that many of our generic communications require  
23 no action on the part of the applicant or the licensee  
24 and that continues to be true. We don't expect them  
25 to address all those generic communications in their

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 application, only the ones that require specifically  
2 that they have taken action.

3 But we do want applicants to be aware,  
4 because there is as time as gone forward, there's a  
5 lot of people retiring and new people coming into this  
6 industry. There's a lot of lessons that can be  
7 learned from reviewing those old documents, those old  
8 information notices that are out there so we don't  
9 repeat the mistakes of the past. So we think it's  
10 important that they have those documents available to  
11 them so they can learn from those things.

12 Submittal of implementing procedures, we  
13 agree with that comment that was made that we do not  
14 require the submittal of implemental procedures for  
15 the off-site. They are required for the on-site, but  
16 that is later in the process, before fuel loading, but  
17 the off-site procedures had never been required to be  
18 submitted and we are not requiring them now at this  
19 time to be submitted in our regulations. And the  
20 comment about the absence of DHS or FEMA rep planning  
21 preferences, limited off-site response plan related  
22 review criteria.

23 Again, it's not in our document other than  
24 a vague reference to what's already existing. But  
25 those are existing documents and as I've said fairly

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 well known in the community that uses them.

2 MEMBER CORRADINI: So if you're done with  
3 that one, I had a question about that one. So I  
4 didn't -- maybe I missed it and the NEI representative  
5 will remind us of it, but I guess I would like to  
6 understand that more about their concern there,  
7 because that was one of our concerns about trying to  
8 understand how limited information there was.

9 MR. BARSS: I will let Alan Nelson get the  
10 rest of that.

11 MEMBER CORRADINI: Okay, then I have  
12 another one which is so given what occurred with  
13 Katrina and evacuation, were there any lessons learned  
14 that one can point to this relative to -- guidance  
15 now, not necessarily what the 13 -- so, we're  
16 branching again. This is not really within the realm  
17 of the 13.3, but within the realm of what you would  
18 point somebody to to review in terms of guidance for  
19 the applicant?

20 MR. BARSS: I will say that there are  
21 probably some lessons learned that we can gain from  
22 Katrina. We are in the process now of studying that.  
23 We did a study some years ago, just a couple of years  
24 ago we completed one, where we took the last 15 years  
25 worth of events that had happened where there were

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 evacuations of some size. We pared it down to 50  
2 specific ones that were reviewed and we looked at that  
3 and learned from them and we're applying that.

4 The Hurricane Katrina and Rita happened  
5 after that was done. They are significant events and  
6 they did have significant consequences. We have  
7 opened a contract with the Sandia Labs to look at  
8 those again. So we are in the process of studying  
9 that.

10 There were lessons learned published by I  
11 believe FEMA, DHS, other government studies. Most of  
12 them have dealt with internal government processes and  
13 things that the government could do better, but they  
14 have not been directed to off-site emergency planning,  
15 particularly in the radiological areas, things that  
16 they should make changes. So there really have not  
17 been lessons learned that are applied directly to the  
18 REP program, but we are studying that and looking for  
19 them, and we will certainly include them at the  
20 appropriate time and place.

21 MEMBER CORRADINI: Thank you.

22 MEMBER POWERS: You would be surprised if  
23 one learned profound things from Katrina evacuation,  
24 because there seems to be a distinction between  
25 natural event emergencies, especially one like Katrina

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 where there's substantial warning period of time, and  
2 what are called technological events, which are abrupt  
3 and poke at the human's natural concern over things  
4 that you don't know much about. Thing like chlorine  
5 tank releases and stuff like that, where there is this  
6 mortal dread.

7           Whereas a hurricane, especially if you  
8 live in a hurricane region, is something that's quite  
9 frankly the problem is that people don't want to  
10 evacuate. Seldom is that a problem --

11           MEMBER CORRADINI: The manmade versus the  
12 natural.

13           MEMBER POWERS: -- that poison is coming  
14 under the door stop. I just don't hold -- I think the  
15 lesson that's going to come out of Katrina is that  
16 it's good to have emergency plans. And that's all I  
17 personally hold out there. I think that within this  
18 50 that he speaks of, there are set of 26 or so, maybe  
19 a few less than that, much more likely to hold  
20 information than Katrina.

21           The one thing that I think comes out of  
22 looking at these is that there is are a lot of myths  
23 about evacuation that can get dispelled. You hear  
24 myths like oh well, evacuation is terrible because  
25 lots and lots of people get killed in evacuations and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 things like that. I think that you find that in fact  
2 evacuations aren't particularly fatality prone.

3 MEMBER APOSTOLAKIS: Does evacuation  
4 planning include taking care of the people after you  
5 evacuate them?

6 MR. BARSS: Yes --

7 MEMBER APOSTOLAKIS: Katrina, there is a  
8 lot of lessons there. I don't think they did a good  
9 job with that, did they?

10 MEMBER POWERS: Like I said, I myself hold  
11 out no hope for learning very much from Katrina. I  
12 think there's something else --

13 CHAIRMAN WALLIS: Well, I think the public  
14 learned some.

15 MEMBER POWERS: I think what you will  
16 learn is that having the plan is a good idea. And  
17 Katrina will simply teach you, gee, if you have a poor  
18 plan for handling people that are evacuated, you're  
19 going to get a lot of catastrophe. I don't think it's  
20 going to --

21 MEMBER APOSTOLAKIS: Katrina --

22 MR. BARSS: But the radiological emergency  
23 plans do have reception centers built into the process  
24 in monitoring capabilities for people coming to them.

25 MEMBER APOSTOLAKIS: But do you see a case

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 where you will have to evacuate the numbers of people  
2 that have to be evacuated in Katrina. I mean, you're  
3 talking about --

4 MEMBER BONACA: Well, that's an issue. I  
5 mean, Katrina, the tragedy of Katrina was a major city  
6 being hit. Now power plants, they don't have that  
7 many people around, so you can move them out to a  
8 degree if you have any constructions still that you  
9 can use. It's a big difference.

10 MEMBER APOSTOLAKIS: Who is in charge, by  
11 the way, when this happens?

12 MR. BARSS: When what happens?

13 MEMBER APOSTOLAKIS: A major accident.

14 MR. BARSS: Well, the utility remains the  
15 responsibility for operating the plant and notifying  
16 people of the event. Depending upon the governmental  
17 structure, the responsibility for protecting the  
18 health and safety of the public usually rests with the  
19 state, with the governor, that can be delegated. Like  
20 Texas, if I remember right, it's a county judge that  
21 has that responsibility about the planning. So it  
22 depends on the jurisdiction and who makes the final  
23 decision.

24 MEMBER APOSTOLAKIS: The agency is what?

25 MR. BARSS: As far as the NRC goes, we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 have a role and FEMA and DHS has a role under the  
2 federal plans to provide advice and information. But  
3 the actual protecting of the health and safety of the  
4 public, that lies with the state. That is their  
5 responsibility.

6 MEMBER POWERS: I believe that FEMA and  
7 NRC share the responsibility for coordinating federal  
8 response.

9 MR. BARSS: That's correct. And when  
10 we're called upon by the State, we provide that  
11 assistance. And we have an elaborate system in  
12 process which we process which we practice --

13 MEMBER APOSTOLAKIS: This federal response  
14 takes place only if the governor says do it?

15 MEMBER POWERS: There are a couple of  
16 instances where the federal response is provoked  
17 without the governor, but in general, the governor has  
18 to ask for it.

19 MEMBER MAYNARD: And typically they will  
20 declare a state of disaster emergency, which is a  
21 magical term that then opens up mechanisms.

22 MR. BARSS: That's correct.

23 MEMBER MAYNARD: Roles and  
24 responsibilities are defined as part of the emergency  
25 plan.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. BARSS: Yes, and that's the purpose of  
2 the emergency plan is to establish those things ahead  
3 of time as to who does what and who calls who and who  
4 has the authority request that assistance should it be  
5 needed. That's the whole idea of the plan.

6 CHAIRMAN WALLIS: I'm surprised at this  
7 idea that we didn't learn something about Katrina.  
8 Well, maybe we didn't but I think the public  
9 perception really changed as a result of Katrina. It  
10 does affect the public perception for emergency  
11 planning for a nuclear event.

12 MEMBER BONACA: I mean, a nuclear plant,  
13 even in a crowded area, you still have a void with  
14 respect to what you had in Katrina, hit a major center  
15 like that, so, the issue there, the challenge was to  
16 move our people from a very highly-populated area  
17 through roads that were inaccessible.

18 MEMBER MAYNARD: I think one of the key  
19 differences you would see with a licensee having a  
20 radiological emergency that activated the emergency  
21 plan, roles, responsibilities, training is already  
22 taken place and you have some leadership driving it  
23 and you're going to end up with the people in one  
24 location. With a natural event the government agency  
25 seemed to be hesitant to take advantage of some of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 that and co-locate and drive that. So, I think in a  
2 radiological event, you know, you have a driving force  
3 and you have a central location and you have the  
4 leadership in one area to where it would drive more  
5 things to happen.

6 What I did not see happening in Katrina,  
7 I did not see the agencies communicating, working  
8 together, making things happen.

9 MEMBER POWERS: Get some local leadership  
10 issues, the mayor and the governor --

11 MEMBER MAYNARD: Those are always  
12 interesting kinds of questions.

13 MEMBER POWERS: They didn't contribute  
14 much.

15 MR. BARSS: I heard the comment that we  
16 hadn't learned anything from Katrina. It's not that  
17 we didn't learn anything, but specifically the REP  
18 Program, we -- specific to the REP program, we, the  
19 NRC and DHS as an agency have not made any  
20 recommendations to the REP program to make changes  
21 based upon the lessons learned. We will do that once  
22 we've completed our studies and identified there are  
23 specific things to the REP program that need changing.

24 MEMBER CORRADINI: Okay. So, if this is  
25 a good point let's move on to hear from NEI and then

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 we'll wrap it up with comments from the --

2 CHAIRMAN WALLIS: Will you try to get us  
3 back on time?

4 MEMBER CORRADINI: Yes. I'm shooting for  
5 3:30.

6 MR. NELSON: Thank you and good afternoon.  
7 My name is Alan Nelson, Director of Emergency  
8 Preparedness at NEI. I have Marty Hug here with me  
9 from my staff, and let me first thank you for the  
10 opportunity and before I get into my presentation, a  
11 number of the issues and topics that were discussed  
12 this afternoon were clearly expounded on by the NRC  
13 and in some ways there may need to be some  
14 clarification between what our comments said and as we  
15 proceed because we have been engaged with the staff  
16 and had several meetings with them.

17 I'd like to go back to a couple of topics  
18 that I, I think are critical for us to discuss or at  
19 least to have a better understanding.

20 The programs that are in place today  
21 around these nuclear sites have been used for real  
22 events. An example, outside of Raleigh, I think about  
23 a month or so ago, the Apex chemical plant evacuated  
24 17,000 people. It's not that far from the Sharon-  
25 Harris plant. The program in place in that community

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 for the nuclear was utilized in many parts to evacuate  
2 those people.

3 In the real world today, this year alone,  
4 there were 17 unusual events and two alerts. Those  
5 events in themselves don't constitute protective  
6 actions, okay. They are notifications and to the  
7 state and locals to let them know that an event has  
8 occurred at a site and to make them aware if they need  
9 to man their emergency operating facilities in the  
10 case that the events escalated. In the case of, no  
11 events this year were, you know, needed to take that  
12 progression.

13 One of the topics that was discussed, the  
14 licensee, local and states are partners in emergency  
15 preparedness. The licensee evaluates the event under  
16 classification system, whether it be a unusual event,  
17 alert, site emergency, general emergency being the  
18 highest of the, that would require some protective  
19 action to be made. That protective action, as you  
20 discussed, could be sheltering evacuation and the  
21 consideration of KI range or combination of those.

22 You discussed to some detail reasonable  
23 assurance and how do you determine there is reasonable  
24 assurance that these programs or these plans will  
25 protect the public in the off-site environment within

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the EPZ and sometimes the ingestion pathway.

2 I think that, looking at the 16 planning  
3 standards, okay, which really weren't labeled out,  
4 they are to find an organization, on-site and off-  
5 site. A classification methodology of what events  
6 will require what actions and how do you determine  
7 them.

8 Notification, how are you going to notify  
9 them on a 24/7-type basis? Can you notify the public,  
10 whether it be by tone-alert radios or by sirens or by  
11 a reverse 911? The facilities, are they equipped,  
12 maintained and tested? Communicating among the  
13 public, pamphlets and so forth, makes the public  
14 understand what events and what actions they would  
15 need to take in an emergency as well as the transient.  
16 You talked about some skiing, if he's staying in a  
17 hotel, he gets that information. If he's staying  
18 nearby in someone's home, they have that information.

19 And then there's the specifics of  
20 training. Those make up, constitute the basic of the  
21 plan in itself. If any one of those points of those  
22 16 planning standards are not met, that defines a  
23 deficiency. And how do they evaluate the assessment  
24 of reasonable assurance, looking at those planning  
25 standards during an exercise, looking at them as a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 thorough review through the FEMA process, as well as  
2 an annual letter to FEMA that states that they have  
3 done multiple activities in support to assure a  
4 readiness of that program.

5 I just wanted to give you an idea of some  
6 of the things that you talked with the NRC. It will  
7 give you a level of confidence of how these programs  
8 are used in the real world, how a deficiency is  
9 defined and how they are implemented and trained on  
10 during the course of a year.

11 Turning to the topic of today, NEI has  
12 formulated a task force of experts to look at the  
13 emergency preparedness. As you can see, there are 10  
14 licensees that are involved and a series of four  
15 reactor types that are being evaluated at this time.  
16 We have met, almost on a monthly/weekly basis and  
17 conference calls to review and discuss many of the  
18 projects that we have at hand. The key projects that  
19 we've listed are of course the emergency action levels  
20 which began with a NUMARC document, became 99-01 and  
21 now we're looking at a rev. 5 which is for the  
22 operating plant and we're going to talk a little bit  
23 about NEI 07-01.

24 We have provided comments to the staff and  
25 met with them on a series of occasions, public

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 meetings on the Draft Guide 1145 in the standard  
2 review plan.

3 99-01, which is the basis for today's  
4 emergency preparedness programs and identifying the  
5 classification system has been endorsed in Reg. Guide  
6 1.101. It's for the existing fleet. Right now, about  
7 70 percent of the fleet uses 99-01 and that's a  
8 barrier-based process versus the remaining 30 percent  
9 uses 0654 which is an event base.

10 You talked about do you revise 0654? In  
11 this case, it's supplemented by the NRC's endorsement  
12 of the NEI methodology. So you don't have to do a  
13 whole landscape retooling of 0654. You can provide  
14 supplements. In that case, that's what we did and we  
15 requested endorsement.

16 The EISS themselves recognize about six or  
17 seven, what we call tabs or events that can occur that  
18 need to be observed and recognized by the operators in  
19 order to make a classification of an unusual event  
20 alert, site and general emergency.

21 The 07-01 which is in draft right now is  
22 looking at the AP 1000 and the ESBR and adapts the 99-  
23 01 methodology. And we will develop it as a stand  
24 alone, but the philosophy and the methodology are  
25 concisely used together. So there is a pedigree

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 between them. Because we want our operators to use  
2 the same pedigree methodology at an existing site as  
3 they would for a new site.

4 Taking a look at 13.3, as the NRC staff  
5 had said, we submitted comments by November 9th and we  
6 had reviewed the ALWR, the task force had provided  
7 those comments.

8 Specific comments were addressed by the  
9 NRC, was the reactor that the staff wanted to look at,  
10 existing procedures at the site and this becomes -- I  
11 think we're going to need to discuss this further with  
12 the staff because where it becomes a concern is that  
13 those procedures and those programs are already  
14 approved. So if they were to make a finding, does  
15 that mean that that particular license portion is  
16 invalid? And that's where it drives the concern.

17 I understand the expansion of the original  
18 agreed on ITAAC, but there are certain elements that  
19 are crossed over from one ITAAC to another. I think  
20 there was a radiologic ITAAC that was seen somewhere  
21 else and there seemed to be a mix and match. There  
22 ought to be a single set of ITAAC that applies and I  
23 think that with further discussion with the staff we  
24 could probably have a better understanding and see  
25 where that approach comes to be.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           The generic communication issue is very  
2 interesting. There are, I believe, correct me if I'm  
3 -- I think in the SRP there are 133 cited references.  
4 Sixty-eight of those are NUREGs and so forth. From 69  
5 on, there are information notices, what they call  
6 EPOS, RIS and a whole gaggle of opinions and ideas.

7           In developing a plan for submittal, the  
8 staff has asked us to reference where in that plan  
9 where those references. So you've got 133 that may  
10 get RAIs and say well, you didn't reference number 90,  
11 but wait a minute, 90 you said -- you know, we think  
12 those ought to be stripped out of there, taken out.  
13 On one hand, you're saying those are generic  
14 communications, but on the other hand, you may be  
15 looking to see those referenced in the plan itself.  
16 So that's why the industry is sensitive to what is an  
17 actual reference in a legitimate.

18           And again, we appreciate the staff's  
19 review of our comment on the requirement to submit  
20 off-site procedures as a new requirement that I think  
21 Dan adequately discussed.

22           I would say the single most concern that  
23 we have brought before you is the guidance or -- we  
24 applaud the NRC and the staff for the guidance they've  
25 provided in the SRP in itself. We find that it's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 short on the limited guidance and expectations for the  
2 FEMA review.

3 The fact that, as Dan had stated, it's  
4 this, this and this. It's not included in the SRP.  
5 Our current thinking is we, as a task force at NEI,  
6 should consider developing a template for this off-  
7 site submittal. There is some consistency of review.  
8 If there isn't a template or a standard SRP for both  
9 the on-site and the off-site, there will be a series  
10 of RAIs that will cause a great deal of confusion on  
11 what is required and what is the standard in which to  
12 be evaluated. That in time will cause delays in the  
13 whole approval process of the ALWR. And we certainly  
14 don't want this portion of it to say to be the  
15 Achilles' heel of the review process so that the  
16 process can be on time, on schedule and potentially  
17 streamlined in some manner.

18 Of course, we look forward to working with  
19 the NRC as well as DHS and continue our discussions in  
20 13.3 and we will engage, we will have a first draft of  
21 07-01, we believe next week to present it after the  
22 first of the year and seek the staff's endorsement in  
23 a Reg. Guide 1.101 as we had in the past for the EALs.  
24 In that regard, the licensee, whether it be a  
25 Westinghouse or a G.E. type model, they, in fact, will

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 reference 07-01 as brought to maturity.

2 MEMBER BONACA: What kind of changes do  
3 you have because of the passive reactors on the  
4 emergency action levels?

5 MR. NELSON: I think Dan had mentioned the  
6 AC, what was the other one that was brought up?

7 MEMBER BONACA: Okay.

8 MR. NELSON: Marty, what was some of the  
9 -- you've been working with Westinghouse --

10 MR. HUG: GDC power requirements, use of  
11 digital indication versus --

12 MEMBER BONACA: He can't speak from there.

13 MR. BARSS: We had two there. These  
14 passive plans depend on large tanks of water which are  
15 new and there's a certain level which that tank may be  
16 emptied and that's a concern. So that's some of the  
17 things we're looking at.

18 MEMBER APOSTOLAKIS: that confuses me a  
19 little bit. Is the ASBWR a passive plant?

20 MR. NELSON: Yes.

21 MEMBER APOSTOLAKIS: The dominant  
22 contributor loss of preferred power?

23 MR. NELSON: Yes.

24 MEMBER APOSTOLAKIS: So what are we  
25 talking about here?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I mean AC power apparently is important.

2 VICE CHAIRMAN SHACK: If your internal  
3 events CDF is 3 times  $10^{-8}$  something dominates.

4 MEMBER APOSTOLAKIS: No, but still -- no.  
5 I thought the argument was for passive plants you  
6 don't need off-site power. And here I have a passive  
7 plant where the dominant contributor is loss of off-  
8 site power. Is that something that is obvious to  
9 everyone?

10 CHAIRMAN WALLIS: You need more than just  
11 a passive system.

12 MEMBER APOSTOLAKIS: All plants have  
13 reactor systems because they don't create a mess with  
14 the passive.

15 MR. HUG: Marty Hug, NEI. I work for Alan  
16 Nelson. It does come in time in an accident sequence  
17 where loss of AC power and subsequently then loss of  
18 DC power would be an issue. It would be somewhere  
19 around 72 hours into the event and at that point in  
20 time the reactor would still inherently stay safe.  
21 However, the operators at that point in time because  
22 of loss of battery power would not have an available  
23 indication.

24 MEMBER BANERJEE: Long-term cooling always  
25 needs power.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER APOSTOLAKIS: It just strikes me as  
2 strange that the licensee says, I mean the vendor says  
3 this is what dominates the risk and the emergency plan  
4 says --

5                   MEMBER BONACA: The point that Bill made,  
6 that's because you get down to such a low risk, you  
7 have some procedural sequences there that where you've  
8 got long term you depend on full power.

9                   MEMBER CORRADINI: Can I broaden the  
10 discussion though just to follow the point. I want to  
11 go back to what Dana, I wrote it down as something  
12 that we might want to at least comment on, maybe not  
13 recommend, relative to 06-54 and supplements.

14                   And you kind of said back that -- unless  
15 I wrote it down wrong, 75 percent of the current  
16 operating plants do not use 06-54 nor the supplements,  
17 but use rather the --- I can't remember what you call  
18 them, essentially the NEI action guidelines, action  
19 plans, whatever.

20                   So let's play out the concept that his  
21 concern is which is now I've gotten to the point that  
22 the new plants, passive, quasi-passive, maybe passive,  
23 are of low enough CDF from internal events that now  
24 it's external events that dominate. What is the NEI  
25 procedure say relative to a seismic event and how

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 would that change the emergency planning guidance?

2 So I'm --

3 MR. NELSON: It wouldn't change the off-  
4 site reaction. It would still require the same  
5 notifications, whether it be an unusual event alert or  
6 --

7 MEMBER CORRADINI: Right, but let me just  
8 -- maybe you weren't in the room when Dana brought  
9 this up which I thought was a good point which is that  
10 the supplement 3 of 06-54 tends to favor, suggest to  
11 favor evacuation. What would NEI suggest when I now  
12 have flipped it and the external event which  
13 essentially wipes out all possibilities or large  
14 portions of possibilities for evacuation, what would  
15 be the guidance or how has the guidance changed with  
16 these new plant designs from the NEI side, if they  
17 would be the supplement or the substitute for what 06-  
18 54 might say.

19 MR. NELSON: I'm not in a position at this  
20 time to answer the question because there are studies  
21 underway. I think that would address what the margin  
22 might be. That may be a future topic that we might  
23 want to pursue.

24 MEMBER BONACA: Emergency Action Level is  
25 pretty much keys on loss of barrier, right?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. NELSON: Correct.

2 MEMBER APOSTOLAKIS: But about the issue,  
3 there is an assumption there, Mike, that we establish  
4 the emergency plans for the dominant contributors.  
5 That's not true, because even for existing plants, the  
6 seismic risk is very often on the same order as  
7 contribution from other events. So the question  
8 remains even for the existing plants.

9 MEMBER BONACA: The actual levels are  
10 based on a number of barriers that you have lost,  
11 okay, so if you have no loss of barrier and so you  
12 have a situation where you might be within the 72  
13 hours, you're still cooling, etcetera, I don't know  
14 what the actual level will be. It will not be a  
15 general emergency. It's simply your barriers are  
16 still intact.

17 So the question is not so much what the  
18 event is, but what the conditions of the plants are,  
19 given a certain time. Now clearly however you get  
20 there, if you have AC power, you save the day because  
21 at that point if you have no failed barriers, you  
22 don't proceed to work through the degradation and you  
23 can cool.

24 I can see how the loss of power, it would,  
25 in fact, generate an event where in the long term you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 just can't -- you need to have power to feed and you  
2 don't have it.

3 MEMBER APOSTOLAKIS: Are you agreeing then  
4 that for passive systems, the requirements regarding  
5 off-site power should be reduced for at least 72 hours  
6 because the passive systems will save the day and then  
7 for long-term cooling?

8 MEMBER BONACA: Yes, it seems to me that  
9 that's the kind of scenario I can see here.

10 MEMBER APOSTOLAKIS: Why? Why?

11 MEMBER BONACA: Okay, because they say for  
12 72 hours you have passive systems working, okay? Now  
13 that implies at some point after the 72 hours you're  
14 going to --

15 MEMBER APOSTOLAKIS: You're forcing me now  
16 to become a structuralist defense-in-depth guy. The  
17 whole thing is a defense-in-depth issue.

18 MEMBER POWERS: As well you should be,  
19 George.

20 MEMBER APOSTOLAKIS: I have always been.

21 (Laughter.)

22 MEMBER APOSTOLAKIS: I don't think this is  
23 a defense-in-depth issue. That's why you have  
24 emergency planning.

25 MEMBER BONACA: I was answering the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 question about the seismic and the point I'm making is  
2 that the emergency action levels are not based on the  
3 event. They're based on the loss of barriers that you  
4 may have --

5 MEMBER CORRADINI: Throughout the plant.

6 MEMBER MAYNARD: They're based on the  
7 likelihood of a release. They're based on the  
8 likelihood of a --

9 MEMBER BONACA: So whatever causes that,  
10 you know, and the reason is that otherwise you have  
11 the people speculating what will happen here. Well,  
12 fundamentally you have to ascertain if your barriers  
13 are intact, then you have to maintain cooling, but so  
14 that's --

15 MEMBER CORRADINI: Let me just -- maybe  
16 I'm misunderstanding. I'm trying to take notes for  
17 things that might be discussion points and I want to  
18 make sure I get it.

19 But what I sense from what Dana was saying  
20 before which made sense to me was if I get in a  
21 situation where the initiator is external and it  
22 changes how I would fundamentally respond external,  
23 outside of the off-site, then there's got to be some  
24 sort of appropriate guidance so that you have a  
25 diversity of how you'd respond. That's what I guess

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 I'm getting at. So I'm kind of curious what's in the  
2 NEI version of this since I didn't realize that 75  
3 percent of the plants were kind of taking that  
4 approach versus the 06-54 approach. That was new to  
5 me.

6 MR. NELSON: Let me recommend something.  
7 As we pursue the completion of 07-01, let me ask you  
8 if we can come back and give you a detailed review of  
9 the document and the process in which we can to the  
10 conclusions we had and I think I may answer a great  
11 deal of your questions. It's complete understanding  
12 of the design, the impact, the barrier approach within  
13 that design and how we've maintained the pedigree of  
14 99-01 and the off-site response.

15 MEMBER BONACA: The plant will determine  
16 the emergency action level.

17

18 MR. NELSON: Absolutely.

19 MEMBER BONACA: The state, to which the  
20 information goes, will be determining what to do,  
21 depending on the conditions outside of the site. So  
22 therefore, they may decide, the state may decide that  
23 they're going to shelter because they cannot move  
24 quickly people out, irrespective of how bad the plume  
25 may be at some point.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER APOSTOLAKIS: Right, but the big  
2 question in my mind is this is after the fact. There  
3 is an event and I see what has happened. When I plan,  
4 because you know, that's what it's called, emergency  
5 planning, what assumptions do I make? And it seems to  
6 me that for the passive plans, the assumption is that  
7 whatever the vendor says is true, that for 72 hours,  
8 the passive system will work five and then you don't  
9 need electric power. And then that's where I get  
10 uncomfortable because defense-in-depth says what if,  
11 what if it doesn't work, what if the earthquake itself  
12 has distorted the geometry of the system so you don't  
13 get the flow that you think you would be getting?  
14 Then you say, oh my God, I made a mistake?

15                   MR. NELSON: The fundamental question  
16 though is the design is reviewed and approved by the  
17 staff to assure, you know, that is 72 hours enough?  
18 That's one -- so the design and systems are approved  
19 and reviewed by the staff.

20                   We're going to present EILs that match up  
21 to that approval and then the EILs and themselves 07-  
22 01 go out for public comment or will go out for the  
23 staff review and as I said we --

24                   MEMBER APOSTOLAKIS: The point I wanted to  
25 make to your comment again is that the actual levels

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 are not tied to the design of the plant. They're tied  
2 to the event, to the conditions of the plant which is  
3 do you have the barriers' integrity? You have  
4 cladding, you have primary site and the containment.  
5 If the answer is yes, it will not be a general  
6 emergency. If it will be a site emergency, it will be  
7 an alert, something of that kind.

8 Now then the accident has evolved and  
9 there will be a response to that. This still centers  
10 around not whether it's 72 hours that will occur,  
11 whatever. It's centered around have I lost control  
12 of the barrier. When you have the first barrier  
13 penetration, you begin to lose -- then there will be  
14 an escalation of the --

15 MEMBER CORRADINI: Yes, I think we can  
16 continue.

17 MEMBER KRESS: I think, Mario, it's more  
18 of an impending loss of power.

19 MEMBER CORRADINI: I was going to ask for  
20 Member comments, but that's where we're going.

21 MEMBER KRESS: You don't wait for the  
22 barrier to be lost.

23 MEMBER BONACA: No, no. I understand  
24 that.

25 MEMBER MAYNARD: Based on the loss or the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 potential loss or likelihood.

2 MR. NELSON: Loss or potential loss.

3 MEMBER BONACA: Essential level is based  
4 on communication.

5 MEMBER CORRADINI: So now were in the  
6 discussion mode. I've heard from almost everybody,  
7 all the Members. I wanted to know if Jack or Bill or  
8 Graham or Sam would have any other discussion points?  
9 Said, too, I apologize.

10 MEMBER ABDEL-KHALIK: No problem.

11 MEMBER CORRADINI: I missed the TV.

12 MEMBER ABDEL-KHALIK: I have a question  
13 regarding the concern that has been raised regarding  
14 co-locating a new reactor at an existing site and how  
15 that might open the review of an existing emergency  
16 plan.

17 Philosophically, if in the process of you  
18 know, co-locating a new reactor at an existing site  
19 you find a deficiency in the existing emergency plan,  
20 what's wrong with reviewing it?

21 MEMBER CORRADINI: This is addressed to  
22 NEI, I assume.

23 MEMBER ABDEL-KHALIK: NEI and/or the  
24 staff.

25 MR. BARSS: This is Dan Barss. The

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 staff's answer is if we find that the deficiency in  
2 the existing plan, they're going to have to fix it.  
3 No questions are asked.

4 MEMBER MAYNARD: I would think that  
5 probably issue is not so much an oh my God, a  
6 deficiency. It's a review of something that maybe  
7 could be done different or maybe under the new  
8 requirements would require one thing, the old  
9 requirements are different and how do you handle that  
10 discrepancy between the old versus the new?

11 MR. NELSON: But not an oh my God, which  
12 way is better, but you still meeting the same  
13 objective.

14 MR. BARSS: And generally, the old  
15 requirements are the same requirements. It really  
16 does not change the emergency planning requirements.  
17 The only thing that changes is the timing of when we  
18 look at them, review them that is really the change,  
19 but the requirements have not changed.

20 MEMBER CORRADINI: Said, any other, any  
21 follow-up?

22 MEMBER ABDEL-KHALIK: Yes. That's fine.  
23 thank you.

24 MEMBER CORRADINI: Other Members? Jack?

25 MEMBER SIEBER: The requirements haven't

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 changed.

2 CHAIRMAN WALLIS: Yes. My only question  
3 is how does all this discussion we've been having  
4 here, reflect what we're going to say about Section  
5 13.3?

6 MEMBER CORRADINI: I took a lot of the  
7 notes because some of it, Dana has left the room, but  
8 I think some of what Dana's concerns are are valid,  
9 but they aren't relative to 13.3. They're relative to  
10 what is referenced and then gives technical guidance  
11 on which things are reviewed. So they're more of a  
12 discussion point, not really relative to 13.3.

13 CHAIRMAN WALLIS: thank you.

14 MEMBER CORRADINI: So Mr. Chairman, I  
15 think we're done.

16 CHAIRMAN WALLIS: We're done. Great.  
17 Thank you very much indeed.

18 MEMBER CORRADINI: Thank you very much.

19 CHAIRMAN WALLIS: I thank the staff too  
20 for their presentation.

21 We do have another major item after the  
22 break. It may last another couple of hours. We'll  
23 take a break until 10 minutes to 4.

24 (Off the record.)

25 CHAIRMAN WALLIS: Please come back into

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 session.

2 I'd like to proceed with our agenda. The  
3 next item on the agenda is the state-of-the-art  
4 reactor consequence analyses, and Bill Shack is our  
5 cognizant member, and I turn to him to lead us through  
6 the presentations and discussion.

7 VICE CHAIRMAN SHACK: Okay. We've heard  
8 a little bit about the state-of-the-art reactor  
9 consequence analyzes in earlier presentations, but the  
10 only written documentation we have at the moment is  
11 the SECY and the SRM, and so this is our chance to  
12 find out what's been going on since the last time we  
13 heard about it, which was mostly the planning stage,  
14 and I'm just very curious to know what we will find  
15 out today.

16 And Bob Prato from the Office of Nuclear  
17 Regulatory Research is going to be leading the staff  
18 presentation today.

19 MR. PRATO: Good afternoon. Again, I'm  
20 Bob Prato. I'm the program manager for the --

21 VICE CHAIRMAN SHACK: You need a  
22 microphone close to you. There you go.

23 MR. PRATO: I'm Bob Prato, the program  
24 manager for the state-of-the-art reactor consequence  
25 analysis.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           It seems like once every decade I get a  
2 project interesting enough to come in front of this  
3 distinguished panel, and certainly this --

4           MEMBER KRESS: Lucky you.

5           (Laughter.)

6           MR. PRATO: The consequence analysis  
7 qualifies.

8           I'm new to the project. My expertise is  
9 primarily project management, but I do have a whole  
10 slew of experts sitting out in the audience, and if  
11 need be, I will call on them to help answer any  
12 questions.

13          PARTICIPANT: The slew?

14          MR. PRATO: There is a group out there.  
15 would you like me to introduce a few of them?

16          MEMBER KRESS: I see some experts.

17          MR. PRATO: Okay. The agenda today is  
18 going to be we're going to cover the code  
19 improvements. We're going to talk about plant  
20 groupings. We're going to talk a little bit about  
21 scenario selection, LNT versus threshold, and then  
22 there's going to be an emergency preparedness  
23 presentation by Randy Sullivan.

24                 The last item is just administrative, and  
25 we'll touch on that after the important stuff is over.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1           Our objective is to provide the ACRS a  
2 list of code improvement plans for MELCOR and MACCS,  
3 and to inform you of our intent not to improve annular  
4 resolution for SOAR-CA. Since the development of  
5 these slides that may have changed, and I'll explain  
6 that when I get to that topic.

7           We also want to provide you with the plant  
8 grouping list for your information. In front of --

9           CHAIRMAN WALLIS: This is supposed to be  
10 an information meeting, that you're telling us what  
11 you're doing, or is this one where you expect us to  
12 contribute?

13           MR. PRATO: It's primarily information,  
14 but we would like feedback on certain topics. Any  
15 time ACRS has feedback, we'd like to hear it first at  
16 the meetings.

17           MEMBER APOSTOLAKIS: Is LNT something that  
18 I'm supposed to know what it means?

19           MR. PRATO: Linear no threshold.

20           MEMBER APOSTOLAKIS: Now I do. So that's  
21 what it is.

22           MEMBER KRESS: It drives all of the cancer  
23 risks.

24           MEMBER APOSTOLAKIS: I've got it.

25           MR. PRATO: We're going to also discuss

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the options for considering with regards to scenario  
2 selection the approach we currently intend to adopt,  
3 and we would like feedback on this subject  
4 particularly.

5 We're going to discuss our thoughts and  
6 opinions on applying LNT versus threshold, and again,  
7 if you have feedback on this, we would like to hear it  
8 as well.

9 And we plan to provide you with a  
10 presentation on the site specific simulation of off-  
11 site emergency response for SOAR-CA by Randy Sullivan.

12 MR. YEROKUN: If I may just try to -- I  
13 hate to interrupt early in the process, but my name is  
14 Jimi Yerokun. I'm Branch Chief in the Office of  
15 Research.

16 I need to clarify something. Somebody  
17 asked a question as to is this just for information.  
18 For this project, you know, one of the things we need  
19 to do, we're coming to the ACRS. We have technical  
20 issues on technical decisions we have to make as we go  
21 along. This is an appropriate junction to come here.  
22 There are some topics being discussed that we are  
23 prepared to make some technical judgments so we can  
24 move on with the project.

25 So it's not merely just information to the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 ACRS. You know, these issues, the technical concerns  
2 that ACRS might have on these issues, you know, we ar  
3 really anxious to hear those so that as we move along,  
4 you know, we don't go off and start doing this project  
5 and, you know --

6 MEMBER APOSTOLAKIS: This may be the final  
7 analysis. Are we writing a letter this time or not?

8 CHAIRMAN WALLIS: Well, these may be  
9 rather off-the-cuff remarks because we haven't had  
10 material to study.

11 VICE CHAIRMAN SHACK: Yeah, that's the  
12 problem. We don't know because we have no material to  
13 look at for the meeting, except for the SECY and the  
14 SRM. So whether we'll write a letter or not sort of  
15 depends on what we happen to hear today and what we  
16 think about it.

17 CHAIRMAN WALLIS: We don't want to make a  
18 premature judgment if we haven't had material  
19 sufficient to reach a judgment.

20 MR. YEROKUN: I'm sorry. We're not asking  
21 for a --

22 MEMBER APOSTOLAKIS: You're not asking for  
23 that?

24 MR. YEROKUN: No.

25 CHAIRMAN WALLIS: You're not asking for a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 letter?

2 MR. YEROKUN: No, we're not asking for a  
3 letter, but --

4 CHAIRMAN WALLIS: Not. Okay. Thank you.

5 MR. PRATO: Okay. I've got a list of all  
6 the improvements, but the primary issue that we think  
7 is of interest is the annular resolution.

8 We had four MELCOR code improvements, and  
9 we are implementing --

10 CHAIRMAN WALLIS: Is this a new code,  
11 MELCORE (phonetic)?

12 (Laughter.)

13 MEMBER KRESS: The "E" gets marked off.

14 PARTICIPANT: It's the European version.

15 MEMBER APOSTOLAKIS: You got it covered  
16 already.

17 (Laughter.)

18 MR. PRATO: I'm being indoctrinated?

19 We had ten MACCS-2 code improvements, and  
20 we are implementing eight out of that ten for sure,  
21 but there are two that we are not, and I think these  
22 two are two that we need to discuss with you.

23 The wet disposition model aerosol size  
24 dependency, and that's specific to precipitation. The  
25 greatest impact in stimulation with relative

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 inefficiency swelling, which generally is not a  
2 concern.

3 So the bottom line is there's very little  
4 benefit from this in our analysis, and we're putting  
5 that off as part of the max improvement project, and  
6 it's not going to be part of SOAR-CA.

7 The annular resolution is another issue.  
8 the annular resolution, right now the Europeans and  
9 the Asians are using 32 sectors. MACCS currently uses  
10 16.

11 There were three things that initially  
12 drove us to deciding not to include it initially.  
13 There were concerns that this improvement may be  
14 driven by results rather than by technical  
15 justification. In other words, the European models  
16 have shown that when you do increase the resolution,  
17 you get a significant drop in dose, which would  
18 significantly change the outcome.

19 So because that was the initial report to  
20 us, it was a motivation for us to consider it for  
21 improvements, but we were concerned that that was  
22 driving the message, that it had an attractive  
23 outcome.

24 The other thing was this whole number  
25 of --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: If it's more realistic,  
2 why is it bad?

3 MEMBER KRESS: It may not --

4 MR. PRATO: I'll get to that, sir.

5 MEMBER KRESS: It seemed to me like the  
6 choice had something to do with the fact that if you  
7 make it coarser, like 16 instead of 32, that you  
8 somehow might have accounted for meandering of the  
9 plume rather than a straight line plume. And that had  
10 some benefit in terms of accounting for that sort of  
11 thing that you really didn't account for.

12 CHAIRMAN WALLIS: So it's a conservatism  
13 to account for things --

14 MEMBER KRESS: Yeah. It's attendant to --

15 CHAIRMAN WALLIS: -- you might have not  
16 modeled very well or something?

17 MEMBER KRESS: Yeah.

18 MEMBER APOSTOLAKIS: What is conservative?  
19 Our way?

20 MEMBER KRESS: Yeah, 16 would be more  
21 conservative than 32.

22 CHAIRMAN WALLIS: But if you put in proper  
23 mixing, I would think it would not be.

24 MEMBER KRESS: Well, the mixing is in  
25 pretty well. It's just the fact that you think the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 plume goes in a straight line.

2 CHAIRMAN WALLIS: But mixing doesn't know  
3 you're going in a straight line.

4 MEMBER KRESS: Oh, yeah, it matters, but  
5 --

6 CHAIRMAN WALLIS: Well, maybe we should  
7 move on.

8 MR. PRATO: There were a number of  
9 budgeting and scheduling issues. The 16 sectors is  
10 very deeply into our code, and doing the changes as  
11 well as the QA and the validation, it's not an easy  
12 task, and it would probably take a number of weeks  
13 beyond what we had initially intended to --

14 CHAIRMAN WALLIS: Well, if 16 is better  
15 than 32, how about eight?

16 MEMBER KRESS: Well, it's a judgment call.

17 MEMBER SIEBER: Or one.

18 MR. PRATO: And the third item was that we  
19 were considering other improvements that would  
20 compensate for the larger sectors. We were thinking  
21 about improving plume meander mode improvements and  
22 network evacuation models into our code.

23 Initially we decided not to include this,  
24 but with second thought and further investigation in  
25 the technical benefits for this, we are reevaluating

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 it, and we had our staff at Sandia, the Sandia  
2 contractor, call the technical expert and had  
3 discussions with him, and we're going to have further  
4 discussions before we make our final decisions.

5 We are also investigating the  
6 possibilities of improving the schedule and the budget  
7 on this so that if we decide to go ahead with it, that  
8 we can still meet our overall schedule.

9 MEMBER KRESS: Meandering plume implies to  
10 me you're looking at real time, whereas MACCS is sort  
11 of an averaged probabilistic thing over a whole lot of  
12 time frames, where the plume may be going in all sorts  
13 of different directions you don't know about. I don't  
14 see the advantage of having a meandering plume in  
15 MACCS unless you're going to use it for real time  
16 analysis, and there are other codes to deal with that.

17 I mean, I'm giving you early input on some  
18 of these things.

19 MEMBER SIEBER: Well, plumes don't meander  
20 anyway.

21 MEMBER KRESS: Well --

22 MEMBER SIEBER: They go in river valleys  
23 and up the creeks and stuff like that.

24 MEMBER KRESS: That's right. That's  
25 right. They do that.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MEMBER SIEBER: And that's where all of  
2 the people live.

3 MR. PRATO: Do you want further discussion  
4 on this?

5 CHAIRMAN WALLIS: Can you move on?

6 MEMBER KRESS: I just wanted to give some  
7 input.

8 MR. PRATO: The next item is the plant  
9 grouping. What you have is a list of the eight  
10 different plant classes that we've identified, and on  
11 one of the slides in the back, it shows each  
12 individual plant that was put in each group. This is  
13 being provided for your information.

14 If after you review this you have concerns  
15 with it, we'll be glad to address those concerns.

16 MEMBER CORRADINI: So there's ten plants?  
17 There's eight groupings, but one Westinghouse dry  
18 ambient, one dry atmospheric, and one dry atmospheric  
19 four-loop and three-loop. Do I have this right?

20 PARTICIPANT: That's all the same group.

21 MEMBER CORRADINI: Oh, okay.

22 PARTICIPANT: It's just different  
23 containment designs.

24 MEMBER CORRADINI: Okay. All right. So  
25 I have another question, and I apologize for this

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 since we're still on plant grouping.

2 Is it thermal power that makes me worry  
3 about differentiating between a Westinghouse two and  
4 three-loop and a four-loop? I don't understand that  
5 differentiation. I mean, there's --

6 MR. TINKER: Charles Tinkler from the  
7 Office of Research.

8 Oftentimes the three-loop subatmospheric  
9 plants have been grouped separately in past PRA and  
10 various studies of this nature. So we made the  
11 distinction for the three-loop, but rather than create  
12 yet another group for two-loop plants, we elected to  
13 combine those with the three loop because of the  
14 greater proximity to the same thermal rating than from  
15 the four-loop.

16 MEMBER CORRADINI: So it is a thermal  
17 power differentiation between Category 7 and 8.

18 MR. TINKER: It is a thermal power  
19 consideration with the two loops to group them with  
20 the three loops as opposed to combining them with the  
21 four loops.

22 MEMBER CORRADINI: Okay. Thank you,  
23 Charles.

24 MEMBER SIEBER: And for your information,  
25 too, the plants that are three-loop subatmospheric are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 no longer subatmospheric.

2 MR. TINKER: We are aware that two of the  
3 subatmospherics have come in with the alternate source  
4 term and then applied to go to a --

5 MEMBER SIEBER: Right, and it is completed  
6 now.

7 MEMBER KRESS: Now, when you do these, are  
8 you going to do the actual sites, the real site for  
9 those plants, or are you going to --

10 MR. PRATO: We'll get into those details  
11 in a few minutes.

12 MEMBER KRESS: Okay. I hope so.

13 DR. BANERJEE: Just for my information,  
14 does MACCS stick into account topography?

15 MR. PRATO: No. No, it doesn't.

16 CHAIRMAN WALLIS: It doesn't?

17 MEMBER CORRADINI: That would be the  
18 meandering versus the averaging.

19 DR. BANERJEE: No, no, just to know where  
20 the plume goes.

21 MR. PRATO: No, it doesn't.

22 MEMBER KRESS: It goes in the direction of  
23 the wind.

24 DR. BANERJEE: And spreads in a Gaussian  
25 way.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER KRESS: Yes.

2 MR. PRATO: Yes.

3 MEMBER KRESS: Depending on the mixture.

4 CHAIRMAN WALLIS: There's nothing about  
5 valleys and hills and things like that?

6 MR. PRATO: No.

7 MEMBER SIEBER: For MACCS it does.

8 CHAIRMAN WALLIS: But we know the plumes  
9 do things in valleys.

10 PARTICIPANT: It would be a little bit  
11 more difficult of a calculation.

12 CHAIRMAN WALLIS: But the tone isn't to do  
13 a good calculation. It's to represent a reality  
14 reasonably.

15 DR. BANERJEE: But it's certainly within  
16 our capabilities today to do that.

17 MEMBER SIEBER: Well, I don't think they  
18 have --

19 MR. PRATO: Our goal for this project is  
20 not to present a conservative representation. It's to  
21 present a realistic representation, as close to  
22 realism as we can get it.

23 CHAIRMAN WALLIS: With no topology.

24 MR. PRATO: Excuse me, sir?

25 CHAIRMAN WALLIS: With no topology?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. PRATO: We have limitations.

2 CHAIRMAN WALLIS: Well, all the plumes I  
3 see from my house go down in valleys and things like  
4 that and around mountains.

5 MEMBER KRESS: It can be done.

6 MEMBER CORRADINI: I just want to say I'm  
7 just kibitzing with Dr. Kress. I think that would be  
8 a fairly difficult calculation.

9 MEMBER KRESS: It wouldn't be MACCS  
10 anymore.

11 MEMBER CORRADINI: No, it wouldn't.

12 MEMBER KRESS: It would be another code  
13 almost.

14 MEMBER CORRADINI: It would be much more  
15 three dimensional. It would be a much more complex  
16 calculation, particularly, and I'm not exactly sure if  
17 it was a hot release, that you would actually care  
18 that much about it relative to where it's released in  
19 the plume. So there would be --

20 DR. BANERJEE: There are codes which do  
21 this for chemical plants.

22 MEMBER SIEBER: Yes.

23 DR. BANERJEE: And they were developed at  
24 Lawrence Livermore, for example.

25 MEMBER SIEBER: Particle cell type codes.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER CORRADINI: Right, but the  
2                   calculations today exist, but the calculations for  
3                   Chernobyl that I've seen with Lawrence Livermore code  
4                   is quite, quite substantial.

5                   MEMBER KRESS: MACCS has probability of  
6                   winds blowing in a particular direction and at  
7                   different speeds, and those probabilities are averages  
8                   over years times. So sometimes a wind is blowing  
9                   along a valley and sometimes it's not. It's blowing  
10                  another way, and I don't know how you really -- and  
11                  the probabilities are developed from measurements,  
12                  actual measurements at the site right near the plant,  
13                  anyway.

14                  I don't know how you incorporate  
15                  topography and more details of meandering.

16                  MEMBER CORRADINI: What you're thinking of  
17                  is you'd have to do essentially a realization or a  
18                  simulation and then impose some sort of arbitrary  
19                  meteorological conditions that evolve, and that's not  
20                  how MACCS does it.

21                  MEMBER SIEBER: You take the wind droves  
22                  and you --

23                  CHAIRMAN WALLIS: But the Connecticut  
24                  River Valley, there are drifting plumes up and down  
25                  the Connecticut River Valley all the time. I see them

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 all the time from my house, and that's where Vermont  
2 Yankee is. It seems ridiculous to do some sort of a  
3 calculation for Vermont Yankee without considering the  
4 fact that there's a major river valley there.

5 MEMBER KRESS: Some of that would have  
6 been reflected in the fact that the wind rows will  
7 reflect it had been blowing in that direction most of  
8 the time.

9 CHAIRMAN WALLIS: Well, I hope it is  
10 included in that, yeah. I hope it is.

11 MEMBER SIEBER: Well, I think what they're  
12 doing here is to try to do a relatively simple  
13 calculation using the best codes that they have in  
14 house, and this is it.

15 CHAIRMAN WALLIS: But you don't just for  
16 engineering purposes do a calculation. You do what's  
17 appropriate for the situation.

18 MEMBER SIEBER: Well, yeah, you can get  
19 more complex if you've got the money.

20 CHAIRMAN WALLIS: Okay. Well, we should  
21 perhaps go on.

22 MEMBER CORRADINI: Yeah, let's just move  
23 on. We sort of know where we're at here at this, and  
24 we can come to this later.

25 CHAIRMAN WALLIS: Can we move on from that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 one? Yes, thank you.

2 MR. PRATO: Use of core damage frequency  
3 versus release frequency. The Commission directed the  
4 staff to examine significant radiological release  
5 scenarios having essential likelihood of one in a  
6 million or greater per year as an initial focus.

7 With this in mind, full scope Level 2 PRAs  
8 are not available for all plants, limiting the staff's  
9 ability to select scenarios based on release  
10 frequency. For the purpose of SOAR-CA, the NRC is  
11 considering defining release broadly as early or late,  
12 large or small, on the basis of this definition: all  
13 core damage events will release in the release.

14 That includes core damage events that do  
15 not have containment failure. Okay? And the release  
16 would be based on normal leakage similar to what  
17 happened at TMI.

18 CHAIRMAN WALLIS: I think we understand  
19 this. It does not have core damage with no release at  
20 all if the containment is intact.

21 MR. PRATO: No, there is release.

22 MEMBER KRESS: No, there's some release.

23 CHAIRMAN WALLIS: Well, maybe there is,  
24 but it's --

25 MEMBER CORRADINI: It's small, but it's --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 CHAIRMAN WALLIS: It's very different,  
2 yeah.

3 MEMBER APOSTOLAKIS: But I don't  
4 understand this slide though. It says we don't have  
5 a Level 2 PRA, which is correct. We don't. We have  
6 estimates of the frequency of large early release. So  
7 that limits the staff's ability to select scenarios.

8 I thought you didn't know what was being  
9 released. Do you? Because you don't have a Level 2  
10 PRA.

11 MR. PRATO: We don't have a Level 2 PRA.

12 MEMBER APOSTOLAKIS: Right. Therefore, we  
13 don't know what?

14 MR. PRATO: We don't have release  
15 frequencies.

16 MEMBER APOSTOLAKIS: But it's not only the  
17 frequency that matters, is it? It's also what you are  
18 releasing, and you don't have that.

19 MR. PRATO: And I'm sure that that was  
20 included in the intent.

21 MEMBER APOSTOLAKIS: Okay.

22 MR. PRATO: It's not only the frequency,  
23 but also the materials that are being released as  
24 well.

25 MEMBER APOSTOLAKIS: The materials. So

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 now the conclusion is that the staff is evaluating  
2 scenarios using the core damage frequency. You still  
3 don't have, you know, information regarding what has  
4 been released.

5 MR. PRATO: That's correct.

6 MEMBER APOSTOLAKIS: So I don't  
7 understand. I mean, let's say that the current PRAs  
8 give you a Level 2 minus, which is just the frequency  
9 of release. They don't give you the Level 2 result.  
10 By backing off that, and you're going back to the core  
11 damage frequency, somehow things become better?

12 MR. HUNTER: This is Chris Hunter, Office  
13 of Research.

14 No core is going to be used to calculate  
15 actually what is released. Basically this slide, what  
16 we're just trying to say is in house we don't have  
17 Level 2 PRAs for the plants, and this all has to do  
18 with the screening threshold on the scenarios that was  
19 given in the SRM and the Commission paper, the one in  
20 a million per year release frequency, which was given  
21 as initial focus.

22 So this slide, basically what we're trying  
23 to say is we can't realistically calculate in house  
24 release frequencies for scenarios. So we're going to  
25 use core damage frequency as a surrogate, and then

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 we'll feed the scenarios into MELCOR, and that will  
2 produce actually what is released.

3 MEMBER APOSTOLAKIS: But the sequences  
4 that dominate core damage, are they the same as the  
5 ones that dominate releases?

6 MR. HUNTER: Basically what we're seeing  
7 is if we apply a threshold, we're going to see similar  
8 sequences. However, if we applied a release  
9 frequency, those numbers would drop and in some cases  
10 we might have very little or even no scenarios based  
11 on the plant class. If we use a strict ten E to the  
12 minus six release frequency.

13 MEMBER KRESS: The idea is that when you  
14 make the calculation of the consequences, which is  
15 what you're after, that you want to be sure you  
16 capture most of the consequences.

17 Now, what I hear you saying is that we can  
18 select sequences that are mostly dominant in producing  
19 those consequences just by looking at the core damage  
20 frequency and making a cutoff on the core damage  
21 frequency will not consider sequences below a certain  
22 level.

23 I have a little difficulty with that  
24 because the consequences involve both the frequency of  
25 core damage and the quantity released and when it's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 released --

2 MEMBER APOSTOLAKIS: And the containment.

3 MEMBER KRESS: -- and the containment, and  
4 I have a little problem thinking that you're going to  
5 capture the majority of the consequence, which is what  
6 I think you're after, by doing that.

7 Is there some systematic way you can  
8 demonstrate that that will do the job for you?

9 MR. PRATO: I think the point is though  
10 the Commission give us an initial starting point of  
11 ten to the minus six. If we use core damage  
12 frequency, we're going to capture everything that has  
13 a consequence, a release frequency equal to greater  
14 than E to the minus six.

15 MEMBER KRESS: Okay. Using what, ten to  
16 the minus six cutoff?

17 MR. PRATO: Yes, for core damage  
18 frequency.

19 MEMBER KRESS: That would be responsive to  
20 the SRM.

21 MR. PRATO: That's correct.

22 MEMBER KRESS: I'm not sure it's  
23 responsive to what you want to accomplish.

24 MEMBER APOSTOLAKIS: No, but this is just  
25 a frequency. I mean, so you have a sequence that ends

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 of core damage or you take it all the way to the  
2 release?

3 MR. PRATO: We take it all the way through  
4 it.

5 MEMBER APOSTOLAKIS: But you say you don't  
6 have a full Level 2 PRA.

7 MEMBER KRESS: But they will. They'll use  
8 --

9 MR. PRATO: We plug in -- we plug in the  
10 scenario into MELCOR, and we end up with a source  
11 term.

12 MEMBER CORRADINI: So can I try it a  
13 different way?

14 MEMBER KRESS: Yeah.

15 MEMBER CORRADINI: Just so I've got it  
16 right and you guys will correct. So let's pick  
17 something. Let's take a loss of off-site power, just  
18 to pick an old fashioned one.

19 And so now you have a loss of off-site  
20 power. You get a frequency of X. It now is of low  
21 enough frequency and generating or it's of high enough  
22 frequency and generates core damage such that it's in  
23 the bin where it's going to be computed.

24 So now you go off and compute and you plug  
25 in the conditions from that into the set of boundary

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and initial conditions for MELCOR, and it goes  
2 crunching away and produces a release.

3 You then do a max calculation and you've  
4 got a point, and then you do that at 103 locations,  
5 and you get 103 points. Have I got it?

6 PARTICIPANT: Right.

7 MEMBER CORRADINI: Okay. So the only  
8 other part of this that I want to get clear is so that  
9 if I have a containment that's robust, you will be  
10 erring in the side of conservatism because you'll use  
11 the core damage frequency as your filter because a  
12 robust containment could have a probability of --

13 MEMBER KRESS: Containment would be a part  
14 of the calculation.

15 MEMBER CORRADINI: No, no, but I'm trying  
16 to get to the filtering, which is thou shalt not  
17 consider sequences below a certain frequency. By  
18 using the frequency measure, you're assuming all  
19 releases are essentially probability one; that  
20 something is going to be released that will be  
21 significant enough to compute.

22 Do I have this right?

23 MR. TINKER: That is correct. Now, where  
24 that falls short is if you think for a general  
25 scenario or sequence that there is a significant

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 fraction of those plant damage states that involve an  
2 intact containment.

3 MEMBER CORRADINI: Say it again. I'm  
4 sorry.

5 MR. TINKER: If we select based on our  
6 screening criteria a general scenario and as part of  
7 that general scenario there are a number of cut sets  
8 that would involve an intact containment, we would be  
9 overstating the probability of a release.

10 But we stated --

11 MEMBER CORRADINI: Overstating or  
12 understating?

13 MR. TINKER: Overstating. We would be  
14 overstating the probability of a release because a  
15 probability of a release would be that frequency that  
16 we had selected minus those cut sets that involve an  
17 intact containment because various containment systems  
18 continue to function, presuming you have some ultimate  
19 heat sink that you can remove.

20 But in the example you gave, you know,  
21 these station blackouts, you're hard-pressed to argue  
22 that you won't eventually get containment failure in  
23 a station blackout.

24 Now, are there a lot of contributors to  
25 core damage that are going to loom large where you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 have no safety systems, no way of getting water to the  
2 reactor vessel, but you were able to somehow get  
3 substantial quantities of water and heat removal to  
4 the containment?

5 I guess we would want to suggest at the  
6 outset, going in at least, that they're not going to  
7 be significant contributors overall to the core damage  
8 frequency. Much has been done in the last ten to 15  
9 years to improve flexibility in plumbing and piping  
10 systems such that if pumps are available and pumping  
11 capability is available, there are ways to redirect  
12 water to the reactor vessel.

13 That has pushed that differential, made  
14 that differential smaller than it once was. It will  
15 still show up once in a while, and we will look at  
16 that, and we expect to get feedback from the industry  
17 on those.

18 I can give you other anecdotes like the  
19 hardened wet well vent of a Mark I that can prolong  
20 survivability of the containment and turn an earlier  
21 release to a later release.

22 MEMBER CORRADINI: But what you're going  
23 to be missing is early versus late.

24 MR. TINKER: We will consider that. Okay?  
25 That kind of differentiation, that kind of distinction

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 we will reflect in these calculations.

2 We expect to take these basic scenarios,  
3 ask for industry feedback on SAMGs, EDMGs so that we  
4 can capture that in the calculation.

5 MEMBER CORRADINI: So can I go one step --

6 MR. TINKER: So --

7 MEMBER CORRADINI: I'm sorry.

8 MR. TINKER: But don't confuse that with  
9 our screening criteria to identify important  
10 scenarios.

11 MEMBER CORRADINI: I understand.

12 CHAIRMAN WALLIS: Well, that's what I'm  
13 trying to get at. We should be going beyond this  
14 screen. I'm trying to figure out what I'm being told  
15 by what's on this screen.

16 Is the only thing you're saying that  
17 you're going to use CDF frequency as a cutoff?

18 MEMBER KRESS: Correct.

19 CHAIRMAN WALLIS: I didn't get that  
20 message. I never got that message.

21 MR. HUNTER: The main purpose of this  
22 slide was in previous ACRS meetings we've said we're  
23 using release frequency because we --

24 CHAIRMAN WALLIS: Is evaluating scenario  
25 selection using core damage frequency, but then that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 doesn't tell me what you're doing with it. It's  
2 simply a screening for a cutoff value. Is that all it  
3 is?

4 MR. HUNTER: Yes.

5 CHAIRMAN WALLIS: Then it would be very  
6 nice if that had been said at the beginning.

7 MEMBER APOSTOLAKIS: That's inconsistent  
8 with the exchange between Mike and the gentleman here.

9 MEMBER CORRADINI: No.

10 MEMBER APOSTOLAKIS: The sequence that  
11 leads you to core damage, do you add the extra events  
12 then in the actual calculation to account for  
13 containment functions?

14 MR. HUNTER: Yes.

15 PARTICIPANTS: Yes.

16 MEMBER APOSTOLAKIS: So you do. It's used  
17 only to select the frequency.

18 MR. HUNTER: Yes, but like I said, if it  
19 is apparent from the description or if in examination  
20 of the scenario the possibility of prolonged  
21 containment integrity or permanent containment  
22 integrity is a potential outcome, it's not for a  
23 station blackout, but if the scenario involves  
24 multiple other common mode failures, but the  
25 containment could be intact, we will examine to see

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 what fraction of those could involve an intact  
2 containment and then we would have to adjust that  
3 frequency to account for the fact that either SAMGs or  
4 EDMGs would enable that containment to remain intact  
5 for some substantial period of time.

6 MEMBER APOSTOLAKIS: But if I look at the  
7 ultimate result of this study, I will be able to find  
8 a sequence that says the initiating event, such-and-  
9 such a system fails. The core is damaged. Then the  
10 containment spray system doesn't work. Something else  
11 in the containment doesn't work, and you have these  
12 consequences. I will be able to find it.

13 MR. HUNTER: Yes.

14 MEMBER APOSTOLAKIS: Okay.

15 MR. TINKER: Now, let me just say one  
16 other thing. We are mindful that there are certain  
17 unique scenarios that may create an opportunity for  
18 more severe consequences that have a lower frequency,  
19 and we especially look at those, and we view the  
20 criteria for those in a somewhat different way.

21 MEMBER CORRADINI: they're not in the  
22 computation. Is that a fair way of putting it?

23 MR. TINKER: No. I'm just saying that,  
24 you know, the IS LOCA scenario.

25 MEMBER CORRADINI: Oh, okay.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. TINKER: A bypass scenario. Because  
2 it is fundamentally different, we do not rigorously  
3 apply that ten to the minus --

4 CHAIRMAN WALLIS: You say you look at them  
5 in a different way. That means you --

6 MR. TINKER: We look at them in a  
7 different way.

8 CHAIRMAN WALLIS: -- took them into  
9 consideration and you evaluated.

10 MR. TINKER: Now, we don't look at them  
11 with no consideration of frequency. For example, if  
12 they have an extremely low frequency, there may be  
13 grounds for eliminating them because their frequency  
14 is incredibly low, and that's because ten to 15 years  
15 of risk analysis and examination of these issues has  
16 identified the importance, and people have taken  
17 measures to cause those scenarios to have low  
18 frequency.

19 MEMBER CORRADINI: I had a slightly  
20 different question, if I'm allowed. I don't know,  
21 unless people still want to beat up Charlie on this  
22 one.

23 So now let's say you've picked, back to  
24 station blackout. So the CDF gives you the set of  
25 initial conditions from the plant state that says,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 "Okay. Now, go forward and simulate."

2 But then George asked one thing, which is  
3 now there are certain systems that as the accident  
4 progresses, the systems will function or won't  
5 function or partially function.

6 But then there's uncertainties in the  
7 physics that the code doesn't know. It just computes.  
8 So how are those uncertainties going to be taken care  
9 of and how are the uncertainties going to be taken  
10 care of relative to the initial conditions that if I  
11 give a plant state, I might get -- so you know where  
12 I'm going with this -- I might have 30 percent molten,  
13 50 percent molten, 80 percent molten. It may be a ten  
14 centimeter hole, a 20 centimeter hole, a who knows  
15 hole.

16 Where does that wiggle room fit into the  
17 computation?

18 MR. TINKER: Well, the preliminary plan  
19 was not to go down the traditional road of event  
20 trees, accident progression event trees to determine  
21 multiple end states --

22 MEMBER CORRADINI: Oh, okay.

23 MR. TINKER: -- with branch points and  
24 split fractions. The preliminary thinking for this  
25 project is that the capability exists with MELCOR to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 do an ordered sampling or a different sampling scheme,  
2 you know, an LHS type, Latin hypercube sampling  
3 scheme --

4 PARTICIPANT: A Monte Carlo --

5 MR. TINKER: -- so that we could simply  
6 develop -- we could examine the parameters that we  
7 think influence phenomenological uncertainty and to a  
8 degree stochastic uncertainty, how many times a valve  
9 has to lift before it fails open, actuarial data, as  
10 well as thermal data, and then for important  
11 scenarios, do an integrated uncertainty analysis on  
12 phenomenological accident progression and perhaps all  
13 the way through the MACCS calculation, as a coupled  
14 calculation.

15 Because typically people have done these  
16 sorts of things to look at what is principally thermal  
17 hydraulic information. How does it affect the timing  
18 of vessel failure, hydrogen generation. Those are all  
19 interesting parameters, but they're not interesting  
20 relative to release. So there may be ways to look at  
21 the uncertainty in the release pathway, the extent to  
22 which it travels to an aux. building and other  
23 buildings.

24 So we want to look at that a little more  
25 broadly, and the current thinking is we would examine

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1       uncertainties in that fashion.

2                   MEMBER APOSTOLAKIS:  Is there going to be  
3       a time when we will actually see some of these results  
4       at the subcommittee level?

5                   MR. TINKER:  Absolutely.

6                   MEMBER APOSTOLAKIS:  Okay.  Now, I think  
7       here is an example of risk communication or  
8       miscommunication because I think you should complement  
9       this last statement there to explain what you mean by  
10      scenario.  Because I think most of us, I think,  
11      thought that a scenario ends at the core damage and  
12      you said, no, it doesn't.

13                   You're just selecting those, but then  
14      you're putting the extra events that are needed to go  
15      out.

16                   CHAIRMAN WALLIS:  Who thought the  
17      scenarios ended at core damage?

18                   MEMBER APOSTOLAKIS:  What?

19                   CHAIRMAN WALLIS:  I never thought they  
20      ended at core --

21                   MEMBER APOSTOLAKIS:  Some of us I said.

22                   CHAIRMAN WALLIS:  It's to predict  
23      releases, the whole purpose of this exercise.

24                   MEMBER APOSTOLAKIS:  You were excluded.

25                   MEMBER KRESS:  Some means more than one.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER APOSTOLAKIS: Yes.

2 MEMBER KRESS: I still have a question  
3 about this frequency selection on CDF. Suppose you  
4 run your Level I and find two sequences that have five  
5 times ten to the minus seven. Will you add those in  
6 as one of the --

7 MR. HUNTER: If they're similar. It  
8 depends. You know, looking at our Level 1, the SPAR  
9 models, you're going to have similar type sequences  
10 that give you essentially -- you have the same system  
11 unavailabilities and similar paths to core damage.

12 MEMBER KRESS: No, I'm assuming they're  
13 entirely different sequences, but --

14 MR. HUNTER: If they're that close, we'll  
15 consider uncertainty into the fact that they might --

16 MEMBER KRESS: So ten to the minus six is  
17 not a firm --

18 MEMBER SIEBER: No.

19 MEMBER KRESS: It's a guidance.

20 MR. HUNTER: Right. That's our initial  
21 focus. We're going to factor in uncertainty in those  
22 calculations, and like I said, or like Charlie says --  
23 excuse me -- we're considering scenarios that might  
24 bypass containment or potentially have higher  
25 consequences with lower frequencies.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 Right now we've preliminarily essentially  
2 lowered the threshold for those types of sequences by  
3 an order of magnitude.

4 MEMBER APOSTOLAKIS: You said that you  
5 don't want to go into the accident progression event  
6 trees; is that correct?

7 MR. TINKER: Well, I said for addressing  
8 accident progression uncertainty to determine the  
9 multiple end states that we weren't planning on using  
10 the accident progression event tree methodology, you  
11 know, the logic structure of an event tree. We have  
12 a code. We have a mechanistic code that we can use to  
13 examine those rather than arbitrarily assigning a  
14 split fraction and then arguing about split fractions  
15 and the effect of the split fraction.

16 To a large extent, we think we can  
17 parameterize that uncertainty.

18 MEMBER APOSTOLAKIS: Why do you say  
19 arbitrarily? I mean, why should it be arbitrary? Is  
20 that what 1150 did? It was arbitrary?

21 VICE CHAIRMAN SHACK: It relies less on  
22 judgment.

23 MEMBER APOSTOLAKIS: Yeah, right.

24 CHAIRMAN WALLIS: I must say through all  
25 of this I am praying for a structured presentation so

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that I can be led through so that I can understand  
2 what is going on. With all of this question and  
3 answer and dancing around all kinds of stuff, I really  
4 need to be led through something here.

5 VICE CHAIRMAN SHACK: This is almost the  
6 heart of it though. I mean, to get to this core  
7 damage frequency and then to go through the MELCOR  
8 calculation to the release is --

9 CHAIRMAN WALLIS: That's trivial?

10 VICE CHAIRMAN SHACK: No, no.

11 CHAIRMAN WALLIS: That's all trivial?

12 VICE CHAIRMAN SHACK: No, no, that's very  
13 instructive to understand what they intend to do.

14 DR. BANERJEE: Do you take seismic into  
15 account?

16 MR. PRATO: We're going to be talking  
17 about that as well, sir. We've got a number of  
18 options. We can set those options, and then we're  
19 going to tell you what our --

20 CHAIRMAN WALLIS: would it be useful to  
21 return to the structured presentation that you  
22 prepared? Would that be useful?

23 MR. PRATO: It might be.

24 MEMBER APOSTOLAKIS: Now, Graham, what was  
25 the probability that the speaker would say no?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 (Laughter.)

2 DR. BANERJEE: If he had good judgment.

3 MR. PRATO: Selection of scenarios. This  
4 slide shows you the tools that we have available to  
5 us. We have 103 up to date SPAR models, and we have  
6 13 external events SPAR models that are up to date.  
7 Other than that, for seismic, we have 37 IPEEE PRAs  
8 that are 1996 vintage old information, as well as 66  
9 seismic marginal analysis which are 1996 vintage  
10 information.

11 For IRIS, we have 23 PRAs and 85 methods,  
12 methodology that EPRI developed that also is old  
13 information. It dates back to 1996. And that's what  
14 we have available to us right now.

15 So let's talk about scenario selection.

16 MEMBER APOSTOLAKIS: So what does this  
17 slide mean now?

18 MR. PRATO: Which one?

19 MEMBER APOSTOLAKIS: The one that's on the  
20 screen now.

21 MR. HUNTER: The purpose of this slide is  
22 just to show you our current in-house limitations of  
23 what we have, especially concerning external events.

24 MEMBER APOSTOLAKIS: You don't have NUREG  
25 1150?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. HUNTER: We do, but since we're trying  
2 to look at all 103 sites, you're looking at a very  
3 limited scope with essentially four plant left.

4 MEMBER APOSTOLAKIS: But are you implying  
5 here that margin analysis is useful to you?

6 MR. HUNTER: It's not going to be applying  
7 a screening threshold because there's no quantified  
8 data. The sole purpose of this slide was just to show  
9 you what we have currently in house.

10 MR. PRATO: And why our options are what  
11 they are and why we're going to proceed in the  
12 direction we plan to proceed in right now. Okay?

13 CHAIRMAN WALLIS: So this might constrain  
14 what you can do, right?

15 MR. PRATO: Right now that's correct, sir,  
16 without additional information.

17 CHAIRMAN WALLIS: Okay.

18 MR. PRATO: We've had a number of options,  
19 and when we went through all of those options, we came  
20 up really with only two that are viable.

21 CHAIRMAN WALLIS: Where does FAR fit in  
22 this?

23 MR. PRATO: Excuse me?

24 CHAIRMAN WALLIS: Does FAR fit into this  
25 at all?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. PRATO: It will, sir.

2 CHAIRMAN WALLIS: It does?

3 MR. PRATO: It will. I'll show you in  
4 just a moment.

5 CHAIRMAN WALLIS: Okay.

6 MR. PRATO: Okay? Okay. The two options  
7 that we feel are viable is internal event CDF with  
8 uncertainty considerations and internal event CDF with  
9 uncertainty and external event considerations.

10 As we go through the next couple of  
11 slides, please keep in mind that the real issues are  
12 how do we select the scenarios. For example, do we  
13 consider external events?

14 And the other is do we do scenario  
15 selection by class of plant or by individual plant,  
16 and those are the two questions we have to wrestle  
17 through to get through to where we came up with the  
18 methodology that right now we're considering to  
19 proceed on.

20 MEMBER APOSTOLAKIS: So why isn't there a  
21 third bullet, internal events and external events CDF?

22 MR. PRATO: We do have one. Internal  
23 events CDF with uncertainty and external event  
24 considerations.

25 MEMBER APOSTOLAKIS: Considerations, but

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 why not external events CDF? There are some plants --

2 MR. HUNTER: The reason why we're being a  
3 little bit vague about that is because right now we  
4 won't have core damage frequencies assigned for all  
5 external events, including seismic. So we're going to  
6 have to do that in a slightly different manner than  
7 our internal event core damage frequency estimates.

8 MEMBER APOSTOLAKIS: But there are  
9 estimates for some plants of the seismic and fire  
10 contribution.

11 MR. HUNTER: Correct. There's essentially  
12 33 sites have submitted size of PRAs.

13 VICE CHAIRMAN SHACK: I mean, when you  
14 have the seismic PRA in the file you'll use it. For  
15 the others you'll have to take an estimate of whether  
16 a seismic CDF from this plant is okay to use for the  
17 plant that I don't have a seismic on.

18 MR. HUNTER: Correct. What we're  
19 wrestling with is can we apply essentially plant class  
20 or industry-wide data from the limited sources of  
21 quantified data that we have, especially seismic.

22 CHAIRMAN WALLIS: Can I go back to my --

23 MR. PRATO: I remind you that 37 seismic  
24 PRAs we have in house is old information. It dates  
25 back to 1996 and it really hasn't been updated since.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: Fires are not internal  
2 events; is that right?

3 MR. HUNTER: No, fires are considered  
4 external events.

5 CHAIRMAN WALLIS: So, again, I don't  
6 understand why it's not here.

7 MR. PRATO: It's being considered.

8 CHAIRMAN WALLIS: It's not. It doesn't  
9 say anything about fires on this slide.

10 MEMBER APOSTOLAKIS: External events.

11 MR. PRATO: External events, sir.

12 MEMBER KRESS: The second bullet.

13 CHAIRMAN WALLIS: Oh, it's enclosed in  
14 external events.

15 MR. HUNTER: Yes.

16 CHAIRMAN WALLIS: Ah, thank you very much.  
17 But are they just considered? You don't look at the  
18 FAR CDF?

19 MEMBER APOSTOLAKIS: Well, they said that  
20 if they have it they will.

21 VICE CHAIRMAN SHACK: If they have it they  
22 do.

23 CHAIRMAN WALLIS: When they have it they  
24 did. Well, it may be --

25 MEMBER APOSTOLAKIS: "Consider" is a very

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 broad term.

2 PARTICIPANT: And they'll estimate when  
3 they don't.

4 MEMBER SIEBER: But look at this. One  
5 hundred and three --

6 CHAIRMAN WALLIS: I know, but I'm just  
7 trying to figure out why you have a list of options  
8 that doesn't put down fire when fire is often bigger  
9 than internal events. That's what puzzled me. Okay.

10 MR. PRATO: I'm going to refer you to  
11 these two slides back in your package. I'm going to  
12 try to put them up on the screen here.

13 MEMBER APOSTOLAKIS: On the long paper; is  
14 that --

15 MR. PRATO: Yes, sir.

16 VICE CHAIRMAN SHACK: And the muddy  
17 colors.

18 MEMBER APOSTOLAKIS: Multi-colors.

19 VICE CHAIRMAN SHACK: Muddy colors.

20 DR. BANERJEE: Let me ask you a question  
21 which some of us are puzzled by. Why did you pick  
22 these classes rather than doing at least initially a  
23 pilot project for a specific plant? Was there a  
24 reason for that, plants about which you have a lot of  
25 information?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MR. PRATO: And basically that's what  
2 we're going to be doing. We have a reference plant,  
3 and then we're going to have a group of -- right now  
4 we're thinking about the first initial group of three  
5 or four plants from each of the first two, the  
6 Westinghouse four-loop and the BWR --

7 DR. BANERJEE: You are going to speak  
8 specific plants and do it?

9 MR. PRATO: Yes.

10 CHAIRMAN WALLIS: Could I get this from  
11 some member of the public point of view? I mean, you  
12 want to consider anything that's important in  
13 evaluating the consequences, don't you? And all of  
14 these technologies of how you're going to choose this  
15 and the next thing, really the only thing that's  
16 important is that you have really picked out what  
17 matters. That's the only thing that's important to  
18 the public.

19 You have analyzed what matters. Is that  
20 what you've done here?

21 MR. PRATO: With the limitations that we  
22 have.

23 CHAIRMAN WALLIS: Is that what you've done  
24 here?

25 MR. PRATO: We do have limitations.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: But, I mean --

2 MR. PRATO: There are code limitations.

3 CHAIRMAN WALLIS: -- all of this business  
4 about picking scenarios and stuff doesn't tell the  
5 public anything about the fact that you have covered  
6 what matters, does it?

7 MEMBER APOSTOLAKIS: Within your  
8 limitations, will you be confident that you will have  
9 captured what matters?

10 MR. PRATO: I believe so, but you have  
11 to --

12 CHAIRMAN WALLIS: Is that clear?

13 MR. PRATO: -- go through a process to get  
14 to the information in this matter.

15 CHAIRMAN WALLIS: Is that clear?

16 MR. PRATO: Part of that process is  
17 determining how we're going to present that  
18 information and how we're going to group that  
19 information.

20 MELCOR, sometimes their runs are in days.  
21 MACCS right now on the average is ten hours per run.

22 CHAIRMAN WALLIS: Well, when you write  
23 your final report, I hope you make it clear that this  
24 process, which is somewhat confused to me, really does  
25 cover what matters.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER APOSTOLAKIS: At least it's  
2 conservative.

3 CHAIRMAN WALLIS: Right. Okay.

4 MEMBER APOSTOLAKIS: That's what you mean,  
5 that it's sort of a bounding analysis.

6 CHAIRMAN WALLIS: You have actually looked  
7 at things and you've covered the things that matter.

8 MR. PRATO: We certainly are, sir.

9 CHAIRMAN WALLIS: You haven't excluded  
10 things that are important. That's a very simple thing  
11 to say.

12 VICE CHAIRMAN SHACK: To say, yes. To do,  
13 that's another.

14 CHAIRMAN WALLIS: You seem to be making  
15 excuses for why you can't do the proper job. Maybe I  
16 should be quiet, but I'm puzzled by what you're saying  
17 here.

18 MEMBER APOSTOLAKIS: So are you going to  
19 explain to us this screen?

20 MR. PRATO: Yes, sir. The important piece  
21 on this slide, there were two items I think that are  
22 important to point out. The one that's to scale down  
23 here, that shows what the color coding represents, and  
24 then if you look at the note, Note 1 and 2, the  
25 relatively high ATWS CDF for Plant 2 and 10 are due to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the conservative modeling assumptions contained in  
2 these SPAR models. These modeling artifacts are  
3 currently being corrected.

4 Okay. So what we're trying to let you  
5 know is that we don't believe that these will fall in  
6 the red area, but will probably fall in the green or  
7 the yellow.

8 And the second item --

9 MR. HUNTER: Bob, if I may interrupt.

10 MR. PRATO: Go ahead.

11 MR. HUNTER: Basically this is the core  
12 damage frequencies for the dominant scenarios or maybe  
13 even on the initiating event basis. Basically what  
14 we're trying to just show you here is just what the  
15 SPAR models are generating and show the different  
16 scenarios on a per plant basis within the first two  
17 plant groups.

18 That's all we're really trying to show and  
19 basically what we're saying is the initiating events  
20 or scenarios that are colored green are basically  
21 you're looking at they're particular less than 5E  
22 minus seven or in a lot of cases a lot lower than  
23 that.

24 CHAIRMAN WALLIS: So you have picked seven  
25 scenarios which matter.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. HUNTER: No, we're not trying to say  
2 we're picking seven scenarios.

3 CHAIRMAN WALLIS: Well, where did these  
4 seven scenarios come from? Why did you choose them  
5 and how much of the total --

6 MR. HUNTER: That's basically the dominant  
7 scenarios that are coming up, the --

8 CHAIRMAN WALLIS: And they cover 95  
9 percent of the likely releases or what?

10 MR. HUNTER: What we're basically trying  
11 to show is per scenario, per plant, the core damage  
12 frequency estimated per plant, and from that we're  
13 trying to essentially get an overall plant group look  
14 to see what really the dominant scenario is per the  
15 class.

16 CHAIRMAN WALLIS: Now, just talk right  
17 into plain English. You've looked at seven possible  
18 accidents, which cover --

19 MR. HUNTER: No, we looked at --

20 CHAIRMAN WALLIS: -- a certain percent of  
21 the possible hazard to the public.

22 MR. HUNTER: We looked at the entire  
23 internal events model. Basically what we're saying is  
24 if there's -- there's probably more scenarios than  
25 this. Well, there are more scenarios. However, they

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 are a lot lower and pretty much off the map.

2 These are essentially -- they were either  
3 a dominant scenario for multiple plants or just one or  
4 two plants. All we are trying to show is in some  
5 cases you see essentially reds for every plant, and in  
6 some cases you see a mixture, and there's plant  
7 specific differences for the mixture.

8 CHAIRMAN WALLIS: How much of the picture  
9 are you covering doing it this way? Are you omitting  
10 50 percent of what matters? Are you omitting five  
11 percent of what might matter or what?

12 MR. HUNTER: This is the entire internal  
13 events modeling. So, I mean, this includes LOCAs,  
14 ATWS, station blackouts.

15 MEMBER APOSTOLAKIS: No, I think the  
16 question is you list seven scenarios. If I add the  
17 frequencies of these scenarios, is it 95 percent of --

18 MR. HUNTER: It's about 95 percent of the  
19 core damage frequency.

20 CHAIRMAN WALLIS: And is that 95 percent  
21 of the situations where you actually release  
22 significant radioactivity?

23 MR. PRATO: Those that exceed one in a  
24 million per year, one to the tenth to the minus sixth.  
25 It includes them, yes, sir.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER CORRADINI: I think the way I'd  
2 answer it is yes, because if I assumed a probability  
3 of containment failure of one, it's still in that less  
4 than five percent category. That's the way I'd think  
5 of it, Graham, right?

6 CHAIRMAN WALLIS: Right.

7 MEMBER CORRADINI: In other words, let's  
8 say there's Scenarios 8 through 30 that they're not --

9 CHAIRMAN WALLIS: I'm just trying to think  
10 that if I go back home and try to explain to my  
11 colleagues what you've done, how do you put it into  
12 plain English, right?

13 MEMBER CORRADINI: Well, let me try  
14 because this is my way of trying to understand the  
15 answer.

16 The answer is all of the greens are too  
17 low. All of the yellows are maybe too low. All of the  
18 reds are definitely worrisome, and then if you ask  
19 about completeness, Scenarios 8 to upty-ump are there,  
20 but their probabilities are so low, and even with a  
21 probability of --

22 CHAIRMAN WALLIS: Even if you have a big  
23 consequence we don't have to worry about it.

24 MEMBER CORRADINI: Even though the  
25 probability of containment failure is one, the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 probability is still a small percentage.

2 But that hasn't answered the second part  
3 of your question, which is even though the probability  
4 is less than something or other, it still may have a  
5 very large consequence.

6 CHAIRMAN WALLIS: Right.

7 MEMBER CORRADINI: Okay? So there's a  
8 tail. There's a tail in this, whatever the --

9 CHAIRMAN WALLIS: So if I'm risk averse in  
10 some way, I might want to conserve those a swell.  
11 Right. Okay. So I'm very interested --

12 MR. PRATO: And again, we're using the  
13 guidance of the Commission to initially start with  
14 one --

15 MEMBER APOSTOLAKIS: Right.

16 MR. PRATO: -- to the minus six, and this  
17 is more conservative because it is CDF, not release  
18 frequency.

19 MEMBER APOSTOLAKIS: Now, the total CDF  
20 that is listed on the second column, is this the mean  
21 value?

22 MR. HUNTER: It's a point estimate.

23 MEMBER APOSTOLAKIS: Yeah?

24 MR. HUNTER: It's a point estimate.

25 MEMBER APOSTOLAKIS: What does that mean?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 It's a mean.

2 MR. HUNTER: Something like a mean value.

3 MEMBER APOSTOLAKIS: Something like a  
4 mean.

5 MR. HUNTER: It will be very close to the  
6 mean.

7 MEMBER APOSTOLAKIS: Okay. Now, the slide  
8 before said use SPAR or whatever, factoring in  
9 uncertainties. So how would you factor in uncertainty  
10 here?

11 MR. HUNTER: Basically what we're trying  
12 to say here typically you're looking at uncertainty  
13 factors of possibly two or three in natural parameter  
14 uncertainty if you're calculating it, and how we're  
15 saying this is essentially if we factor in  
16 uncertainty, we're going to assume that the yellows  
17 are essentially reds. That's how we're kind of using  
18 it.

19 MEMBER APOSTOLAKIS: I see.

20 MR. HUNTER: So essentially, scenarios  
21 that are close to the threshold but are below,  
22 factoring in uncertainty, they're going to be  
23 essentially we're going to consider them above the  
24 threshold.

25 MEMBER APOSTOLAKIS: Okay.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. PRATO: Let me move on to the BWR  
2 slide, please. And I'm going to walk you through.

3 CHAIRMAN WALLIS: So it's very interesting  
4 that the failure of the core CP seals LOCA (phonetic)  
5 is more significant than al these other LOCAs?

6 MR. PRATO: That's the latest information  
7 according to SPAR.

8 MR. HUNTER: Yes, large CP seal LOCAs will  
9 dominate because it can be generated from blackouts  
10 and, you know, losses of service water. You see it in  
11 many different --

12 CHAIRMAN WALLIS: All these other LOCAs  
13 we've been fascinated with for years are irrelevant?

14 MR. HUNTER: Pretty much.

15 (Laughter.)

16 MR. HUNTER: From a risk standpoint,  
17 pretty much.

18 CHAIRMAN WALLIS: That's because you've  
19 done such a good job of protecting against them. Is  
20 that it?

21 MEMBER APOSTOLAKIS: So let me ask a  
22 question. Are you on the BWR?

23 MR. PRATO: Do you want to go back to the  
24 page, sir?

25 MEMBER APOSTOLAKIS: Yeah.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. PRATO: It's just a --

2 MEMBER APOSTOLAKIS: Yeah, it really  
3 doesn't matter what. If I look now at Scenario 6 for  
4 -- yeah, the Scenario 6 is loss of service water or  
5 component cooling water with failure of the reactor  
6 coolant pump seal and I have a LOCA.

7 MR. HUNTER: Correct.

8 MEMBER APOSTOLAKIS: Now, this sequence  
9 takes me to core damage.

10 MR. HUNTER: yes.

11 MEMBER APOSTOLAKIS: So this will be  
12 supplemented by additional event if they're into  
13 containment before you do your calculations?

14 MR. HUNTER: Right. We'll have to factor  
15 in the -- yes. This won't work because essentially  
16 you might be without containment spray, but you'd have  
17 coolers and other such mitigation factors.

18 MEMBER APOSTOLAKIS: So this is not  
19 verbatim the scenario you're analyzing.

20 MR. HUNTER: No, this is just explaining  
21 up until core damage, all of these --

22 MEMBER APOSTOLAKIS: I understand that.  
23 So this is not the scenario that will lead to  
24 consequences. You will have to consider additional  
25 containment functions.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. HUNTER: Yes.

2 MEMBER APOSTOLAKIS: Yes. Okay. Very  
3 good. Now I understand.

4 CHAIRMAN WALLIS: Is surface water a  
5 safety significant system?

6 MR. HUNTER: It's a support system that  
7 essentially feeds --

8 DR. MAYNARD: Some plants call it surface  
9 water. You have to put in a -- there's a service  
10 water and an essential service water, and it is that  
11 safety related or essential service water part that is  
12 important to safety.

13 MEMBER APOSTOLAKIS: Yeah, this is what  
14 I'm --

15 CHAIRMAN WALLIS: That's sort of  
16 extraordinary though. I mean, here's something like  
17 surface water, which is just of the faucet.

18 MEMBER APOSTOLAKIS: This is one of the --

19 CHAIRMAN WALLIS: And there's the seals of  
20 a pump. There's the seals of a pump, which is really  
21 not a major part of the system at all, and yet you've  
22 got more reds in that column than you've got in almost  
23 all of the others.

24 MEMBER APOSTOLAKIS: Yeah, that's right.  
25 This is one of the great results of the reactor safety

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 study, Graham, the importance of the support systems.

2 CHAIRMAN WALLIS: Yeah, I realize that,  
3 but it's so extraordinary that these things turn out  
4 to be much more important than all of these safety  
5 systems we worried about so much.

6 MEMBER APOSTOLAKIS: Right. This was a  
7 great insight, and it has been confirmed many times by  
8 industry response from PRAs.

9 MR. PRATO: Okay. Let me walk you through  
10 a simple process. Okay? Let's take 5(a). Okay.  
11 What we're going to do is we're going to have a  
12 reference plant, and we're going to run that reference  
13 plant through MELCOR and come out with a source term  
14 for each one of these dominant scenarios.

15 MEMBER APOSTOLAKIS: Yeah.

16 MR. PRATO: And then we're going to take  
17 the input from each plant, each individual plant, put  
18 the input into MACCS using the source term from the  
19 reference plant, okay, and run our MACCS calculation  
20 to determine consequence. Okay? that's our intent.

21 The question is, okay -- I'll go back to  
22 the previous question -- when we identify the  
23 dominating scenarios, okay, do we run every single  
24 plant through that exercise or do we leave out Plant  
25 No. 9 because it's green?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Now, if you look at the BWR scenarios, if  
2 we did it based on individual plant, we would have to  
3 leave out Plant 16 because it's all green, and there  
4 would be no consequence to report for that site.

5           If we base it on class of plants and run  
6 the dominating scenarios for all of those plants  
7 within that class of plant, we will have a consequence  
8 analysis for each. It will be linked to the  
9 frequency, but the bottom line is it's the only way  
10 we're going to get consequences for all the plants, is  
11 if we do it by class of plant.

12           CHAIRMAN WALLIS: What is black on this  
13 picture?

14           MR. HUNTER: Black in this picture  
15 typically means it's a plant specific scenario.  
16 Typically the SPAR models in their benchmarking  
17 process have identified a specific action or specific  
18 licensee PRA modeling.

19           CHAIRMAN WALLIS: Is black worse than red  
20 or better than green?

21           MR. HUNTER: Black is not modeled.

22           MEMBER SIEBER: It doesn't exist.

23           CHAIRMAN WALLIS: It doesn't exist.

24           MR. HUNTER: Yes.

25           CHAIRMAN WALLIS: So it's just a maybe.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 You don't know. Black is a don't know?

2 MR. HUNTER: It's a no.

3 PARTICIPANT: Black in a non-modeled  
4 event.

5 MR. HUNTER: Right. It's a non-modeled  
6 event. It's actually an attempt by the SPAR models to  
7 match the licensee --

8 CHAIRMAN WALLIS: Does that mean that  
9 they're not important or it just means you can't do  
10 them?

11 MR. HUNTER: Not applicable.

12 PARTICIPANTS: Not applicable.

13 MEMBER APOSTOLAKIS: I think it makes  
14 sense, what they're doing.

15 VICE CHAIRMAN SHACK: So far so good.

16 MEMBER APOSTOLAKIS: Yeah, I mean, with  
17 the last explanation it makes sense to me.

18 MR. PRATO: Okay. Now, the question is --

19 MEMBER APOSTOLAKIS: I mean, I wanted to  
20 make a positive statement.

21 (Laughter.)

22 CHAIRMAN WALLIS: You mean having black  
23 holes is a positive --

24 MEMBER APOSTOLAKIS: I'm sorry?

25 CHAIRMAN WALLIS: You mean having black

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 holes makes sense? Is that what you mean?

2 MEMBER APOSTOLAKIS: Well, that's what the  
3 RAC said.

4 MR. HUNTER: Now, the real question is  
5 looking at these, these are internal events only.  
6 These are generated just from the spire mouse  
7 (phonetic) right now. So how do we integrate the  
8 external event, what we have, the information we have?

9 MR. PRATO: And our intent is to do an  
10 information to licensees, ask the ones that have  
11 updated their information. Based on the information  
12 that we get from the updated Level 3 PRAs, we will  
13 come up with a mean and apply it to the plants that  
14 don't have updated information.

15 MEMBER APOSTOLAKIS: What is the ultimate  
16 goal of this? You calculate the consequences and  
17 then?

18 MR. PRATO: The ultimate goal is to find  
19 a source term for each plant, for each applicable  
20 scenario, and run that source term to max for each  
21 plant to insure that -- to get a consequence.

22 VICE CHAIRMAN SHACK: But you're still  
23 debating over whether to compute source terms for  
24 classes of plants and then do the max calc. on an  
25 individual basis or to do --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MR. PRATO: We have --

2 VICE CHAIRMAN SHACK: -- source terms for  
3 each plant.

4 MR. PRATO: We got kind of limited for  
5 that. We're limited in the plants we can do because  
6 of the time it takes to run them.

7 MR. HUNTER: It complicates things because  
8 as we showed, we have limited information on external  
9 events for every plant. So it does simplify it if we  
10 can look at it on a class-by-class basis for external  
11 events.

12 MEMBER APOSTOLAKIS: My question was not  
13 answered. So, okay, you calculate the consequences.  
14 Now what? Is somebody going to make a decision of  
15 some sort or are we just calculating this?

16 MEMBER CORRADINI: This is essentially --  
17 I thought they told us whenever it was, in September  
18 --

19 MEMBER APOSTOLAKIS: Yeah.

20 MEMBER CORRADINI: -- it was essentially  
21 a replicate of the siting study where the siting study  
22 showed.

23 MEMBER APOSTOLAKIS: right.

24 MEMBER CORRADINI: So is that not the  
25 point of all of this?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. PRATO: It is, but we're considering  
2 other things.

3 MEMBER APOSTOLAKIS: Like?

4 MEMBER CORRADINI: Like, yeah.

5 MR. PRATO: First of all, I believe the  
6 siting study only used LNT. We're going to include  
7 other thresholds.

8 MEMBER APOSTOLAKIS: Okay.

9 MR. PRATO: And we're going to get to that  
10 in just a minute. And then we're considering other  
11 ways of presenting the information. We don't want a  
12 range of consequences. We would like to try to  
13 combine that and come up with a single consequence,  
14 and we have been directed by the steering committee to  
15 try and figure out a way to do that, and we're not  
16 ready to present anything on that approach.

17 MEMBER APOSTOLAKIS: No, but my question  
18 is -- maybe you mentioned it at the beginning. I  
19 wasn't here. After the study is completed --

20 MR. PRATO: Yes, sir.

21 MEMBER APOSTOLAKIS: -- who is going to us  
22 it for what purpose?

23 MR. PRATO: We had a variety of purposes.  
24 I'm sorry I didn't write them down, but the bottom  
25 line, this -- Jason, do you remember the list of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 purposes and potential applications?

2 MR. TINKER: Well, the original SECY has  
3 a section that talks about potential regulatory uses.

4 MEMBER APOSTOLAKIS: Okay. What?

5 MR. TINKER: Well, other than, you know,  
6 the important aspect of providing an updated picture  
7 of the consequences, it is believed that this kind of  
8 work could provide new insights into those aspects of  
9 behavior that dominate consequences by inference, by  
10 inference risk, although this is not strictly speaking  
11 a risk study.

12 MEMBER APOSTOLAKIS: Right.

13 MR. TINKER: So to the extent we want to  
14 improve our understanding of what now dominates the  
15 consequences, it provides the technical basis for  
16 prioritization of future activities to examine where  
17 you might want to achieve improvements.

18 MEMBER APOSTOLAKIS: Improvements --

19 MR. TINKER: Improvements in both  
20 performance and understanding.

21 MEMBER APOSTOLAKIS: But, for example,  
22 would you say that maybe the SAMGs need some changes  
23 or is that out of the question?

24 Would the emergency planning need some?

25 MR. TINKER: If practical and feasible

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 changes were identified that could alter the path of  
2 some of these calculations, if these analyses point to  
3 such opportunities, then they would be a subject for  
4 more discussion, but you know --

5 MEMBER APOSTOLAKIS: But there is no  
6 specific goal at this time. It's just do it, gain the  
7 inside, see what you have.

8 MR. TINKER: Well, we think -- we think  
9 we're providing a realistic picture of the  
10 consequences from the important scenarios is an  
11 important outcome in itself. But we would also see  
12 this as an opportunity to improve our risk  
13 communication with the public, with all our  
14 stakeholders, and like I said, to the extent it  
15 provides a vehicle for examining where additional  
16 improvements in analysis could take place, while this  
17 is state of the art, it will still probably identify  
18 areas where some improvement may be warranted to  
19 further understand.

20 CHAIRMAN WALLIS: But, Charlie, for  
21 instance --

22 MR. TINKER: You're going to that state at  
23 the end of all of these calculations. We would expect  
24 that to be at the end of this set of calculations.

25 CHAIRMAN WALLIS: Well, Charlie, for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 instance, if you look at Scenario 4, which has the  
2 most of the reds, you might say, well, maybe something  
3 is to be done about RHR reliability.

4 MR. TINKER: Yes, but I'll caution you.  
5 The fact that it shows up high in CDF does not  
6 necessarily mean it's going to have significant --

7 CHAIRMAN WALLIS: But that's what's  
8 confusing about using CDF all the time.

9 MR. TINKER: It is still the screen.  
10 Okay? But we will do the consequence calculations,  
11 and if the consequence calculations for particular  
12 scenarios reveal a strong uncertainty influence or  
13 where there may be, you know, something that becomes  
14 apparently from examination of the SAMGs or EDMGs,  
15 they would be the subject for any further discussion.

16 But myself personally, a personal view, it  
17 provides an excellent vehicle for examining the EDMGs,  
18 extensive damage mitigation guidelines.

19 MEMBER APOSTOLAKIS: Right. Okay.

20 MR. TINKER: New measures that have been  
21 put in place at the plants in the last several years.  
22 This provides a vehicle for systematic evaluation of  
23 those through the important scenarios.

24 MEMBER APOSTOLAKIS: So you may even relax  
25 some of those?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. TINKER: I didn't say that.

2 MEMBER APOSTOLAKIS: I know you didn't.

3 That's why I'm asking.

4 (Laughter.)

5 MR. TINKER: No, no.

6 VICE CHAIRMAN SHACK: Effectiveness,  
7 George.

8 MR. TINKER: No, but I mean, those  
9 additional measures -- and they are important measures  
10 -- were done under a different umbrella and were not  
11 done looking through the full gamut of scenarios, and  
12 this is a vehicle for doing that, and frankly, it's  
13 the vehicle by which we can assess the true magnitude  
14 of the benefit of those measures.

15 We believe those measures have benefit,  
16 but we do not know the full extent. They may prove to  
17 be much more beneficial than we realize at this point.

18 VICE CHAIRMAN SHACK: How did the SAMGs  
19 work into this now? You're getting to a core damage  
20 state and then MELCOR takes over.

21 MR. TINKER: Well, this tells us our going  
22 in plant damage state. That plant damage state will  
23 be modified by SAMGs or EDMGs. Operators may bring in  
24 other systems. Operators may use cross-connects.

25 VICE CHAIRMAN SHACK: So you'll end up

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 doing multiple calculations for these things then.

2 MR. TINKER: There could very well be  
3 iterations on some of these.

4 MEMBER APOSTOLAKIS: And I suspect what's  
5 going to happen is that ten years from now after this  
6 has been completed, where we have a similar project,  
7 calculate the actual risk and then Tom Kress will be  
8 so happy, right?

9 MEMBER KRESS: If I'm still alive.

10 PARTICIPANT: He'll still be alive.

11 VICE CHAIRMAN SHACK: Maybe we'd better  
12 move on.

13 MEMBER APOSTOLAKIS: But, Graham, these  
14 reds have been known all along and the decisions have  
15 been made not to do anything about it. So that's not  
16 the issue here. This is just a selection of the  
17 scenarios because look at the actual. I mean, at some  
18 point you have to say, you know, that risk is low  
19 enough.

20 CHAIRMAN WALLIS: But it's going to look  
21 rather strange to the public, the things you --

22 MEMBER APOSTOLAKIS: Well, the public has  
23 to learn a little bit, too.

24 CHAIRMAN WALLIS: More loss of water from  
25 the faucet essentially.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 (Laughter.)

2 MEMBER APOSTOLAKIS: Use different shades  
3 of green then. What can I tell you?

4 MR. PRATO: Okay. So that was the first  
5 option. Our two options were to use just uncertainty  
6 or to use external events, and we went through the  
7 external events. We plan to incorporate external  
8 events. We're going to ask for updated --

9 VICE CHAIRMAN SHACK: Assume that first  
10 option was a strawman, right?

11 MR. HUNTER: Yes, yes. We're going to be  
12 factoring uncertainty, and we're going to factor in  
13 external events. We just don't know to the extent of  
14 how we are going to factor in external events yet.

15 MR. PRATO: And our current plan is to  
16 request information from the licensee. Those that  
17 have updated information will incorporate it  
18 appropriately, and those that don't will come up with  
19 a mean and include those in the blanks that we have  
20 for external events.

21 We believe that this is our best approach.  
22 It's a relatively simple approach for plants with no  
23 external event PRAs. There's just no other way we can  
24 consider external events if we don't have an alternate  
25 means of including it for those that have not updated

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 the PRA.

2 We don't have a feel yet for how many have  
3 or have not updated it, but we'll provide you with  
4 that information as we go along.

5 CHAIRMAN WALLIS: Now, you didn't have  
6 anything on your big charts with reds and greens about  
7 fires.

8 MR. PRATO: What was that?

9 CHAIRMAN WALLIS: In your reds and greens,  
10 you didn't have the external events include fires, and  
11 we know that fire PRAs tend to give similar CDFs to  
12 these internal events PRAs, right?

13 MR. HUNTER: Correct.

14 CHAIRMAN WALLIS: So if you're using CDF  
15 as a screen, you ought to consider --

16 MR. HUNTER: And we are.

17 MR. PRATO: Right now we just don't have  
18 the external event information, and we wanted to  
19 present you with a basic approach with what  
20 information we had.

21 MR. HUNTER: We'll have a similar chart.

22 MR. PRATO: This will be updated. That  
23 drawing will be updated.

24 CHAIRMAN WALLIS: You'll have a similar  
25 chart for fires?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. PRATO: No, we'll have --

2 CHAIRMAN WALLIS: The various scenarios  
3 produced by fires?

4 MR. HUNTER: What we'll have is we'll have  
5 preliminary looks. Fires are going to give you very  
6 similar scenarios to what we already have. They're  
7 going to -- the dominant fire scenarios are typically  
8 going to give a similar trend as to what we're seeing  
9 in internal events.

10 In regards to seismic, because of  
11 essentially the 33 plants that essentially had IPEEE  
12 center PRA submittals, we're going to have to look at  
13 those a little bit differently.

14 CHAIRMAN WALLIS: You're going to take  
15 these fire scenarios and put them through MELCOR and  
16 all of that kind of stuff?

17 MR. HUNTER: It might be a sensitivity  
18 case. If it turns out to be where the MELCOR run for  
19 those type of scenarios are different than the  
20 internal event scenarios, we'll look at what's  
21 dominating. You know, if we have essentially low E to  
22 the minus six but the external event scenario is  
23 actually going to have a higher core damage frequency,  
24 but also be more limiting in the cases of recovery and  
25 equipment available. So we'll take in those factors.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: Can we move on?

2 MR. PRATO: Yes, sir.

3 That brings us to LNT and thresholds. The  
4 Commission directed the staff not to solely rely on  
5 conservative collective dose models. They told us to  
6 use a range. In our plan to implement the guidance,  
7 the direction from the Commission, we identified a  
8 range of zero to five rem and the Commission approved  
9 that plan, in the SRM.

10 MEMBER KRESS: Question. When you make  
11 the max calculations for the cancers, you stop at some  
12 distance?

13 MR. PRATO: When you use LNT, it goes all  
14 the way out to 1,000 months.

15 Okay. Go ahead.

16 MR. SULLIVAN: Randy Sullivan.

17 Distance is an input parameter. It's a  
18 decision we have to make, what distance to choose.

19 MEMBER KRESS: Isn't that equivalent to  
20 using a threshold?

21 MR. SULLIVAN: It is, but really we want  
22 to address the threshold issue as the threshold issue  
23 and the distance issue as the distance issue.

24 MEMBER KRESS: So you can make the  
25 threshold determine your distance. Is that the way

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you plan on doing it?

2 MR. SULLIVAN: No. I mean --

3 CHAIRMAN WALLIS: The threshold is zero.  
4 It's a pretty long distance.

5 MR. HUNTER: But they don't have to be  
6 internally consistent though.

7 MR. SULLIVAN: There's several reasons to  
8 choose a distance, the accuracy of models, what you're  
9 attempting to do, et cetera, et cetera. One byproduct  
10 of choosing a distance is that you reduce the number  
11 of tiny doses that are given to a lot of people, but  
12 really we're attempting to address the threshold issue  
13 as the threshold issue and the distance issue as the  
14 distance issue rather than use one as a surrogate for  
15 the other.

16 I don't know that we're prepared to go all  
17 the way into that, but we can discuss it as much as --

18 MEMBER KRESS: I think it's a good idea to  
19 separate them. We use the same set of -- use a set of  
20 thresholds for the same distance. It gives you an  
21 idea of what the threshold means.

22 MR. SULLIVAN: That's true.

23 MEMBER CORRADINI: So if I could just get  
24 to say it differently. So these will be  
25 sensitivities. The distance will be a sensitivity and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the threshold will be a sensitivity on certain select  
2 cases.

3 MR. SULLIVAN: That's not quite our  
4 intent. We will choose a distance. It will be based  
5 on judgment and arguments, and we haven't done that  
6 yet, but we're on it, and we're --

7 CHAIRMAN WALLIS: What sort of distances  
8 are you likely to pick?

9 MR. SULLIVAN: Fifty-two, fifty or 1,000.

10 CHAIRMAN WALLIS: Miles?

11 MR. SULLIVAN: Right.

12 MEMBER KRESS: Yeah, those are traditional  
13 numbers.

14 CHAIRMAN WALLIS: Thank you.

15 MR. SULLIVAN: And we're struggling with  
16 that. We don't know the answer right now.

17 CHAIRMAN WALLIS: Now, in terms of this  
18 threshold, it's not just the threshold you need, but  
19 where do you go when you start up from the threshold?  
20 How do you leave the threshold and how do you get onto  
21 some curve which you believe?

22 MR. SULLIVAN: I'm prepared to discuss  
23 threshold a bit if you'd care to.

24 CHAIRMAN WALLIS: I'm just curious about  
25 how you get from the threshold to --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. SULLIVAN: I didn't understand your  
2 question.

3 CHAIRMAN WALLIS: Well, first of all, it  
4 tells you when you start, right?

5 MR. SULLIVAN: No.

6 CHAIRMAN WALLIS: Where do you go from  
7 there?

8 MR. SULLIVAN: No. It's two separate  
9 subjects. Distance is a subject. When we --

10 CHAIRMAN WALLIS: No, I'm talking about  
11 threshold. Distance is irrelevant.

12 MR. SULLIVAN: Fine. Right now the linear  
13 no threshold model is used internationally as I'm sure  
14 you know.

15 CHAIRMAN WALLIS: Goes down to the origin.  
16 It's a straight line.

17 MR. SULLIVAN: Exactly.

18 MEMBER APOSTOLAKIS: A straight line to  
19 the origin.

20 CHAIRMAN WALLIS: And there's no  
21 threshold. You have to figure out how you get up to  
22 the straight line from the threshold.

23 MR. SULLIVAN: Oh, well, that's what we're  
24 going to have to figure out.

25 CHAIRMAN WALLIS: So vertically up to the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 threshold from the --

2 MR. SULLIVAN: We're going to use zero  
3 threshold and five rem.

4 CHAIRMAN WALLIS: And then you go  
5 vertically up to the straight line?

6 MR. SULLIVAN: No, and then something in  
7 between.

8 CHAIRMAN WALLIS: Oh, so you have a curve  
9 of some sort.

10 MR. SULLIVAN: But we're not going to  
11 present a curve. The idea on the table, we're  
12 considering methods. It would be -- one method is to  
13 publish a range. One method is to pick a threshold.  
14 Right now what we're discussing is perhaps an expert  
15 elicitation to do something in between, but the staff  
16 is struggling with that. That's not decided.

17 Did that answer your question at all?

18 MEMBER APOSTOLAKIS: Is there any evidence  
19 that would say that, say, five rem is a likely  
20 threshold? I mean, you're treating it completely as  
21 a sensitivity parameter.

22 MR. SULLIVAN: It's almost a matter of  
23 conviction. The major international groups have  
24 decided that there is not enough evidence to do away  
25 with linear, no threshold. However, there are many

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 people and societies, the Health Physics Society, in  
2 America, the French that feel that some threshold is  
3 appropriate.

4 MEMBER APOSTOLAKIS: But it's not  
5 specified.

6 MR. SULLIVAN: But the evidence for  
7 regulatory purposes, linear no threshold is used. You  
8 know, is this a regulatory purposes document? You  
9 know, we're going to have to struggle with what to  
10 use, and we've come up with some preliminary ideas  
11 yesterday.

12 CHAIRMAN WALLIS: Isn't your purpose for  
13 public consumption, to give them something believable?

14 MR. SULLIVAN: Yes, it is.

15 CHAIRMAN WALLIS: Not just to pick things?

16 MR. SULLIVAN: Well, you can't just pick  
17 things. That's exactly right. That's why we're  
18 struggling.

19 MEMBER APOSTOLAKIS: But if they show, for  
20 example, that makes a big difference in the  
21 consequences whether the threshold is one or five.  
22 That's a useful insight because they're also saying we  
23 don't know which one it is.

24 CHAIRMAN WALLIS: But then what do you  
25 tell the public? Do you say it's more likely to --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MEMBER APOSTOLAKIS: You do exactly that.

2 MR. PRATO: That's what we're struggling  
3 with. How do you present this information?

4 MR. SULLIVAN: What we're going to tell  
5 the public is the NRC's judgment of what the likely  
6 consequences are from these kinds of accidents.  
7 That's what the document is going to do.

8 Now, we're going to have to back that up.

9 CHAIRMAN WALLIS: It could make a big  
10 difference. It could make a very big difference if  
11 it's zero or five.

12 MR. SULLIVAN: Yes, it does.

13 CHAIRMAN WALLIS: Close to a big  
14 population center or --

15 MR. SULLIVAN: Let me give you a data  
16 point. The Health Physics Society says you should  
17 pick five.

18 MEMBER APOSTOLAKIS: Wow.

19 MR. SULLIVAN: All right? Now, the  
20 international bodies --

21 CHAIRMAN WALLIS: I'll bet you can find  
22 someone who says you should pick zero.

23 MR. SULLIVAN: You can find plenty of  
24 people who say you should pick zero, but usually  
25 they're from ICRP or NCRP as opposed to somebody who

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 actually does this for a living, but nevertheless --

2 MEMBER APOSTOLAKIS: You mean these are  
3 part-timers?

4 (Laughter.)

5 PARTICIPANT: Is that on the public  
6 record?

7 MR. SULLIVAN: Let's just say -- let's  
8 just say that that's one --

9 MEMBER APOSTOLAKIS: Like an advisory  
10 committee, right?

11 (Laughter.)

12 MR. SULLIVAN: That's one man's opinion.

13 PARTICIPANT: Semi-useless.

14 MR. SULLIVAN: Well, actually we've  
15 thought of going to the advisory committee.

16 MEMBER KRESS: I think it would be a very  
17 useful exercise to do what you're saying just to see  
18 what effect it has.

19 MEMBER APOSTOLAKIS: Sure, sure.

20 MEMBER CORRADINI: So if I can go back to  
21 distance, since we're doing things that are useful,  
22 I'm very curious. So have you talked out what are the  
23 benefits from a small distance, middle distance, and  
24 clearly a large distance? Because it seems to me if  
25 you're going to do this sensitivity --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER KRESS: That could be another one.

2 MEMBER CORRADINI: WITNESS VAIL: -- that  
3 would be a sensitivity. I would think you would be  
4 open for criticism if you did not do.

5 MR. SULLIVAN: I think that's exactly  
6 right. You know, there are staff members who believe  
7 1,000 is correct. There are those who believe 50 are  
8 correct. We're going to --

9 MEMBER KRESS: Or parameterize that, and  
10 you'll get different results depending on --

11 VICE CHAIRMAN SHACK: It's only money and  
12 time.

13 MEMBER KRESS: -- specific sites.

14 MEMBER CORRADINI: Well, that's what I  
15 guess I wanted to ask, since Dr. Shack threw that one  
16 in. When you do a MACCS calculation, since I'm not  
17 familiar with that part of the calculation, and it is  
18 not time dependent but really an average of how it  
19 flows, that's a fairly quick calculation or am I wrong  
20 about that?

21 MR. SULLIVAN: When you don't use a  
22 threshold, it's a fairly quick calculation. If you go  
23 to a threshold that really draws the run time out.

24 MEMBER CORRADINI: Does it draw it out as  
25 a function of the distance you consider? I would

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 think no.

2 MR. SULLIVAN: No, I think distance is a  
3 parameter, yeah, but I mean the more cells we have to  
4 calculate a result in --

5 DR. BANERJEE: But for your 1,000 mile  
6 calculation, if it's sufficiently nodalized, surely  
7 you get your 50 and your 500 or 300 as part of it.

8 MR. SULLIVAN: The issue is whether you  
9 really think those are realistic results, and--

10 MEMBER KRESS: A lot depends on wind rows  
11 and the population distribution as to whether or not  
12 you might end up going to the desert and not hit  
13 anybody.

14 CHAIRMAN WALLIS: You should calculate it  
15 out until it stops being important.

16 DR. BANERJEE: The time and variant  
17 calculation.

18 MEMBER KRESS: Oh, yeah, definitely.

19 DR. BANERJEE: And you pick your wind  
20 direction or whatever based on the class of weather.

21 MEMBER KRESS: But you also input your  
22 population distributions.

23 MR. SULLIVAN: If you go out to 1,000  
24 miles --

25 DR. BANERJEE: But that's not changing.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I mean it's there.

2 MEMBER KRESS: No, that's not changing.

3 DR. BANERJEE: So all I'm saying is as  
4 part of your 1,000 mile calculation, if your  
5 population is static, if your wind direction doesn't  
6 change and your 1,000 mile calculation, it's not a  
7 meandering plume --

8 MEMBER KRESS: Yeah, that's right.

9 DR. BANERJEE: -- then everything else is  
10 a subset of that.

11 MR. SULLIVAN: Yeah, exactly.

12 CHAIRMAN WALLIS: But you can't just pick  
13 numbers of miles. I mean, if you're still killing all  
14 of the people at 1,000 miles, you should go to 2,000  
15 miles. You go on until you stop killing people.

16 MR. SULLIVAN: We don't believe you're  
17 killing people at 1,000 miles is the argument that  
18 we're going through.

19 CHAIRMAN WALLIS: But you should stop when  
20 you stop having any consequences, but you go as far as  
21 you need to go in order to predict a realistic  
22 consequence.

23 MEMBER KRESS: And that will be site  
24 dependent.

25 DR. BANERJEE: That will depend on whether

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you have a threshold or not, right?

2 MEMBER CORRADINI: So this leads me to the  
3 obvious question, which I'm sure you do this because  
4 you don't really want to spend a lot of money for the  
5 sake of it. Somebody can come up with a hand  
6 calculation. It was in 10 CFR 100 in the '50s, that  
7 you could do it forever and it's a closed form  
8 solution relative to a dispersion calculation. Have  
9 you done these hand calculations to know the  
10 sensitivity of the number you'd expect?

11 TID 14844 tells you how to do it with a  
12 closed form formula. Has anybody in the staff started  
13 doing those calculations to, shall I say, bound a  
14 computer calculation?

15 MR. SULLIVAN: Heavens, no. We don't even  
16 have a scenario to get a source term to get to MACCS.  
17 You know, it's a --

18 MEMBER CORRADINI: No, and that's what I  
19 -- you misunderstand my point. My point is what  
20 Sanjoy is getting at or what Graham is getting at is  
21 there are cruder calculational methods that would give  
22 you some insight as to whether 50, 250 or 1,000 is  
23 reasonable.

24 DR. BANERJEE: It's hard to do with  
25 multiple radionuclides. I mean, if you had a very

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 simple release scenario like --

2 MEMBER CORRADINI: If you were able to  
3 build 100 plants with 10 CFR 100 and 14844, it would  
4 seem to me you could do a hand calculation to see what  
5 the global parameters might be. I'm curious if you  
6 did that.

7 DR. BANERJEE: If you take a very simple  
8 decay law or whatever, you know, you can do much of  
9 this by hand.

10 MEMBER APOSTOLAKIS: There was a question  
11 earlier that when you say a threshold of five, that  
12 means below five is zero?

13 MR. SULLIVAN: Yes.

14 MEMBER APOSTOLAKIS: Okay.

15 CHAIRMAN WALLIS: Well, tell me about  
16 plumes. Now, at Chernobyl there was a big plume and  
17 very energetic and it blew over France, and according  
18 to the French for a long time nothing ever happened in  
19 france, but then after going off to France, it landed  
20 in Scotland and it had tremendous effects in Scotland.

21 So now, how does your miles and diffusion  
22 account for the fact that this thing skipped France  
23 and landed in Scotland?

24 MEMBER CORRADINI: This is not Chernobyl.  
25 You don't really want to --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: It's not Chernobyl?  
2 You're going to allow Chernobyl to happen?

3 MS. MITCHELL: The energetic release,  
4 there isn't a code -- Jocelyn Mitchell from the Office  
5 of Research -- there isn't a code that will model the  
6 explosive release that releases it into --

7 CHAIRMAN WALLIS: Oh, so this is something  
8 you're not going to model at all.

9 MR. SULLIVAN: It can't happen.

10 MS. MITCHELL: Right. We don't have the  
11 reactivity --

12 CHAIRMAN WALLIS: It won't happen?

13 MS. MITCHELL: -- initiated accidents,  
14 have been designed out --

15 CHAIRMAN WALLIS: But it has happened.

16 MS. MITCHELL: -- of U.S. plants.

17 CHAIRMAN WALLIS: Oh.

18 MR. SULLIVAN: You need some, you know,  
19 charcoal to help.

20 DR. BANERJEE: But people have tried to  
21 model Chernobyl. So presumably it can be done.

22 MEMBER KRESS: Sure.

23 CHAIRMAN WALLIS: But you have to know  
24 something about the weather.

25 MS. MITCHELL: People usually don't model

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 the first day's very explosive release, and there were  
2 probably about four major wind shifts that occurred  
3 during the next eight days, and they take the measured  
4 values of Cesium-137, and they back calculate to  
5 determine what the source term was on that day.

6 So the fact that you can now take the  
7 source term and use the met. models and find that you  
8 can get the answer to me seems incestuous.

9 DR. BANERJEE: Well, it depends how far  
10 away and what you did, but this is sort of traditional  
11 also with release models for chemical plants where  
12 they actually take the data and the met. data, and  
13 then they back out what actually happened and then  
14 tried to predict in real time where the plume is  
15 going.

16 These are called "trace." No relation to  
17 the TRACE we talk about, but they try to do that.

18 MR. SULLIVAN: If we're going to discuss  
19 Chernobyl, I'd like to give you one data point. We're  
20 20 years on from Chernobyl, and according to linear no  
21 threshold, there should have been a blip in the  
22 leukemia rate in Europe and there is not. All right?

23 So you mentioned consequences from  
24 Chernobyl. Of course there were grave consequences,  
25 but not latent cancer fatalities, as were expected by

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the LNT theory.

2 VICE CHAIRMAN SHACK: Maybe we had better  
3 move on to the rest of the presentation.

4 CHAIRMAN WALLIS: Well, this is the reason  
5 for bringing up Chernobyl. Is it something which  
6 actually happened? And you seem to be in a world  
7 where you're just creating models of something and  
8 there must be some connection between the two.

9 MEMBER APOSTOLAKIS: They have a different  
10 design of reactor.

11 (Simultaneous conversations.)

12 MEMBER KRESS: -- gave you the right  
13 answer. Chernobyl is not one of the scenarios for a  
14 U.S. plant. It doesn't show up.

15 MEMBER APOSTOLAKIS: So what is the next  
16 subject?

17 MEMBER KRESS: Why bother with it?  
18 There's no U.S. plants --

19 DR. BANERJEE: Well, what most of these  
20 things show is that human error is the main  
21 contributor to --

22 MEMBER KRESS: You can't even get a  
23 Chernobyl with human error with a U.S. plant.

24 THE REPORTER: One at a time.

25 MEMBER KRESS: One at a time.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. BANERJEE: Chernobyl and these other  
2 accidents, sure, is that most of the probability comes  
3 from human error.

4 MEMBER KRESS: Sure. That's a lesson  
5 learned.

6 DR. BANERJEE: Yes.

7 MEMBER KRESS: From Chernobyl, sure. But  
8 supposedly we've accounted for that in the PRA.

9 DR. BANERJEE: Are we accounting for human  
10 error in the PRA?

11 MEMBER KRESS: yes.

12 CHAIRMAN WALLIS: The PRA.

13 DR. BANERJEE: You were telling us that  
14 all of these different models for human error exist  
15 and none of them agree with each other and --

16 MEMBER APOSTOLAKIS: Accounting does not  
17 make me aware.

18 DR. BANERJEE: All right?

19 MEMBER APOSTOLAKIS: Accounting is like  
20 considering.

21 (Laughter.)

22 VICE CHAIRMAN SHACK: Hopefully it's not  
23 quite the same.

24 MR. SULLIVAN: I understand that the  
25 committee was interested in how emergency response

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 would be modeled in the SOAR-CA project. We have been  
2 working on this since the inception of the project.  
3 We have an outline that I hope I can communicate  
4 clearly as to how we're going to model emergency  
5 preparedness.

6 But let me say at the outset we've got  
7 substantial resources, but not infinite. We've  
8 attempted to set aside enough time and money to do a  
9 decent evolutionary job of modeling emergency  
10 preparedness. It will not be an exact model for, you  
11 know, 65 sites, 62 sites. We just cannot do that.

12 But we can certainly make several steps  
13 forward in how we model emergency preparedness. We  
14 think this substantially improves the realism. We did  
15 this during the security assessments and some of the  
16 other classified work to more realistically model the  
17 movement of people and the response of off-site  
18 response agencies to protect the public.

19 All nuclear plants have EP programs.  
20 they're inspected. They're drilled.

21 I have some assumptions. They're pretty  
22 basic assumptions. Officials will implement the plan.  
23 You mentioned Katrina. That is perhaps an example of  
24 when the plans weren't implemented. We expect these  
25 plans to be implemented. They're drilled several

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 times a year. They're inspected very other year. We  
2 believe these are real programs.

3 CHAIRMAN WALLIS: they don't go out to  
4 1,000 miles.

5 MR. SULLIVAN: I'm sorry?

6 CHAIRMAN WALLIS: They don't go out to  
7 1,000 miles.

8 MR. SULLIVAN: No, we certainly don't. We  
9 go out to ten, and we expect ad hoc actions beyond ten  
10 should they be necessary. We believe that the public  
11 will largely obey what they're told. That's borne out  
12 by the report that I cite at the bottom there.

13 Emergency workers will do their job.  
14 That's borne out both by the report and a series of  
15 recent focus groups that we conducted across five  
16 sites.

17 DR. BANERJEE: But ten must depend on  
18 topography and things like that, right?

19 MR. SULLIVAN: It depends on geography, on  
20 geopolitical boundaries. For instance, Duane Arnold  
21 is 16 miles due to Cedar Rapids being included.  
22 Vermont Yankee is nine miles in one direction due to  
23 an unpopulated forested area.

24 It's really a state decision. NRC would  
25 have accepted, you know, whatever FEMA approved as

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 long as it compared with --

2 DR. BANERJEE: How far is Brattleboro from  
3 Vermont Yankee?

4 MR. SULLIVAN: Sorry. Can't tell you.  
5 It's --

6 DR. BANERJEE: We took some heat there.  
7 That's why I'm, asking you.

8 (Laughter.)

9 MR. SULLIVAN: Yeah, I understand that was  
10 -- you had that memorized. Is that what you're  
11 saying?

12 Is Brattleboro in the EPZ? I'm not sure.

13 DR. BANERJEE: I don't know, but --

14 MR. SULLIVAN: I was thinking maybe it  
15 wasn't.

16 PARTICIPANT: It's outside the EPZ.

17 CHAIRMAN WALLIS: Fifteen miles or  
18 something? It's not far away.

19 MEMBER SIEBER: Yeah, it's not. It's  
20 outside.

21 MR. SULLIVAN: Okay. One of the major  
22 differences between what we're going to do in CIRC and  
23 what we've done in the past is we're going to attempt  
24 to model implementing the plan as we go along.

25 The first start of that is I need

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 scenarios. When I can see the scenarios, I will be  
2 able to, with the help of my peers, declare the  
3 emergencies as those EALs are reached. So there will  
4 be an alert. There will be a site area emergency  
5 before the general emergency for the vast -- well, for  
6 all of these scenarios that we're considering. I  
7 mean, I haven't seen the final scenario. So I'm  
8 projecting from what I've seen so far.

9 You see, there's precautionary actions  
10 taken at the alert and the site area emergency.  
11 Sirens are sounded. Schools are closed. Certain  
12 special needs groups are prepared for evacuation or  
13 maybe even evacuated. Parks and Lakes are cleared.

14 We're going to model all of that this time  
15 because that's a large percentage of the population.

16 CHAIRMAN WALLIS: You assume they all  
17 work. You don't do a PRA which says what's the  
18 probability that the sirens won't work and the  
19 probability that things won't work. You don't do that  
20 at all, do you?

21 MR. SULLIVAN: No.

22 CHAIRMAN WALLIS: Because there has been  
23 problems. I think Vermont Yankee was running samples  
24 when the sirens were not operational, and --

25 MR. SULLIVAN: The sirens at Vermont

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Yankee are more than 96 percent operational.

2 CHAIRMAN WALLIS: They are now. They are  
3 now.

4 MR. SULLIVAN: They have been.

5 CHAIRMAN WALLIS: But there was a period  
6 when they had a problem with them.

7 MEMBER APOSTOLAKIS: All of them? All of  
8 them were inoperable?

9 CHAIRMAN WALLIS: I don't know whether it  
10 was all of them. There was --

11 MR. SULLIVAN: Sirens fail.

12 MEMBER APOSTOLAKIS: Clearly one or two.

13 MR. SULLIVAN: It's usually one or two,  
14 and sirens do fail. There's a backup called route  
15 alerting that we're also going to model. It's  
16 possible that a small segment of the population don't  
17 hear the sirens.

18 CHAIRMAN WALLIS: Some are deaf.

19 MR. SULLIVAN: Well, yeah, but they'd be  
20 special needs, and special needs are treated in a  
21 different way. We intend to tease out many, many  
22 cohorts from the population. With a good evacuation  
23 time estimate, I can get reasonable estimates site by  
24 site on the size of those problems.

25 CHAIRMAN WALLIS: So if we're in a room

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 like this and a siren goes out on Rockville Pike, do  
2 we hear it?

3 MR. SULLIVAN: Dozens of your beepers and  
4 cell phones go off in here.

5 CHAIRMAN WALLIS: They do?

6 MR. SULLIVAN: there's a thing called  
7 societal notification that is real. So it's not just  
8 the sirens. It's your office calling you and your  
9 neighbors calling you and your relatives calling you,  
10 and the TV might be on.

11 CHAIRMAN WALLIS: So if you're ever in the  
12 school and it's a big event and there's a big concert  
13 and a lot of noise and all of the parents and all of  
14 the kids and all of the teachers are in one room.  
15 Someone is going to come in and say, "I've heard a  
16 siren"?

17 MR. SULLIVAN: Yeah.

18 CHAIRMAN WALLIS: That's what's going to  
19 happen?

20 MR. SULLIVAN: Yes, as a matter of fact.  
21 The kid that's outside smoking may come back in and  
22 say that the siren sounded, et cetera, et cetera.

23 MEMBER APOSTOLAKIS: But I wasn't smoking.

24 (Laughter.)

25 MR. SULLIVAN: At least I didn't inhale.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   Societal notification is a real thing, and  
2                   it does exist, and it's not just sirens. It's the  
3                   whole picture.

4                   MEMBER APOSTOLAKIS: And when people hear  
5                   the sirens, what do they do?

6                   MR. SULLIVAN: Yes. Good question. What  
7                   we want them to do is turn on their television. We  
8                   think a good 15 percent of them get in their cars  
9                   and --

10                  CHAIRMAN WALLIS: There has been a loss of  
11                  off-site power, which has affected all of the  
12                  televisions. There's a blackout in the whole  
13                  northeast.

14                  MEMBER APOSTOLAKIS: You have to have a  
15                  radio with batteries.

16                  DR. MAYNARD: The message goes out by  
17                  radio also, and the radio stations have dedicated  
18                  power supplies. For the ones that you choose to be  
19                  your official notification system --

20                  CHAIRMAN WALLIS: So you have to use your  
21                  car radio or something which is still working?

22                  DR. MAYNARD: Yes, right. In all of the  
23                  public buildings you have a mechanism. You don't have  
24                  to depend on people hearing the siren inside the  
25                  building because if you notice even around here, when

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 we have like a fire alarm you have people that come  
2 through to make sure people know to get out or  
3 whatever. The same thing in all of the public schools  
4 in the public buildings. So you're not relying on  
5 people inside hearing.

6 MEMBER APOSTOLAKIS: I think information  
7 spreads very quickly. I mean, there's no question  
8 about it because you're not -- sometimes something  
9 unusual happens somewhere and within ten, 15 minutes  
10 everybody in the building knows about it.

11 MR. SULLIVAN: Tell my wife and it goes  
12 even faster perhaps.

13 MEMBER APOSTOLAKIS: You're on the record.  
14 You're on the record.

15 VICE CHAIRMAN SHACK: World Trade Center  
16 showed how fast it can go. the World Trade Center  
17 issue showed how fast it can go. It had a practically  
18 fully evacuated building, too.

19 MEMBER APOSTOLAKIS: I found out through  
20 Athens. My mother saw it on television and called me.  
21 Amazing.

22 MEMBER SIEBER: You know what it's like to  
23 walk down 100 flights of stairs.

24 MEMBER APOSTOLAKIS: Because it was the  
25 evening time there. It was the evening news.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. SULLIVAN: We're going to be working  
2 out of the evacuation time estimates, and we're going  
3 to tease a lot of data out of them, but it is still  
4 going to be judgment involved in this whole thing.

5 Fortunately, we were able to modify MACCS  
6 or it is being modified to accept numerous cohorts.  
7 There's literally a dozen cohorts that you could  
8 identify. There's the school children whose  
9 evacuation will begin at an alert or a site area  
10 emergency, depending on the state and county plan.  
11 There's the shadow evacuation. There's people leaving  
12 the parks, et cetera, et cetera.

13 We can identify, you know, literally a  
14 dozen cohorts where we can more realistically model  
15 the population movements.

16 DR. BANERJEE: So MACCS has built into it  
17 these evacuation models and things or how does it  
18 work?

19 MR. SULLIVAN: yes.

20 DR. BANERJEE: Because things are changing  
21 in real time, right?

22 MR. SULLIVAN: yes, it's perfect. I'm  
23 going to get to that in just a slide or two. So bear  
24 with me.

25 There are limitations. I'm not going to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 be able to analyze 62 sites and account for time of  
2 day, time of year, good weather, bad weather, bridges  
3 out. I'm going to have to do a judgment based  
4 agglomeration of those conditions. We're going to be  
5 doing three to five scenarios per site. I can't do  
6 three to five EP runs on top of the three to five  
7 scenarios. The matrix gets too big.

8 So we're simply going to have to use  
9 judgment and take an evolutionary step forward in  
10 modeling emergency response.

11 Now, there's another very useful  
12 modification that's been done to MACCS that will  
13 answer your question, sir. As a population moves in  
14 an emergency planning zone, some of them have limited  
15 access highways. Like Duane Arnold, for instance, has  
16 a limited access highway going through the middle of  
17 the planning zone. We think traffic moves faster  
18 there than it does on a two-lane road.

19 On the other hand, in Cedar Rapids, for  
20 instance -- I'm using Duane Arnold, not that --  
21 they'll eventually get modeled one way or another, but  
22 it's an illustrative example.

23 In Cedar Rapids proper we expect traffic  
24 to move slower. All right? Well, MACCS previously  
25 couldn't model a change in speed in space. It could

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 do something in time.

2 It's now modeled. I saw a demonstration  
3 of a change to MACCS. It will be wind MACCS when it  
4 gets qualified, where you can directionally change --  
5 you can change the direction of the population and  
6 their speed as they enter a crowded area of a free  
7 area.

8 MEMBER KRESS: I don't know how you  
9 consistently match that to wind rows, which is a  
10 probability of the plume going in that particular  
11 direction. I don't know how you properly match those  
12 things up.

13 MEMBER SIEBER: You can't.

14 MR. SULLIVAN: You touched on a subject  
15 that has caused us a lot of thought.

16 CHAIRMAN WALLIS: Do you tell them which  
17 way to go?

18 MR. SULLIVAN: I'm sorry?

19 CHAIRMAN WALLIS: You tell them which way  
20 to go depending on the wind?

21 MR. SULLIVAN: See, as I said, I can only  
22 model this site once. I can't model it 16 times.  
23 MACCS, when it does a calculation, it picks a weather  
24 sequence of ten or 12 hours, and it runs it. It then  
25 points that weather sequence in each of 16 sectors.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 It then creates a very rich -- and multiplies  
2 consequences times the wind rows' probabilities. But  
3 the population is the population.

4 Have I lost you yet? Because I have lost  
5 myself several times.

6 MEMBER KRESS: I think you've got it.

7 DR. BANERJEE: Direction and weather  
8 class, I take it.

9 MR. SULLIVAN: No. One weather, one  
10 weather sequence is then moved around in 16  
11 directions.

12 CHAIRMAN WALLIS: One weather sequence?

13 MR. SULLIVAN: One weather sequence --

14 MEMBER KRESS: They use a battery.

15 MR. SULLIVAN: -- is moved around in 16  
16 weather directions.

17 DR. BANERJEE: And then you give it a  
18 probability distribution.

19 MR. SULLIVAN: Yes. And then you choose  
20 some 600 or 200 weather sequences. That's where the  
21 stability class, et cetera, comes in. But each result  
22 is a rich hunk of data with the wind pointed in 16  
23 directions.

24 From an EP point of view, I can only model  
25 this site once. I can't model it with 16 different

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 wind directions times 62 sites. I don't have the  
2 resources to do that. So I'm going to have to make a  
3 judgment, and entailed in that judgment is that in  
4 general it would be a quadrant being evacuated,  
5 Pennsylvania being the exception. I'm going to use  
6 the quadrant ETE data rather than the 360 ETE data and  
7 apply it to the 360 ETE.

8 We've got to make simplifying assumptions  
9 like that to come out of this project, you know, with  
10 a reasonable answer.

11 Now, once again, the end product is going  
12 to be a probabilistic representation of consequences.  
13 There are no absolute cases. We don't blow the wind  
14 at the town and blow the wind at the corn. It's  
15 probabilistic representation. I'm just trying to do  
16 my best to improve the EP model as a piece of this.

17 Did that make sense to anybody?

18 MEMBER KRESS: Yeah, but good luck on  
19 that.

20 (Laughter.)

21 MR. SULLIVAN: Well, okay.

22 MEMBER SIEBER: Are you going to model  
23 Pennsylvania with the 360 evacuation?

24 MR. SULLIVAN: I am because that's what  
25 their plan calls for. We intend to use the state plan

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 and county procedures to the extent that we can. I  
2 have an issue with that, that I'll discuss in a little  
3 bit though.

4 DR. BANERJEE: The other plans are what,  
5 quadrant evacuations?

6 MR. SULLIVAN: What I tried to communicate  
7 was in general when an -- in general? There's never  
8 been an evacuation called under current emergency  
9 plans, but when we practice them, we evacuate three or  
10 four sectors, 22 and a half degree sectors. That's  
11 about a quadrant.

12 So in a general emergency, the utility  
13 recommends evacuation in the direction of the wind.  
14 That might be changed later on if there's a wind shift  
15 or whatever, but it's about a quadrant.

16 I've got quadrant data in even the oldest  
17 ETES. So that's what I'm going to use. Some of the  
18 more modern ETES have finer data, but you know, we  
19 have to find our way through it.

20 It's possible that protective actions  
21 could be needed beyond the ten mile EPZ. We don't  
22 know that to be the case, but it's possible. The  
23 emergency preparedness planning basis recognizes this  
24 potential, although unlikely, and expects that the  
25 planning within the EPZ will form a substantial basis

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 for ad hoc actions outside of the EPZ.

2 We intend to model that as best we can  
3 also.

4 In general, MACCS models are radial  
5 evacuation, but it will also model a lateral  
6 evacuation. There is no evacuation route that is  
7 radially outward. This is one of the false over  
8 conservatisms of MACCS.

9 Walk with me for a second. First off, if  
10 there's a plume in a sector, MACCS assumes it's in the  
11 center of that sector. It then assumes that the  
12 evacuation route is in the center of that sector.  
13 What that means is there's a cohort of the population  
14 directly under the plume for the whole ten miles.  
15 That never happens. That is not realistic.

16 So earlier you heard the talk about going  
17 to 32 sectors rather than 16. That's an attempt to  
18 add realism with this over conservatism. All right?  
19 So if the wind will bounce a little bit, it will  
20 bounce into the next sector, you know, rather than  
21 staying in a 22 and a half degree sector.

22 That's the purpose of that, and we had  
23 originally thought we couldn't implement that. I  
24 understand that we're rethinking it.

25 But another way to add realism is to model

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the evacuation routes, and we're now able to do that  
2 with wind MACCS. So it may be coarse. We can't model  
3 every evacuation route in 62 sites, but we'll model  
4 them coarsely at the very least.

5 We're going to model KI. States that use  
6 KI, we're going to do something with it. Thyroid  
7 cancer is not the rate determining step here, but  
8 we're going to model it as best we can.

9 I've got issues. One of them is it's all  
10 very --

11 CHAIRMAN WALLIS: Is there any kind of  
12 verification of your model?

13 MR. SULLIVAN: My model hasn't been  
14 invented yet. I'm hoping that --

15 CHAIRMAN WALLIS: No, but it seems to me,  
16 you know, it's wonderful. It may be very good, but  
17 it maybe somewhat of a fantasy. How do you relate it  
18 to reality?

19 MEMBER KRESS: It could melt down a  
20 reactor.

21 CHAIRMAN WALLIS: Is there any way you  
22 can?

23 DR. BANERJEE: But you know, there have  
24 been a lot of things like chlorine releases which have  
25 been followed by evacuations, and even fairly

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 populated regions have been evacuated, a few hundred  
2 thousand. I think in --

3 MR. SULLIVAN: Oh, yes.

4 DR. BANERJEE: -- a couple hundred  
5 thousand. So you've got --

6 CHAIRMAN WALLIS: Real examples.

7 DR. BANERJEE: Yeah, you've got real data.

8 CHAIRMAN WALLIS: It would be interesting  
9 to compare. You try to model a real historical event.

10 DR. BANERJEE: There was a rail car  
11 that --

12 MEMBER KRESS: Not with a probabilistic  
13 model.

14 DR. BANERJEE: -- and they have to  
15 evacuate --

16 CHAIRMAN WALLIS: Run it several times and  
17 see how close you can get.

18 DR. BANERJEE: -- a very large population.

19 MR. SULLIVAN: Once again, this is a  
20 probabilistic representation of consequences. It's  
21 not really meant to be a real case. There is no real  
22 case.

23 MEMBER KRESS: And I don't think you can  
24 even match it to a real case. I don't see the value  
25 of that.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           MR. SULLIVAN: I'm going to point the wind  
2           in 16 directions. I'm going to multiply the  
3           consequences by the wind rows, you know, times the  
4           population. There is no real case. It is a  
5           probabilistic representation of consequences.

6           So is it realistic? I mean, I think as we  
7           go along presenting it to committees like this for  
8           review --

9           DR. BANERJEE: To get the consequences,  
10          you're multiplying things by probabilities, but when  
11          you're trying to model, say, now more realistically  
12          evacuation routes and stuff like that, that you can  
13          actually compare to some real data because that's  
14          deterministic.

15          The probabilities are coming through the  
16          wind direction.

17          MR. SULLIVAN: Actually the ETES,  
18          especially the modern ETES for large population sites,  
19          are really quite sophisticated, and since I'm going to  
20          be working out of them, you know, when I have these,  
21          you know, that's what you would compare to the  
22          historical experience.

23          What I'm doing here is an agglomeration of  
24          time of year, time of day, and wind direction and  
25          coming up with a--

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: Then the close up ten  
2 miles or something, this is --

3 MR. SULLIVAN: Well, --

4 CHAIRMAN WALLIS: But if you go beyond  
5 that, then it's not clear there are any evacuation  
6 routes.

7 MR. SULLIVAN: Yeah, that's exactly right.  
8 There's no ETE for the distance beyond that. We're  
9 going to have to model it as best we can should it be  
10 necessary.

11 Go back one. This is an important point.

12 So it's all very well for me to have a  
13 path forward on how to model emergency preparedness,  
14 but I'm going to be making assumptions on behalf of 32  
15 states, and we think that there might be some  
16 opportunity for input from those 32 states to help us  
17 with a set of guidelines that we can repeat.

18 Now, we can't present, you know, five  
19 scenarios to 32 states and walk them through it and  
20 ask them how they would make each decision, but we  
21 certainly can ask them a series of questions that will  
22 help us with guidelines so that we can at least  
23 comport with the opinions of our stakeholders.

24 So we're not going to do this in a vacuum.  
25 Some ETEs are very old where in rural sites the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 population is small and declining, and they haven't  
2 updated their ETEs because they're not required to.  
3 We're going to have to work with some old evacuation  
4 time estimates in some cases.

5           We have already talked about this  
6 probabilistic representation. When we do a threshold  
7 calculation, the run time in MACCS gets very long. so  
8 in order not to -- and it is done by cohort. So in  
9 order to minimize that we will take some cohorts off  
10 the table, and what I mean by that is if it's eight  
11 hours or 12 hours to release in a given scenario and  
12 the sirens are sounded at an alert or a site area  
13 emergency, there will be a shadow evacuation. Ten  
14 percent of the population, 15 percent of the  
15 population is going to get in their cars and leave.

16           The schools will be evacuated at a site  
17 area emergency. In the case of Duane Arnold, which  
18 I've studied, that's 49 of 170,000 people would be  
19 moved out of the EPZ. There's no real reason to put  
20 those cohorts through MACCS. You know, we know they  
21 can leave within 12 hours. So we'll just simply say  
22 the population is now 15 percent smaller.

23           So we're going to make some simplifying  
24 assumptions like that, where it's appropriate.

25           MEMBER ARMIJO: Will you make assumptions

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 on people who just can't leave, hospital people --

2 MR. SULLIVAN: Yeah.

3 MEMBER ARMIJO: -- people who are --

4 MR. SULLIVAN: We get that out of the ETE.  
5 I'm sorry. Yes. The ETE treats that as special needs  
6 populations, and once again, in the case of Duane  
7 Arnold, just because we used it as an example to learn  
8 this stuff better, they have a 22 hour estimate for  
9 special needs, and although some of that is -- the  
10 school is about eight hours, but beyond that, there is  
11 nursing homes and hospitals that require ambulances,  
12 and even the National Guard, and evacuation of those  
13 people could be as long as 22 hours.

14 However, they're sheltered in substantial  
15 facilities. A good number of them is moving long  
16 before. Twenty-two hours is a final ambulance leave  
17 a ten mile EPZ. So yes.

18 Then there's another cohort of people who  
19 don't hear the sirens, but are warned by the follow-up  
20 route alerting.

21 And finally, there's a cohort of people  
22 who refuse to leave. We're going to treat them  
23 perhaps outside the system, but they will be treated  
24 in one way or another.

25 I hold out to you that they're a special

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 class of citizen.

2 CHAIRMAN WALLIS: Well, the people who are  
3 opposed to nuclear power, one of their strategies is  
4 to declare that they won't leave.

5 MR. SULLIVAN: Okay.

6 MEMBER SIEBER: Yeah, but that doesn't  
7 mean that they won't leave.

8 (Laughter.)

9 PARTICIPANT: We all make choices in life.

10 MR. SULLIVAN: Well, I mean, rather than  
11 do this huge analysis and show, you know, the  
12 potential for early fatalities because people who were  
13 warned by the sirens and warned by the police refuse  
14 to leave, we could perhaps treat that in a special way  
15 that, yes, indeed, if people don't leave, you know,  
16 there could be fatalities, right?

17 I mean, so that's -- usually when you see  
18 the early fatality numbers in this kind of analysis,  
19 it's the .5 percent of the population who refuse to  
20 leave.

21 MEMBER APOSTOLAKIS: But then it's not --  
22 I mean the nature of the risk is different.

23 MR. SULLIVAN: It certainly is.

24 MEMBER APOSTOLAKIS: Because now it's not  
25 involuntary anymore.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. SULLIVAN: That's --

2 MEMBER APOSTOLAKIS: They were warned and  
3 they refused to go. I mean, society in general treats  
4 those kinds of risks differently. So you know --

5 MR. SULLIVAN: And I think we should, too.  
6 So we don't know what the publication looks like, but  
7 we're thinking that that cohort should be treated  
8 differently.

9 MEMBER SIEBER: It should be on the cover.

10 MEMBER CORRADINI: Now, when you say MACCS  
11 is a probabilistic calculation, every time I run MACCS  
12 I get essentially another sample in a distribution.  
13 So essentially I have to run MACCS over and over again  
14 even to get my distribution. It does it, right?

15 MS. MITCHELL: If I can understand your  
16 question, when you run a MACCS calculation, right now  
17 the only probabilistic aspect of it is the weather so  
18 that you have 8,760 possible hours in a year that that  
19 the accident could actually begin, and so that is  
20 sampled, and you may take several hundred of the 8,760  
21 values, and so you get an answer that way.

22 Each one of those weather scenarios  
23 represents others, and so each one has a weight. So  
24 if I choose this one, it has a weight. If I choose  
25 another one, it has another weight.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER CORRADINI: Oh, and the answer I  
2 get then is the weighted estimate of that?

3 MS. MITCHELL: Is the weighted value over  
4 the weather.

5 PARTICIPANT: But it's deterministic.

6 MS. MITCHELL: Yeah, it's deterministic.  
7 Once you choose the weather, then it goes on.

8 CHAIRMAN WALLIS: But the effective  
9 weather on evacuation ability is not taken into  
10 account?

11 MS. MITCHELL: You could. You could,  
12 indeed, take into account an uncertainty in the delay  
13 time before somebody starts to move and/or the speed  
14 with which they move when they start by putting in a  
15 range of values and degrees of belief in those values,  
16 and then running MACCS in a sampling mode, which would  
17 require then running multiple MACCS runs.

18 DR. BANERJEE: At the moment you just have  
19 to do one, right?

20 MS. MITCHELL: At the moment, you can  
21 choose whether you do one or you do many.

22 MEMBER CORRADINI: Now, for this one,  
23 would you do the estimate for a bad weather? Would  
24 you do the average result or you'd do a bad weather  
25 case?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MS. MITCHELL: We normally use for a  
2 single MACCS run, we normally sample the weather with  
3 several hundred of the 8,760 possibilities. So when  
4 you get an answer, it's an answer over the weather,  
5 weighted average over the weather.

6 MEMBER CORRADINI: Okay.

7 MS. MITCHELL: Okay? And the question of  
8 whether or not you wanted to look at the uncertainty  
9 in all the other parameters, you can do that by  
10 running multiple MACCS runs in an LHS mode.

11 MR. SULLIVAN: So that's how we plan to  
12 model emergency response. I'm sure we're going to  
13 learn a lot from the pilot plans then and course  
14 correct as we go along.

15 MEMBER ABDEL-KHALIK: Bill, I have a  
16 question.

17 VICE CHAIRMAN SHACK: Yes, Said.

18 MEMBER ABDEL-KHALIK: Let's say you're  
19 going to do this for Waterford 3 and assume in your  
20 analysis like you explained that everyone will do his  
21 or her job, and all of the evacuation will be done as  
22 planned. Do you think the public in that area and  
23 they meet in the vicinity of that plant, who are  
24 really the customers of this analysis, will believe  
25 this result?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. SULLIVAN: Yes.

2 CHAIRMAN WALLIS: With 100 percent  
3 probability, right?

4 MR. SULLIVAN: I think there will be those  
5 who don't believe it, those who don't listen, but my  
6 job, our job on this project is to do the best job we  
7 can to present the NRC's judgment of the potential  
8 consequences.

9 MEMBER ABDEL-KHALIK: I have selected the  
10 name of the plant sort of with care.

11 MR. SULLIVAN: Balance of forethought is  
12 the word.

13 (Laughter.)

14 MEMBER ABDEL-KHALIK: Right. And I'm just  
15 wondering that given the recent history with  
16 evacuation in a certain vicinity, in a certain area,  
17 that if you go through this process, that your  
18 customers will really believe what you're telling  
19 them.

20 MR. SULLIVAN: Okay. I have a data point  
21 for you. As we discussed the Katrina incident with  
22 emergency responders around the country, we find that  
23 they take great umbrage with the idea that they would  
24 not implement their plans.

25 We think that the plans around nuclear

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 power plants will be implemented. They are tested  
2 regularly. They are drilled regularly, and they're  
3 inspected. They are certified annually as being  
4 adequate. So we think there's a higher level of  
5 assurance that these plans will be implemented and  
6 will protect public health and safety than, for  
7 instance, there was -- I wouldn't have had so much  
8 confidence if we're talking about a major city.

9 CHAIRMAN WALLIS: No, you cannot be 100  
10 percent confident. If I do a thermal hydraulic  
11 analysis of a problem which is difficult and I haven't  
12 solved before, I would say maybe I would be lucky to  
13 get something, 75 percent confidence that I got the  
14 right answer when I first did it.

15 You're going to do something very --  
16 you're going to do something very complicated here  
17 that no one has really done before, and you're going  
18 to say the answer is perfect. Now, that can't be  
19 right.

20 MR. SULLIVAN: I'm not saying the answer  
21 is perfect. No, individuals will fail. Things will  
22 go wrong. As a matter of fact, during biennial  
23 exercise, roads are closed and the off-site response  
24 organization is --

25 CHAIRMAN WALLIS: Well, there's a huge

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 amount of uncertainty about how closely your model  
2 represents reality, isn't there?

3 MR. SULLIVAN: I --

4 CHAIRMAN WALLIS: Some uncertainty.

5 MR. SULLIVAN: There's certainly some  
6 uncertainty.

7 MEMBER APOSTOLAKIS: Well, there are also  
8 cases. I remember in Canada they evacuated what,  
9 100,000 people within a few hours.

10 DR. BANERJEE: Well, a few hours.

11 MEMBER APOSTOLAKIS: Yeah. I mean, that's  
12 remarkable, I think.

13 MR. SULLIVAN: We just looked at 239  
14 evacuations between 1992, is it, and 2003? There's an  
15 evacuation in the U.S. every three weeks, big  
16 evacuation, 1,000 people, more than one building, and  
17 those evacuations, all of them, all 232 were  
18 successful in saving lives.

19 Now, they weren't all, you know, smooth.  
20 We then studied 50 of them, and we picked out some of  
21 the worst case ones to study because we thought we  
22 could learn something from them. They all saved  
23 lives. They all moved people. The public does what  
24 they are told. The emergency workers show up. Even  
25 ad hoc plans will get people moving in the right

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 direction.

2 Now, up until Rita, Hurricane Rita, an  
3 evacuation never killed anybody. Now, sometimes the  
4 hazard caught up with the tail end of an evacuation --  
5 it was usually wild fires -- and killed people, but an  
6 evacuation itself never killed anybody until Hurricane  
7 Rita.

8 And that's one of the reasons we want to  
9 study these new evacuations, because it's new data,  
10 but we have good data that evacuations are done ad  
11 hoc, and they're successful, and they save lives.  
12 These evacuations are planned and inspected. They  
13 have sirens. So we think there's a higher level of  
14 probability that they will be successful.

15 CHAIRMAN WALLIS: But see, they are  
16 evacuated from, let's say, ten miles. How far do they  
17 have to go before they stop their car?

18 MR. SULLIVAN: Some of them go to  
19 Grandma's house.

20 CHAIRMAN WALLIS: Well, how far should  
21 they be told to go?

22 MEMBER SIEBER: They should go 1,000  
23 miles.

24 MR. SULLIVAN: Some go --

25 CHAIRMAN WALLIS: Is there any --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MR. SULLIVAN: Actually they are not told.

2 CHAIRMAN WALLIS: Does it matter?

3 MR. SULLIVAN: They are told to get out of  
4 the EPZ, either go to a congregate care center. The  
5 data shows that ten, 12 percent go to a congregate  
6 care center. We're rigged for 20 --

7 CHAIRMAN WALLIS: You were talking earlier  
8 about modeling hazards to health out to 1,000 miles.  
9 Does that mean that people should try to go 1,000  
10 miles?

11 MR. SULLIVAN: Certainly not.

12 CHAIRMAN WALLIS: No.

13 MR. SULLIVAN: Frankly, I think modeling  
14 out to 1,000 miles is not a good representation of  
15 reality, but you know, the project will have to decide  
16 where it's going to go.

17 MEMBER CORRADINI: How far away are the  
18 care centers typically?

19 MEMBER SIEBER: Twenty-five miles.

20 MR. SULLIVAN: Twenty-ish, at least 15.

21 CHAIRMAN WALLIS: Isn't there a problem of  
22 gas? I mean, what's the average range of a car on an  
23 average day if he doesn't fill up his tank? You know,  
24 that must be a consideration.

25 MR. SULLIVAN: It depends on what car they

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 own.

2 MEMBER SIEBER: Yes.

3 (Simultaneous conversations.)

4 DR. BANERJEE: If it's an SUV like

5 yours --

6 (Laughter.)

7 MEMBER CORRADINI: Do you mean my Hummer?

8 DR. BANERJEE: Your Hummer.

9 MEMBER APOSTOLAKIS: But I don't

10 understand what --

11 DR. BANERJEE: Hydrogen power.

12 MEMBER APOSTOLAKIS: -- where are you

13 going with this, Graham?

14 CHAIRMAN WALLIS: Well, I'm just wondering

15 when you ask if people believe it, I mean, the

16 question is when you present these results, how are

17 you going to present them in terms of the sort of

18 range of the uncertainty around what you're presenting

19 and all of that? That seems to be a rather awkward,

20 but essential thing you have to do.

21 MR. SULLIVAN: Well, we're certainly open

22 to guidance. I mean, we don't know how the results of

23 the study are going to be presented yet. That has

24 really not been decided. We're still looking.

25 MEMBER ABDEL-KHALIK: I guess my question

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 was sort of motivated by the basic issue of who are  
2 the customers for this analysis and what will they do  
3 with the information that you gave them.

4 And that's why I asked myself. I mean,  
5 you go through and do this for the people living in  
6 that part of Louisiana, and then you tell them this is  
7 the result of our analysis, and they will sort of  
8 ignore you.

9 MEMBER APOSTOLAKIS: My personal view is  
10 that the customers are not these people. The  
11 customers are the Commission and the state and federal  
12 agencies that will respond.

13 MR. SULLIVAN: Anything to add?

14 MEMBER APOSTOLAKIS: Not the general  
15 public.

16 DR. BANERJEE: But these documents will  
17 have a long term effect on the perception of nuclear  
18 power by the general public.

19 MEMBER CORRADINI: But, I mean, just look  
20 at it the opposite way. You have the 1982 study  
21 that's been out there for 25 years and nobody is  
22 running away from the power plant sites. I very  
23 carefully memorized what happened in Kiwanee and Point  
24 Beach relative to the '82 study.

25 MEMBER KRESS: '84, wasn't it?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER CORRADINI: No, I thought it was  
2 '82.

3 PARTICIPANTS: '82.

4 MEMBER CORRADINI: '82, the site  
5 character, whatever it's called, and --

6 DR. BANERJEE: I'm not saying they'll run  
7 away.

8 MEMBER CORRADINI: No, no, but I guess my  
9 view is from what at least the first presentation gave  
10 us and then this one, they're trying to do I want to  
11 call it an update, a re-do job of it, and I can't  
12 believe the consequence is going to be higher than  
13 what I saw in '82, and I didn't see massive panic  
14 around the sites in the northern Midwest.

15 So my first assumption would be we're  
16 going to get a more realistic, reasonable first ut at  
17 it.

18 I do think, though relative to your  
19 evacuation, I think you're right about distances  
20 there, but I think in some sense it would be very  
21 interesting that you can unwrap certain things about  
22 if you only had evacuation in the first ten, whatever  
23 it is, miles in certain directions, outside of that  
24 how the consequence or the dose is not affected, and  
25 how you might actually not want to move them as much.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Dana is not here at the moment, but this  
2 whole idea about sheltering versus -- there is another  
3 Ph.D. thesis out of MIT by Burke in 1981. I remember  
4 all of these.

5 MEMBER APOSTOLAKIS: That was before my  
6 time.

7 MEMBER CORRADINI: Yeah, it was before you  
8 were there. I apologize.

9 but the doctoral student at the time  
10 indicated that sheltering was by far the most  
11 reasonable thing to do beyond a very few miles out.  
12 So I would be very curious to see if you change your  
13 evacuation strategy within this context what  
14 interesting results you'd get relative to that.

15 I think there's a lot of interesting stuff  
16 that can come out.

17 MEMBER BONACA: The materials to report  
18 will not disappear, especially for those scenarios  
19 which are now reproduced by a new study, but I don't  
20 know.

21 CHAIRMAN WALLIS: Do you want to --

22 MEMBER BONACA: I said the 1982 study  
23 would not disappear. It's still there.

24 MEMBER CORRADINI: Right.

25 MEMBER BONACA: But figuring for those

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 scenarios which are not repeated or reproduced in the  
2 new study. Is there any --

3 MEMBER APOSTOLAKIS: Presumably this would  
4 be more realistic. Why are you saying this?

5 MEMBER BONACA: Yeah, of course.

6 DR. BANERJEE: There is one sort of  
7 Achilles heel of this though. This is not based on  
8 risk. It's based on sort of frequency.

9 MEMBER CORRADINI: In some sense --

10 MEMBER KRESS: You know, one thing they  
11 could do about that is have this CDF cutoff of ten to  
12 the minus six. They might take at least one of the  
13 plant types at several sites and do a cutoff of ten to  
14 the minus seven and see if it makes any difference,  
15 but it wouldn't be definitive because it would just be  
16 a sample, but that might be something they could do  
17 without a lot of resources.

18 MEMBER CORRADINI: I'm sure Tom will give  
19 them a suggested one.

20 MEMBER KRESS: Yeah, I can pick out one  
21 for them. I'll let them do that.

22 MEMBER BONACA: I really would like to  
23 know about the issue of 1982 study, you know, the  
24 comment I made. I think you were responding to that.  
25 I would like to know what you think about that.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. TINKER: Well, we do expect that as  
2 part of this study that we will, as part of the  
3 report, explicitly discuss the connection between this  
4 study and the 1982 study, and without prejudging I  
5 don't reasonably think we'll see anything that  
6 resembles the SST-1 release from the 1982 study. So we  
7 will explicitly describe for the reader why that  
8 scenario, why that release is no longer feasible or  
9 applicable to nuclear power plant sites.

10 MEMBER BONACA: Okay. That answered my  
11 question.

12 MR. TINKER: So if they're looking for why  
13 is the SST-1 not in this study, this report will  
14 address why it is not in the study.

15 MEMBER BONACA: Good.

16 VICE CHAIRMAN SHACK: Unless there's  
17 another burning question, I'd like to pull this to a  
18 halt since we need to discuss some issues here before  
19 we leave tonight and we're getting late.

20 MR. PRATO: Just before I sign off, I'd  
21 like to just make one additional statement. Our  
22 objective here is to provide the most realistic  
23 results within the limitations of our tools. If you  
24 can help us do that, that's what we're looking for.  
25 If you see us going in the wrong direction, we would

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 appreciate that feedback. If you can think of other  
2 realistic approaches that we can add to our approach,  
3 that's what we're looking for from this committee.

4 And we are going to be updating you  
5 regularly, and we're going to be asking for feedback  
6 regularly, and as we develop written documents, you  
7 will get that information.

8 MEMBER CORRADINI: Yeah, I mean, when will  
9 we see, say, the first report on a real attempt to do  
10 this process on a plant? I mean, you said that was  
11 sort of your --

12 MR. PRATO: Probably, we probably won't be  
13 processing any information until the February time  
14 frame at the soonest, I would think.

15 MEMBER APOSTOLAKIS: That's early enough.

16 MR. PRATO: At the soonest, and probably  
17 more likely time frame is probably March, but there's  
18 a lot of process development that we need to do, and  
19 as we do that, we will provide you with that  
20 information.

21 MEMBER APOSTOLAKIS: But you'll come here,  
22 say, some time in the June time frame?

23 MR. SULLIVAN: Oh, I think I'd like to see  
24 you before that.

25 MEMBER APOSTOLAKIS: Well, in March

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 they're going to have a draft report. They will not  
2 rush to give it to us.

3 MR. PRATO: No, no, no, no.

4 MEMBER APOSTOLAKIS: No, what?

5 DR. BANERJEE: Updated.

6 MR. PRATO: We didn't mean to imply that.

7 MR. SULLIVAN: They're not going to have  
8 anything by then.

9 MEMBER APOSTOLAKIS: You have results in  
10 March?

11 MR. PRATO: No.

12 MEMBER APOSTOLAKIS: Some results?

13 MR. PRATO: We believe that we're shooting  
14 to get that up from the licensees that we need to  
15 process.

16 MEMBER APOSTOLAKIS: Oh, before you start.

17 MR. PRATO: At starting the models and the  
18 process.

19 MEMBER APOSTOLAKIS: But you will not have  
20 exercised the model.

21 MR. PRATO: No, sir.

22 MEMBER APOSTOLAKIS: And you want to come  
23 here before you do that? Is that what you're saying?

24 MR. SULLIVAN: Well, I think it's very  
25 important to engage the ACRS very periodically. You

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 know, for example, this meeting here was very  
2 important for us to discuss our scenario selection,  
3 how we viewed CDF versus release, et cetera.

4 You know, as we continue to have issues  
5 that we believe we need and we would like input,  
6 feedback and direction from the ACRS, we will come  
7 here as often as needed.

8 In addition to that, as results are  
9 developed and reviewed, we would expect, you know, to  
10 present them to the ACRS also. I mean, right now it's  
11 very important to recognize that we are still  
12 developing the process. You can't start the  
13 calculations until a lot of these decisions are made.

14 MEMBER APOSTOLAKIS: Why isn't there a  
15 subcommittee meeting on this? I mean, we can't keep  
16 doing this, have the full committee.

17 MR. SULLIVAN: Well, part of it was we  
18 simply thought that this was of interest to the whole  
19 committee.

20 MEMBER APOSTOLAKIS: Today I agree, but I  
21 mean do you plan to --

22 MR. SULLIVAN: Yes. I mean, we will  
23 proceed with subcommittees as appropriate.

24 MEMBER APOSTOLAKIS: Which subcommittee is  
25 this? The new one?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 VICE CHAIRMAN SHACK: I'm not sure which  
2 one it's under.

3 MEMBER APOSTOLAKIS: You're chairing it,  
4 right?

5 VICE CHAIRMAN SHACK: I'm -- I don't know.  
6 It's under regulatory policy, I guess.

7 MR. PRATO: I believe that Sam has  
8 scheduled a meeting for March. I think it's --

9 MEMBER APOSTOLAKIS: Of the full  
10 committee?

11 MR. PRATO: -- the 8th or the 19th. I'm  
12 not so sure.

13 MEMBER APOSTOLAKIS: The full committee?

14 DR. BANERJEE: This is submitting of  
15 the -- yeah, okay, yeah.

16 MEMBER APOSTOLAKIS: This is the shock  
17 supplement.

18 VICE CHAIRMAN SHACK: Whatever committee  
19 we stick it under, right.

20 CHAIRMAN WALLIS: The name doesn't matter.  
21 It's what they do that matters.

22 MEMBER APOSTOLAKIS: It does, it does.

23 DR. BANERJEE: But if it's a while  
24 updating of the full committee, that's not so bad.

25 MEMBER APOSTOLAKIS: No, but I mean as

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 they get into details, it seems to me one hour is not  
2 enough.

3 DR. BANERJEE: No. I'm just saying --

4 MEMBER APOSTOLAKIS: I mean, there should  
5 be a briefing of the full committee.

6 DR. BANERJEE: Yeah, yeah, update.

7 MEMBER BONACA: I think the March meeting,  
8 however, was focused on the performance of scoping  
9 studies for new designs. You remember we recommended  
10 the security issues.

11 DR. BANERJEE: I mean, do we want to get  
12 into MACCS?

13 VICE CHAIRMAN SHACK: I think we want to  
14 get into everything in this at some point. It's just  
15 a question of when it's appropriate to do that.

16 MEMBER BONACA: Well, I mean, that's the  
17 time that we're discussing he would be ready. He  
18 would want to come and talk to us for an hour or so  
19 about their plan.

20 MEMBER SIEBER: An hour and a half.

21 CHAIRMAN WALLIS: Do you want to discuss  
22 this later on off the record when we make plans for  
23 the future? Are we finished now?

24 MEMBER SIEBER: Before you go off the  
25 record, I think Alan Nelson would like to make a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 statement.

2 CHAIRMAN WALLIS: Oh, we have somebody  
3 that wishes to make a statement? Bill, do you want to  
4 do that?

5 MEMBER SIEBER: Biff Bradley would like  
6 to.

7 CHAIRMAN WALLIS: Biff Bradley. Okay.

8 MEMBER KRESS: NEI here.

9 MR. BRADLEY: Biff Bradley, NEI.

10 Just briefly, while we understand and  
11 empathize with the intent of the Commission on  
12 undertaking an update of this study, one thing, we  
13 can't even see the SRM or SECY. So we don't have a  
14 full understanding of the rationale for the Commission  
15 in proceeding in this area. So we've had to learn  
16 what we can from interactions with the staff and  
17 meetings like this.

18 I just want to say we have two large  
19 general areas of concern. One is the fact that this  
20 is being done as a pure consequence study, and  
21 understand that the original study was done that way,  
22 but in the interim since that study was done, we've  
23 had a safety goal policy statement. We have QHOs, and  
24 we have measures of comparative risk.

25 We also have a PRA policy statement that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 says PRAs should be used in matters as appropriate,  
2 and it seems in 2006 to do a pure consequence study is  
3 not the right way to be proceeding. We believe the  
4 study should be a risk study or a safety study or a  
5 study that looks at the fleet relative to the QHOs or  
6 something along those lines, and that it's going to be  
7 extremely difficult no matter how you try to package  
8 this to produce a pure list of fatalities plant by  
9 plant for every plant, and to have good understanding  
10 of that in the context of risk.

11 The second point I'd like to make is I  
12 think it was elucidated today. There is a very large  
13 number of unanswered questions about technically how  
14 this study is going to proceed, everything from  
15 scenario selection to how EP is modeled.

16 We're concerned that there's a lot of  
17 scheduler pressure on the stuff to proceed, and  
18 they're proceeding with the study and data collection  
19 and actually proceeding with the analysis of actual  
20 operating plants apparently before all of these issues  
21 are getting resolved. It's a parallel path kind of  
22 effort, and we're pretty concerned about that.

23 In that regard, we've already submitted 40  
24 technical questions to the staff relative to technical  
25 aspects of the study, some of which came up today, and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I'd just like to say those are our two major areas of  
2 concern right now.

3 MEMBER APOSTOLAKIS: That's an interesting  
4 point you're making, Biff. In fact, that's a good  
5 question. Why isn't this study doing the Level 3 PRA?

6 CHAIRMAN WALLIS: Unavailable.

7 MEMBER APOSTOLAKIS: Why not? Do you  
8 think the consequences is much less a job? It could  
9 be longer. It doesn't have to be completed by the set  
10 date.

11 That would make more sense, I think, in  
12 the sense that now you are really calculating risk.  
13 Because Biff has a point, I think. I mean, you know,  
14 we are focusing, again, on consequences. People can  
15 pick a couple of results and start using them the way  
16 that suits their purpose, and we have the safety  
17 goals.

18 I mean, after you get the consequences,  
19 what do you do? You compare them with the '82 study,  
20 but still that doesn't say much. Is that acceptable?  
21 Does it meet any criteria, any goals?

22 I appreciate there is a lot more work, but  
23 since we're undertaking this, why not? I think that's  
24 an interesting point. I mean we could have a Level 3  
25 PRA.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER CORRADINI: So, George, can I ask  
2 you a question?

3 MEMBER APOSTOLAKIS: Yes.

4 MEMBER CORRADINI: I was just asking Tom.  
5 Why isn't this the equivalent of a Level 3 PRA?

6 MEMBER APOSTOLAKIS: Because they're not  
7 going all the way to latent deaths and early  
8 fatalities.

9 MS. MITCHELL: We are.

10 PARTICIPANTS: Yes, they are.

11 MS. MITCHELL: But when you say PRA, I  
12 figure that what you probably that you --

13 MEMBER APOSTOLAKIS: With the probability.

14 MS. MITCHELL: With the probabilities.

15 MEMBER APOSTOLAKIS: With the  
16 probabilities, yeah.

17 VICE CHAIRMAN SHACK: Well, they will.

18 MEMBER APOSTOLAKIS: But they're not  
19 giving probabilities.

20 MS. MITCHELL: We're not because the Level  
21 1 doesn't have -- we don't have a Level 1 PRA with  
22 uncertainties for 103 plants.

23 MEMBER CORRADINI: Ah, you're going to  
24 give a point estimate.

25 MEMBER APOSTOLAKIS: Even the Level 2 you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 are not handling probabilities, correct?

2 MR. TINKER: But we talked about the use  
3 of the CDF for the screening. We expect that there  
4 will be some means to modify that CDF frequency to  
5 account for issues like the difference between that  
6 and release frequency, incorporating the plant  
7 improvements which have taken place.

8 It is the expectation that this report  
9 will not see -- there cannot be a divorcing of  
10 consequences from the probability of frequency of  
11 events. There has to be a close connection in any  
12 discussion of consequence with the frequency of these  
13 events. We're just reluctant to say this is a full  
14 bore, full blown Level 3 PRA.

15 But I've described our approach to  
16 addressing uncertainty. That's different from the  
17 Level 2 approach to uncertainty, but we do expect that  
18 we will combine the elements of the Level 1 with the  
19 consideration of uncertainty and consequences.

20 MEMBER APOSTOLAKIS: I'll come back to a  
21 comment I made earlier, and it's still not clear to me  
22 why you're not following that way. This agency spent  
23 a lot of resources when it did NUREG 1150. I mean,  
24 the methodology is there, right? They have developed  
25 the codes.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I mean you chose not to use their accident  
2 progression reviews for whatever reason, but it's not  
3 like we're asking -- well, I'm not asking. I'm just  
4 speculating -- why not take that methodology, update  
5 it if you need to, but that produced risk estimates.  
6 I mean, if you go to the -- in fact, I was very  
7 pleased to see that you guys put it on the Web site.  
8 So now students go and use it and so on.

9 You can go and find the curves for latent  
10 fatalities. There is a beautiful discussion in the  
11 text, what the major contributors are to early  
12 fatalities. Why not try to reproduce that then and  
13 have the risk estimate? Would that increase your  
14 amount of required effort by -- I don't know -- a  
15 factor of five or is it -- well, whatever it is  
16 though, but it makes sense, it seems to me, after so  
17 many years after 1989 when 1150 was published to take  
18 advantage of it.

19 When you said earlier that, you know, we  
20 are not using the progression trees and we're using  
21 something else, my mind didn't go all the way to risk  
22 at that time, I must admit.

23 MEMBER CORRADINI: So, I mean, I'm  
24 reflecting, I guess. I don't disagree with what  
25 George is saying though, but in some sense this is a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 progression. It seems to me if you go  
2 chronologically, we're essentially retracing what  
3 occurred 25 years ago, right? In the sense that,  
4 first, you had --

5 MEMBER APOSTOLAKIS: No.

6 MEMBER CORRADINI: Well, but really it's  
7 true. I mean, this siting study was done in '80 and  
8 '81 following the design Indian Point study which  
9 said, you know, there was this bifurcation that either  
10 it's coolable as the dickens and don't worry about it  
11 or, oh, my God.

12 Now we're back to what could it be at  
13 various plant sites, right? And then which led to  
14 NUREG 1150 and containment working group information.  
15 So it's a natural progression.

16 I would guess that this is due to be ended  
17 in a year?

18 MS. MITCHELL: Three years.

19 MEMBER CORRADINI: Three years, and  
20 eventually they may want to do more.

21 CHAIRMAN WALLIS: So looking back to this  
22 question of Level 3 PRA, if all of the plants in the  
23 country had a Level 3 PRA, you could just look at  
24 those results and reach conclusions, couldn't you?

25 MEMBER CORRADINI: but I think there is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 something --

2 CHAIRMAN WALLIS: But is that true?

3 MEMBER APOSTOLAKIS: Unless they are using  
4 updated models.

5 CHAIRMAN WALLIS: One reason for all of  
6 this effort is that we haven't required that the  
7 plants have a Level 3 PRA.

8 MEMBER CORRADINI: But if I might just  
9 interject though, there's something that Charlie said  
10 in the explanation that I thought was very good  
11 technically. Maybe I misheard it, but the way they're  
12 approaching the containment loads or the in between  
13 study, which are all of the uncertainty, is much more  
14 physically palatable than what was done in NUREG 1150.

15 However good NUREG 1150 was, it was pretty  
16 hodge-podge in terms of how the containment failed.  
17 If I understood what's being done here, this is  
18 technically much more defensible. To the extent that  
19 they can actually show that that's the case, this has  
20 a very big benefit that has nothing to do with the end  
21 state or calculational state, but might do the next  
22 Level 3 PRA.

23 DR. BANERJEE: It depends on what sort of  
24 models are going into MELCOR to do this.

25 MEMBER CORRADINI: Sure, but if you go

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 back to NUREG 1150, this one unfortunately I got  
2 involved in. So I remember distinctly. There is a  
3 lot of calculations there that were not highly robust  
4 and a lot of decision making that required people  
5 making judgments.

6 In this case, to the extent that you've  
7 done it, they're making a series of calculations based  
8 on a plant state and running through those  
9 calculations where you essentially now have a  
10 relatively well known tool that's walking you through  
11 the calculations.

12 That strikes me as a much better technical  
13 approach, personally, unless I misunderstood what  
14 we've done.

15 DR. BANERJEE: But I hope we have council  
16 look at it at some point.

17 MEMBER APOSTOLAKIS: Right. We need a  
18 subcommittee meeting.

19 MEMBER BONACA: I think so, too.

20 MR. TINKER: I didn't want to get into how  
21 we view the 1990 vintage of accident progression event  
22 tree logic tools versus MELCOR, but it's clear. The  
23 underlying basis for this is we've done 20 years of  
24 phenomenological research on severe accident behavior.  
25 We do not believe that those old models in PRA reflect

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that understanding. We've done tests. We've done  
2 analysis. We've done tests around the world, most  
3 recently fievish (phonetic) tests and so forth that  
4 provide a great deal of information that is not  
5 reflected in most of the NRC's examination of Level 2  
6 and Level 2-Level 3, and this is meant to update that  
7 level of understanding.

8 MEMBER APOSTOLAKIS: But you are not  
9 updating all the way. That's the question. Why don't  
10 you go all the way?

11 I agree with you.

12 MR. TINKER: Now, we've touched on this.  
13 We talked about what fraction of the core damage  
14 events we think we're capturing here. You heard  
15 numbers like 90, 95 percent of the core damage  
16 frequency. We didn't make similar statements about  
17 percent of the risk. I think we will be able to say  
18 more about that in the future.

19 MEMBER APOSTOLAKIS: Okay, all right.

20 MR. TINKER: But that's the focus here.  
21 The idea is that we have this '82 study where we're  
22 talking about alpha mode failure and things of that  
23 nature.

24 Now, that may be a good example for some  
25 people, may not be for others, but we think there are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 many instances where those past studies were by  
2 today's standards extraordinarily, extremely  
3 conservative because they identified LERF states that  
4 we don't think exist.

5 MEMBER APOSTOLAKIS: Maybe that's a good  
6 time to stop this.

7 MEMBER BONACA: Yeah, I think so.

8 CHAIRMAN WALLIS: Bob, are you ready to  
9 stop? You don't look as if you're eager to present  
10 any more.

11 MR. PRATO: I'd be happy to go home.

12 CHAIRMAN WALLIS: Are you happy? Are the  
13 members happy?

14 It has been very, very informative, I must  
15 say, and --

16 MEMBER BONACA: I think we need to have a  
17 subcommittee meeting.

18 CHAIRMAN WALLIS: -- there are so many  
19 things to grasp.

20 MEMBER APOSTOLAKIS: The problem with  
21 subcommittee meetings is you don't have everybody.

22 CHAIRMAN WALLIS: Thank you very much.

23 MR. PRATO: Thank you, sir.

24 MEMBER APOSTOLAKIS: This was very good.

25 MR. PRATO: Thank you.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: We now are ready for a  
2 break. Is that true? The members are determined to  
3 work.

4 We'll break until 6:30.

5 (Whereupon, at 6:16 p.m., the meeting was  
6 adjourned.)

7

8