

Official Transcript of Proceedings
NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards
539th Meeting

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Thursday, February 2, 2007

Work Order No.: NRC-1422

Pages 1-193

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS (ACRS)
539TH MEETING

+ + + + +

THURSDAY, FEBRUARY 2, 2007

VOLUME II

+ + + + +

The meeting was convened in Room T-2B3 of
Two White Flint North, 11545 Rockville Pike,
Rockville, Maryland, at 8:30 a.m., DR. WILLIAM J.
SHACK, Chairman, presiding.

MEMBERS PRESENT:

- WILLIAM J. SHACK, Chairman
- JOHN D. SIEBER, Vice Chairman
- SAID ABDEL-KHALIK, Member
- GEORGE E. APOSTOLAKIS, Member
- J. SAM ARMIJO, Member
- SANJOY BANERJEE, Member
- MARIO V. BONACA, Member
- MICHAEL L. CORRADINI, Member
- THOMAS S. KRESS, Member
- OTTO L. MAYNARD, Member
- DANA A. POWERS, Member
- GRAHAM B. WALLIS, Member

1 STAFF PRESENT:

2 ZENA ABDUALLY

3 WILLIAM H. BATEMAN

4 GARY HAMMER

5 CORNELIUS HOLDEN

6 MICHAEL JUNGE

7 RALPH LANDRY

8 TIMOTHY R. LUPOLD

9 RALPH MEYER

10 BOB RADLINSKI

11 TANEY SANTOS

12 TED SULLIVAN

13 JENNIFER L. UHLE

14 SUNIL WEERAKKODY

15 ALSO PRESENT:

16 JOHN ALVIS

17 MICHAEL C. BILLONE

18 BERTRAND DUNNE

19 NAYEM JAHINGIR

20 CHRISTINE KING

21 ALEX MARION

22 ODELLI OZER

23 JIM RILEY

24 MIKE ROBINSON

25 GLENN WHITE

NEAL R. GROSSCOURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

I-N-D-E-X

1		
2	<u>AGENDA ITEM</u>	<u>PAGE</u>
3	6) Opening Remarks by the ACRS Chairman	4
4	7) Proposed Revision to 10 CFR 50.46 LOCA	5
5	Criteria for Fuel Cladding Materials	
6	7.1) Remarks by the Subcommittee Chairman	6
7	7.2) Briefing by and discussions with	7
8	representatives of the NRC staff	
9	8) Draft Final Revision 1 to Reg Guide 1.189	89
10	(DG-1170), "Fire Protection for Nuclear	
11	Power Plants," and SRP Section	
12	9.5.1, "Fire Protection Program"	
13	8.1) Remarks by the Subcommittee Chairman	90
14	8.2) Briefing by and discussions with	91
15	representatives of the NRC staff	
16	9) Subcommittee Report	135
17	10) Wolf Creek Pressurizer Weld Flaws	136
18	10.1) Remarks by the Subcommittee Chairman	136
19	10.2) Briefing by and discussions with	137
20	representatives of the NRC staff	
21		
22		
23		
24		
25		

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
 1323 RHODE ISLAND AVE., N.W.
 WASHINGTON, D.C. 20005-3701

P-R-O-C-E-E-D-I-N-G-S

(8:33 a.m.)

6) OPENING REMARKS BY THE ACRS CHAIRMAN

CHAIRMAN SHACK: The meeting will now come to order. This is the second day of the 539th meeting of the Advisory Committee on Reactor Safeguards. During today's meeting, the Committee will consider the following: Proposed revision to 10 CFR 50.46 LOCA criteria for fuel cladding materials; draft final revision 1 to regulatory guide 1.189 (DG-1170), "Fire Protection for Nuclear Power Plants," and SRP section 9.5.1, "Fire Protection Program"; subcommittee report on ESBWR PRA; Wolf Creek pressurizer weld flaws; proposed revisions to regulatory guides and SRP sections in support of new reactor licensing; future ACRS activities and report of the Planning and Procedures Subcommittee; reconciliation of ACRS comments and recommendations; and preparation of ACRS reports.

This meeting is being conducted in accordance with the provisions of the Federal Advisory Committee Act. Mr. Taney Santos is the designated federal official for the initial portion of the meeting.

A transcript of portions of the meeting is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

1 being kept. And it is requested that speakers use one
2 of the microphones, identify themselves, and speak
3 with sufficient clarity and volume so they can be
4 readily heard.

5 I remind members that we are scheduled to
6 interview two candidates during lunchtime today.
7 Hopefully we'll stay on schedule and actually be able
8 to eat lunch also.

9 Our initial item this morning is the work
10 on the 50.46 fuel clad criteria. And since I have a
11 conflict of interest on that, Jack Sieber will be
12 running this portion of the meeting.

13 VICE CHAIRMAN SIEBER: Okay. Thank you,
14 Mr. Chairman.

15 7) PROPOSED REVISION TO 10 CFR 50.46 LOCA CRITERIA
16 FOR FUEL CLADDING MATERIALS

17 VICE CHAIRMAN SIEBER: And, without
18 further ado, I would like to introduce Jennifer Uhle
19 to provide the staff's introduction to the
20 presentation on 50.46 this morning.

21 Jennifer?

22 MS. UHLE: Thank you. Good morning.

23 MEMBER ARMIJO: Mr Chairman, we did have
24 a subcommittee meeting earlier. And maybe I could
25 give you a little bit of a briefing.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 VICE CHAIRMAN SIEBER: Why don't you take
2 charge of this session?

3 MEMBER ARMIJO: It's okay with me.

4 (Laughter.)

5 VICE CHAIRMAN SIEBER: Okay.

6 7.1) REMARKS BY THE SUBCOMMITTEE CHAIRMAN

7 MEMBER ARMIJO: I just wanted to say that
8 we did have a full day of subcommittee meeting on the
9 19th. Several members of the Committee were present.
10 And we covered this topic in some depth.

11 We had presentations, of course, from the
12 staff and from Argonne National Laboratory as well as
13 presentations from Westinghouse, AREVA, and G&F on the
14 issue of the phenomenon. As we have learned at the
15 Committee meeting, it's complicated. It's a complex
16 phenomenon going on.

17 The staff has done and research people
18 done an admirable job in the research to try and
19 understand these various components. There has been
20 generally very good support from industry to this
21 program, but the industry people have been reluctant
22 to support use of the embrittlement criteria at this
23 point because they believe the research is not yet
24 complete. And the way to incorporate those research
25 results into a rule is still not settled.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So we will be hearing today from both the
2 staff and industry. And I think the time was
3 allocated roughly about 50/50 to give everybody a
4 chance to make their points.

5 With that --

6 CHAIRMAN SHACK: Go ahead.

7 MS. UHLE: Thank you. Good morning.

8 7.2) BRIEFING BY AND DISCUSSIONS WITH
9 REPRESENTATIVES OF THE NRC STAFF

10 MS. UHLE: My name is Jennifer Uhle. I am
11 the Deputy Division Director for Materials Engineering
12 in the Office of Nuclear Regulatory Research.

13 I would like to thank the Committee for
14 taking the time to meet with us today to talk about
15 our research program dedicated to the development of
16 revised fuel clad acceptance criteria for postulated
17 loss-of-coolant accidents. Of course, these famous
18 criteria of 2,200 degrees Fahrenheit and 70 percent
19 local clad oxidation are contained in 10 CFR 50.46.

20 Today we will try to describe to you our
21 understanding of these complex phenomena that
22 contribute to the embrittlement of fuel clad under
23 these conditions.

24 This understanding has been developed over
25 a period of ten years. And we will do our best to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 summarize it in the time allowed. To facilitate our
2 communication, we will be providing a set of proposed
3 acceptance criteria. But I want to stress that today
4 we are not presenting to you rule language. And that
5 will be developed at a later date in NRR along with
6 research support as well as stakeholder involvement.

7 We feel there is a great need for a
8 revision to the present rule for a variety of reasons.
9 First, the current criteria are non-conservative. The
10 NRC has managed this issue of ensuring plants are
11 taking voluntary measures to ensure safety in the
12 event of a LOCA.

13 Second, we have shown that the criteria
14 are affected strongly by burnup as well as a choice of
15 alloy and even fabrication process.

16 Third, the current rule is written to be
17 clad-specific. And licensees are required to get
18 exemptions from 50.46 to be able to use the new and
19 better-performing clads. We find this to be
20 unnecessarily burdensome to the licensees and, more
21 importantly, to the staff because we're spending our
22 time reviewing these submittals. And, of course, the
23 need for exemptions may also be hampering the
24 introduction of superior clad materials.

25 So research believes this program has

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 generated a sufficient amount of data to proceed with
2 the rulemaking in one presentation. In Ralph Meyer's
3 presentation, you will see that there is one prominent
4 area deemed the F factor, some of it citing, where we
5 have data but we have also used some judgment to
6 provide the basis for our proposal.

7 Our research believes that proposed
8 criteria will ensure safety. And it's important to go
9 forward with the rulemaking, one of the concerns I
10 previously mentioned, although you will hear from the
11 industry. I think other stakeholders desire to
12 postpone the rulemaking to provide more of a database.

13 Our goal today is to try to convince you
14 to support our decision and our goal to move forward
15 with the rulemaking. We look forward to hearing your
16 views. If there are no other questions about what
17 we're trying to accomplish --

18 MEMBER ARMIJO: Real quick one. If you
19 went ahead with this, what is your time frame in which
20 you would actually have wording that would go into the
21 rule?

22 MS. UHLE: Well, we have a NUREG.
23 Research has the NUREG. And we're writing them. And
24 it's hoping to finish it and transfer it over to NRR
25 the end of March time frame. Then the NRR has, of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 course, a rulemaking schedule developed that involves
2 certainly the legalities of rulemaking, which is
3 stakeholder involvement.

4 The current rulemaking, at one point the
5 rulemaking plan that was developed a year ago
6 indicated that the final rule would be out on the
7 street January 2009, so early January 2009, so a few
8 years from now.

9 Right now the Commission, of course,
10 requested the staff to prioritize the rulemaking
11 activities. And with this realization of the
12 non-conservatism of the current rule, the staff is
13 questioning whether or not we need to prioritize this
14 higher and perhaps expedite.

15 Ralph Landry, do you want to add anything
16 to that? Ralph Landry is NRR. He would be in charge
17 of the rulemaking activities.

18 MR. LANDRY: Ralph Landry, NRR. I'm not
19 in charge of rulemaking activities.

20 MS. UHLE: You're in charge of the
21 technical aspects of rulemaking activities.

22 MR. LANDRY: The point of what Jennifer
23 said is very accurate. We have not initiated the
24 rulemaking at this point. We are following very
25 closely. We have been very involved in this work with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the Office of Research. We would like to proceed in
2 a very orderly fashion to a new rulemaking, to
3 changing the acceptance criteria.

4 We have had acceptance criteria in 50.46
5 that have withstood 30-plus years of use. And as we
6 move forward, I want to make sure that we proceed to
7 criteria that would withstand another extended period
8 of time that we would not need to go back and change
9 in a very short time.

10 And we're looking at it a couple of
11 different ways. This was brought up at the
12 subcommittee meeting. Could we put performance-based
13 words into the rule and details in a regulatory guide
14 or do we have to put some details into the rule? We
15 haven't pursued exactly the legalities of which
16 approach to take at this point, but it is very
17 appealing to have performance-based words in the rule
18 itself and the details left to a regulatory guide.

19 MEMBER ARMIJO: Thank you.

20 MS. UHLE: Okay. So if that is all, then,
21 I would like to introduce Dr. Ralph Meyer from the
22 Office of Research, who is the lead technical staff
23 member in charge of the research program.

24 In addition, Dr. Billone, who is the
25 principal investigator from Argonne. He is also here

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 if you have any particular questions you'd like to
2 ask.

3 DR. MEYER: Good morning. We've been
4 working on cladding and fuel response to
5 loss-of-coolant accident conditions for almost ten
6 years now and have had a fair amount of cooperation
7 that I want to mention. The industry has had us in
8 this program.

9 (Pause.)

10 MEMBER ARMIJO: Okay. We're ready to go.
11 Ralph, our apologies.

12 MEMBER APOSTOLAKIS: Who is the person on
13 the other side?

14 DR. MEYER: That will cost you five
15 minutes.

16 PARTICIPANT: Can we ask who else is on
17 the bridge right now?

18 PARTICIPANT: Westinghouse. I'm going on
19 mute now. Thank you.

20 PARTICIPANT: Thank you. Sorry about
21 that.

22 DR. MEYER: Okay. We've had cooperation
23 from the industry. I want to mention quickly that
24 EPRI has been involved with us from the beginning.
25 Global Nuclear Fuel, AREVA, its preceding companies,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and Westinghouse have all provided fuel rods and fuel
2 cladding materials for testing in the program. And
3 they have been very free to give us their opinions as
4 well.

5 In addition to that, I want to mention
6 another program that I sometimes forget to mention in
7 doing this work. And that's a program that we have
8 had with the Kurchatov Institute in Moscow.

9 The French IRSN and the NRC for almost the
10 same number of years had been providing some support
11 to Kurchatov to do related work. And they have done
12 almost a parallel study to what we have done up at
13 Argonne National Laboratory and documented that in a
14 NUREG IA report that we issued almost two years ago.

15 This is very extensive and unraveled some
16 of the pieces of the puzzle that we will talk about
17 today. So I want to mention the Kurchatov work and
18 IRSN support work. And I also want to mention the
19 Russian fuel manufacturer, Tivel, is also a sponsor of
20 this work and, in fact, probably paid the lion's share
21 of the cost, although we ran the content of the
22 program from this little international arrangement
23 that we had.

24 Now, the work at Argonne has been
25 documented in a draft NUREG CR report, which I think

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the Committee has. We sent it to the Committee. It's
2 a fairly lengthy report. And we spent a lot of time
3 talking about that at the subcommittee.

4 So there are a lot of things that happen
5 to the fuel during a loss-of-coolant accident. And
6 our research has looked into a number of them but has
7 focused primarily on the loss of ductility that takes
8 place in a process that we just generally refer to as
9 embrittlement.

10 During a loss-of-coolant accident, the
11 cladding temperature goes up. And somewhere in the
12 vicinity of 800 degrees Centigrade, the cladding
13 softens. It balloons. It pops. It ruptures. It
14 relieves the pressure. It also goes through a phase
15 change just about at the same temperature. They're
16 not totally related to each other, but they do happen
17 at about the same time.

18 Now, only above that temperature, starting
19 at around 900 degrees Centigrade does the oxidation
20 rate on the surface because it's in steam, the surface
21 oxidation rate, picks up enough that you will
22 accumulate a lot of oxidation during the period of the
23 transient.

24 And at the same time, the oxygen that is
25 laid on the surface begins to diffuse into the metal.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Then eventually the cooling water from the emergency
2 cooling systems comes in, cools, and quenches the
3 material. Then it goes back through the phase change.

4 The low-temperature phase change we refer
5 to as the alpha. The high-temperature one is the beta
6 phase. And I'll come back to that in just a second.

7 Now, the current embrittlement criteria
8 you're probably all familiar with this. It's in 10
9 CFR 50.46, part B. In paragraph 1, there's a
10 temperature limit of 2,200 degrees Fahrenheit. That's
11 1,204 degrees Centigrade. And we will just glibly
12 speak of 1,200 degrees Centigrade in the presentation.

13 There is an oxidation limit of 17 percent.
14 This is really a time limit because it was understood
15 at the beginning and we know it now that the
16 embrittling process does not take place on the surface
17 where the oxide is accumulating. It is related to the
18 diffusion of oxygen in the metal.

19 The diffusion process and the oxidation
20 process run at about the same speed. And so an
21 oxidation limit was used. It's very convenient. I
22 won't go into the details, but it turns out to be a
23 very convenient thing to do. It gives you a nearly
24 constant number that you can use as a limit.

25 In running a LOCA calculation, you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 calculate -- well, your basic LOCA transient
2 calculation is just time and temperature. And then
3 you run along with that some equation for oxidation
4 and get a calculated oxidation amount during the
5 transient. And you keep that less than 17 percent,
6 less than or equal to 17 percent.

7 One-sided oxygen pickup is assumed
8 everywhere along the cladding except in the balloon.
9 And in the balloon, you recognize that you have hit a
10 rupture. And the steam can get into the inside of the
11 balloon and lay oxide on the inside. And then oxygen
12 will diffuse in from the inside simultaneously with
13 the diffusion in from the outside. So you use a
14 two-sided assumption within the balloon.

15 In 1998, after we became concerned about
16 the effects of burnup on these criteria, NRC issued an
17 information notice that clarified the 17 percent
18 number. And we said at that time the 17 percent was
19 total oxidation, meaning the transient oxidation plus
20 any corrosion that accumulated on the fuel rod during
21 normal power operation.

22 Now, in the next ten slides, I want to
23 just give you a brief overview of the type of work
24 that's been done to support the criteria that we're
25 going to describe to you later on.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 This is work that Mike Billone spent three
2 hours describing to the subcommittee. I'm going to
3 spend about three minutes on it literally. I just
4 want to give you a feeling for the magnitude of the
5 experimental program that has been undertaken.

6 So, first of all, here is a list of all of
7 the cladding materials that we have tested,
8 Zircaloy-2, 4, ZIRLO, M5, and a Russian E110. And in
9 some cases, we have had multiple subsets of these.
10 Zircaloy-4, for example, we have three distinct
11 varieties of Zircaloy-4. We have some older vintage
12 15 by 15 Zircaloy-4, some modern 15 by 15 Zircaloy-4,
13 and some modern 17 by 17 Zircaloy-4, in addition to
14 having the high burnup Zircaloy-4 of the older
15 variety.

16 MEMBER BANERJEE: What do you mean by "15
17 by 15," "17 by 17"?

18 DR. MEYER: The fuel geometry, the --

19 MEMBER BANERJEE: Oh, the bundles, yes.

20 DR. MEYER: -- bundle size. And the
21 geometry turns out to be important because the more
22 rods in the array, the thinner the cladding. And
23 you're going to see that cladding thickness shows up
24 in one of the equations. And so it has a direct
25 effect on embrittlement.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So we have looked at all of those
2 materials. We have a furnace that is radiant-heated.
3 It has reflectors and a central tube going down
4 through there with a specimen. We can use short
5 specimens. We can use long specimens. We can pass
6 steam over the outside only. We can pass it up
7 through the middle and the outside. All of those
8 kinds of tests are done in this apparatus.

9 MEMBER POWERS: Ralph, you indicated in
10 your introductory comments that most of the period of
11 time you're interested in, rapid oxidation is not
12 taking place. Did you have to get up to above some
13 critical temperature before you get rapid steam
14 oxidation in the cladding?

15 DR. MEYER: Yes.

16 MEMBER POWERS: That means in the real
17 reactor accident, the heat is coming from the inside
18 out to the clad. But in your experiments, you're
19 going from the outside in on the clad. Does that make
20 a difference?

21 DR. MEYER: Actually, most of the testing
22 that we have done has been two-sided. And so there
23 was a time when we were concerned that by doing so
24 much of the work with two-sided oxidation, that we
25 were not setting the test up right. And we did then

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 do some one-sided oxidation tests.

2 In the end, as you saw and the rest will
3 see, we're going to suggest that the two-sided
4 analysis be done everywhere on the run so the tests
5 are exactly the right ones for that.

6 MEMBER POWERS: Thank you.

7 MEMBER BANERJEE: So typically in a
8 bundle, at these temperatures, some portion of the
9 heat is coming from radiation onto the surface in some
10 form inside. What is that fraction?

11 DR. MEYER: The heat source is --

12 MEMBER BANERJEE: Inside, but it's
13 radiating, right, as well?

14 DR. MEYER: Well, but, I mean, you just
15 have similar rods all around. So they're all --

16 MS. UHLE: This is Jennifer Uhle from the
17 staff. I mean, that's hard to say. It depends on the
18 transient. It depends on exactly the view factors,
19 the peaking factors because obviously you need the
20 strong delta-T to provide the driving force.

21 I think being from NRR, when I was in NRR,
22 review maybe at most 20 percent, I think is from
23 radiation at the real high temperatures. But that's
24 when you're up at the --

25 DR. MEYER: The two main heat sources are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the heat from the inside coming from decay heat and
2 stored heat from the beginning of the transient and
3 then the heat from the metal-water reaction. And
4 those are all accounted for in the analysis.

5 So temperature is a very important. This
6 metal-water heat affects the temperature rise during
7 the transient. So in setting up the experimental
8 apparatus, a lot of effort is put into calibrating the
9 furnace and the temperatures on the rods to be tested.

10 That picture looks so good on the file.
11 Anyway, the main test that we do is a
12 ring-compression test. You can hardly see it here,
13 but there is an Instron machine that's squeezing a --

14 MEMBER POWERS: It is much better in the
15 handout.

16 PARTICIPANT: The handout is good.

17 DR. MEYER: -- the ring of the cladding
18 that's about eight millimeters long. We have a couple
19 of Instron machines doing this. One is in a glove box
20 where we can squeeze irradiated pieces. And one is
21 just sitting out in a laboratory where it's easier to
22 get to.

23 The ring-compression test results have to
24 be interpreted. Our techniques for doing this are
25 much more sophisticated than they were back in 1972

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and 1973, where the same ring compression, general
2 ring compression, technique was used. And so we know
3 how to do this quite well now.

4 The furnaces are generally programmed in
5 a way that more or less represents the temperature
6 rise during a postulated accident.

7 MEMBER APOSTOLAKIS: Ralph?

8 DR. MEYER: Yes?

9 MEMBER APOSTOLAKIS: It may be obvious to
10 a lot of people here, but where are you going with
11 this? What are you trying to get out of these
12 experiments?

13 DR. MEYER: All I want to do at -- what
14 we're trying to get at are criteria that can be used
15 to identify when the cladding loses ductility during
16 this transient so you can use that as a limit and then
17 with that limit show that the emergency core cooling
18 systems have been adequate to protect the ductility of
19 the material.

20 MEMBER APOSTOLAKIS: So when do you mean
21 the time? How long it will take to lose ductility?

22 DR. MEYER: Well, that's basically what we
23 determine experimentally.

24 MEMBER APOSTOLAKIS: Right.

25 DR. MEYER: And then that information is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 contained in the temperature limit and the oxidation
2 limit and applied in the analysis, the safety
3 analysis, when you analyze the thing.

4 VICE CHAIRMAN SIEBER: Those limits are
5 surrogates for the loss-of-coolable geometry, which is
6 the endpoint. You want to maintain coolable geometry.

7 DR. MEYER: Endpoint is loss-of-coolable
8 geometry. There were big discussions about this
9 during the hearing in 1972 and 1973. It came down to
10 a position of maintaining ductility in the cladding as
11 the way to ensure a coolable geometry.

12 And we have not tried to change any of the
13 underlying philosophy or the basic experimental
14 approach to it but just do it in such a way that we
15 can see the effects of burnup and manufacturing
16 variables and update the criteria.

17 We were able to do four what we call
18 integral tests on high burnup rods before we lost
19 access to the alpha-gamma hotcell at Argonne. And
20 these are pictures of those four. All four of these
21 fuel rods were BWR fuel rods with low corrosion. And
22 you can see the single balloon and ruptured area in
23 each of those.

24 We analyzed those in detail.

25 MEMBER ARMIJO: Ralph, I'm sorry. You

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 didn't do the H. B. Robinson? Didn't you do an H. B.
2 Robinson?

3 DR. MEYER: We didn't get to the H. B.
4 Robinson before the --

5 MEMBER ARMIJO: Before they shut down?

6 DR. MEYER: -- hotcell was shut down. So
7 we have the specimens. And we want to test them. But
8 we have had no ability to do that since July 26, 2005.

9 MEMBER ARMIJO: Okay.

10 DR. MEYER: We remember the day.

11 MEMBER ARMIJO: And you also have the M5
12 fueled rods and the ZIRLO?

13 DR. MEYER: No, no. It's a very painful
14 process to get fuel rods from a power plant for
15 testing. And over the years, we have been able to get
16 a set of BWR rods from the Limerick plant and a set of
17 PWR rods from the Robinson plant. These are
18 relatively older fuel types.

19 We have plans to get ZIRLO-clad rods and
20 M5-clad rods with high burnup for this program. Those
21 rods have not been provided yet. So those are not in
22 the current test program.

23 What we were able to get were some small
24 pieces of M5 and ZIRLO cladding from high burnup rods,
25 getting those pieces from the Skuzda Laboratory, where

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 they had such fuel rods for testing and we made
2 arrangements to get those pieces. Those pieces have
3 not been tested yet either but will be tested
4 hopefully in the next two months.

5 DR. BILLONE: Excuse me. This is Mike
6 Billone from Argonne. Just for clarification, the
7 high burnup M5 rods that we and EPRI have agreed to
8 put into the program are in transit to Argonne. They
9 have been in transit for six months, but they're in
10 transit.

11 PARTICIPANT: Slow truck.

12 DR. BILLONE: Slow truck.

13 MEMBER ARMIJO: But you physically have
14 the H. B. Robinson rods, --

15 DR. BILLONE: Yes, yes.

16 MEMBER ARMIJO: -- even though that's an
17 old vintage --

18 DR. BILLONE: Correct.

19 MEMBER ARMIJO: Okay.

20 DR. OZER: Excuse. This is Odelli Ozer,
21 EPRI. The M5 rods have been shipped. They're at the
22 Idaho National Laboratory. They're just awaiting
23 shipment from Idaho hotcell over to wherever Argonne
24 wants them.

25 And we are in discussions with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Westinghouse for ZIRLO rods.

2 DR. MEYER: Well, since we've gotten onto
3 this subject, let me say that we have had a program
4 plan for this program since 1998. It was updated in
5 2003. It has been reviewed by the subcommittee and by
6 the full Committee several times.

7 In that program plan, we always knew that
8 we would not have the high burnup ZIRLO and M5 rods in
9 time in the time that we wanted to try and revise the
10 embrittlement criteria.

11 And so the plan for the beginning was to
12 examine unirradiated rods of Zircaloy-2, Zircaloy-4,
13 M5, and ZIRLO and irradiated Zircaloy rods. With this
14 cut of the variables to make an assumption that the
15 burnup effects that you saw in the Zircaloy would
16 apply to M5 and ZIRLO because we realize that we
17 wouldn't have those rods in any timely way to make the
18 test. And that turned out to be the case.

19 So what we're going on here are burnup
20 effects measured on Zircaloy and, by assumption,
21 carried over to M5 and ZIRLO with the alloy and
22 manufacturing properties measured on the unirradiated
23 material.

24 I think we understand enough of what is
25 going on that this is a reasonable approach. And I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 hope that I can convince you of that. Sometimes if we
2 want to do a mechanical test in the balloon, instead
3 of cutting a ring and compressing it because of the
4 deformation, we do a bending test.

5 And we do a lot of microscopy to look at
6 the details of metallurgical phases in the oxide
7 layers that build up on the rod. This happens to be
8 a scanning electron microscope picture. We do a lot
9 of optical microscopy also.

10 Okay. So that was my three-minute sweep
11 through the experimental program. Now what I want to
12 do is to slow down and talk about what is really
13 happening and what we have learned from the results
14 and then how we propose to use those results.

15 So imagine that a fuel rod has been
16 through a temperature transient such as the one that
17 I showed and has now been cooled back down to near
18 room temperature and you look to see if it's brittle
19 or ductile.

20 So what you see when you look at the
21 sample is that there is O₂ on the surface, oxide on
22 the surface, and then you see material that when it
23 went up in temperature had all transformed to the beta
24 phase. But as oxygen diffused into the metal from the
25 oxide that's lying on the surface, the oxygen

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 concentration in the beta phase got above the
2 solubility limit and caused it to go back to the alpha
3 phase, which had a lot of oxygen in it.

4 And so when you take it all back down to
5 room temperature, what you see is a region that was in
6 the beta phase at high temperature. You clearly see
7 this oxygen-stabilized alpha layer. And, of course,
8 you see the oxide layer.

9 Among these phases, the only one that has
10 any ductility is a portion of the prior beta phase.
11 It's the portion of that phase that has a low oxygen
12 content, a content lower than about six-tenths of a
13 percent of oxygen.

14 VICE CHAIRMAN SIEBER: Could you tell us
15 which phase is body-centered cubic and which is --

16 DR. MEYER: Yes.

17 VICE CHAIRMAN SIEBER: -- phase-centered?

18 DR. MEYER: Yes, I can. The
19 low-temperature alpha phase is a hexagonal close-pack
20 structure. And the high-temperature beta phase is a
21 body-centered cubic.

22 When the original work was done in the
23 late '60s and early '70s and the rule was first
24 written, there was this Appendix K that you are
25 probably all familiar with. Appendix K required that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you use the Baker-Just oxidation equation.

2 And that was because the data that Hobson
3 had taken, which were used as the basis for the 17
4 percent number, had been reduced with the Baker-Just
5 equation. Hobson did not measure the amount of
6 oxidation. He calculated it with Baker-Just. So he
7 used Baker-Just going in. He used Baker-Just coming
8 out. And it worked.

9 We're switching from the Baker-Just
10 correlation to the Cathcart-Pawel correlation because
11 it's a much more accurate correlation. And I just
12 wanted to put in your handout the equations that we're
13 using so that they would be for reference. I don't
14 think I need to talk about those in any detail.

15 MEMBER ARMIJO: Ralph, I just want to ask
16 one question and just to be sure. Have you confirmed
17 or is it well-known that the oxidation kinetics for
18 the, let's say, various types of zirconium alloys,
19 Zircaloy-2, 4, M5, and ZIRLO, have the same activation
20 energies and pre-exponentials so that this one
21 equation represents the whole family?

22 DR. MEYER: Yes. We have confirmed that
23 they don't.

24 MEMBER ARMIJO: Okay. Confirmed that they
25 don't. So would you use a different equation for each

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 if you're --

2 DR. MEYER: Okay. I really need to
3 explain this. And I know I ought to do this. The
4 Cathcart-Pawel equation works very well for all of the
5 alloys we have tested, the ones you have mentioned:
6 Zirc-2, Zirc-4, M5, and ZIRLO, at the high temperature
7 end of the range of interests. At 1,200 degrees
8 Centigrade, a Cathcart-Pawel works quite well for all
9 of them.

10 As you go down in temperature,
11 particularly the M5 alloy, which has no tin in it,
12 it's just zirconium-1 niobium, it has slower oxidation
13 kinetics, say, around 1,000 degrees Centigrade. It's
14 much slower.

15 Now, by using the Cathcart-Pawel equation,
16 even for M5, we're not introducing any error into the
17 situation because it's just the parameter that we
18 correlate against. It's our surrogate for time. So
19 it does not represent the true oxidation rate for M5
20 at lower temperatures, but it is still a good time
21 yardstick.

22 MS. UHLE: This is Jennifer Uhle.

23 MEMBER POWERS: Couldn't you just stick
24 with Baker-Just, then?

25 DR. MEYER: We could have used Baker-Just.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. UHLE: This is Jennifer Uhle from the
2 staff. We just want to point out that in the
3 regulatory guide or perhaps in the ruling, which when
4 it gets worked out will be the guidance to make sure
5 that whatever correlation or whatever equation,
6 oxidation equation, you're using to reduce your data
7 to show when you lost ductility, you have to use that
8 in your system analysis code that will tell you what
9 your fuel rods would be, how brittle they would be
10 during a loss-of-coolant accident.

11 So right now there is a disconnect because
12 in the 17 percent limit currently, that was derived
13 using Baker-Just. However, in best estimate methods
14 that the licensees have and vendors have been using
15 for they have NRR approval to use, they're free to use
16 whatever correlation is acceptable for the oxidation
17 equation.

18 So there is currently a disconnect. Now,
19 thankfully it's not that much in error, but in the
20 future, we need to make sure that those two are
21 consistent.

22 MEMBER CORRADINI: Just to clarify because
23 you tried to explain it. I thought I got it, but now
24 I don't have it. So let's just stick with
25 Cathcart-Pawel. And you were to take a set of data.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So you said this is just a surrogate for
2 time. So what you're using this for is to compute a
3 percent reaction given the protocol, which is if it's
4 not ballooned, it's one-sided. If it's ballooned,
5 it's two-sided and then with that percentage, then
6 come back to a time.

7 I'm still not clear about that because
8 what you said about M5, I remember being the case.
9 I'm not exactly sure how it still sounds to me like
10 using Cathcart-Pawel. With a range of temperatures as
11 you cook the fuel, you're going to overestimate
12 oxidation.

13 DR. MEYER: You will overestimate
14 oxidation for M5, for example, because it spent some
15 time at a lower temperature. But, as it turns out,
16 the oxidation process doesn't control the
17 embrittlement process. It's diffusion into the metal
18 that controls the embrittlement process. So we're
19 just using oxidation rate as sort of a surrogate for
20 diffusion rate because we can measure it.

21 MEMBER CORRADINI: I understand. May I
22 just ask, then, the obvious question? So if I
23 overestimate oxidation and it's a surrogate for
24 diffusion, why am I not also overestimating the
25 diffusion time and, therefore, overestimating the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 embrittlement?

2 DR. BILLONE: Ralph, can I --

3 DR. MEYER: Help me out, Mike.

4 DR. BILLONE: No. Let's look at it a
5 different way. If I test M5 at 1,200 degrees C. and
6 Zirc-4 at 1,200 degrees C. or 1,000 degrees C. --
7 let's go to the 1,000, where they're very different --
8 they pick up weight, oxygen, at different rates, but
9 they embrittle at about the same rate because what's
10 controlling is a diffusion process of oxygen into the
11 metal and through the metal.

12 So M5 forms a thin oxide layer. Zirc-4
13 will form a thick oxide layer, which doesn't
14 contribute at all as long as you have an oxygen source
15 there to drive your diffusion.

16 The simple fact is when you plot M5
17 ductility goes down like that with time versus Zirc-4
18 ductility, which goes down. They go down at the same
19 level.

20 MEMBER CORRADINI: So one last question,
21 and then I'll be quiet, which is then the oxidation
22 kinetics is nothing. You are using the A and the Q
23 and the R essentially as a solid diffusivity model,
24 which is approximately right, regardless of the
25 oxidation.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER BONACA: Right.

2 MEMBER CORRADINI: Okay. Fine.

3 DR. MEYER: Now, I want to point out that
4 you would not want to do this in calculating the
5 metal-water heat, the separate matter. The
6 metal-water heat you would want to use a best estimate
7 oxidation correlation. But for us it turned out to be
8 convenient just to use this same calculation, plot all
9 of our data not as a function of time but as a
10 function of what we call CPECR, Cathcart-Pawel
11 Equivalent Clad and Reactive.

12 MEMBER ABDEL-KHALIK: Would you expect
13 this to work for any and all yet-to-be-developed
14 alloys?

15 DR. MEYER: I expect this to work for any
16 and all zirconium-based alloys that are in the tin
17 niobium family at the concentrations of around one
18 percent; in other words, the range of things we --

19 MEMBER ABDEL-KHALIK: And this is --

20 DR. MEYER: We tested all the way from
21 zirconium-tin to zirconium-niobium. Anything in that
22 range I believe these results will be applicable.

23 MEMBER ABDEL-KHALIK: And this expectation
24 is based on what? Intuition?

25 DR. MEYER: It's based on testing that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 wide variety of materials that are in this range which
2 have not only differences in composition but also
3 differences in fabrication and understanding which
4 differences cause some change in the ductility
5 behavior and arranging the criteria in such a way that
6 it would catch all of them.

7 MEMBER BANERJEE: A couple of questions.
8 What is that 87.8 there?

9 DR. MEYER: It's just a geometric factor.
10 Let me define equivalent cladding. There are four
11 hours of details involved in this subject at least.
12 Equivalent cladding reacted is where you can do a
13 calculation and you assume that all of the oxygen that
14 is consumed goes into ZrO_2 at the surface. And none
15 is lost by diffusion into the metal.

16 That's what ECR is. It's a concept that
17 was used 35 years. There's nothing wrong with the
18 concept. And we stick with it, with the concept.

19 MEMBER BANERJEE: What is it? It says
20 it's 20 percent oxidized or something, 17 percent?
21 What does that sort of pertain to?

22 DR. BILLONE: It pertains to the fraction
23 of the wall thickness that you consume.

24 DR. MEYER: The temperature of the time
25 and the wall thickness, yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER BANERJEE: Thank you.

2 MEMBER ARMIJO: Okay.

3 MEMBER APOSTOLAKIS: Now, this
4 temperature, Ralph, which temperature is this peak?
5 Is that time-dependent as well?

6 DR. MEYER: Yes.

7 MEMBER APOSTOLAKIS: Big T. That's
8 time-dependent?

9 DR. MEYER: Yes.

10 MEMBER APOSTOLAKIS: So time is varied in
11 T as well?

12 DR. MEYER: Yes, yes.

13 MEMBER APOSTOLAKIS: Okay.

14 DR. MEYER: So you do the calculation.
15 And you, just like that first slide that I showed you,
16 have temperature running along with time and changing.
17 And you can in the models integrate the amount of
18 oxidation that takes place, which is a good surrogate
19 for integrating the amount of diffusion that takes
20 place because they have the same kinetics and roughly
21 the same coefficients.

22 Okay. The first and main result that we
23 see is that, sure enough, the high burnup material
24 embrittles in less time; that is, at a lower
25 calculated oxidation level, than the fresh material.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So what you have here is irradiated H. B.
2 Robinson Zircaloy-4. It's 15 by 15. It's old
3 vintage. It has a rough surface. And it is
4 embrittling at around eight percent ECR, which is well
5 below the 17 percent number that we have talked about.

6 Now, if you take very similar unirradiated
7 material -- I'm not quite sure it deserves to be
8 called archive material, but it's as close as we could
9 get to archive material. So here we have this same
10 vintage unirradiated 15 by 15 Zircaloy-4. And we test
11 that. And it tests out at about 14 percent.

12 Now, just as a little matter of interest,
13 this is with the Cathcart-Pawel model. If we had been
14 using the Baker-Just report, Baker-Just equation,
15 there's a 3 percent difference. It would be 17
16 percent. This is exactly what was tested, the result
17 that was obtained in the early 1970s, on which the
18 original rule was based.

19 MEMBER ARMIJO: Ralph, just so everybody
20 knows, your ductility reference is two percent
21 ductility. That's your target that you want to
22 achieve.

23 DR. MEYER: Yes.

24 MEMBER APOSTOLAKIS: Okay.

25 DR. MEYER: Sorry. Sorry about that. I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 have glibly used the word "ductility" here. We
2 actually have two techniques that we use. One of them
3 comes directly from the Instron machine, where we look
4 at the displacement versus time and can get something
5 we call an offset strain.

6 And the other method is actually simpler.
7 You just measure the diameter of the ring with
8 micrometers before you squeeze it and after you
9 squeeze it, right at the point where you develop the
10 first through-wall crack.

11 And in one case because of bending and
12 other things that I don't understand but I hope Mike
13 understands, in one case the zero is at one percent
14 when you use micrometers and it's two percent when
15 you're using this offset strained value that we
16 measure.

17 MEMBER APOSTOLAKIS: So when you say,
18 "high burnup" roughly --

19 DR. MEYER: High burnup. This had a
20 burnup of --

21 DR. BILLONE: Sixty-seven.

22 DR. MEYER: -- 67 gigawatt days per ton.
23 You can see that the specimen that was tested here had
24 a corrosion thickness of about 80 microns. If you run
25 the numbers and take 14 percent, convert 80 microns to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 equivalent cladding reacted as a percentage, multiply
2 that by 1.2, which is the F factor, and subtract it
3 from 14, you get 8.

4 So this is where the so-called F factor
5 comes in. The reason that we didn't just say 1.2
6 right off the bat was before we made the measurement,
7 we didn't know what the number was going to be. And
8 so we just put a factor in the equation.

9 After we measured it, we found some
10 sensitivity to heat-up rates and cool-down rates,
11 which could cause this F factor to have several
12 values.

13 So we have, in fact, explored the possible
14 range of those values and, as a matter of judgment,
15 selected 1.2 as the most appropriate value to use.
16 This is the point where judgment has entered into the
17 final result and where there can be some difference of
18 opinion on what the F factor should be.

19 MEMBER BANERJEE: Could you just repeat
20 what the F factor is?

21 MEMBER ARMIJO: He hasn't gotten there
22 yet.

23 DR. MEYER: Wait for a couple of slides
24 and let --

25 MEMBER BANERJEE: You keep saying "F"

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 factor." And I don't know where it is. All right.

2 DR. MEYER: F is for factor. It's just a
3 factor. Look, this is an empirical correlation. And
4 what we're doing is we know that the main effect --
5 and I forgot to say it -- here is a result of hydrogen
6 that gets absorbed into the cladding during normal
7 operation as a consequence of the corrosion process.
8 We know that about 15 percent of the released hydrogen
9 gets absorbed into the cladding.

10 But I said before that oxygen was the
11 embrittling agent in the material. And so what we
12 believe is going on here is that the hydrogen is
13 controlling both the solubility limits or it's
14 altering the solubility limits and the diffusion
15 rates.

16 So it's not necessarily doing any
17 embrittling on its own because it's all in solution at
18 the high temperature, but it is affecting the oxygen
19 diffusion into the metal.

20 And on this slide, I simply show that we
21 have confirmed that hydrogen is having this effect by
22 taking unirradiated Zircaloy-4 and other materials,
23 pre-hydrating them in the laboratory, and then testing
24 them in the same way. And you can reproduce the
25 effect by doing that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER ARMIJO: Ralph, there is a
2 contention that I want to give you a shot of answering
3 before the industry folks talk that by virtue of
4 quenching these materials from high temperature, you
5 introduce a hydrogen embrittlement, in addition to the
6 oxidation embrittlement, because that's an issue that
7 is going to come up we'll have to wrestle with. Have
8 you confirmed that the hydrogen effect is strictly
9 oxygen or is it oxygen embrittlement plus hydrogen
10 embrittlement?

11 DR. MEYER: Well, now, I think that there
12 is a component of direct hydrogen embrittlement in the
13 samples that have been -- is it the quenched ones or
14 the slow-cooled ones? I get confused on this. But
15 all of this is wrapped up in the cooling rate --

16 MEMBER ARMIJO: Right.

17 DR. MEYER: -- effect, which we have
18 looked at and made some judgments about. Mike, do you
19 want to --

20 DR. BILLONE: Yes. I would say most of
21 that loss of ductility that you see is due to increase
22 in oxygen. There's a small but significant -- in
23 other words, if you're setting two percent as the
24 limit, if you slow-cool the sample, you might get
25 three percent ductility where you expect less than

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 three.

2 And so essentially quenching freezes in
3 hydrogen in solution in places where it causes
4 embrittlement. So if you quench at 800 degrees C.,
5 your sample is going to be more brittle than if you
6 just cool to room temperature with no quench.

7 MEMBER ARMIJO: Okay.

8 DR. MEYER: Okay. Now, the next big
9 effect that we found in this study was actually noted
10 first in some Eastern European tests that were done in
11 the '90s. And we learned from what we did that this
12 breakaway oxidation process had it been seen earlier,
13 in fact, affects the embrittlement process.

14 So what happens with the zirconium alloys?
15 And it can happen to all of them. It turns out that
16 the old E110 Russian cladding was the most susceptible
17 to this and provided the most dramatic pictures of it.

18 But what happens is that as you enter this
19 high temperature region and you start laying down the
20 oxide on the surface, that the type of oxide that we
21 normally see is black and shiny. It's a tetragonal
22 form. And it's rather protective and doesn't allow
23 the hydrogen to enter in any significant amount during
24 the period of the high temperature transient.

25 Under some conditions, this oxide can

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 switch from a tetragonal to a mono-clinic form. A
2 mono-clinic form is not black and shiny. It's dull
3 looking. It's full of micro cracks. And it lets
4 hydrogen in.

5 And so as soon as you get into this
6 break-away process, hydrogen starts getting sucked
7 into the cladding and has the same effect as it had
8 before. So you have to be careful with all of these
9 alloys to make sure that you don't have the conditions
10 that promote the bad oxide to grow.

11 VICE CHAIRMAN SIEBER: Is that flakes of
12 oxide?

13 DR. MEYER: Yes, those were flakes. That
14 was a very advanced case of stuff. I like that
15 picture because of its dramatic effect.

16 MEMBER ARMIJO: Ralph, to be sure that
17 everyone has some time, it might be a good idea to get
18 to your proposed.

19 DR. MEYER: Okay.

20 MEMBER ARMIJO: It's 9:27. And we're
21 supposed to wrap up at 10:00.

22 DR. MEYER: Okay.

23 MEMBER ARMIJO: Is that right, Mr.
24 Chairman? So I think it's important that people
25 understand your proposal.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. MEYER: Okay. Let me skip over these,
2 then.

3 MS. UHLE: Why don't you talk about that
4 one there?

5 DR. MEYER: I do need to talk about this
6 one.

7 MEMBER ARMIJO: Yes. Okay.

8 DR. MEYER: Okay. So the concept is that
9 diffusion of oxygen into the metal is the embrittling
10 factor, not laying down the oxide on the surface. It
11 turns out that you have a big source of oxygen on the
12 inside of all cladding materials, UO₂ fuel full of
13 oxygen.

14 And we know from our present work and from
15 some historic work that we looked up that as soon as
16 the cladding and the fuel stick together, that source
17 of oxygen then becomes available for diffusion into
18 the cladding.

19 I think we have incontrovertible -- is
20 that the right word? -- evidence that this effect is
21 real and it is at least when you have a bonded fuel
22 layer, which you generally would have at high burnups,
23 there is ample oxygen on the ID. So that you get
24 diffusion from both directions, whether you're in a
25 balloon or not in a balloon.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 VICE CHAIRMAN SIEBER: That ample oxygen
2 comes from the UO₂?

3 DR. MEYER: It comes from the UO₂. It
4 comes from --

5 VICE CHAIRMAN SIEBER: I thought that was
6 pretty tightly bound.

7 DR. MEYER: It comes from the UO₂. One
8 other thing I need to point out -- and then I'll get
9 right to the criteria -- is that within about an inch
10 of the center of the rupture, you also have hydrogen
11 absorption on the ID. You had steam getting in,
12 oxidizing the inner surface of the cladding, where it
13 can get in the balloon.

14 And, again, the oxidation process frees up
15 hydrogen. And the hydrogen isn't swept away very
16 readily. It's trapped inside. And so you get high
17 hydrogen absorption in the vicinity of the balloon.

18 MEMBER BANERJEE: So does the oxygen
19 diffuse through the oxide layers, oxide layer crack,
20 and get through the reaction zone?

21 DR. BILLONE: No, no. What happens is you
22 are getting oxidation in the opening, the balloon
23 opening region.

24 MEMBER BANERJEE: I'm saying imagine
25 you've got this bonded fuel or whatever.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. BILLONE: Right.

2 MEMBER BANERJEE: Oxygen is now diffusing
3 through the oxide or are there cracks in the oxide and
4 allows oxygen in?

5 DR. BILLONE: The steam oxygen is creating
6 an oxide layer. And oxygen is also diffusing through
7 that layer.

8 VICE CHAIRMAN SIEBER: Right.

9 MEMBER BANERJEE: From the inside?

10 DR. BILLONE: From the inside.

11 MEMBER BANERJEE: But when it's just
12 bonded.

13 DR. BILLONE: Well, in the balloon, you
14 have expanded 50 percent.

15 MEMBER BANERJEE: Right, right. Yes, we
16 understand that.

17 DR. BILLONE: I'm trying to answer about
18 the ID. I'm missing the point.

19 DR. MEYER: It is present on the surface,
20 and it just diffuses in.

21 MEMBER BANERJEE: It diffuses in. It's
22 not cracked.

23 DR. MEYER: No. It diffuses in.

24 MEMBER BANERJEE: Aren't there kinetics
25 associated with that diffusion?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. BILLONE: That's the same kinetics.

2 MEMBER BANERJEE: It goes to teach us how?

3 DR. MEYER: I need to go through this.

4 And then I think I'm where you want to be. So we get
5 these high hydrogen concentrations, very high hydrogen
6 concentrations, 3,000 ppm, the vicinity of the
7 balloon.

8 The balloon does not stay ductile. It has
9 some strength left, but in spite of the fact that the
10 current regulation has detailed prescription on how to
11 analyze the balloon, it really doesn't work because
12 the balloon has hydrogen in it that wasn't realized
13 when the rule was put together that causes the balloon
14 to be -- let me go right to here. And I'll come back
15 if I have to.

16 So here is what we are proposing to do.
17 We're proposing to keep the temperature limit right
18 where it is with no change. There's a lot of history
19 with this. And there's also an effect that we see in
20 the present work.

21 Once you get above about 1,200 degrees
22 Centigrade, the oxygen diffusion rate picks up. And
23 the oxidation limits would then be lower. And so you
24 basically have more parameters here than you need.

25 And you can just fix this temperature

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 right where it has always been at 2,200 degrees
2 Fahrenheit and then work the rest of the problem from
3 there. So that is what we have done.

4 And now what we are looking for here is a
5 replacement for 17 percent, which accounts for the
6 effect of burnup. And so we will start with a
7 measurement on unirradiated cladding at 1,200 degrees.
8 And there's a reason for choosing the 1,200 degrees.

9 This is the analogue of 17 percent. I'll
10 show you some values. And we subtract from that the
11 corrosion thickness multiplied by a scaling factor,
12 just an empirical factor, to fit the data.

13 MEMBER ARMIJO: Now, currently that factor
14 is one, right?

15 DR. MEYER: Yes. If you were to use the
16 information notice recommendation, that factor would
17 be one. I have to tell you that at the time the
18 information notice was written, we did not understand
19 this process. It was a guess. We expected that there
20 would be an effect, and it was a logical guess to
21 make.

22 MEMBER ARMIJO: You have incorporated all
23 burnup effects into that 1.2 times --

24 DR. MEYER: Well, not quite all because
25 there is the matter of break-away --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER ARMIJO: Right. Okay.

2 DR. MEYER: -- that is accommodated by a
3 separate limit. And then there is the matter of the
4 two-sided oxygen penetration. All of these are
5 accommodated by everything that is on this page, but
6 the first line takes account of the basic burnup
7 effect that is a consequence of corrosion and hydrogen
8 absorption during normal operations.

9 MEMBER APOSTOLAKIS: This factor of one,
10 formerly one, ECR corrosion --

11 DR. MEYER: Yes.

12 MEMBER APOSTOLAKIS: -- was that in the
13 information notice?

14 DR. MEYER: Yes. In the information
15 notice, we simply said, "Interpret the limit to be the
16 sum of the transient and the corrosion thickness."
17 So, in effect, you're subtracting the corrosion
18 thickness from 17 percent.

19 And we didn't say multiply it by an F
20 factor. We just said --

21 MEMBER APOSTOLAKIS: So F is 1.2?

22 DR. MEYER: F is 1.2 based on our current
23 data and some judgment about the appropriate
24 adjustments to make to account for these cooling rate
25 effects.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Okay. Now what we're suggesting here is
2 that we assume two-sided oxygen pickup everywhere on
3 the run and simply not do a calculation in the
4 balloon. And if you'll let me, I'll show you how I
5 get to that point on the next slide.

6 And then, finally, we measure the minimum
7 break-away time and use that time as a time limit for
8 the period in the transient above 650 degrees
9 Centigrade. The reasons for all of these choices of
10 numbers --

11 MEMBER ARMIJO: That time is the same as
12 the time allowable for the entire transient, that you
13 can't get break-away during that transient?

14 DR. MEYER: The period above 650. Below
15 650, you're not susceptible to creating this
16 break-away oxide, but above 650, you can get the
17 break-away oxide. And once it starts developing, it
18 may persist, even if you change and move to a
19 different temperature in the transient. So we look
20 for the minimum. And I'll show you some numerical
21 examples.

22 MEMBER CORRADINI: Just for clarification,
23 Ralph, I just wanted to -- so the ECR is using the
24 Cathcart-Pawel model at 1,200 C.?

25 DR. MEYER: The ECR unirradiated is the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 experimentally observed.

2 MEMBER CORRADINI: I'm just trying to
3 understand what you just said. So if I were to do a
4 computation, what am I computing? So the ECR
5 unirradiated is using the 1,200 C.?

6 DR. MEYER: This is a measured result.
7 You do test. And you find the transition from ductile
8 to brittle behavior, just like we showed on those
9 slides. And you do that with Cathcart-Pawel ECR on
10 the x-axis, instead of time.

11 MEMBER CORRADINI: Right. I understand.

12 DR. MEYER: And you take that number. And
13 that's what you have right here.

14 MEMBER CORRADINI: Okay. But I am going
15 to say it back to you so I get it right. You don't
16 have a stylized time history for the temperature. So
17 you're using that ECR_{unirradiated} at a constant 1,200 C.?

18 DR. MEYER: That's correct.

19 MEMBER CORRADINI: And then the second ECR
20 corrosion is what again? What is that ECR_{corrosion}?

21 MS. UHLE: That's the preexisting
22 corrosion that occurs when the rods are just burned at
23 normal temperatures.

24 MEMBER CORRADINI: Calculated how?

25 DR. MEYER: Again, it's measured. The H.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 B. Robinson rods had 80 microns of oxide on the
2 surface of them.

3 MS. UHLE: The licensees --

4 DR. MEYER: The vendors know what their
5 corrosion rates are so they can tell you
6 approximately.

7 MEMBER CORRADINI: So this is allowable by
8 the way you're doing this that this is allowable
9 relative to some predetermined corrosion rate buildup
10 as a function of burnup?

11 DR. MEYER: Correct.

12 MEMBER APOSTOLAKIS: So for a given
13 burnup, given kind of fuel, the right-hand side of the
14 inequality is a number?

15 DR. MEYER: Yes.

16 MEMBER APOSTOLAKIS: On the left, you go
17 to the equation, right?

18 DR. MEYER: On the left is your --

19 MEMBER APOSTOLAKIS: Calculation.

20 DR. MEYER: -- calculation, your --

21 MEMBER BANERJEE: But you used
22 Cathcart-Pawel first, too.

23 MEMBER APOSTOLAKIS: Yes. And then the
24 result of that is? Time.

25 MEMBER CORRADINI: So my last question is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to get to the --

2 MEMBER BANERJEE: It's whatever ECR is the
3 result. It has to be less than the right-hand side.

4 MEMBER APOSTOLAKIS: Right. But that
5 determines what?

6 MEMBER BANERJEE: Time and temperature.

7 MEMBER KRESS: But in making that
8 calculation, you use the area of the clad on both
9 sides?

10 MEMBER CORRADINI: It doesn't matter.
11 It's the thickness.

12 DR. MEYER: We're using --

13 DR. BILLONE: Two-sided oxidation.

14 DR. MEYER: -- two-sided equations.

15 MEMBER KRESS: And it's a function of
16 temperature. So you have to do it along the whole wad
17 at different temperatures?

18 DR. MEYER: Well, you do it just at the
19 peak, like you do now at the peak temperature node.

20 MEMBER KRESS: You're looking at the peak
21 only?

22 DR. MEYER: Yes. In this case now, the
23 peak maximum oxidation would always occur at the peak
24 node, peak temperature.

25 MEMBER KRESS: Okay. So you do it at the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 peak. But the temperature is a function of time?

2 DR. MEYER: Yes.

3 MEMBER CORRADINI: One last clarification.
4 So Sam asked you about t in the last arrow. So that
5 t always has to be less than the actual transient time
6 because you're going to be much below 650 for a lot of
7 the transient.

8 I know you don't want to do this, but just
9 to ask it theoretically, so you have gone through all
10 of this effort in the first arrow to take time and
11 wrap it into an ECR. But, yet, you come back to a
12 time measure. So why not just simply have two time
13 measures?

14 DR. MEYER: Well, that is basically the
15 way I look at it --

16 MS. UHLE: Well, because we also have to
17 --

18 DR. MEYER: -- for both of them.

19 MS. UHLE: We have to subtract off the
20 preexisting corrosion from the ECR calculated. So you
21 need it to be in some sort of format that's
22 consistent.

23 MEMBER CORRADINI: Okay. But I'm just a
24 crazy academic. So I'll --

25 DR. BILLONE: No. I understand. I'll

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 answer your questions.

2 MEMBER CORRADINI: I know how much the
3 fuel is inside the core. It's in so much time. So
4 I'm got cooking time at one temperature. I've got
5 cooking time during a transient. I have time.

6 So if you're going through all of the
7 effort to get an ECR and have a stylized thing to be
8 a surrogate for time, then you come back to a second
9 requirement that's time. Why not just simply use
10 time?

11 DR. MEYER: Well, in most cases, hopefully
12 --

13 MEMBER CORRADINI: But you know it's the
14 real time of how you have the fuel in the core.

15 DR. BILLONE: May I try something?

16 DR. MEYER: The time is the time during
17 the transient.

18 DR. BILLONE: Time is a simplistic way of
19 presenting this to you. In his first viewgraph he
20 showed you of temperature versus time, you're going to
21 be integrating ECR over that and you --

22 MEMBER CORRADINI: On the left-hand side?

23 DR. BILLONE: On the left-hand side. It's
24 not pure time. It's time and temperature, which is a
25 measure of oxidation. And it relates to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 embrittlement. So if you only go up to 1,000 degrees
2 C., you're going to have the same time period. You're
3 going to get a low ECR calculation.

4 MEMBER CORRADINI: I'll stop now, but I'm
5 still getting that you have a correction and the
6 correction factor is time of operation time. So I can
7 rearrange the thinking process and take the right-hand
8 side negative, put it over there, and operation --

9 MS. UHLE: But there's still a temperature
10 issue there because the different rods are at
11 different temperatures. Okay? So we don't know what
12 the -- we can't just say this rod is going to be the
13 limiting rod and we know it's operating temperature
14 throughout the entire life span of that rod.

15 MEMBER POWERS: It would be a difference
16 between a small break and a large break LOCA.

17 MS. UHLE: Yes. So you still have a
18 time-temperature type couple there that you need to
19 factor in.

20 MEMBER CORRADINI: That's a good point.
21 That's true. I understand. Thank you.

22 So, then, last question about the arrow on
23 the little t. So the history of how any individual
24 rod is sitting inside the core is not going to affect
25 that? That is, I can have a hot rod --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. UHLE: That's right. It does not have
2 a burnup effect.

3 DR. MEYER: So far as we know, that's
4 correct.

5 MS. UHLE: It's just the time in the
6 transient that exists above the 650 has to be -- and
7 the calculated transient that the licensees provide
8 would have to make sure that the time above that was
9 less than the minimum time.

10 MEMBER CORRADINI: Thank you.

11 DR. MEYER: If you let me do one numerical
12 example --

13 MEMBER ABDEL-KHALIK: Before you take this
14 --

15 MEMBER ARMIJO: I think we should let
16 Ralph give his thing. I think it's a little bit
17 complicated, but that second criteria is just to
18 prevent really crummy alloys from getting into your
19 reactor. And that's a real simple thing. The real
20 meat of the issue is the ECR during the LOCA
21 transient.

22 And so there are really two things that
23 they are trying to protect. And I think belaboring
24 that break-away thing isn't worth much, but Ralph
25 should give an example of how he would apply this to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a real material.

2 So I think with that, I am going to have
3 to --

4 DR. MEYER: Let me show you a good one and
5 a bad one.

6 MEMBER ARMIJO: Okay.

7 DR. MEYER: And I'll skip over the five in
8 between.

9 MEMBER ARMIJO: Okay. Thank you, Ralph.

10 DR. MEYER: Okay. So here is M5. And if
11 we take a fresh piece of M5 tubing and find the point
12 at which it loses its ductility, it's about 20 percent
13 in this ECR definition. This is a typical value.

14 At end of life, M5 might have 40 microns
15 of corrosion. And you not make a geometric conversion
16 of 40 microns to the ECR unit. And it happens to be
17 four percent.

18 MEMBER APOSTOLAKIS: I thought the ECR
19 unirradiated was 17 percent. It's not.

20 DR. MEYER: It's not. That's part of the
21 problem. One size doesn't fit all.

22 MEMBER APOSTOLAKIS: Okay. Okay.

23 MEMBER BANERJEE: It depends on the alloy,
24 I guess.

25 DR. MEYER: It depends on the alloy. It

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 probably depends more on a couple of fabrication steps
2 than on the alloy composition. So now if you take 1.2
3 times 4 and subtract it from 20, you get 15.2 percent.
4 The current limit would be 17 percent minus 4 percent
5 or 13 percent. So, actually, you have a higher limit
6 with this material.

7 And the measured time at which break-away
8 occurs at the worst temperature is on the order of
9 5,000 seconds. A typical LOCA is what, 1,800 seconds.
10 So you have no problem with break-away on this
11 material. And you would use in your calculation 15.2,
12 instead of 17. Everything else would run the same way
13 that the current analysis is done.

14 This is going to ensure you that you have
15 covered the effects of manufacturing variables, alloy,
16 burnup, everything that we have found.

17 MEMBER BANERJEE: The first number is a
18 measured number --

19 DR. MEYER: Yes.

20 MEMBER BANERJEE: -- or a calculated
21 number?

22 DR. MEYER: Measured. The second one is
23 also measured, but it will come from the vendor's
24 correlation from measurements in the plant.

25 MEMBER CORRADINI: We know the bad one

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 already.

2 DR. MEYER: You know the bad one already
3 is the old style Russian E110, where we measure with
4 the fresh cladding of transition of about 12 percent,
5 not 17 percent.

6 Now, this cladding is very resistant to
7 corrosion. It has low oxygen content and it's also
8 like the M5 is Zirconium-1 niobium. And so the
9 material, we had some 50-gigawatt day per ton cladding
10 in the Russian program. And that converts to only .5
11 percent.

12 So you get a limit of 11.4 percent for
13 this material. If you were using the current rule, it
14 would be 17 percent minus the .5 or 16 and a half.

15 But look at this. The break-away process
16 starts in about 500 seconds. So after 500 seconds,
17 these limits no longer apply. Very quickly, it will
18 embrittle. And so if you had a LOCA transient with
19 this fuel that spent more than 500 seconds above 650
20 degrees Centigrade, it probably would not retain
21 ductility after that transient.

22 Do you want me to quit now?

23 MEMBER ARMIJO: Yes. We are going to have
24 Dr. Ozer. Dr. Odelli Ozer from EPRI is going to speak
25 for the industry people, although there are some here

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 available to answer questions.

2 Dr. Ozer?

3 MEMBER ARMIJO: Do we have handouts of
4 your presentation?

5 DR. OZER: Ralph?

6 MEMBER ARMIJO: The blue folder?

7 DR. OZER: Yes. Thank you very much.

8 I would like to thank the Committee for
9 giving me the opportunity to express the industry's
10 position on this. I know we are kind of short on
11 time. So I am going to try to be rather concise.

12 First of all, let me state that we are
13 fully in support of the overall objective of NRC in
14 trying to develop performance-based criteria because
15 such criteria will allow the introduction of new
16 materials without the concern about getting exemptions
17 so the licensing process will be much smoother, will
18 go much faster.

19 We are also very much in support of the
20 excellent work that is being done at Argonne, the work
21 that Ralph covered in three minutes. You know, we're
22 very much in support of that.

23 Our concern is primarily with the
24 interpretation of that work and with the proposed
25 changes, the changes that are being proposed to the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 current criteria.

2 First of all, I think we all agree that
3 the data has not shown the presence of any public
4 safety issues.

5 MEMBER POWERS: I guess I just don't
6 understand that statement at all. Do you mean to tell
7 me that it's perfectly okay to embrittle a clad during
8 a transient so that when it shatters during cooling --

9 DR. OZER: If you let me go --

10 MEMBER POWERS: No. I want to understand
11 this sentence.

12 DR. OZER: -- I will address it. I would
13 like to address that to some greater extent. As I
14 said, we do have concerns about the interpretation of
15 the rules and, in particular, the use of the F factor,
16 which has been discussed at length, and the fact that
17 we may be getting oxygen ingress from the ID, how to
18 address that, whether to address it by assuming
19 double-sided oxidation. We are concerned about that
20 as well.

21 And, you know, the main concern is that we
22 feel that a rather bounding approach will have a
23 rather significant negative impact on the industry.
24 Again --

25 MEMBER POWERS: I am still coming back to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 your first sentence. You've got to explain that
2 better to me. It seems to me that it is really a bad
3 idea to embrittle a clad.

4 DR. OZER: One more slide. We think that
5 the current criteria are conservative. The
6 embrittlement issue was set up some 33 years ago
7 because at that time the concern was that we really
8 didn't know what kind of forces would be exerted on
9 fuel during a LOCA event.

10 Since then, a lot of experiments have been
11 done, both in Japan and in the U.S., that show that
12 even zero ductility fuel has enough strength to
13 withstand the stresses and strains that result from
14 the quench operation as well as a wide range of impact
15 loads that may be expected following the LOCA. So we
16 feel that there is conservatism in there.

17 We also feel that there is conservatism in
18 trying to determine when you will lose ductility from
19 ring-compression tests done on de-fueled cladding. We
20 think that those are tests that are very localized;
21 whereas, the response of fuel in the reactor will be
22 more of an integral nature and will be affected by the
23 fuel column that should be present there. So, you
24 know, we feel that those are conservatisms that are
25 present right now.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We also feel that we have margin,
2 considerable margin, today, particularly with regards
3 to high burnup fuel. And this is from a presentation
4 that was made by Westinghouse to the subcommittee a
5 couple of weeks ago which shows the power levels of
6 different fuel as a function of burnup. And we can
7 see that the higher-burnup fuel is way down compared
8 to fresh fuel or even once-burned fuel.

9 What we have over on the right-hand side
10 is the calculated response of either high-power fuel
11 or the lower-power high burnup fuel, the temperatures
12 that fuel will experience during a LOCA event.

13 What we can see is that the high burnup
14 fuel is in the 200-degree range. It's nowhere near
15 the limit. And the only way you can get this high
16 burnup fuel to reach the limit of temperatures is by
17 exceeding the limit everywhere else. So, you know, if
18 we're putting a cap on the fresh fuel, we're also de
19 facto putting a cap on the high burnup fuel.

20 MEMBER ARMIJO: So you are saying that the
21 high burnup effects that are the primary issue related
22 to the 1.2 factor occur only in fuel that cannot reach
23 these temperatures if that's what I heard you say.

24 DR. OZER: What I am saying is that --

25 MEMBER ARMIJO: Reach the 1,200, can't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 reach 1,100.

2 DR. OZER: That's right.

3 MEMBER ARMIJO: There is not enough --

4 DR. OZER: There is not enough power in
5 the fuel to reach those temperatures. And we are
6 arguing about F factors that will apply for that kind
7 of a fuel.

8 MEMBER CORRADINI: Why is that? I missed
9 that. I apologize. Why is that?

10 DR. OZER: Because the higher burnup fuel
11 operates at much lower powers. This is in the
12 reactor, the power distribution in the reactor, fresh
13 fuel, once-burned fuel and second-burned fuel.

14 MEMBER CORRADINI: So it's strictly a
15 stored energy effect? It's not a decay heat effect?
16 Heat is not going to matter. It's just the opposite
17 then. If it's a decay heat effect, that's irrelevant.
18 If it's a stored energy effect, that's relevant.

19 I mean, if you're telling me it's power at
20 the moment I have the event I essentially redistribute
21 the stored energy, I accept that, but if it's a decay
22 heat effect, that's not the case.

23 DR. OZER: Well, again, the decay heat and
24 the power, stored power, produce these lines. This is
25 the response during a LOCA.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 VICE CHAIRMAN SIEBER: Near term decay
2 heat is much shorter. Long-term is higher.

3 MEMBER ARMIJO: But it's all over by that
4 time.

5 MEMBER APOSTOLAKIS: What are the axes on
6 the first?

7 DR. OZER: The first one is burnup.

8 MEMBER APOSTOLAKIS: Burnup?

9 DR. OZER: Yes.

10 MR. DUNNE: This is Bert Dunne from Areva.
11 What you are looking at is the peaking factor. And
12 the cladding temperature transient is determined by a
13 normalized decay heat rate times the peaking factor.
14 So your peaking factor carries through into your decay
15 heat as well with time, at least for the time period
16 of a LOCA. So we find that the stuff out here in the
17 third cycle is operating about half of the decay heat
18 that the fresh fuel would be.

19 MEMBER CORRADINI: So it's mainly stored
20 energy effect?

21 MR. DUNNE: No. I think it's mainly decay
22 heat and partly stored energy.

23 VICE CHAIRMAN SIEBER: But those are
24 pretty, on that graph, that shows to me pretty, wide
25 power deviations, which I don't recall power

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 deviations as severe as that.

2 MEMBER ARMIJO: You mean differences from
3 cycle to cycle?

4 VICE CHAIRMAN SIEBER: No. Differences
5 from fresh fuel to twice-burned fuel. Well, it runs
6 between about 70 percent and 130 percent, as opposed
7 to I see assemblies there running less than 50
8 percent.

9 MEMBER ARMIJO: Yes. They're pretty dead.

10 VICE CHAIRMAN SIEBER: They're pretty low.

11 MEMBER ARMIJO: They're pretty dead, but,
12 you know, you get a lot of burnup in one cycle
13 nowadays, so two cycles of burnup.

14 VICE CHAIRMAN SIEBER: Well, modern fuel
15 designs try to flatten the core as best we can to --

16 DR. OZER: Well, we tried to reduce
17 leakage as well so that the high burnup assemblies
18 will be on the periphery.

19 MEMBER ARMIJO: But, you know, I want to
20 make sure that everybody understands that that is what
21 they're saying, that the temperatures achievable as a
22 function of burnup are defined by curves like this.
23 It may be different for BWRs and some kind of PWRs.
24 So the real risk is limited by the achievable
25 temperature during the LOCA.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. OZER: Exactly. Thank you.

2 So, again, we do feel that it is
3 conservative. And now we feel that there are some
4 additional conservatives that are being added on. And
5 that is the use of a single F factor, the requirement
6 of assuming double-sided oxidation, not only in the
7 balloon but everywhere throughout the rod, and, of
8 course, the assumption that the high burnup fuel will
9 also oxidize at the limit temperature.

10 MEMBER POWERS: Let me ask you a question
11 about it. In bright red, you have "Experimental
12 evidence supports the view that embrittled material."
13 That experimental evidence on the forces or is it on
14 the material?

15 And if it's on the forces, gee, I'd like
16 to know where that information comes from because I
17 have searched in vain for some idea of what kinds of
18 impulses and forces you get during an ECCS recovery.

19 DR. OZER: This is based on experiments
20 that were done in Japan where fuel was passed through
21 a LOCA heat-up coolant scenario and then quenched.
22 John, would you?

23 MR. ALVIS: Yes. This is John Alvis from
24 Anatech. The Japanese run their integral samples
25 through a large-break LOCA heat-up. They hold an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 oxidation period. And then they cool down and quench.

2 But what the Japanese do with their tests,
3 their requirements are that they hold their tests with
4 axial constraint. So they apply a load to their
5 integral samples during the quench process. And they
6 have discovered that, even with high burnup interval
7 rodlets, that they can reach ECRs out to 20 percent
8 without losing the coolable geometry.

9 MEMBER ARMIJO: What kind of loads? Are
10 these minuscule? Are they significant loads?

11 MR. ALVIS: I think they hold their --
12 what was it? Five newtons?

13 DR. BILLONE: Five hundred seventy.

14 PARTICIPANT: The quench assembly.

15 MR. ALVIS: Right. Their hypothesis is
16 that the grids would lock up or the rods would lock up
17 at the grid spans

18 MEMBER ARMIJO: So they put these things
19 in bending or some way that would --

20 DR. BILLONE: Intention, intention.

21 DR. OZER: What they do is they heat it
22 up. They hold it. You know, they clamp it.

23 MEMBER ARMIJO: And then they quench.

24 DR. OZER: And then they quench it. And
25 they see whether it will break or not. And what they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 see is that even the 17 percent ECR fuel will not
2 break, that you need much higher ECRs to break it.

3 MEMBER ARMIJO: Based on strength, not on
4 ductility?

5 DR. OZER: That's correct, yes.

6 MR. ALVIS: Correct.

7 DR. OZER: So that's why I'm saying even
8 zero ductility material has enough strength to
9 withstand stresses resulting from quench.

10 MEMBER ARMIJO: But you are not arguing
11 against a ductility limit, though, right? You accept
12 --

13 DR. OZER: Not at this point, no. No.
14 But I'm trying to say that there is conservatism in
15 using ductility as a surrogate for what the fuel --
16 you know, what we are concerned about is coolable
17 geometry. And we're trying to make sure that the fuel
18 will survive a LOCA event.

19 And ductility was used as a surrogate for
20 anything that may be happening in the reactor during
21 a LOCA event.

22 MEMBER POWERS: That's exactly what
23 happened, is that nobody knew what kind of forces were
24 going to be placed in the fuel. This seemed to say
25 that you do know. And I'm asking, how do you know

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that?

2 DR. OZER: Yes. The only thing that we
3 can say here is that it will withstand the quench, the
4 stresses resulting from quench.

5 MEMBER POWERS: It's the stresses
6 resulting from quench in a particular experimental
7 apparatus --

8 DR. OZER: Yes, correct.

9 MEMBER POWERS: -- with a particular kind
10 of configuration.

11 DR. OZER: Yes, with a particular load.

12 MEMBER POWERS: What I'm asking about is
13 now how do I take that and then imply that it's
14 conservative in the reactor? It may be, for all I
15 know, but I just don't know how to do that because I
16 don't know what the forces are.

17 DR. OZER: Again, I am only using this as
18 an indication that there is some reason to feel that
19 the sky is not falling exactly.

20 MEMBER POWERS: Well, I mean, when the
21 original rule was developed, people said, "Yes. The
22 ductility criteria will be conservative criteria."

23 DR. OZER: Yes.

24 MEMBER POWERS: And they knew it from the
25 get-go.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. OZER: Yes. I'm trying to --

2 MEMBER POWERS: The question we have now
3 is, what do we do about all of these new fuels that
4 are coming along? And how do we keep bad fuels that
5 look compositionally the same as good fuels out of the
6 system?

7 MEMBER ARMIJO: And how do we account for
8 high burnup effects? I think that's a fundamental
9 issue, how much emphasis is on the high burnup effect,
10 because that's where the F factor is and the 1.2.

11 And that's where I think the focus of the
12 industry issue is. And we've got to understand that.

13 DR. OZER: That's right.

14 MEMBER CORRADINI: May I ask a question at
15 this point? Sam, I think, characterized it. So,
16 really, if I understand your original slide, you have
17 done some calculations. And going from the notice
18 effect, which is in the '98 notice, essentially
19 correcting for it at a factor of one, correcting for
20 it as a factor of 1.2 is going to cause, your point
21 is, undue conservatisms, because already you are
22 correcting for the high burnup using the factor of one
23 if I understood what we were told?

24 DR. OZER: Yes. Our concern is that a
25 single F factor to account for all of these heat-up,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 cool-down, quench temperature, material property,
2 material fabrication effects is not going to be
3 defensible in a licensing environment.

4 MEMBER ARMIJO: So to repeat it
5 differently, you would rather go on a case-by-case
6 basis with separate fuel to the staff?

7 DR. OZER: No. I think our argument is
8 that, really, we are not ready to, we don't have
9 sufficient data to defend the 1.2.

10 MS. UHLE: Can I interrupt at this point
11 because I think the conversation is getting a little
12 off base in the sense that we're not talking about
13 rule language. It may be the option that NRR decides
14 that a licensee or a vendor getting a fuel design
15 certified would come up with the F factor. So I think
16 we're getting a little off base.

17 DR. OZER: Yes. I --

18 DR. MEYER: Could I also make a comment
19 here. I'm trying to restrain myself, but for these
20 modern alloys, the 1.2 factor has very little effect
21 because, as you saw in the numerical example, the
22 corrosion thickness is low. And the only time that
23 this really is going to have a big effect is when
24 you're dealing with one of the older claddings. There
25 is still some in the plants, like Zircaloy, where the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 corrosion is high.

2 DR. OZER: And Ralph gave some nice
3 examples, where we indeed seem to be gaining some
4 margin. So why are we complaining?

5 MEMBER CORRADINI: That's kind of what I
6 was thinking.

7 DR. OZER: Right. Well --

8 MR. DUNNE: This is Bert Dunne from AREVA.
9 One of the things that AREVA wants is for the criteria
10 to be on well-established scientific grounds because
11 we think that is the location at which we can have a
12 long-living criteria. And what I look at is a
13 learning curve to tell me whether or not I am on
14 well-established scientific grounds.

15 I think we are still learning. Two years
16 ago we had two new effects that we needed to consider.
17 This time we're back up here. We again have two
18 relatively newly discovered or realized effects: the
19 potential for quench temperature cooling rate to have
20 an effect and the ID oxidation.

21 So we're just kind of saying go slow if
22 you go or we would rather have a period of time when
23 we didn't discover a new effect tomorrow.

24 DR. OZER: Let me mention the concerns
25 that we have with the F factor. The F factor is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 trying to cover a lot of territory. It's going to be
2 a function, a very complicated function, of hydrogen
3 content, cladding design actually on time, and
4 temperature history.

5 We have information that the cooling rate
6 and the temperature at which quench is introduced does
7 have a significant effect on the F factor. Would low
8 quench temperatures, temperatures below 600 degrees,
9 give us a much better F factor, even an F factor less
10 than one?

11 You know, the impact of these variables
12 cannot be addressed to a single factor. Plus, the F
13 factor is really not appropriate for BWRs because F
14 factor is a multiplier on oxide thickness. And for
15 BWRs, really, the parameter that should be used is the
16 hydrogen content in the cladding.

17 There is a larger variety or uncertainty
18 about the oxide thickness that would have to be
19 accounted for. And this was penalized at better
20 performing BWR cladding alloys. And this fact was
21 recognized, in fact, by NRR in preparing the proposing
22 interim RIA criteria, which for BWRs are based on
23 hydrogen content, rather than oxide thickness.

24 There are other problems as well. You
25 know, how do you determine the F factor a priori from

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 prehydrated data? We tried to do an exercise where we
2 took the experiments that were conducted by Argonne on
3 unirradiated matching pairs of experiments, on
4 unirradiated cladding material and hydrided cladding
5 material, and tried to derive an F factor from that.
6 And we see that the F factor is all over the map,
7 going from almost two down to, again, less than one,
8 .7, .8.

9 What is interesting to note here is that
10 when you go to slower-cooled cases, what we have here
11 is cases that were quenched at 800 degrees because all
12 the quenches, most of the quenches that Argonne has
13 done are done at 800 degrees. And when you either
14 don't cool it or cool it at lower or quench it at
15 lower -- I'm sorry. If you quench it at lower
16 temperatures or slow-cool without quench, you get much
17 better F factors.

18 We are concerned that the use of 800
19 degrees for quench temperature is inappropriate or
20 it's overly conservative. Again -- and I'm basing
21 this on this time a calculation or evaluation provided
22 by AREVA for different scenarios. These are two
23 large-break LOCA scenarios. And they estimate the
24 quench to occur below 600 degrees. This one is a
25 small-break LOCA. And the quench here is around 250

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 degrees.

2 Now, we have similar results reported from
3 our BWR colleagues that indicate that most of the
4 quench they expect to be occurring around 600 degrees
5 or less. And, again, when you quench at 600, you get
6 a better response. So that's another uncertainty.

7 MEMBER ARMIJO: Dr. Ozer, before you leave
8 the BWR situation, what is your argument on that? You
9 say the oxidation is not the right parameter to use.
10 Why do you say that?

11 DR. OZER: Because in a licensing
12 environment, you have to account for all the
13 uncertainties, the uncertainty that you will expect in
14 predicting the oxide thickness. And the BWR people
15 can predict the hydrogen content with less uncertainty
16 than they can predict the oxide thickness. So if it's
17 based on oxide thickness, they would have to take a
18 higher penalty.

19 MEMBER ARMIJO: Currently aren't they
20 doing that?

21 DR. OZER: I'm sorry?

22 MEMBER ARMIJO: Currently they are doing
23 that through the information notice. They're
24 including the oxidation, external oxidation.

25 DR. OZER: Yes. And now we are applying

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a factor on top of that. And we are questioning the
2 adequacy of that factor for BWRs.

3 DR. MEYER: If you will look at my slide
4 27, you will see that there wouldn't be any penalty
5 for the BWRs.

6 MR. JAHINGIR: This is Nayem Jahingir from
7 G&F. Just to clarify Sam's point, we have the
8 ductility loss. And ductility loss is more related to
9 hydrogen than oxidation. And there is some indication
10 that at higher exposure, hydrogen uptake is much
11 higher for like same oxidation for BWR cladding, too.
12 That's why for RIA, we are kind of weighing to the
13 hydrogen space, rather than an oxidation space,
14 because that's actually more related to the ductility.

15 MEMBER BANERJEE: I just want to ask you
16 a question. If you go back to the previous slide, the
17 pre-cooling phase, before quench, is a fairly rapid
18 cool-down anyway you can see.

19 DR. OZER: It says here.

20 MEMBER BANERJEE: Yes. So quench is only
21 a calculation for when the surface rewets. There's
22 extensive heat transfer, which brings the surface
23 down. So why do we put so much emphasis on the quench
24 per se, compared to a process which might be dropping
25 the temperature fairly rapidly?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. OZER: The easy answer is that
2 experiments showed that there is an effect. And the
3 effect tends to give better results when the
4 experiments are quenched at 600, as compared to 800.

5 MEMBER BANERJEE: It doesn't matter how
6 you cool them down?

7 DR. BILLONE: Yes, it does.

8 DR. OZER: I'm sure it does.

9 DR. BILLONE: May I clarify one point?
10 You're talking about CEA experiments. In the Argonne
11 experiments, we found no difference between quenching
12 at 800, 700, and 600 degrees C.

13 And getting back to the F factor, we can
14 analyze our data and say conservatively we want
15 conservative numbers, 1.6 for the F factor. If you
16 want to take into account that our experimental
17 cooling rates are faster than what you see there and
18 our quench temperatures are higher, then we can
19 justify moving the F factor down.

20 But 1.2 really applies to quench
21 temperatures below 600 degrees C. and cooling rates 5
22 degrees C. per second or less on the cooling part
23 before you get to the quench.

24 MS. UHLE: Again, this is Jennifer Uhle.
25 This is rule language we're talking about --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. BILLONE: Right.

2 MS. UHLE: -- because it may be decided
3 that the licensee is -- it's up to the licensee to
4 determine the appropriate F factor.

5 MEMBER ARMIJO: Well, the guidance would
6 be in a NUREG somewhere.

7 MS. UHLE: Right. So the guidance would
8 say that this is the type of test that you need to run
9 and here is the value you need to come up with. But
10 then it could be such that the vendor would then be
11 responsible for coming up with the F factor.

12 That could be a possible approach if we're
13 talking about -- the concern I think here is that the
14 1.2 doesn't apply to all different clads.

15 MEMBER BANERJEE: I guess the question was
16 that the cool-down rate affects this F in terms of
17 whether it's 5 degrees per second, 10 degrees per
18 second, or 15 degrees per second, correct?

19 MS. UHLE: Well, Argonne has indicated
20 that the temperatures of -- what was it? -- 800, 700,
21 600 didn't make -- we didn't see that much of a
22 difference.

23 But, again, if this is something that
24 could be incorporated into the testing program
25 associated with coming up with this F factor, if

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that's, in fact, the way NRR wants to go, then that's
2 up for debate. And that would be discussed in the
3 stakeholder involvement period.

4 I think the question is whether or not the
5 phenomena is applicable.

6 MEMBER ARMIJO: Right. Right. I think
7 you're right. I think how much emphasis you put on ID
8 oxidation due to bonded fuel, you know, how much of an
9 effect that is, the effect of hydrogen and the --
10 those are the fundamental issues. And you're still
11 arguing how important those things are.

12 DR. MEYER: This is Ralph Meyer. With
13 regard to the F factor, keep in mind that there is
14 only one set of data in the world. The industry
15 doesn't have another set of data with high burnup fuel
16 rods than those one.

17 So, you know, you can speculate about how
18 many variables are involved, but it's very tough to go
19 out and measure it for another cladding type when you
20 don't have the data.

21 MEMBER ARMIJO: But we will have the data
22 in a year or so, won't we, if you get your program
23 going? You know, you get your new hotcell access.

24 DR. BILLONE: Yes. You will have data for
25 M5. And you will have data for high burnup ZIRLO.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER ARMIJO: And that's committed R&D?
2 I mean, you've got --

3 DR. BILLONE: Yes. We don't need new
4 hotcells for that. That's what we're working on right
5 now.

6 MR. DUNNE: Mike, this is Bert Dunne
7 again. You're talking about the Skuzda examples now?

8 DR. BILLONE: Right.

9 MR. DUNNE: What we really want to do is
10 wait for the Oak Ridge program, where we're talking
11 about fuel that -- cladding that has fuel inferior to
12 it so we can learn something about the ID oxygen
13 source and the relative merits of testing irradiated
14 fuel with simulated cladding that's been preloaded
15 with hydrogen.

16 DR. BILLONE: That's correct. That will
17 be F.Y. 2008 for the fuel tests, but for the cladding
18 tests with the modern alloys --

19 MR. DUNNE: Still within the time frame
20 that was just mentioned of a couple of years, I hope,
21 if we could stay on schedule.

22 MEMBER ARMIJO: Okay. Well, Dr. Ozer, are
23 you finished?

24 DR. OZER: Let me just say a few words
25 about our concern about the oxygen pickup on the ID.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We are not disputing that that may occur. It's just
2 the assumption, again, the recommendation that we
3 assume. We account for it by assuming double-sided
4 oxidation.

5 We don't -- you know, for this to occur,
6 you have to have strong, either very strong, contact
7 or bonding. And we think that the results, the
8 experimental results, are inconclusive. This can only
9 be or can best be demonstrated from integral tests.

10 So far there have been no integral tests
11 on PWR fuel. The only integral tests we have are on
12 BWR fuel. And those are -- you know, I'm taking this
13 graph from the draft NUREG. And this is cladding that
14 has been irradiated. The burnup of the fuel rod was
15 52. We estimate that at this elevation, the burnup
16 here is 57, where bonding should have been rather
17 significant.

18 We see a clear alpha layer on the outside.
19 On the inside, there are some regions where it is said
20 there is no alpha and other regions where it is said
21 there is alpha.

22 I think one has to be really quite a
23 metallurgy expert to differentiate any kind of an
24 alpha layer here, much less differences between A and
25 B.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So we feel that this is a question that
2 has to be resolved with additional experiments. And
3 there have been some statements made that additional
4 experiments, integral experiments, will not be
5 available for years.

6 MEMBER ARMIJO: But you know that in high
7 burnup BWR fuel, there is fuel clad bonding.

8 DR. OZER: That's right.

9 MEMBER ARMIJO: You've seen it. It's not
10 100 percent uniform. And it's a function of burnup
11 and some clad designs. Is it the same in PWR fuel?
12 It has higher external pressure, maybe tighter
13 contact. I don't know.

14 DR. OZER: We don't know.

15 MEMBER ARMIJO: I think that can be
16 explained by doing integral experiments. Argonne has
17 --

18 MEMBER POWERS: Can we do this with -- I
19 mean, isn't this just a matter of looking at
20 irradiated fuel? I mean, I'm trying to think about
21 how you would do it experimentally. I don't think you
22 can do a persuasive experiment here.

23 DR. OZER: You would have to run it
24 through a local scenario, the heat-up scenario, to see
25 how.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER POWERS: I thought that --

2 DR. OZER: Again, we're not disputing the
3 fact that it occurs. It's just how to account for it
4 and how important is it. And also we are concerned
5 that if we assume double-sided oxidation, this may be
6 interpreted, assuming you're calculated double-sided
7 oxidation. And we may have to take, may be required
8 to take, into consideration the energy of oxidation,
9 which at high temperatures could be quite significant
10 and would result in a penalty in the --

11 DR. BILLONE: No, no. That was never
12 proposed. You're not forming any oxide in this event
13 on the idea of the --

14 DR. OZER: I think you have to be clear
15 about that because --

16 DR. BILLONE: No. We were very clear
17 about what you use for the --

18 MEMBER POWERS: You're heat of dissolution
19 is going to be so close to the heat of oxidation that
20 I don't think you have gained anything here.

21 DR. BILLONE: Very clever, actually. You
22 know that. Very clever.

23 MEMBER POWERS: I mean, it's hard to
24 imagine how you would keep up here on the inner
25 surface uniformly. I think you get mass transport

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 limited on the oxidation.

2 DR. OZER: As far as experimental data is
3 concerned, I would like to say that we don't think
4 that Argonne is an island of information in itself.
5 I think Argonne has worked closely with other
6 laboratories and has benefitted a lot from
7 interactions with other labs in trying to resolve
8 discrepancies. And I think work at these other labs
9 is ongoing.

10 And I think probably the most relevant
11 work is being done at the Halden Lab, where, indeed,
12 high burnup fuel rods are being subjected to LOCA-like
13 scenarios in reactors.

14 So, you know, these questions about
15 heat-up, heating up from the inside, as opposed to
16 heating up from the outside, you know, the Halden
17 results will not be as sensitive a results being done
18 in laboratories like ANL.

19 These results are expected later this
20 year.

21 MEMBER ARMIJO: That is part of the NRC
22 confirmatory research?

23 DR. OZER: NRC participates in the Halden
24 program. I mean, they send representatives. And so
25 do we. But, you know, it's a Halden program.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. MEYER: Yes. We're in the Halden
2 project. They're not doing any embrittlement
3 measurements. They're looking at ballooning and axial
4 fuel relocation.

5 DR. OZER: And they should be able to
6 provide us with metallurgy information about away from
7 the balloon, extent of oxidation.

8 MEMBER ARMIJO: But they will take it to
9 rupture.

10 DR. OZER: Yes.

11 MEMBER ARMIJO: And so if there was
12 oxidation from the ID when they do their
13 metallography, they should confirm or correct --

14 DR. MEYER: Yes, this is true.

15 DR. OZER: I don't know whether I should
16 go into this. I think we're out of time, but --

17 MEMBER ARMIJO: I think we got your
18 message.

19 DR. OZER: -- with respect to that it's
20 going to be quite costly for the industry to implement
21 this, in conclusion, again, we don't feel that there
22 is a public safety, urgent public safety, issue at
23 this point. And we feel that the bonding approach
24 that is being proposed is premature.

25 MEMBER ARMIJO: Well, you know I have a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 dilemma. And I'm just going to make my little speech.
2 And that's to both parties: industry and the staff.

3 I hear that there is no urgency. And I
4 hear that there is urgency. I hear that there is
5 going to be a big impact to the industry. Yet,
6 Ralph's calculations show there is no impact. But if
7 there is no impact, why is there urgency?

8 So I can't get around all of these claims.

9 MS. UHLE: The urgency primarily stems
10 from what is required in the regulation and what is
11 voluntarily done by the licensees. For instance, the
12 break-away oxidation metric, that is not in the
13 regulation.

14 If a new cladding were to be submitted for
15 approval, there is nothing in the regs that would
16 require any concern about the break-away oxidation.
17 Yet, you can see with the fabrication process of the
18 E110 that that was a strong effect. Okay. So --

19 MEMBER ARMIJO: Right now you have no
20 guidance or no regulations that require the --

21 MS. UHLE: Break-away.

22 MEMBER ARMIJO: -- suppliers to even think
23 about break-away.

24 MS. UHLE: That's right.

25 MEMBER ARMIJO: Okay. So that's a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 deficiency.

2 MS. UHLE: And so when we say there is no
3 urgency, that is because we have talked to NRR about
4 this. And NRR has gone out voluntarily and done a
5 spot check to see "Okay. Is there a safety issue
6 looking at how the licensees are currently operating,
7 voluntarily operating that way?" That doesn't
8 preclude them from changing the way they operate.

9 So with that, we can say --

10 MEMBER ARMIJO: They're not likely to do
11 that.

12 MS. UHLE: Well, again, that would come in
13 from introduction of a new clad design. That could be
14 a change in the way they operate within the regs as
15 written. And they are free to do so. They don't have
16 to tell us exactly what they're doing on a day-to-day
17 basis.

18 DR. OZER: But couldn't that be addressed
19 through a reg guide?

20 MS. UHLE: There is no regulatory
21 requirement that would force anybody to take this into
22 consideration.

23 MEMBER ARMIJO: Unless there are some
24 other questions, I think I am probably way out of
25 time, Mr. Chairman. And I would like to end this part

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of the session.

2 Okay. Thanks, everybody. I think we got
3 the issues on the table. Okay. Dr. Shack, it's all
4 yours.

5 CHAIRMAN SHACK: Yes. It's time for a
6 break. We would like to make it a short break since
7 we are a little bit behind. If we could come back in
8 ten minutes?

9 (Whereupon, the foregoing matter went off
10 the record at 10:29 a.m. and went back on
11 the record at 10:43 a.m.)

12 CHAIRMAN SHACK: I would like to come back
13 into session, everybody. Yesterday I read the
14 qualifications and experience of our new senior staff
15 engineer, Ms. Zena Abdually. And she will be helpful
16 in the Committee's review of power uprate
17 applications, thermal hydraulic issues, and TWR sump
18 performance issues.

19 What I neglected to do yesterday was to
20 welcome her aboard. And I would like to do that
21 today.

22 MS. ABDUALLY: Thank you.

23 (Applause.)

24 8) DRAFT FINAL REVISION 1 TO REG GUIDE 1.189

25 (DG-1170), "FIRE PROTECTION FOR NUCLEAR POWER

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 PLANTS," AND SRP SECTION

2 9.5.1,"FIRE PROTECTION PROGRAM"

3 CHAIRMAN SHACK: Next up on our agenda is
4 a presentation on reg guide for fire protection and
5 the SRP 9.5.1. And we'll be lead through that by Jack
6 Sieber, our Fire Protection Subcommittee Chairman.

7 VICE CHAIRMAN SIEBER: Thank you very
8 much, Mr. Chairman.

9 8.1) REMARKS BY THE SUBCOMMITTEE CHAIRMAN

10 VICE CHAIRMAN SIEBER: this is a major
11 effort by the staff, the revision of reg guide 1.189,
12 which was draft guide 1170 in its earlier days. It is
13 sort of a companion to the 805 risk-informed fire
14 protection effort.

15 And the purpose of reissuing this, among
16 others, is to consolidate all the references, of which
17 there are over 100, to preexisting documents and
18 consolidate those into a document that is easier to
19 read and easier to follow. The latest document does
20 not introduce or break new ground in the fire
21 protection area, but it is more a consolidation.

22 We mentioned SRP section 9.5.1. That has
23 now been incorporated into the draft reg guide, which
24 we're reviewing. And so because of that
25 consolidation, we need not conduct a review of a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 separate document.

2 What I would like to do now is introduce
3 Cornelius Holden, who is responsible for the overall
4 effort in this guide, to introduce to us the staff
5 personnel who worked on this and are responsible for
6 it.

7 MR. HOLDEN: Thank you very much.

8 8.2) BRIEFING BY AND DISCUSSIONS WITH
9 REPRESENTATIVES OF THE NRC STAFF

10 MR. HOLDEN: I am Cornelius Holden,
11 Division Director, Risk Assessment. With me today is
12 Sunil Weerakkody, who is our Branch Chief for Fire
13 Protection; and Bob Radlinski, who is our senior
14 person on this effort, will be conducting the briefing
15 today. With that, Bob?

16 MR. RADLINSKI: Good morning. everybody.

17 Dr. Sieber, you covered my introduction
18 pretty well.

19 VICE CHAIRMAN SIEBER: Okay.

20 MR. RADLINSKI: So move on to the next
21 slide.

22 VICE CHAIRMAN SIEBER: Yes. Just so the
23 Committee recognizes it, a couple of months ago, we
24 wrote a letter on this draft guide for public comment,
25 suggesting that the staff issue it. And now the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 comments are back and we're revisiting the subject
2 again.

3 MEMBER APOSTOLAKIS: So our letter just
4 said to issue it?

5 VICE CHAIRMAN SIEBER: Issue it for public
6 comment.

7 MEMBER APOSTOLAKIS: Comment on --

8 VICE CHAIRMAN SIEBER: Well, there were a
9 lot of comments that came back. We did not have any
10 comments.

11 MEMBER APOSTOLAKIS: So we are allowed to
12 make comments today?

13 VICE CHAIRMAN SIEBER: You could have made
14 them even better two months ago.

15 (Laughter.)

16 VICE CHAIRMAN SIEBER: Okay.

17 MR. RADLINSKI: Okay. The objective, as
18 we have mentioned, is that we are going to describe
19 how the NRC staff addressed the public comments that
20 were received on the reg guide and also, of course, to
21 obtain ACRS permission to issue the reg guide.

22 Just to summarize the comments and the
23 responses, the NRC received 95 what are called new
24 comments on the draft guide. All of those comments
25 were from NEI. The reason I say "new comments" is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 because they also included 16 additional selected
2 comments that were made on the previous draft guide of
3 the original version of draft reg guide 1.189 when it
4 was issued the first time.

5 There were excellent comments, very
6 constructive. We incorporated or agreed with 67 of
7 the 95 comments. It's over 70 percent. And the final
8 draft will reflect those comments.

9 Also, earlier this week we had a public
10 meeting to summarize what our resolution was of those
11 comments, an opportunity for additional discussion.
12 And that went very well.

13 Also, in the interest of time, my
14 presentation today is only going to talk about the
15 comments that we did not agree with and/or significant
16 issues.

17 MEMBER APOSTOLAKIS: Can you give us some
18 idea of what kinds of comments you agreed with? I
19 mean, were they editorial or substantive or --

20 MR. RADLINSKI: Combination, nothing that
21 would change positions or anything. It just added
22 clarifications. They were very helpful in identifying
23 areas where we may have assumed or we had thought that
24 the regulatory requirements were clear. But obviously
25 because of the comment, they were not. So we added

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 some additional clarification.

2 Okay. There were basically seven
3 categories of comments that we did not agree with.
4 The first was that some of the guidance in the revised
5 reg guide is a backfit.

6 Now, the second is that we should not
7 issue the reg guide at this time because of the
8 comments that the Commission had with respect to the
9 generic letter that we recently submitted for
10 publication on spurious actuations.

11 The third is that we should endorse
12 industry standards in lieu of issuing the reg guide.

13 Next is that the guidance that is provided
14 in generic letter 81-12 should be applicable to
15 III.G.2 areas, the appendix R III.G.2, as well as
16 III.G.3 areas. Of course, I'll be getting into more
17 detail in each of these issues.

18 The next one is that detection and
19 suppression are not necessarily required with operator
20 manual actions when they are accredited for a III.G.2
21 area.

22 MEMBER APOSTOLAKIS: What does that mean,
23 by the way?

24 MR. RADLINSKI: There has been quite a bit
25 of discussion about this. With all of the actions and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 discussions that have gone on over accrediting of
2 operator manual actions for III.G.2 areas, we issued
3 a RIS, 2006-10, that talked about this.

4 The industry contends that if they are
5 able to credit an operator manual action in lieu of
6 the protection requirements of III.G.2, then
7 detection/suppression, which is generally required by
8 III.G.2 or portions of III.G.2 and III.G.3, are not
9 necessarily part of that design. They would not
10 necessarily be required.

11 VICE CHAIRMAN SIEBER: It has been the
12 staff's position that they are required.

13 MR. RADLINSKI: Yes. We have been
14 steadfast in that position. Let's see. Item 6, some
15 of the new reactor guidance that we have added to the
16 reg guide.

17 Actually, the reg guide did not have any
18 new reactor guidance in it before. A lot of it was --
19 there had been some in the previous version of the
20 SRP. And we rolled that over into the reg guide and
21 also added some new guidance. The comment is that
22 some of that new guidance is not a specific
23 requirement of the regulation.

24 And, finally, I think we mentioned this in
25 our last meeting before we sent the reg guide out,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that we would like to revert to 50.59 as a basis for
2 evaluating plant changes for fire protection.

3 Okay. The details. On the backfit,
4 again, the gist of the comment was that some of the
5 new and revised guidance in the draft guide would be
6 a backfit for existing plants.

7 We went back to the process with the
8 original issuance of reg guide 1.189. We looked at
9 the CRGR meeting minutes. And the full Committee
10 reviewed that document. And they reach a conclusion
11 that it was not a backfit, that a backfit analysis was
12 not required. That was essentially based on the fact
13 that compliance with the reg guide is not required,
14 it's not imposed compliance, and that compliance
15 should be assessed against a plant-specific licensing
16 basis, not against the reg guide. And licensees
17 performing their own self-assessments should also do
18 those assessments against their licensing basis and
19 not the reg guide.

20 Although we added some guidance and
21 changed some of the existing guidance in the original
22 version, the same basis for a no-backfit conclusion
23 would also apply to the current revisions of the reg
24 guide.

25 And, in addition to that, we did review

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the latest version with the CRGR chairman. It was
2 agreed that the update is likewise not a backfit and
3 does not require a backfit analysis.

4 MEMBER MAYNARD: Just from a practical
5 standpoint, I understand your bullets, your points
6 there relative to the backfit. But that would almost
7 be saying that the reg guide basically is not going to
8 be used in any assessment or evaluation or anything.

9 It's saying that compliance is going to be
10 based against the licensing basis, not the reg guide.
11 So what's the purpose of the reg guide if it's not
12 going to be used in any assessment?

13 MR. RADLINSKI: Okay. Of course, any reg
14 guide is one acceptable approach to regulations. To
15 my mind, it will be used as a baseline for a licensee
16 who has a configuration that isn't addressed in his
17 plant licensing basis, isn't addressed even in the
18 regulations.

19 This would be the baseline for an
20 inspector to say, "Okay. This is one approach that
21 will work. This is one approach that would be
22 acceptable to the staff for meeting the regulations in
23 general. If you are not doing it this way, then you
24 can propose something else and explain to us why
25 that's acceptable and why it meets the regulations."

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So this is kind of a starting point. It
2 gives the inspectors, gives the licensees a baseline
3 for what would be considered by the staff to be an
4 acceptable approach. So that's kind of how it will be
5 used.

6 MEMBER MAYNARD: So if they propose an
7 alternative approach, you would be assessing that
8 against the licensing basis, not starting with the reg
9 guide 1.189 as a minimum level of effort?

10 VICE CHAIRMAN SIEBER: Correct.

11 MR. RADLINSKI: Correct.

12 VICE CHAIRMAN SIEBER: In fact, the
13 starting point, reg guides are issued to licensees as
14 well as internal use by the agency. And my experience
15 in licensing is that's where you go first because it's
16 the easiest amount of work.

17 If you do the things in the reg guide,
18 then you don't have to come up with an alternative
19 solution. If you can't do them because of
20 configuration in your plant or you have a better idea,
21 that becomes an exception which you identified to an
22 inspector when he comes to inspect you for compliance.

23 MEMBER MAYNARD: But it's also been my
24 experience that these tend to become more or less
25 minimum acceptable requirements. You may propose

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 alternatives, but a reg guide does set kind of a
2 threshold level there. I understand your point.

3 MR. RADLINSKI: It still can't be waived
4 by the inspector saying, "You're not complying with
5 this." Okay? It's not a basis for compliance.

6 VICE CHAIRMAN SIEBER: There is a
7 statement right in the preamble to the reg guide that
8 explains what its legal purpose is.

9 CHAIRMAN SHACK: You all sort of know the
10 legal purpose.

11 VICE CHAIRMAN SIEBER: Yes. Well, I mean,
12 if you want to interpret it in your own way, that's up
13 to you, but I read what is written down.

14 MEMBER MAYNARD: There's also a practical
15 side of how this actually gets implemented. So I
16 think we need to move on.

17 VICE CHAIRMAN SIEBER: Right.

18 MR. RADLINSKI: Okay. Another favorite
19 topic: multiple spurious actuations. You are
20 probably all familiar with the generic letter that was
21 prepared on this issue, particularly with the respect
22 to the approach of one at a time is an assumption that
23 would provide a basis for post-fire safe shutdown
24 circuit analyses.

25 The comment was that you shouldn't be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 issuing this reg guide because of Commission comments
2 on that generic letter. Our response is that we did
3 revise the wording in the draft guide, which was from
4 the public comment version, that we did basically
5 water down the language.

6 We are now no providing any specific
7 guidance on what approach to use for circuit analyses
8 with respect to one at a time. However, we do include
9 a note and continue to include that that based on the
10 industry cable fire tests, a one-at-a-time assumption
11 for spurious actuations may not adequately address the
12 potential risks due to fire, so just kind of a flag to
13 licensees that there may be a problem if you use that
14 assumption as a basis for your circuit analysis.

15 We also note or the Commission comments on
16 the generic letter based on our changes that we made
17 to the design guide that really don't warrant not
18 issuing the reg guide. It's one issue. And we have
19 kind of watered it down or softened it quite a bit.

20 VICE CHAIRMAN SIEBER: So the generic
21 letter now still rests as a draft and the issue is
22 still out there. If the Commission changes its mind
23 about the staff's approach to the generic letter,
24 would that warrant the change to this reg guide?

25 MR. RADLINSKI: A future revision to the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 reg guide probably will incorporate the guidance that
2 we plan to put into the ultimate generic letter that
3 is issued.

4 One of the main comments the Commission
5 had was that we basically said, "Hey, industry, you
6 have a problem," but we didn't tell them how to fix
7 it.

8 VICE CHAIRMAN SIEBER: Okay.

9 MR. RADLINSKI: And they want us to work
10 with the industry to come up with the methodology and
11 the acceptance criteria to address the potential
12 problem.

13 VICE CHAIRMAN SIEBER: So we should stay
14 tuned?

15 MR. RADLINSKI: Yes, yes.

16 VICE CHAIRMAN SIEBER: Okay. Thank you.

17 MR. RADLINSKI: Any more questions on
18 that?

19 (No response.)

20 MR. RADLINSKI: Okay. One of the comments
21 referred to some public law that basically said that
22 the government agencies should use industry consensus
23 standards if they were available as a replacement for
24 things like reg guides.

25 They specifically mentioned NFPA 804. For

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 those of you not familiar with 804, it is strictly for
2 new reactors. And it is a deterministic approach to
3 fire protection. Okay?

4 There's another version, 806, that's
5 coming out that's for new reactors, which is a
6 risk-informed, performance-based approach. And I
7 might note that AP-1000, also the SBWR have referred
8 to 804.

9 Now, 804, like any other NFPA standard,
10 is, you know, an appropriate standard to be referred
11 to and provide guidance for the design of the fire
12 protection program, however porous. It must be done
13 in accordance with the regulations.

14 Also, 804 was just reissued, revised and
15 reissued, in 2006. I think the first version was
16 2001, but that was a previous version. And there were
17 a lot of changes. And we're reviewing it, but we
18 haven't completed our review yet.

19 And by issuing reg guide 1.189 now that
20 does not preclude a possible future endorsement of
21 804, you're --

22 CHAIRMAN SHACK: I was sort of left with
23 the question of what would a new plant use for
24 guidance.

25 MR. RADLINSKI: For performance-based?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN SHACK: Well, performance-based
2 and even deterministic.

3 MR. RADLINSKI: Well, deterministic, as I
4 say, they haven't --

5 CHAIRMAN SHACK: This is complete enough?

6 VICE CHAIRMAN SIEBER: Yes.

7 MR. RADLINSKI: When you say, "this," the
8 reg guide?

9 CHAIRMAN SHACK: The reg guide, yes.

10 MR. RADLINSKI: The reg guide is fine.
11 And, like I say, they are also referring to 804, just
12 like they would refer to NFP 13 for sprinkler systems
13 and 15 for water spray, it provides some additional
14 guidance.

15 But I would also like to point out that
16 there are some things in 804 that we don't agree with
17 that we don't consider them to be meeting the
18 regulatory requirements.

19 The comments in this regard also mentioned
20 NEI-0001, which is the industry guidance for
21 performing post-RSA shutdown analyses. That's not
22 really a consensus standard.

23 And also we have already not endorsed
24 necessarily, but we have provided statements of staff
25 acceptance of NEI-001 in a RIS and also in reg guide

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 1.205 for the --

2 CHAIRMAN SHACK: On the performance base,
3 they still have the problem, right, because that
4 guidance is not out yet for new reactors?

5 MR. RADLINSKI: For new, yes, that's a
6 good point. There is an 806 coming out, NFPA 806.
7 That will be the industry consensus standard for new
8 reactors using a performance-based environment.

9 CHAIRMAN SHACK: Now, will you have a very
10 high priority on reviewing that when you --

11 MR. RADLINSKI: We are. We have already
12 submitted two sets of comments. We reviewed it in
13 great detail, submitted a lot of comments the first
14 time around. Most of those were incorporated. Maybe
15 80 percent were incorporated. It's back now again for
16 the final review by the staff.

17 MEMBER APOSTOLAKIS: When will we see
18 this? Is the ACRS going to see that, 806?

19 MR. RADLINSKI: Sunil, I don't know if you
20 have --

21 MR. WEERAKKODY: Yes. This is Sunil
22 Weerakkody. We have no plans to bring 806 to SRS on
23 this unless you request. It's still in the works.

24 MEMBER APOSTOLAKIS: It's still what?

25 MR. WEERAKKODY: It's still being

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 delivered by the Code Committee.

2 MEMBER APOSTOLAKIS: I understand. But at
3 some point, you will have to issue a regulatory guide,
4 whether you agree or not, and accept 806 with
5 exemptions and so on. And we get involved at that
6 stage?

7 MR. WEERAKKODY: We don't plan to because
8 we believe what's in the updated reg guide that you
9 see today, which incorporates the high-level guidance
10 on new reactors is sufficient.

11 Now, in our review process, what we are
12 trying to do is make sure that 806 or 805 is in that
13 plan. So we have no initiative to endorse 804 or 806
14 at --

15 CHAIRMAN SHACK: From performance-based?

16 MR. WEERAKKODY: Right now we don't have
17 a plan to go in and endorse 806 for new reactors.

18 CHAIRMAN SHACK: So you're saying you
19 don't plan to have guidance for a performance-based
20 approach for new reactors?

21 MR. WEERAKKODY: At this point we don't
22 think that's necessary. That's correct. I think if
23 you look at the advanced reactors, if you look at the
24 advanced reactors, what we have really done is
25 risk-informed the design itself. Okay? You don't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 need a deterministic indicator. You basically have
2 every area fully supported.

3 MEMBER APOSTOLAKIS: We'll come to the
4 advanced reactors on slide 11. And I had some
5 problems with the appendix. Is it an appendix?
6 Whatever it is. Yes, I think it's an appendix. But
7 I'm a bit surprised. I mean, this is, yes, appendix
8 B.

9 Don't we typically, I mean, following this
10 public law, look at these industry standards and then
11 express a view as to how much of those standards is
12 applicable? You will do that sometime in the --

13 MR. WEERAKKODY: Yes, if there should be
14 a need. That's what I'm saying, Dr. Shack, saying.
15 Now, if there is a need, if somebody said, any
16 stakeholder said, "Look, why don't you consider
17 endorsing 806 in the rule," we definitely would look
18 at it at that state. Okay?

19 But if nobody wants it, why would we want
20 to spend the time? But in the meantime, though, like
21 Bob said, we are very closely wording the review. But
22 I have two people in my staff in that code committee.

23 MEMBER APOSTOLAKIS: It is just a matter
24 of timing and need.

25 MR. WEERAKKODY: Yes, sir.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. RADLINSKI: We will look at it in the
2 future, but it's just not time yet. I mean, they
3 haven't even issued 806 yet.

4 MEMBER APOSTOLAKIS: I understand.

5 VICE CHAIRMAN SIEBER: The reason for
6 issuing this reg guide as a draft at this time is
7 because of the potential for new reactors. And this
8 goes along with a whole suite that the staff has been
9 working on the last few months.

10 MR. RADLINSKI: And the new reactors will
11 have fire PRAs.

12 VICE CHAIRMAN SIEBER: Right.

13 MEMBER APOSTOLAKIS: Well, I don't know
14 about that, but I am waiting until your slide 11.

15 MR. RADLINSKI: All right.

16 MEMBER APOSTOLAKIS: See how well I
17 control myself, Bob.

18 VICE CHAIRMAN SIEBER: Moving right along.

19 MEMBER APOSTOLAKIS: Discipline.

20 MR. RADLINSKI: Okay. We are on slide 8
21 now, generic letter 81-12 and appendix RIII.G.2. The
22 comment was that the guidance in generic letter 81-12,
23 which has a very general title of "Fire Protection
24 Rule," should apply to appendix R, section III.G.2
25 areas as well as III.G.3 areas.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Our response to this is that this was
2 covered extensively in a RIS that we published in
3 2005. It's RIS 2005-30. It addresses the issue.
4 That RIS was issued for public comment because of the
5 controversial nature of it.

6 We received public comments, numerous
7 public comments. We even had a follow-up public
8 meeting to address each and every one of those
9 comments. That RIS was also reviewed by CRGR for
10 backfit. And it was issued final in December, on
11 December 20th in 2005.

12 And essentially what it says is that
13 generic letter 81-12, the guidance provided by the
14 generic letter. And there was a follow-up memorandum
15 that provided additional guidance.

16 All of that is clearly applicable to
17 alternative dedicated shutdown capability and not to
18 III.G.2. I mean, it's related to the III.G.2
19 indirectly in the sense that some of these associated
20 circuits of concern could cause damage or prevent a
21 redundant train from shutting down the plant.

22 But other than that, I think the industry
23 -- they haven't said it specifically, but I think
24 they're focused on the fact that one of the mitigating
25 components or one of the options for mitigation of a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 spurious actuation of an associated circuit of concern
2 is an operator manual action. And they would like to
3 apply that to III.G.2. Of course, that's not the
4 case.

5 Okay. Operator manual actions and
6 detection/suppression. As I mentioned before, the
7 comment is that we have inappropriately implied that
8 if you credit an operator manual action in the III.G.2
9 area, then you don't necessarily have to provide
10 detection and suppression. That may be true, but as
11 a baseline, it should be assumed that that is
12 fundamental to the fire protection that you're
13 providing in that area.

14 As we all know, there are three components
15 to fire protection defense-in-depth. You prevent the
16 fire. If you do have a fire, then you detect it. And
17 you suppress it. And then, finally, you assure safe
18 shutdown in the event of that fire.

19 Operator manual actions typically support
20 the third component. They serve as a substitute for
21 the electrical raceway fire barrier system or
22 separation. They do not eliminate the need for the
23 other components. Okay?

24 MEMBER APOSTOLAKIS: They also support it,
25 though, don't they?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. RADLINSKI: They support?

2 MEMBER APOSTOLAKIS: The operators detect
3 the fire and alert the fire brigade.

4 MR. RADLINSKI: Right.

5 MEMBER APOSTOLAKIS: Is it just the
6 sub-bullet? When we say, "Operator manual actions,"
7 I guess we mean a specific set of manual actions."

8 MR. RADLINSKI: Well, we're talking about
9 a situation where you have a III.G.2 area. We have
10 redundant trains in the same fire area. And you have
11 removed your electrical raceway fire barrier system,
12 thermal lag, or whatever and you have replaced it with
13 an operator manual action to mitigate the failure of
14 that circuit that's no longer protected.

15 MEMBER APOSTOLAKIS: So it's that specific
16 set of manual actions that OMA refers to?

17 MR. RADLINSKI: Right. And the industry
18 --

19 MEMBER APOSTOLAKIS: The industry --

20 MR. RADLINSKI: Okay. If I do that, if I
21 take that approach, then I don't have to have
22 detection suppression in the area of consideration.

23 MEMBER MAYNARD: If you have detection and
24 suppression, why do you have to rely on operator
25 actions?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. RADLINSKI: Defense-in-depth.

2 VICE CHAIRMAN SIEBER: Detection and
3 suppression are not a substitute for the fire barrier.

4 MEMBER APOSTOLAKIS: It's for the fire
5 barrier.

6 VICE CHAIRMAN SIEBER: There's a
7 separation requirement, which can be achieved by
8 barriers or distance.

9 MEMBER APOSTOLAKIS: Because I guess some
10 of the plants could not meet the appendix R separation
11 criteria or is that the idea?

12 MR. RADLINSKI: In a number of cases, it
13 was because of the thermal lag issue, where they just
14 took the thermal lag off or just didn't credit it any
15 longer and said, "Okay. We'll assume that that cable
16 tray is going to burn up." Okay? Since that cable
17 trap is going to burn up, I'm going to have to take
18 some operator manual action to mitigate the --

19 VICE CHAIRMAN SIEBER: Spurious
20 operations.

21 MR. RADLINSKI: -- spurious actuations
22 that could prevent safe shutdown.

23 MEMBER BANERJEE: But the new plants will
24 be able to meet the separational requirements.

25 MEMBER APOSTOLAKIS: They should.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. RADLINSKI: Yes. That's part of the
2 enhanced fire protection. We'll talk about that
3 later. But they won't be able to do that 100 percent
4 on the cases. It's not --

5 MEMBER BANERJEE: Well, why not?

6 MR. RADLINSKI: It's just not physically
7 possible. I mean, you just have areas of the plant
8 where things come together.

9 VICE CHAIRMAN SIEBER: Like the control
10 room cable spreading.

11 MR. RADLINSKI: Right, obviously the
12 control room but under the reactor vessel and areas
13 like that.

14 VICE CHAIRMAN SIEBER: You have two
15 reactors.

16 MEMBER APOSTOLAKIS: With different
17 manufacturers for the --

18 VICE CHAIRMAN SIEBER: A reactor and B
19 reactor.

20 MEMBER APOSTOLAKIS: -- diverse vessels.

21 VICE CHAIRMAN SIEBER: Moving on.

22 MEMBER APOSTOLAKIS: Dr. Kress will tell
23 us that the --

24 VICE CHAIRMAN SIEBER: You have to add
25 them, right. Moving on.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. RADLINSKI: Okay. The main control
2 room complex fire protection. The comment was that
3 "The following should be deleted from the guidance
4 that's in the reg guide."

5 One is to provide suppression for
6 peripheral rooms that are adjacent to the main control
7 room. The other is that the industry does not believe
8 that smoke detection in the individual cabinets within
9 the main control room is necessary.

10 First of all, the auto suppression in the
11 peripheral rooms may be required by appendix R,
12 section III.G.3. Okay? Obviously the control room is
13 a III.G.3 area. You have alternative shutdown and in
14 the --

15 VICE CHAIRMAN SIEBER: It depends on the
16 strength of the barrier.

17 MR. RADLINSKI: Right.

18 VICE CHAIRMAN SIEBER: That's a natural
19 place for a fire, computer rooms, offices.

20 MR. RADLINSKI: Right, offices with paper.

21 MEMBER BANERJEE: Are these suppression
22 systems primarily sort of rapid system?

23 MR. RADLINSKI: No, no. Water.

24 MEMBER BANERJEE: Water sprays?

25 MR. RADLINSKI: Just like an office. And

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 with respect to cabinet detectors, they made the
2 argument that control rooms continually man. The
3 operators are there. But products of combustion
4 detectors, inside cabinets may detect the fire more
5 quickly than an operator's eyes or nose since they're
6 detecting visible products of combustion.

7 But, more importantly, the detectors in
8 the cabinets tell you exactly where that fire is.
9 Okay? If you're an operator and you smell smoke or
10 the ceiling detectors set off the alarm, you may not
11 know where that fire is. You may have to go around
12 opening cabinet doors to try to find it.

13 MEMBER ARMIJO: What's the logic for
14 saying, "Don't do that"? I mean, why would they say
15 --

16 VICE CHAIRMAN SIEBER: It costs money.

17 MR. RADLINSKI: It costs money and --

18 MEMBER ARMIJO: It can't cost that much.

19 MR. RADLINSKI: To be honest, the NRC has
20 allowed them to not do that in a number of cases.
21 They've submitted exemption requests. And we have
22 approved them.

23 MEMBER ARMIJO: It can't cost that much.

24 VICE CHAIRMAN SIEBER: Everything costs a
25 lot.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. RADLINSKI: But, interestingly enough,
2 and the 804 actually required cabinet detection. And
3 that's the industry standard that they would like to
4 adopt.

5 MEMBER APOSTOLAKIS: Is that the standard
6 that we have approved, the agency has approved?

7 MR. RADLINSKI: No.

8 VICE CHAIRMAN SIEBER: No.

9 MEMBER APOSTOLAKIS: No?

10 MR. RADLINSKI: Okay. Now we're on --

11 VICE CHAIRMAN SIEBER: Is there an error
12 on page 10? Is there an error? On page 10, is there
13 an error on that slide?

14 MR. RADLINSKI: Oh, yes. On the handout?
15 Did I mention that? For some reason, the handout
16 didn't get the correction. It's correct in mine. It
17 should be III.G.3, not III.G.2.

18 VICE CHAIRMAN SIEBER: Okay. So for the
19 members who would make that --

20 MR. RADLINSKI: Thank you for bringing
21 that to my attention.

22 All right. The comment with respect to
23 new reactors, one of the comments, was that the
24 guidance that we've added is not specifically required
25 by the regulations. And specifically we made comments

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to the effect that new reactors should have minimal
2 reliance on operator manual actions and alternative
3 shutdown and also that operator manual actions should
4 be avoided.

5 Furthermore, we said that reliance on
6 electrical raceway fire barrier systems should be
7 minimized. They objected to the use of these terms.
8 And the comment was that those terms and that guidance
9 is not in the regulations anywhere.

10 This is guidance. The reg guide provides
11 guidance. And these are considered to be appropriate
12 goals for new plants, where the fire protection
13 protection program can be integrated into the planning
14 and design phase of the plant.

15 Furthermore, it supports the Commission's
16 concept of enhanced fire protection for new reactors,
17 although, again, it's not in the words or the
18 description of the enhanced fire protection. But it's
19 also consistent with GD-C3.

20 MEMBER APOSTOLAKIS: Yes. The issue of
21 new reactors in fire protection, all the risk-informed
22 initiatives we have undertaken the last eight, nine
23 years have been voluntary.

24 And the argument has been, you know, we
25 have already licensed the existing reactors using

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 separate criteria. So we can't really go back and
2 impose now that they become risk-informed. So they're
3 voluntary.

4 And that has led to situations where we
5 are really dancing around an issue. If you do this,
6 you do that. If you do this, you do that. But for
7 new reactors, why don't we demand that they be
8 risk-informed? In other words, it seems to me that
9 there is a general consensus that NFPA 805 is a good
10 thing to have. And we like plants to follow NFPA 805,
11 assess the risk.

12 And then if they want to change later, you
13 know, they can do a risk evaluation and go to the
14 regulatory guide and so on and so on because it gives
15 an integrated view of the plant.

16 Why can't we say that new reactors should
17 follow the NFPA 805?

18 MR. RADLINSKI: I wish Ray Galucci were
19 here to hear you say that. I'm sure he would
20 appreciate it.

21 MEMBER APOSTOLAKIS: Is there anything in
22 the regulations that forbids that?

23 VICE CHAIRMAN SIEBER: I think you have to
24 do it by rulemaking --

25 MR. RADLINSKI: Right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 VICE CHAIRMAN SIEBER: -- if you want to
2 impose it as an absolute requirement.

3 MR. RADLINSKI: Okay. That's a legalistic
4 argument, I mean. Then you go to appendix B, which
5 refers to fire probablistic risk assessments. And you
6 see things like a detailed fire PRA is not necessarily
7 required for a new reactor fire protection program.

8 And then later on it says, however, if an
9 applicant for a combined operating licenses references
10 a certified design and if that certified design
11 developed a fire PRA, then we impose additional
12 requirements that the PRA has to be reviewed, right,
13 and all that stuff, which I don't see here right now.

14 But, I mean, we put all these "ifs." And
15 we rely on the good will of the applicant to do the
16 PRA. So if somebody doesn't do a fire PRA, then they
17 don't have to do all these things and they go back to
18 being deterministic and all of that.

19 In other words, we are perpetuating this
20 situation of having two parallel regulatory systems,
21 I mean. And at the same time, we see major utilities
22 right now switching to NFPA 805 because they believe
23 it's to their advantage.

24 MR. RADLINSKI: Right.

25 MEMBER APOSTOLAKIS: Why have all of these

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ifs that a detailed fire PRA is not necessarily
2 required but if their certified design developed a
3 fire PRA --

4 VICE CHAIRMAN SIEBER: Where are you
5 reading from, George?

6 MEMBER APOSTOLAKIS: Appendix B of this.

7 MR. RADLINSKI: I believe the "ifs" are
8 there because we don't have the regulatory rule in
9 place for that. But it's very important to note that
10 AP1000 and ESBWR, both DCDs, both have fire PRAs, --

11 MEMBER APOSTOLAKIS: Yes, but where --

12 MR. RADLINSKI: -- which means that the
13 COL applicants must adopt that fire PRA and maintain
14 it.

15 MEMBER APOSTOLAKIS: Yes. It says, "Then
16 the COL applicant is to use that PRA and update it to
17 reflect site and plant-specific information that may
18 not have been available at the design stage. In
19 addition, the licensee that has a risk-informed
20 performance-based FPP similar to NFPA 805 or that
21 plans to evaluate plant changes using a risk-informed
22 approach must have a detailed fire PRA."

23 And you look at all of this and say,
24 "Well, gee, they're asking me to do all of these
25 things if there is a fire PRA in the certified design.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And if there isn't, then what do I do? I go back to
2 appendix R?"

3 MR. RADLINSKI: The reality of the
4 situation is that you are going to get what you want.
5 They do have fire PRAs.

6 MEMBER APOSTOLAKIS: But how do you know
7 that in the future they will also have fire PRAs?

8 MEMBER BANERJEE: Well, it will be EPR,
9 right?

10 MEMBER APOSTOLAKIS: Does EPR have a fire
11 PRA?

12 MEMBER BANERJEE: Well, it hasn't come
13 yet, but I presumed it would.

14 MEMBER APOSTOLAKIS: Is that a good way to
15 regulate?

16 MEMBER BANERJEE: Well, you can not
17 reference the design if you don't want to reference.

18 MEMBER APOSTOLAKIS: It seems to me,
19 though, that the NFPA 805 appears to be the way to go.

20 MR. RADLINSKI: But it's not for new
21 reactors. It's specifically for --

22 MEMBER APOSTOLAKIS: No. It's doesn't say
23 anything, right? I mean, there is --

24 MR. RADLINSKI: No, no. It says
25 specifically for existing operating reactors.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER APOSTOLAKIS: Well, but since we
2 like it for existing reactors, why don't we like it
3 for future reactors?

4 MR. RADLINSKI: We do.

5 MEMBER APOSTOLAKIS: Yes.

6 VICE CHAIRMAN SIEBER: All you need is a
7 rulemaking.

8 MEMBER APOSTOLAKIS: And that's such a
9 major problem.

10 MR. RADLINSKI: It takes two years to
11 wait. Then we can do that.

12 VICE CHAIRMAN SIEBER: Two years. You
13 need an SMR to start one.

14 MEMBER APOSTOLAKIS: Well, but then,
15 again, it seems that two designs we have certified
16 already have a fire PRA that wouldn't upset anybody
17 because --

18 VICE CHAIRMAN SIEBER: They wouldn't be
19 upset.

20 MEMBER APOSTOLAKIS: Yes. It wouldn't
21 upset anybody. And it would be the good way of doing
22 business.

23 VICE CHAIRMAN SIEBER: Pretty easygoing.

24 MR. WEERAKKODY: Yes. I can't give you a
25 complete full answer on this issue, but I know I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 suspect we are kind of talking about is this a policy
2 issue that's under consideration in the new reactor
3 space?

4 I know the ACRS has its -- what I'm saying
5 is like Bob is up there. And we are kind of parroting
6 what the current policy is as we know it from the new
7 reactor folks. So I don't know whether we can solve
8 it in fire protection.

9 For example, even if we agree with you
10 that we should require fire PRAs for all new reactors,
11 it's not under the purview of the Fire Protection
12 Branch. But I have heard from the grapevine that you
13 are interested in this issue in other forums.

14 MEMBER APOSTOLAKIS: Who is raising the
15 issue?

16 MR. WEERAKKODY: This is just on new
17 reactors. Yes.

18 MEMBER APOSTOLAKIS: We are raising it?

19 MR. WEERAKKODY: That's what I --

20 CHAIRMAN SHACK: In PRA in general.

21 MR. WEERAKKODY: In PRA in general. So
22 what we are doing, Dr. Apostolakis, is we are
23 following, as opposed to leading, that policy in the
24 fire protection area.

25 But in the meantime I think what Bob is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 saying is he is also the lead for his ESBWR. And he
2 knows 805. He knows the new reactors. From a safety
3 standpoint, the new designs are taking care of the
4 safety business by keeping things in separate rooms.

5 The only place they bring things together,
6 the cable is using the control room and in the
7 containment. So we are looking at core damage
8 frequencies like 100 times lower than our current
9 operating plants.

10 MEMBER APOSTOLAKIS: But even if the
11 vendor had included a fire PRA in the design
12 certification application, this implies that the
13 utility that will have a new reactor doesn't
14 necessarily have to go to NFPA 805. That's what it
15 says. It can if they want, but they don't have to.

16 CHAIRMAN SHACK: It's performance-based.

17 MEMBER APOSTOLAKIS: My problem with this
18 is that -- and maybe you're right, Sunil, that it's
19 not your business to do these things, but we have
20 lived with a very strange situation so far since 1998
21 for existing reactors because of the license issue.

22 But to perpetuate this for new reactors
23 and have these parallel systems forever doesn't sound
24 to me like it's a rational way to proceed. And maybe
25 it's not your job to do that but certainly I think the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Committee's job.

2 VICE CHAIRMAN SIEBER: But that becomes a
3 policy issue. And I think that it's fair for us if we
4 believe it to recommend to the staff that they
5 consider developing a policy issue. But that's the
6 way a rulemaking would start.

7 MR. WEERAKKODY: If I may, one thing with
8 respect to 805, we specifically excluded new reactors
9 from 805 because, even though concept-wise, you know,
10 risk-informed, performance-based is okay for new
11 plants as well, it's kind of like the get-by rule, so
12 to speak.

13 We build a plant. And we want to fix the
14 plant using risk-informed because if you think of the
15 reg guide and the thresholds we applied in the core
16 damage frequency changes that allows self-approval,
17 for the new reactor, it's way too liberal in a sense
18 because they start with a much advanced, much lower
19 core damage frequencies.

20 Now then you run into another policy
21 issue. Should we be holding new reactors to higher
22 safety standards? So if there is a need to
23 risk-inform new reactors, we should be looking at 806,
24 not 805.

25 MEMBER APOSTOLAKIS: Well, yes. That's a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 detail as far as I'm concerned. And I suspect the
2 reason why 805 did not refer to new reactors is this
3 fear of not putting something there that you don't
4 have to when you approve a document. It's always, you
5 know, focus on the immediate problem and don't say
6 anything about 20 years from now.

7 As a philosophical issue, though, it seems
8 to me that this is a good opportunity to go with a new
9 system, which a lot of the utilities with existing
10 reactors acknowledge is a good system, right?

11 MR. WEERAKKODY: Yes.

12 MEMBER APOSTOLAKIS: In fact, how many
13 plants now, units?

14 MR. WEERAKKODY: Forty-two.

15 MEMBER APOSTOLAKIS: Forty-two out of --

16 MR. WEERAKKODY: A hundred and three, 104
17 when Browns Ferry starts.

18 MEMBER APOSTOLAKIS: So that is really my
19 comment on this.

20 VICE CHAIRMAN SIEBER: Why don't we
21 continue on with your remaining slides?

22 MR. RADLINSKI: Okay.

23 MEMBER APOSTOLAKIS: But, again, a fire
24 PRA should receive a peer review to the extent that
25 adequate industry guidance is available. So if I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 don't have a fire PRA, what do I do? Do I get a peer
2 review or something else?

3 VICE CHAIRMAN SIEBER: There is nothing to
4 review if you don't have it.

5 MEMBER APOSTOLAKIS: What?

6 VICE CHAIRMAN SIEBER: There is nothing to
7 review if you don't have one.

8 MEMBER APOSTOLAKIS: You don't review the
9 fire PRA. But then I'm doing something in lieu of
10 that. And I would like to know, would there be a peer
11 review for that alternative? In other words, this
12 sends a message that if you dare go into a fire PRA,
13 we're going to hit you with 100 requirements to try to
14 discourage you from doing it.

15 VICE CHAIRMAN SIEBER: I think it is far
16 easier to do a PRA of any set and get it peer-reviewed
17 than it is to build architectural features into your
18 plant. And that's really the choice you have.

19 You know, you have to do all of your
20 thinking up front in the design stage if you want to
21 avoid having to take the route of risk-based fire
22 protection. It's still a policy issue.

23 MEMBER APOSTOLAKIS: It is. It is. But
24 we are sending the wrong message, it seems to me,
25 here.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN SHACK: There's no other to send,
2 George. You wouldn't have a PRA without a peer
3 review. A peer review of a deterministic program
4 makes a whole lot less sense. I mean, it's perfectly
5 sensible.

6 VICE CHAIRMAN SIEBER: And that's true
7 probably for all PRAs. I still would like to move on
8 --

9 CHAIRMAN SHACK: We had better move on.

10 VICE CHAIRMAN SIEBER: -- and be no later
11 than the fuel folks left us.

12 CHAIRMAN SHACK: We're taking up George's
13 subcommittee report.

14 MEMBER APOSTOLAKIS: What?

15 CHAIRMAN SHACK: Onward.

16 MR. RADLINSKI: Right. The next comment
17 had to do with new reactors and the guidance that we
18 have provided that they should be maintained safe for
19 all modes of operation.

20 This entire slide is a summary of their
21 comment, basically to say to delete the guidance that
22 addresses fire protection for non-power operation.

23 Their basis is that the staff has already
24 approved new designs without disposition, that passive
25 shutdown plants would have to evaluate fire effects on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 active systems that are used when the plant is too
2 cold for passive cooling.

3 VICE CHAIRMAN SIEBER: If you don't do
4 anything, the plant will become warm enough for
5 passive cooling.

6 MR. RADLINSKI: You are getting ahead of
7 me here.

8 VICE CHAIRMAN SIEBER: Okay. And if there
9 is a requirement or guidance by the NRC, the comment
10 is that the NRC should provide the specific method of
11 analysis that the industry should use to address this.

12 And, finally, they made the comment that
13 the staff was directed to cease activity on the
14 shutdown rule in 1997. I still haven't figured out
15 what that has to do with this, but -- so our response
16 is basically plants have to have a fire protection
17 program that maintains plant safety in the event of
18 fire in all modes of operation. That's fundamental.
19 Okay?

20 If you want to find bases in the
21 regulations, 50.48(a)(2)(iii) requires that the means
22 to limit fire damage to structures, systems, and
23 components is important to safety so that the
24 capability to shut down the plant safely is ensured.
25 That means keeping a safe shutdown.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Last, but not least, 50.59. We talked
2 about this in the last meeting. Again, we believe
3 that it would be appropriate to put fire protection
4 back under 50.59.

5 The Commission has said they do not like
6 the idea of a separate license condition for fire
7 protection, no adverse effect approach to evaluating
8 changes. 50.59 is good for the rest of the planet.
9 It should be good enough for fire protection. So we
10 are proposing to do that.

11 Okay.

12 VICE CHAIRMAN SIEBER: Is that it?

13 MR. RADLINSKI: Yes.

14 MEMBER APOSTOLAKIS: I have one.

15 VICE CHAIRMAN SIEBER: George?

16 MEMBER APOSTOLAKIS: Yes. Again, there is
17 a statement. There is a discussion of the
18 self-imposed station blackout somewhere there on page
19 19. And there is speculation.

20 The risk of self-imposed station blackout
21 may greatly exceed the actual risk posed by the fire.
22 And the licensee should consider the risk carefully
23 when evaluating the plant safe shutdown design and
24 procedures. How are they going to do this if they
25 don't have an estimate of the risk?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And that, in fact, we go on and say,
2 "However, acceptable operator manual actions that are
3 implemented in accordance with" such and such and such
4 and such may present a lower risk than the
5 self-imposed station blackout approach. And I'm
6 trying to understand how in a deterministic world a
7 utility may decide that one or the other represents a
8 lower risk.

9 MR. RADLINSKI: First of all, we did water
10 that down a bit. We took out the word "greatly." I
11 don't imagine that answers your question.

12 (Laughter.)

13 MR. WEERAKKODY: This is Sunil Weerakkody
14 again.

15 VICE CHAIRMAN SIEBER: That solved that
16 problem. I think maybe I can address this a little
17 bit. You know, some of these things in the absence of
18 a PRA, which probably aren't going to do as you
19 discover a fire in certain areas made by engineering
20 judgment or operator judgment as to "Do I want to cope
21 with a self-induced station blackout or do I want to
22 go and put out a fire the size of a wastebasket?" And
23 so it becomes a judgment call in those clear-cut
24 cases.

25 Beyond that, I think that you are right,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 George. You would have to do some kind of analysis
2 for the big events where the risk is not well-defined.
3 But just undergoing a station blackout is an
4 operator's challenge.

5 MEMBER APOSTOLAKIS: And then there is
6 another statement. New reactor design should not rely
7 on self-imposed station blackout to mitigate potential
8 fire damage to safe shutdown systems. Is that a
9 policy issue or is it a technical issue or --

10 MR. WEERAKKODY: Even though you don't
11 have numerical calculations to show that inducing a
12 station blackout is not a good thing, there is
13 overwhelming knowledge that that is not a good thing
14 to do. I mean, it is kind of almost like common
15 sense.

16 Why would you want to take out your
17 operating equipment intentionally because you want to
18 be in the licensing basis. We have had to limit that
19 because the regulation does not, the current
20 regulation does not, prohibit that.

21 In some of the cases, such as this, what
22 we have done is we have basically told the new plants,
23 "Please don't design your plants to rely on that kind
24 of mitigation. It just doesn't make sense."

25 VICE CHAIRMAN SIEBER: You are blacking

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 out the plant to avoid some spurious operation, which
2 is pretty drastic.

3 MR. WEERAKKODY: I mean, you could confirm
4 with risk verification that that is, in fact, the case
5 and say how big it is, but just to say that I'm going
6 to kill these or I'm going to turn all of these off so
7 that they don't get damaged by a spurious actuation --

8 VICE CHAIRMAN SIEBER: It is my
9 understanding that few plants have that as a provision
10 --

11 MR. WEERAKKODY: That's correct because
12 that --

13 VICE CHAIRMAN SIEBER: -- in some fire
14 scenarios.

15 MEMBER ARMIJO: Has anybody ever done it?

16 VICE CHAIRMAN SIEBER: No.

17 MR. WEERAKKODY: Do you mean in actual
18 situation?

19 MEMBER ARMIJO: In real.

20 MR. WEERAKKODY: I don't know the answer,
21 but we do know that in some plant procedures, they
22 rely on it. Whether they actually have had a fire to
23 do it I do not know.

24 MEMBER POWERS: I think, in fact, it has
25 been done, Jack.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 VICE CHAIRMAN SIEBER: Where? In the
2 United States?

3 MEMBER POWERS: Yes, in some U.S. plant.
4 For some reason, Pilgrim comes to mind, but I don't
5 know that for a fact.

6 VICE CHAIRMAN SIEBER: I don't know. I
7 think it would be a good thing to find out.

8 MEMBER APOSTOLAKIS: So for a
9 clarification question, for new reactors, if they
10 don't go the risk-informed approach, appendix R
11 applies?

12 MR. RADLINSKI: No, no. Appendix R
13 doesn't apply to plants licensed after '79
14 technically. But the guidance is very -- I mean, it's
15 like appendix R. It's --

16 VICE CHAIRMAN SIEBER: I think that we
17 have pretty much come to a conclusion of the formal
18 presentation part of the meeting. My personal opinion
19 is I read through all of these documents and
20 particularly the questions and answers. I think both
21 the industry, including NEI and other licensees, did
22 a pretty good job of supplying comments. And the
23 staff did a pretty good job of responding to those.

24 I understand there is an NEI member here.
25 And if anyone would want to make a statement, they can

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 do that now. If not, Mr. Chairman, I turn it back to
2 you.

3 CHAIRMAN SHACK: The next item in our
4 agenda is a subcommittee report from George on our
5 ESBWR Subcommittee. If you would like to say a few
6 words?

7 VICE CHAIRMAN SIEBER: Does he know that?

8 CHAIRMAN SHACK: He does.

9 MEMBER APOSTOLAKIS: Are we writing a
10 letter on this, by the way?

11 CHAIRMAN SHACK: No.

12 VICE CHAIRMAN SIEBER: You can have added
13 comments if you'd like.

14 MEMBER APOSTOLAKIS: Thank you, Jack. I
15 know I can.

16 MR. RADLINSKI: Is there a take-away that
17 we assume you're going to approve the --

18 MEMBER APOSTOLAKIS: What?

19 MR. RADLINSKI: Is there a take-away that
20 we assume you're going to approve the issuance of the
21 reg guide or --

22 MEMBER APOSTOLAKIS: There is a question
23 for you.

24 CHAIRMAN SHACK: That's a Committee
25 decision.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. RADLINSKI: May I conclude from your
2 comments that the Committee will approve the issuance
3 of the reg guide?

4 VICE CHAIRMAN SIEBER: Watch your mail.

5 (Laughter.)

6 MEMBER APOSTOLAKIS: You will get some
7 sort of a letter.

8 VICE CHAIRMAN SIEBER: I can only tell you
9 what I think right now.

10 9) SUBCOMMITTEE REPORT

11 MEMBER APOSTOLAKIS: Okay. We had a
12 meeting on December 14 and 15.

13 CHAIRMAN SHACK: We can go off the record
14 for this.

15 MEMBER APOSTOLAKIS: Pardon me?

16 CHAIRMAN SHACK: Yes. We can go off the
17 record for this.

18 (Whereupon, a luncheon recess was taken
19 at 11:38 p.m.)

20

21

22

23

24

25

1 A-F-T-E-R-N-O-O-N S-E-S-S-I-O-N

2 (1:06 p.m.)

3 10) WOLF CREEK PRESSURIZER WELD FLAWS

4 CHAIRMAN SHACK: Our first presentation
5 this afternoon is on the Wolf Creek pressurizer weld
6 flaws. And our cognizant member for that is Sam
7 Armijo. Sam, I'll turn it over to you.

8 10.1) REMARKS BY THE SUBCOMMITTEE CHAIRMAN

9 MEMBER ARMIJO: Okay. Mr. Chairman, we're
10 going to have an informational briefing this afternoon
11 related to the October 2006 indications of potential
12 cracking at Wolf Creek.

13 We will hear from representatives of the
14 staff as well as from Duke Energy and NEI. We're not
15 expected to write a letter or make any decisions, but
16 we are free to ask as many questions as we think we
17 need to understand this.

18 With that, I would like to turn it over to
19 -- I think it's Mr. Sullivan who will start out for
20 NRR.

21 MR. SULLIVAN: Thank you very much.

22 MR. BATEMAN: Excuse me. Ted, before you
23 get started, I would just like to add one more thing.
24 This is Bill Bateman from the staff. We do have a
25 subcommittee meeting scheduled for February 21st, at

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 which point we will have a lot more time to talk about
2 details here -- I know you have only got an hour for
3 us now -- and then a full Committee meeting subsequent
4 to that in March.

5 MEMBER ARMIJO: And also I think we have
6 someone on the phone, but I'm not positive. Is there?

7 CHAIRMAN SHACK: I don't know.

8 MR. LUPOLD: Our understanding is that our
9 contractor, Dave Rudlin called.

10 MR. RUDLIN: I'm here.

11 MEMBER APOSTOLAKIS: Who are these people?

12 MR. LUPOLD: Dave Rudlin is a contractor
13 that we have utilized to evaluate some of the flaws
14 that we discovered at Wolf Creek.

15 MEMBER APOSTOLAKIS: Are you NRC yourself?

16 MR. LUPOLD: I am Tim Lupold. I'm with
17 the NRC.

18 MEMBER APOSTOLAKIS: You have to speak to
19 the microphone, though, because --

20 MEMBER ARMIJO: Okay. Well, just as long
21 as the folks on the phone just please put their phones
22 on mute so we don't hear any kind of background.

23 With that, Ted, it's all yours.

24 10.2) BRIEFING BY AND DISCUSSIONS WITH

25 REPRESENTATIVES OF THE NRC STAFF

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SULLIVAN: My name is Ted Sullivan.
2 And I work in the Division of Component Integrity.
3 And I've been working on this Wolf Creek law issue
4 since about November time frame.

5 I wanted to set out some very brief
6 background. I know this is kind of industry stuff,
7 but I thought it would be appropriate to help put the
8 Wolf Creek information in a little bit of context.
9 And at the subsequent meeting, I expect that either
10 industry or ourselves will talk about this more.

11 The context for these inspections is an
12 industry "mandatory program" under some guidelines
13 that were issued by NEI. This particular program is
14 very customarily referred to as MRP-139. And it deals
15 with inspection and mitigation of dissimilar metal
16 butt welds and reactor coolant system of PWRs. It
17 provides, among other things, guidance for volumetric
18 and visual inspection of alloy-82/182 butt welds.

19 It is over and above what is required by
20 the ASME code in that it requires -- in the industry
21 context, I'm using the word "require" -- inspections
22 that are more frequent than those required by the ASME
23 code. And the whole program is somewhat oriented
24 around temperature in that, for example, the
25 pressurizer weld locations need to be inspected first

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and most frequently.

2 So it was in that context that these
3 indications or flaws at Wolf Creek were found. This
4 licensee was performing inspections of the dissimilar
5 metal butt welds in the nozzles of the pressurizer.

6 And these indications were found as part
7 of inspections that were done prior to applying weld
8 overlays, which was their plan all along. And I'm
9 going to talk about that more in subsequent slides.
10 We were notified of it in mid October by an event
11 notification.

12 So flaws were found in three of I guess
13 six nozzles. And I'll get into them one by one. In
14 the surge line, there were three flaws found. They
15 were circumferential in orientation.

16 They are of varying sizes. One, the first
17 one, has an arc of about 38 degrees; the second about
18 21-degree arc; and the third one is a much smaller,
19 about 7 and a half-degree, arc.

20 This weld was last examined in 1993 using
21 techniques that predated the performance demonstration
22 initiative qualification program. I want to say a
23 little bit about the qualification of the procedure
24 and the examiner. The procedure that was used was a
25 manual procedure. It was qualified for flaw detection

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and length sizing.

2 The examiner was qualified for detection.
3 He had apparently not gone through or passed -- I
4 don't know which -- the qualification for length
5 sizing. Notwithstanding, readings were taken for
6 informational purposes on length and depth and all the
7 readings were confirmed by a person from EPRI. And
8 that note, which will appear on some subsequent
9 viewgraphs, is true for all of the welds examined.

10 MEMBER ARMIJO: Was the EPRI person an
11 expert or did you --

12 MR. SULLIVAN: The EPRI person was a
13 person who administers the PDI qualification exams.

14 MEMBER ARMIJO: But he's experienced?

15 MR. SULLIVAN: I would say he was very
16 experienced, and he was an expert. I just can't call
17 him qualified because EPRI doesn't qualify its own
18 people. They administer the exams.

19 MEMBER BONACA: The 13 years between the
20 last volumetric examination, is normal, the long
21 period of time?

22 MR. SULLIVAN: I'm not sure why there was
23 such a long period of time. It does seem like a long
24 time. It's more than an interval.

25 MEMBER BONACA: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SULLIVAN: That's a good question.
2 That's not something we asked. Do you know?

3 MEMBER CORRADINI: Well, if I could
4 address that, the requirement would be to inspect it
5 once every interval. And the ASME section 11 gives
6 latitude to defer some exams from one period to a
7 next. So it's ten years plus or minus is what the
8 exams would be. So it's not unheard of to have 13
9 years between subsequent exams.

10 MR. SULLIVAN: Okay. On the relief
11 nozzle, there was a very large flaw. It was a
12 170-degree arc. And on the safety nozzle, there was
13 one flaw also. It had about a 55-degree arc.

14 MEMBER ARMIJO: I've seen prior
15 presentation material that the staff has issued, maybe
16 a month or so ago. And I've seen numbers that are
17 higher, like 11-inch cracks or indications, as opposed
18 to 7.7. What is going on?

19 MR. LUPOLD: The numbers that you're
20 referring to would be the lengths of the flaws, as
21 projected on the OD of the pipe. This is these
22 numbers that you're seeing right here --

23 MEMBER ARMIJO: ID.

24 MR. LUPOLD: -- would be the length of the
25 flaws on the ID.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SULLIVAN: When we initially got the
2 data, it was over the telephone. And we weren't clear
3 where these links were. We thought they were on the
4 ID. They subsequently clarified it was on the ODs.
5 So we had to do a little conversion.

6 Okay. Our concerns with these inspection
7 results were that they were the first large multiple
8 circumferential flaws identified. Previous
9 circumferential flaws have been identified, but these
10 were large. We found a very large flaw. And we found
11 multiple indications in one of the nozzles.

12 The expectation was to see smaller flaws
13 and see axial flaws. Predominantly the inspection
14 data shows more often you get axial flaws than
15 circumferential. And, of course, the concern with
16 circumferential flaws is it can lead to rupture, as
17 opposed to the concern you have with the axial is that
18 it's much more likely to just lead to leakage.

19 And our concern with the large flaws and
20 the multiple flaws was that it seemed to us to
21 increase the need to complete the baseline inspections
22 on a timely basis.

23 So we did fracture mechanics evaluations
24 of this data. We took it as though it was axial,
25 actual, even though we couldn't confirm it. We didn't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 change the sizes. We just used the information data
2 to do analysis.

3 The analyses were done in such a way as to
4 basically work the problem backwards to try to get an
5 estimate of when the cracks might have initiated. And
6 then we worked the problem forward to get an estimate
7 of when the flaws could lead to leakage if they were
8 left in service, if they had been left in service.
9 And we estimated times to reach critical flaw size,
10 again, if they had been left in service.

11 We analyzed the flaws in all three
12 nozzles. We didn't assume that the flaws in the surge
13 line interacted. We just picked the largest of those
14 three flaws. We calculated time ranges based on three
15 different residual stress profiles, two different
16 fracture mechanics models, and two different
17 through-wall flaw models.

18 And I think we can talk about that a lot
19 more in the meeting on the 21st of February, but the
20 reason I'm bringing it up now is that 2 times 3 times
21 2 turns out to be 12 different cases that were
22 analyzed. And that will come up on a subsequent
23 slide.

24 These were not best estimate calculations.
25 And they're not considered bounding. They were just

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 calculations we did to try to scope the problem.

2 VICE CHAIRMAN SIEBER: Did you get any
3 clue as to the validity of the leak before a break
4 assumption?

5 MR. SULLIVAN: Yes. That's where we are
6 going with this.

7 VICE CHAIRMAN SIEBER: Okay. It breaks
8 first and then leaks.

9 MR. SULLIVAN: Well, this will come up on
10 the next slide. On this slide, which talks about the
11 results for the surge line, in all 12 cases we
12 analyzed, we saw some time between leakage and
13 rupture. And you can see that in the rows of this
14 particular table on this viewgraph.

15 So that is the salient point, I think, of
16 this viewgraph other than the fact that the times
17 could be fairly short, less than two refueling cycles.

18 MEMBER MAYNARD: One thing to be pointed
19 out, Wolf Creek did not take credit for leak before
20 break. This was analyzed without taking credit for
21 leak before break for this particular line. So they
22 were not outside their design basis. I think that's
23 important to note.

24 MR. SULLIVAN: That's true. On this
25 plant, the surge line was not a leak before break,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 pipe that had not been requested of the staff nor
2 reviewed. And, as with other plants, the smaller
3 nozzles, the safety and the relief lines were never
4 submitted to the staff as candidates for leak before
5 break.

6 CHAIRMAN SHACK: I mean, those ranges of
7 times don't pass my sanity check, actually. I mean,
8 you know, I would say measured size to leak could be
9 one year to infinity. Initiation to measured size
10 could be -- I would be astounded if it were .3 years.
11 It could well be 16 years.

12 MEMBER CORRADINI: Which one did you say
13 astounds you?

14 MR. SULLIVAN: The first one.

15 CHAIRMAN SHACK: What were the
16 assumptions? Well, maybe that's something we can just
17 wait. I'll just make that comment. We'll wait until
18 we get to the subcommittee meeting.

19 MEMBER ARMIJO: Even though there was no
20 claim on leak before break, those are pretty big
21 pipes, 15-inch, 16-inch pipes. That's a pretty hefty
22 piece of metal there.

23 MEMBER MAYNARD: The surge line is a
24 15-inch line. And then those nozzles are 8-inch
25 lines.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SULLIVAN: In our evaluation of this
2 information, we didn't really give any particular
3 credence to the time. And I think the results of this
4 analysis as I'll get into it really are not
5 surprising. It's not surprising that on the surge
6 line, you would see leak before break behavior.

7 On the smaller lines, which are not as
8 flaw-tolerant, it's not surprising that you would see
9 rupture turnout in the calculations before leakage.
10 And that really is pretty much how we used the
11 information.

12 MEMBER BONACA: It still troubles me when
13 I think about what we're saying in license renewal,
14 that a 10-year inspection was good when the plant was
15 10 years old. Then it's good when the plant is 50
16 years old. And this is confirming otherwise.

17 MR. SULLIVAN: Well, I guess the reason we
18 are pretty comfortable with this is that industry has
19 put together a reasonably aggressive program to
20 mitigate these welds. And so in license renewal
21 space, we think that that's really what license
22 renewal is relying on, is the program to mitigate
23 these welds and address PWSCC.

24 MEMBER BONACA: Yes. This is the problem
25 of the day.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SULLIVAN: That's right.

2 MEMBER BONACA: Then tomorrow there is
3 going to be some other component. I mean, there has
4 to be a recognition that aging is going to create new
5 flaws. It just is inevitable.

6 MR. SULLIVAN: Right.

7 MEMBER BONACA: And I'm just saying that
8 we'll have to reflect on the inspection intervals.

9 CHAIRMAN SHACK: Yes. Let me ask another
10 question about the inspections. I mean, every section
11 XI inspection now of a welded pipe is going to be done
12 with a PDI-qualified inspector?

13 MR. SULLIVAN: That's correct.

14 CHAIRMAN SHACK: Okay. So there will be
15 no more inspections that will be done by anybody
16 that's not through the qualification process?

17 MR. SULLIVAN: That's true. I mean, you
18 have to recognize, though, that there are PDI
19 supplements to address, at least the cast stainless
20 steel. That problem is still being worked.

21 CHAIRMAN SHACK: Right.

22 MR. SULLIVAN: And I think one of the
23 points of this -- and industry will probably make this
24 point on the 21st, but there are a lot of these welds
25 that can't be inspected because you don't have access

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 or you've got materials that are not inspectable. But
2 one of the thrusts of the MRP-139 program is to make
3 the configuration inspectable, even if you have to put
4 a weld overlay, a full-structure weld overlay, on the
5 weld to accomplish that.

6 CHAIRMAN SHACK: So you can inspect the
7 overlay? You still can't inspect the pipe?

8 MR. SULLIVAN: Depending on the material,
9 underneath it, you can inspect into the original weld,
10 at least some distance, again, depending on what the
11 adjacent materials are.

12 Okay. We have kind of covered the point
13 here already, but I'll just get into it briefly. In
14 the leak to rupture row, the fourth row on this table,
15 the important information is in the note. And what it
16 shows is that in 8 of the 12 cases we analyzed, there
17 wasn't any time between leak and rupture.

18 And, contrasting that with the safety
19 nozzle, we found something similar, although not quite
20 as dramatic, which is that in 4 cases, 4 out of the 12
21 cases, there was no time between leak and rupture.

22 And I think that we can discuss this
23 further on the 21st. We're trying to make
24 arrangements to send over to the ACRS the report that
25 our contractor put together that will discuss this in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a lot more detail. You can see exactly which
2 assumptions led to which results.

3 MEMBER ARMIJO: Is your primary assumption
4 that this was PWSCC and that the crack growth rates,
5 you had crack growth rate data that you could use in
6 the analysis?

7 MR. SULLIVAN: Yes. In this analysis, we
8 treated the flaws as PWSCC, which was the most
9 probable causae that was identified by the licensee.
10 And we used the MRP-115 crack growth rates, which were
11 generated by the industry using a lot of data, both
12 industry data, probably some NRC data, and some Navy
13 data.

14 MEMBER ARMIJO: Okay. So then you worked
15 back from the time to -- you worked backwards from
16 those. So that left a long period of time for
17 initiation, right?

18 MR. SULLIVAN: Well, basically this is
19 what --

20 MEMBER ARMIJO: That's Bill's issue, isn't
21 it?

22 MR. SULLIVAN: -- Dr. Shack was commenting
23 on, that it shows the possibility that these flaws
24 generated in a non-credibly short period of time.

25 CHAIRMAN SHACK: I mean, even to do these

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 things, you have to make all sorts of assumptions
2 about how many cracks initiated, you know, whether
3 these cracks are 11 inches long because you initiated
4 100 short cracks that linked up or there is this one
5 crack that grew that arrested itself going through the
6 wall and then grew around the thing. So you pick a
7 number. I can come through here and give you an
8 analysis that can be just about any number you want.

9 MEMBER ARMIJO: Or the state of stress.
10 What's the stress where these things are growing?

11 MR. SULLIVAN: Well, we had to make
12 assumptions about part of that. We used the design
13 loads that came from the licensee and maybe ultimately
14 from Westinghouse. And we used three different
15 residual stress models. So that's where the stress
16 assumptions came from.

17 Okay. Moving on into some less numerical
18 material, some general observations are that long circ
19 flaws decreased time between leak and rupture. Your
20 flaw tolerance goes down if you start out assuming
21 that you've got long circ flaws to begin with.

22 And the second observation is basically
23 that smaller diameter welds are less well-tolerant
24 than large diameter welds. And then specifically I
25 think the rest of this slide just kind of reiterates

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 what we just talked about, that the relief line had
2 the least margin based on our analysis, with 8 of 12
3 cases showing no time between leak and rupture.

4 The safety line analysis had a shorter
5 flaw. It showed that 4 out of the 12 cases analyzed
6 didn't produce any evidence of leakage prior to
7 rupture. And the surge line, I think in part because
8 of the way we analyzed it, not linking up any of the
9 flaws, we sold it in all cases with some time between
10 leak and rupture. And the shortest time on all of
11 these analyses or most of them, not every single one,
12 or most of them was less than two operating cycles, I
13 think between initiation and failure.

14 I've got a little treatment here of
15 conservatisms, non-conservatisms, and uncertainties.
16 And it's kind of difficult in this case to try to
17 figure out which box to put some of these aspects in.

18 Residual stress relaxation is a problem
19 that was worked by industry prior to our last meeting.
20 That's a potential conservatism. The only reason I
21 say "potential" is I think it could vary depending on
22 what residual stress models are used.

23 The axisymmetric residual stress
24 distribution is generally thought of as a
25 conservatism. That's something I haven't mentioned up

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 until now, but the way the residual stresses are
2 modeled for practicality and possibly also because of
3 lack of better information, they're modeled as
4 axisymmetric. And that's generally viewed as a
5 conservatism, although I don't think it would
6 necessarily be.

7 There are some potential non-conservatisms
8 in the analysis. Not to overwork this, but we have
9 talked about some of these already. The first one
10 certainly I have talked about.

11 The pipe loads that we used were not
12 necessarily bounding. We got Wolf Creek-specific
13 numbers. And we're aware they aren't bounding for the
14 industry. The indication sizes may not be bounding.
15 We really don't know what is out in the fleet. The
16 indications we use may be bounding, but they may not
17 be.

18 The industry recommends and uses the 75th
19 percentile crack growth rate. That's what we used in
20 this analysis. That's not necessarily bounding.

21 And in terms of uncertainties, I think we
22 have hit on some of these. The residual stress
23 distribution is certainly an uncertainty, no pun
24 intended.

25 MEMBER APOSTOLAKIS: I don't understand

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the statement of the 75th percentile is not
2 necessarily bounding. What does that mean?

3 MR. SULLIVAN: Well, a 95th percentile
4 crack growth rate would be more conservative. I'm
5 just pointing out that what was used in the analysis
6 was the 75th percentile.

7 MEMBER CORRADINI: Growth rate?

8 MR. SULLIVAN: Growth rate, yes.

9 MEMBER APOSTOLAKIS: But neither one is
10 bounding.

11 MR. SULLIVAN: That's true. One would be
12 more conservative.

13 As I think we may get into later, there
14 are 37 units that have not been addressed under
15 MRP-139. That's a little bit just slightly bigger
16 than half the units.

17 And flaw depth is another uncertainty. As
18 I pointed out before, the flaw depths were measured,
19 but they weren't measured with qualified techniques.

20 The position that the staff has been
21 developing is based on the thinking that the
22 inspections or mitigations need to be accelerated from
23 the current industry schedule for some plants. I know
24 that statement is a little bit in a vacuum, but if we
25 have time, I'll talk more about what that means.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN SHACK: You aren't going to give
2 us a hint as to what some plants are?

3 MR. SULLIVAN: Okay. I'll get into that
4 right now. I said that 37 plants haven't completed
5 their MRP-139 evaluations. There were 19 plants that
6 don't even have dissimilar metal welds.

7 There are something like 13 plants that up
8 to now have already implemented the MRP-139
9 inspections or mitigations. Most of them have
10 mitigated. Some have just inspected with an augmented
11 inspection frequency requirement in MRP-139 over that
12 in the code.

13 There are 26 or 27 plants that are
14 scheduled to do the inspections in 2007. Two thousand
15 and seven is the schedule that was originally in
16 MRP-139 for completing the baseline program. That
17 leaves 9, 10, 11 plants somewhere in there.

18 The reason I'm being a little bit vague is
19 that it hasn't happened yet. We just have information
20 on what is planned. But somewhere around ten plants
21 are slatted to do the examination after the original
22 schedule in MRP-139, namely in 2008. And they're
23 really the target of this first bullet.

24 MEMBER ARMIJO: The plants that don't have
25 dissimilar metal welds, are they exempt from this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 inspection?

2 MR. SULLIVAN: Yes.

3 MEMBER ARMIJO: Is there a reason for
4 that?

5 MR. SULLIVAN: The program is designed to
6 address PWSCC. And PWSCC has only been found to date
7 in alloy 82, 182 welds and alloy 600 products.

8 MEMBER ARMIJO: And what are these
9 materials? Are those --

10 MR. SULLIVAN: This program and the Wolf
11 Creek welds only applies to 82, 182 --

12 MEMBER ARMIJO: Right. No. I'm talking
13 about the 11 that --

14 CHAIRMAN SHACK: They would be stainless
15 with 308 in all likelihood.

16 MR. SULLIVAN: No. The 11 plants are 11
17 plants who have planned to do the inspections in 2008
18 that all have alloy 82 or 182 welds.

19 MEMBER ARMIJO: Yes. I got that. I'm
20 going back to the ones that are exempt from this
21 issue.

22 MR. LUPOLD: Okay. We are referring to
23 the plants that we said don't have materials that are
24 susceptible. And those materials typically are
25 stainless steel materials. Some of those materials

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 could be alloy 52 or alloy 152 also.

2 Now, MRP-139 actually talked about those
3 type materials. They're considered to be resistant
4 materials. And all MRP-139 would do is have you go
5 back and inspect in accordance with the ASME section
6 11 program.

7 MEMBER ARMIJO: Okay. So there is some
8 basis for those materials to be viewed as lower risk
9 or no risk?

10 MR. LUPOLD: That's correct.

11 MEMBER ARMIJO: And at the subcommittee
12 meeting, I would like to get more information on why
13 that is true.

14 MEMBER POWERS: I am not familiar with
15 152.

16 MR. LUPOLD: Alloy 152 is a nickel-based
17 alloy which has a much higher chromium content in it
18 than alloy 82 or alloy 182. And having the higher
19 chromium content has demonstrated it is more resistant
20 to primary water stress corrosion cracking and testing
21 that is being conducted on the material.

22 CHAIRMAN SHACK: It's sort of the weld
23 equivalent of 690.

24 MEMBER CORRADINI: Yes. That's a very
25 good statement.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SULLIVAN: Okay. Returning to this
2 viewgraph, the second part of our developing position
3 is that we view that enhanced RCS leakage monitoring
4 with action levels to shut down and visually inspect
5 welds would be a very desirable thing to do until
6 inspections or mitigations are completed. And in
7 developing this position, we considered a number of
8 factors.

9 I think we talked about most of these
10 already. So I think I will just move on to the next
11 viewgraph.

12 Now, I don't want to in any way
13 shortchange the industry, but we put together a
14 listing of bullets of the industry position. We have
15 lifted these strictly out of their documents. They're
16 going to have time to explain their position more, but
17 I just wanted to lay out a couple of things.

18 Industry has stated they believe the
19 inspection findings are an anomaly. We don't think
20 we're in the position to treat it as such. And
21 anomalies have been -- inspection findings have
22 occurred in the past that have been ascribed to
23 anomalous behavior. And most of the time they don't
24 turn out to be anomalous.

25 Industry agrees with an enhanced leakage

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 detection program. I think our differences at this
2 point have to do with action levels and specific time
3 lines for completing action levels and shutting down
4 the plant if that's what it comes to. They have a
5 very good program, but it's not as prescriptive as we
6 would like to see.

7 Industry is undertaking some non-linear
8 finite element analyses to try to address some
9 differences between industry results and what they
10 think is a more realistic outcome. I'll comment on
11 that in the next slide.

12 And I think that's probably enough for
13 now. Industry is going to have time to talk about it
14 some more.

15 MEMBER BONACA: Sorry. The issue, you had
16 some bullets about bounded by plant design basis
17 accident analysis, existing safety analysis
18 conclusions remaining valid. Of course, frequently of
19 the breaks is an element of those analyses. And so
20 somebody will explain why these would be acceptable.

21 MR. SULLIVAN: I think industry is going
22 to be up in a few minutes. So maybe they can --

23 MEMBER BANERJEE: I have a question about
24 the finite element analysis. This has to assume some
25 sort of a residual stress distribution, right, when

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you do this? So what sort of assumptions would be
2 made there?

3 MR. SULLIVAN: In the analyses that have
4 been done so far, we used three different residual
5 stress assumptions. One of them was an ASME model.
6 It appears in the ASME code. It was pegged to a
7 higher yield stress than the one in the code because
8 the materials have a different yield stress.

9 The second model is one that was developed
10 by our contractor based on finite element analyses of
11 weld deposition.

12 MEMBER BANERJEE: When the weld was done?

13 MR. SULLIVAN: Right. That's my
14 understanding. And the third assumption was no
15 residual stress at all.

16 MEMBER ARMIJO: Just applied loads?

17 MR. SULLIVAN: Just applied loads,
18 correct.

19 MEMBER ARMIJO: That was your longest
20 time, right? And it should have been if it wasn't
21 something --

22 MR. SULLIVAN: I think it was.

23 MEMBER BANERJEE: But do these actually
24 bound the situation?

25 MR. SULLIVAN: No, we don't think they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 bound it. That's why I made the statements earlier
2 that these analyses are just scoping analyses in our
3 view. They're not bounding or best estimate. We just
4 tried to do some analyses to show what could happen.

5 MEMBER BANERJEE: What will industry do to
6 improve this situation or are they going to tell us?

7 MEMBER ARMIJO: They are going to tell us.

8 MR. SULLIVAN: Well, I think they are
9 available to answer in more detail, but I think the
10 main thing is that these analyses will remove the
11 constraint that the flaws remain elliptical.

12 MR. LUPOLD: We should just go right to
13 the next slide.

14 MR. SULLIVAN: We have some skepticism.
15 This isn't about the analyses. We certainly think it
16 will be interesting. We think it's important work.
17 We're interested in understanding what's going to
18 happen from these analyses. And the NRC is interested
19 in doing some similar work itself.

20 But in terms of using this for regulatory
21 decision-making, that's kind of another matter. We
22 think that these analyses will basically turn out to
23 just be another scoping study. And they may come up
24 with different results. They may show that you get
25 leak before a break.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 But I think the end result would be what
2 we already know. You may or may not get leak before
3 a break. I think that unless these analyses could
4 rule out rupture prior to leakage, I don't think
5 they're going to help us in regulatory
6 decision-making.

7 So that's kind of the point of the first
8 bullet. I already made the second bullet. We talked
9 about that. We don't consider these results
10 anomalous. We don't think that's a position that
11 experience proves out with previous inspection
12 results. And, you know, that's not something we would
13 ever do.

14 I previously kind of alluded to our
15 concern with industry's leak-monitoring program. It's
16 an excellent program, but it doesn't have time
17 constraints for implementing actions. And it doesn't
18 require shutdown depending on what could be found.

19 MEMBER BANERJEE: How do they monitor
20 these leaks?

21 MEMBER CORRADINI: Typically RCS leakage
22 is measured just through a mass balance for the
23 reactor coolant system.

24 MEMBER BANERJEE: In the system itself,
25 right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER CORRADINI: Yes, in the system.
2 It's measured at every plant at least every 72 hours.
3 Some plants will do it 48 hours. Some plants will do
4 it every 24 hours.

5 MEMBER BANERJEE: Well, what are the
6 thresholds of detection here?

7 MEMBER CORRADINI: Industry may be able to
8 answer this question a little bit better, but
9 typically you could measure into the hundredths of a
10 gallon per minute leakage.

11 MEMBER BANERJEE: Hundreds of gallons.

12 MEMBER CORRADINI: Hundredths, .01.

13 MEMBER BANERJEE: Hundredths?

14 MEMBER CORRADINI: .01 galloon per minute.

15 MEMBER BANERJEE: So you can actually
16 monitor all the inflows and outflows and everything
17 down to .01 of a gallon?

18 MEMBER CORRADINI: It's monitored over a
19 time period. So you collect how much leakage you have
20 over like a 24-hour period. And then you do the mass
21 balance. And you can come up with changes of a couple
22 of hundredths of a gpm, you know, from one day to the
23 next. You can see that in the calculations. And
24 typically, though --

25 MEMBER BANERJEE: It depends on the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 accuracy with which you can measure various --

2 MEMBER CORRADINI: Yes, it does. It
3 depends on the accuracy of your measuring instruments
4 and, you know --

5 MEMBER MAYNARD: This has tech specs
6 associated with it, not only the instrumentation but
7 the requirements to do it. In addition to being able
8 to do the mass balance and leakage that way, if you
9 get a leak in this part of the system, you also have
10 radiation monitors and you have containment
11 temperature, containment pressure. You have a number
12 of other things that are going to alert you to a leak
13 from an area like this.

14 MEMBER CORRADINI: Right. You also have
15 your --

16 MEMBER BANERJEE: So just to go back to
17 this mass balance thing, when we had these leaks in
18 alloy 600 and alloy 600 welds, were such
19 leak-monitoring programs underway to do a mass balance
20 and detect the leaks?

21 MEMBER CORRADINI: Yes. Utilities have
22 used the mass balance for some time period. A very,
23 very small leak from an alloy 600 weld or an alloy 82
24 weld will probably not be detected in a mass balance.

25 MEMBER BANERJEE: So with Davis-Besse,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 would this have been detected or not?

2 MEMBER CORRADINI: I hate to speculate on
3 that because I don't really have the background
4 information on Davis-Besse to really answer that
5 question.

6 MR. SULLIVAN: We've done some
7 calculations of situations where a flaw goes from just
8 a pinhole. A circumferential flaw, for example, goes from a
9 pinhole to a longer flaw assuming that the overall
10 length is short enough to remain stable.

11 And we believe you get enough flow out of
12 a long, stable -- well, not a long -- a short -- can
13 anybody help me here? Dave?

14 MR. RUDLIN: Yes?

15 MR. SULLIVAN: You did some calculations
16 of leakage.

17 MR. RUDLIN: Right.

18 MR. SULLIVAN: Do you have some idea of
19 how long the flaw might have to be before you would
20 see something on the order of, say, .1 gpm?

21 MR. RUDLIN: It depends on the load and
22 monitoring factors.

23 MR. SULLIVAN: Did we do these
24 calculations assuming the Wolf Creek loads?

25 MR. RUDLIN: Yes, yes, but we didn't do

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 any calculations from obtainable type loads. We did
2 them for ideas like through-wall crack types.

3 MEMBER CORRADINI: Dave, I was going to
4 ask you. Is it safe to say that a leak rate would be
5 a high enough volume to detect before we encroached
6 rupture of a pipe?

7 MR. RUDLIN: The problem is that when you
8 have just the flaw just breaking through, the time
9 between the first pinhole to the time it becomes an
10 idea like a through-wall crack, it's probably going to
11 be very small. The growth in that little ligament
12 area is going to happen very, very quickly.

13 In the relief line type of calculation, a
14 surface crack was actually unstable. And so before
15 even leakage, the surface crack would have failed,
16 creating a large opening that would have been longer
17 than the critical through-wall crack size.

18 That was a specific unique case, I think,
19 with the relief line. I think in most of the other
20 cases, where the surface crack was stable until
21 leakage, there probably would be enough time for
22 detection before you can get the critical through-wall
23 cracks stopped.

24 MEMBER ARMIJO: Yes. Well, those kind of
25 details I think we have to address in the subcommittee

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 meeting. But I just want to ask one question. I'm
2 going to ask industry the same thing. Are you
3 convinced that these are cracks -- it's as simple as
4 that -- these are cracks and not just some other
5 anomaly, bad NDT signals or --

6 MR. SULLIVAN: I don't think we can say
7 that we are convinced because there is no destructive
8 examination data.

9 MEMBER ARMIJO: Right.

10 MR. SULLIVAN: But the analysts called it
11 as a multi-faceted indication, which this is the sort
12 of indication you can get from stress corrosion
13 cracking, although you don't necessarily only get it
14 from stress corrosion cracking.

15 I think the position of the regulatory
16 agency is we have to treat it as stress corrosion
17 cracking. It's the only sensible position for us to
18 take. We cannot be in a position of saying, "Well, we
19 don't know for sure. So we're going to treat it as
20 though it's not cracking."

21 MEMBER ARMIJO: I know that Wolf Creek did
22 not take a sample for metallographic examination.
23 Does anyone in the industry intend to do that if they
24 find something so you can put it to bed that this is
25 really PWSCC and not something else?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SULLIVAN: I think that maybe Alex or
2 someone --

3 MEMBER ARMIJO: Okay. Fine.

4 MR. SULLIVAN: -- can answer that question
5 in the next segment.

6 MEMBER ARMIJO: Any other questions?

7 (No response.)

8 MEMBER ARMIJO: Okay. Well, I think the
9 next speaker is -- where did we have our little -- who
10 is the next speaker? Is it Alex Marion? Yes. NEI.

11 MR. HAMMER: Sam, I understand that Duke,
12 the Duke representative is not here but that Alex
13 Marion is going to make the presentation.

14 MEMBER ARMIJO: Okay.

15 MR. HAMMER: NEI.

16 MR. MARION: Good afternoon. My name is
17 Alex Marion. I'm the Executive Director for Nuclear
18 Operations and Engineering at NEI. Mike Robinson was
19 scheduled to give this presentation, but he was unable
20 to attend because of weather conditions in the south.

21 I have with me Glenn White from Dominion
22 Engineering, one of the technical consultants that the
23 industry is using; and also Jim Riley, who is the
24 Director of Engineering of NEI. Hopefully Mike
25 Robinson is on the telephone. Mike, are you there?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ROBINSON: I am here, Alex.

2 MR. MARION: Good. And we also have
3 Christine King from EPRI on the phone as well.

4 MS. KING: That's right. I am here.

5 MR. MARION: So I have a team of four
6 people to keep me out of trouble.

7 MEMBER ARMIJO: Well, these are EPRI logo
8 charts.

9 MR. MARION: Yes.

10 MEMBER ARMIJO: But you are presenting for
11 everybody.

12 MR. MARION: Yes. The EPRI program, as
13 Ted Sullivan indicated, comes under the auspices of an
14 industry-wide initiative that was undertaken by the
15 Nuclear Energy Institute. And the EPRI materials
16 reliability project is one of the issued programs that
17 come within that program or within that initiative.
18 And their primary focus is on pressurized water
19 reactor piping systems and components relative to
20 degradation.

21 What I would like to do is offer the
22 industry perspective relative to this question of the
23 generic implications of the Wolf Creek inspection
24 findings. Let me just say that our position is that
25 the industry has put forth a very proactive management

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 program to assess the condition of alloy 82, 182 butt
2 welds and PWR primary systems. And we have developed
3 that with a focus on the more susceptible areas.

4 Basically the first phase involves the
5 welds located in the vicinity of the pressurizer. And
6 we have reevaluated the schedule and the focus of our
7 program, which is documented in MRP-139. And we do
8 not believe that we need to accelerate the schedule.

9 So fundamentally our first principle is
10 that we feel that the bases for MRP-139 inspection
11 program as well as the safety analysis that was
12 developed to support that inspection program remain
13 valid in light of the findings at Wolf Creek.

14 MEMBER ARMIJO: When that program was set
15 up, were you basing that on the existence of axial
16 cracking or did you have circumferential cracking also
17 in mind when you came up with these?

18 MR. MARION: I believe predominantly axial
19 cracking based upon the available information from
20 laboratory data as well as field experience on the
21 kind of cracking phenomena we have been experiencing
22 on an international basis. And all of that was
23 factored into the program that we have developed thus
24 far.

25 I don't know if Mike or Christine want to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 elaborate on that at all.

2 MR. ROBINSON: Just a quick comment, Alex.
3 When we put 139 together, we did assume axial cracks,
4 but we also went back and accounted for the fact that
5 certain cracks were very much a possibility. So 139
6 considers the possibility of both and circ cracks.

7 MR. MARION: Okay.

8 MEMBER ABDEL-KHALIK: Just to ask a
9 question about this enhanced leakage monitoring
10 program, what is being proposed here? Tightening tech
11 spec limits on unidentified leaks or --

12 MR. MARION: I will speak to that in a
13 little more detail later in the presentation if I can
14 defer that question.

15 MEMBER ABDEL-KHALIK: All right.

16 MR. MARION: Basically, as we indicated,
17 the pressurizer locations were the more susceptible
18 locations based upon the knowledge that was available
19 at the time that we put the program together. And
20 clearly they have our highest priority.

21 Fundamentally with regard to the Wolf
22 Creek findings, we think they're anomalous because
23 they're not validated or confirmed by any of the
24 previous findings in basically the worldwide
25 experience to date.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I will elaborate a little bit more on the
2 leakage monitoring programs, as I indicated
3 previously, but we think this is very important
4 because we as an industry believe safety needs to be
5 maintained and it is being maintained. And one of the
6 key aspects of doing that is to have an effective
7 responsive leakage monitoring program.

8 MEMBER ARMIJO: Just to make sure I
9 understand, you said you don't think these are valid.
10 Does that mean you still have doubts whether these are
11 cracks, that there may be just some NDT anomaly?

12 MR. MARION: Yes. Hindsight being 20/20,
13 we wish we had taken a boat sample at the time, but we
14 didn't.

15 MEMBER ARMIJO: Me, too.

16 MR. MARION: And so, as the staff
17 indicated, they feel that they're in the position
18 where they have no choice but to take a very
19 conservative stance relative to the inspection
20 findings of Wolf Creek. And because of their
21 uniqueness, we don't feel that we have to take the
22 same position.

23 There are discussions going on --

24 CHAIRMAN SHACK: That doesn't inspire
25 confidence in your inspection program, though, if you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 are that skeptical about the results.

2 MR. MARION: Well, the reason we're
3 skeptical about the results is because there wasn't a
4 sufficiently comprehensive NDE conducted to really
5 determine the depth size, et cetera. And that's a big
6 question that remains.

7 And the uniqueness of the indications on
8 -- was it five indications? -- basically averaged
9 anywhere from 22 to 33, 35 percent through all going
10 circumferentially around the pipe. And that has never
11 been seen before at all.

12 CHAIRMAN SHACK: But, I mean, that is
13 fairly typical of a crack in a weld. You know, we
14 have core shrouds cracked partway through by the foot.
15 You know, there must be -- well, make it the
16 kilometer.

17 MEMBER ARMIJO: Yes. In BWR pipe cracks,
18 we have had multiple indications and --

19 MR. RILEY: This is Jim Riley, NEI. A
20 couple of the reasons that we felt this was unusual is
21 that there was no axial component to these. And where
22 we have been predicting axial all along kind of being
23 inspected degradation pipe, there was no axial
24 component here.

25 And, in addition, we found all of these

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 indications at basically the same place, through-wall,
2 which is a little curious also because if they are
3 cracks and if they are growing rapidly, to find this
4 many at basically 20-some percent through-wall, all at
5 a snapshot in time, is unusual.

6 MEMBER ARMIJO: Not for BWR piping. We
7 have certainly seen that kind of circumferential
8 cracking, that depth, also hard sizes on BWR pipe
9 cracking and --

10 MR. RILEY: Did you find them all about
11 the same depth at the same time?

12 MEMBER ARMIJO: Sure, sure.

13 CHAIRMAN SHACK: That is exactly what I
14 would expect, actually, from stress corrosion cracks
15 in a pipe weld.

16 MR. RILEY: They would all be growing on
17 a basis we started at the same time growing at the
18 same --

19 CHAIRMAN SHACK: No. That they slow down
20 as they go through the weld. And now the guess is,
21 have they stopped or have they just slowed down?

22 PARTICIPANT: They're growing laterally.

23 CHAIRMAN SHACK: So they're going to
24 around and spread and initiate around. So you're
25 going to get long cracks growing slowly through the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 wall. But now the question is, how slow is slow and
2 how long?

3 MR. MARION: Well, if I am not mistaken,
4 we're talking about different materials and different
5 forms of degradation.

6 MEMBER ARMIJO: I don't think so. They're
7 definitely different materials.

8 CHAIRMAN SHACK: It is a residual stress,
9 and it is a stress corrosion crack.

10 MEMBER ARMIJO: Unless you're sure it's
11 not a stress corrosion crack by virtue of that you
12 don't have confidence in your NDT methods, then you've
13 got to assume that it is, I guess.

14 Go ahead.

15 MS. KING: This is Christine King. I
16 would like to offer one other point relative to this
17 being an anomalous indication. We have recently taken
18 samples out of the North Anna Unit 2 reactor vessel
19 head and cut into them.

20 And those were indications that were
21 called large circumferential flaws as well. When we
22 actually cut into those flaws, what we found was a
23 repair that had intruded into the nozzle. And that's
24 what was actually found and called by the NDE.

25 We had similar -- it had facets and things

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 like that. So it's not that we don't have confidence
2 in our NDE, but sometimes you do get a repair that by
3 a UT method looks as if it is a PWSCC flaw.

4 MEMBER ARMIJO: Well, let me tell you I
5 was involved in BWR pipe cracking at the very
6 beginning of that problem. And I can't tell you how
7 many times people said we had an anomalous finding,
8 one of a kind, and it turned out to be a major problem
9 for the industry. So I think the prudent thing to do
10 is assume they're real until you prove that they're
11 not real cracks. And you're going to save yourself a
12 lot of money in the long run.

13 MR. ROBINSON: Alex, just one other
14 comment. You know, the cracks at the indication at
15 Wolf Creek aren't the first indications of cracking in
16 these pressurizer nozzle locations.

17 There are, I think, if memory serves me
18 correctly, about 20 worldwide other occurrences where
19 cracking has been found in these locations. And when
20 you go back and look at the indications that were
21 reported from the other 20 or 17 locations, you find
22 that most of those were axial in orientation.

23 You also find that where there were other
24 circ cracks, they were much smaller in scale. But
25 they also had an accompanying axial component, which,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 again, there were other reasons why we believe that
2 part of what we're seeing here at Wolf Creek really
3 doesn't fit the model of what we have seen elsewhere.

4 MEMBER ARMIJO: Yes, but nature doesn't
5 feel it has to fit your model. It does what it wants.
6 And then your model has to fit the data. Anyway, go
7 on.

8 MR. MARION: That's a point well-taken.
9 Thank you. I would like to move on with the
10 presentation material because I only have 40 more
11 slides to go in the next 5 minutes.

12 All pressurized water reactors will have
13 inspected or mitigated pressurizer locations by their
14 next normally scheduled refueling outage, which is
15 less than 16 months away. Let me offer another
16 perspective. And we'll get into details on this when
17 we have the subcommittee meeting.

18 If you look at the timeline of activity
19 and when MRP-139 was issued where plants were in their
20 outage cycles, regardless of whether 18-month or
21 24-month cycle, and you look at the timeline and you
22 could see clearly that not everybody was going to
23 complete the inspections by the end of 2007, we
24 recognize that on the front end. And the December 31,
25 2007 was from the industry perspective a reasonable

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 date to basically put on the table as a goal to be
2 achieved, but we recognize everyone couldn't meet that
3 goal.

4 CHAIRMAN SHACK: When will everybody meet
5 that goal under your plan?

6 MR. MARION: The utilities that have
7 planned to do inspections in 2008 have evaluated their
8 justification and rationale for not meeting the goal.
9 And that evaluation has been reviewed independently by
10 the utilities.

11 MR. ROBINSON: Alex, a more direct answer,
12 right now there are nine plants that are planning to
13 do either inspection or litigation in the spring, in
14 the Spring 2008. There is one plant that has an
15 outage scheduled the first week of February 2008,
16 three plants that have outages scheduled for the first
17 week of March of 2008, a fourth plant that has outages
18 scheduled in April of 2008. And the last plant that
19 has an outage to do with this particular material and
20 this issue occurs in early June 2008.

21 CHAIRMAN SHACK: Thank you.

22 MR. MARION: All right. One other thing
23 that had come up is the NRC was concerned about not
24 having specific information on what utilities have
25 completed relative to this inspection program, nor do

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 they have complete information relative to what
2 utilities were planning to do under this program.

3 And so all the utilities have agreed to
4 submit letters to the NRC. And those letters were to
5 be in by the 31st of January articulating the status
6 of their inspection results or mitigation results to
7 date as well as their plans going forward.

8 And to date all plants have completed bare
9 metal visual examinations. And a number of them have
10 already completed volumetric examinations.

11 This graphic represents the inspection
12 mitigation plans by plant. We already talked about
13 the utilities that do not have the susceptible
14 material. There are four plants that have replaced
15 their pressurizer. And the material that they're
16 using in the weld is nonsusceptible material.

17 Inspections have been completed at two
18 plants thus far. Mitigation has been completed at 11.
19 And I'm not going to go through all the statistics
20 because of lack of time. You have that information.

21 But I think this represents a very
22 disciplined, balanced approach to executing this
23 inspection program.

24 MEMBER ARMIJO: If any of these people
25 find circumferential cracking of a reasonable size, is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there any new requirement to get a bolt sample so you
2 can confirm what the mechanism is?

3 MR. MARION: That's an excellent question.
4 One of the things that we're doing with this program
5 is conducting lessons learned after each of the outage
6 campaigns.

7 And we just completed evaluating potential
8 lessons learned from the Fall 2006 outages. We're
9 going to do the same thing in the spring of this year
10 as well as possibly in the fall of this year.

11 And we clearly recognize that we needed to
12 improve on the communication, the communication from
13 the individual utility at the time that they find an
14 inspection indication or inspection result that calls
15 into question some of the fundamental assumptions we
16 have already made.

17 And we have positioned the industry
18 resources to be responsive to that particular utility
19 so they can do an evaluation and provide some
20 recommendations on what the utility should do going
21 forward. And we're trying to set that up so it's very
22 timely.

23 There were communications that were
24 conducted as a result of the Wolf Creek inspection
25 findings. But, quite frankly, we feel that we can

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 improve on that process. And so we have that in
2 place.

3 I will never say never, but I can tell you
4 that we're putting whatever checks and balances we
5 need going forward so that we can identify these
6 findings right away, communicate them to the right
7 technical resources within industry, and then provide
8 some guidance to utility in the middle of an outage so
9 they can make an informed decision.

10 CHAIRMAN SHACK: How about a standby team
11 ready to --

12 MEMBER BONACA: One question I have, I
13 think one important element in the timing of
14 inspection would be in my judgment how long has it
15 been since a utility has done volumetric inspection of
16 its own pressurizer flaws? I mean, are you
17 considering that?

18 MR. MARION: Yes.

19 MEMBER BONACA: Okay.

20 MR. MARION: Yes. We've asked the
21 utilities to look at the documentation they may have
22 relative to the fabrication of the original welds as
23 well as the results of inspections that were conducted
24 previously. And we talked about a little bit during
25 Ted Sullivan's presentation on the ten-year ISI.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 As I mentioned before -- and I am going to
2 go through these quickly because I want to try to --

3 MEMBER ABDEL-KHALIK: Excuse me. Would
4 you, then, have a modified graph like the one you have
5 on this previous slide that shows time between the
6 planned inspection and the last inspection?

7 MR. MARION: We can provide that
8 information. We'll make that a slide for the
9 subcommittee meeting later this month if that's okay.

10 MR. ROBINSON: Alex, just a point along
11 that line also. Part of the reason most are going
12 straight to mitigation, as opposed to trying to do
13 inspection, is simply because many configurations that
14 currently exist in the plants are not inspectable.

15 The current PDI, you know, your protocol,
16 we may have I'm sure also have done inspections, but
17 the question remains how many have done? You have the
18 PDI-qualified inspections, which is the rules we're
19 playing by.

20 MEMBER MAYNARD: We didn't hang up on him.

21 CHAIRMAN SHACK: You are right. The
22 conference lasts an hour, right.

23 MR. MARION: Okay. So I'll move on.

24 Enhanced leakage monitoring. There are a couple of
25 things in place. What the utilities had communicated

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to the NRC was their current enhanced leakage
2 monitoring program.

3 Now, that program goes well beyond what's
4 in the tech specs primarily because of lessons learned
5 from the Davis-Besse experience. And I have a graphic
6 that will speak to that in a little more detail.

7 Additionally, INPO was conducting review
8 visits of the utility programs relative to managing
9 degradation of primary system components. And one key
10 aspect of that is an effective leakage monitoring
11 program.

12 The data we have collected thus far for
13 the 2007 and 2008 plants indicating that the utilities
14 are taking action up to around .3 gpm, that's .3
15 gallons per minute unidentified leakage.

16 CHAIRMAN SHACK: But Davis-Besse was like
17 .1 to .2, right?

18 MR. MARION: No. I think it was like .6.
19 Wasn't that the average? I'm sure the NRC can speak
20 to that at the meeting, the next meeting of the
21 subcommittee.

22 The Westinghouse Owners' Group has
23 developed some guidance on an enhanced leakage
24 monitoring program. And that guidance is currently
25 being evaluated by the Pressurized Water Reactor

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Owners' Group. And they understand quite well what
2 the NRC staff expectations are relative to the action
3 levels, specifically taking shutdown action at certain
4 thresholds.

5 The way our program is set up, we allow
6 the issue programs the opportunity to determine what
7 positions they want to take that become mandatory for
8 all of the utilities that are affected by that
9 particular program. That's something that's in play.
10 And we expect that to be resolved within the next
11 month or so. But that group is taking a serious look
12 at these programs.

13 This represents the results of a quick and
14 dirty survey we took based upon responses from 44 of
15 the 69 plants. It gives you a range of the thresholds
16 that they have in their programs to date.

17 When we refer to the baseline, each --
18 well, not each one, but there are different baselines
19 that people are using based upon the current
20 conditions or leak rates from the last inspection, et
21 cetera. So it is a little bit of a variable. But
22 these are the action thresholds, if you will. And we
23 will hopefully have more data on this as we prepare
24 for the subcommittee meeting on the 21st.

25 The real big issue between the industry

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and the NRC is the fact that we think there is
2 adequate time between leakage and failure of the pipe
3 such that appropriate corrective action can be taken
4 by the utility.

5 We did duplicate, if you will, for lack of
6 a better term, -- and if I'm saying an incorrect term
7 from an analyst's point of view, I expect to be
8 corrected. We did duplicate the NRC analysis and came
9 up with relatively similar conclusions.

10 But we feel that a more detailed analysis
11 would be warranted. And we, quite frankly, believe
12 that it may indicate that there is additional margin
13 between leakage and rupture.

14 Now, the industry is prepared to deal with
15 the results of this analysis. And if the results show
16 there is additional margin, then that information will
17 be provided to the NRC, but if the results show that
18 nothing has changed from what we have already
19 concluded, then the utilities will take appropriate
20 action.

21 The point of doing this analysis is to
22 make sure that we have the best information available
23 to the utilities so they can make the best decision
24 they possibly can as to whether or not they should
25 continue with their current plans to do inspections in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 2008 or possibly expedite those inspections by doing
2 some in 2007.

3 I can tell you right now my own personal
4 opinion, for what it's worth, I don't think all nine
5 plans can do inspections in 2007. I don't believe we
6 have the infrastructure. I don't believe the good
7 conditions will allow it above and beyond what's
8 currently planned for 2007, but that's a personal
9 opinion at this point.

10 I don't know if Glenn wants to add
11 anything relative to this non-linear finite element
12 analysis. We just started the work. We had already
13 indicated to the staff that as we go through this
14 technical work, we will be engaging them and keeping
15 them apprised of what assumptions we're making, what
16 load conditions we're considering, et cetera.

17 And our objective is to try to get this
18 analysis completed midsummer so that we can
19 communicate the results to the utilities again so they
20 can make an informed decision on what their actions
21 ought to be going forward.

22 MEMBER ABDEL-KHALIK: I guess that my
23 understanding is that the time period that the
24 unidentified leak remains unidentified in tech spec is
25 relatively short before the operator if the leak

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 remains unidentified for a relatively short period of
2 time, meaning a day or so, then the operator has to
3 take some action.

4 So that time period seems to be
5 significantly shorter than the accuracy of any
6 modeling that you come up with. So I am not sure what
7 are you gaining by sort of sharpening your pencils as
8 far as the models are concerned?

9 MR. WHITE: The main question at issue is
10 whether you're going to have a through-wall flaw that
11 can leak at all before there is a rupture of the weld.
12 If one has a large enough crack that does not
13 penetrate through the entire thickness, that could
14 still cause a rupture directly with no opportunity at
15 all for detection of leakage.

16 MR. ROBINSON: This again is Mike. But I
17 think it's important to point out if you look back up
18 on slide 8, there's a reference to a Palisades and a
19 Tsaruga 2 event. And both of those are in these small
20 bore lines that we're talking about.

21 And what the experience there showed us is
22 we had small leaks that were identified on plant
23 instrumentation and plant walk-downs. And these are
24 the same lines that we're talking about. There's
25 essentially being a very small increment of time

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 between leakage and pipe failure.

2 So here are two clear examples where that
3 is not the case.

4 MR. WHITE: I would add a few comments to
5 follow up on Alex. The program that we are in now
6 Alex mentioned we just started. It's a five-month
7 program, but within the first month, we will have
8 results. The whole five-month period is to allow time
9 for reaching consensus on assumptions to look at
10 sensitivity cases, to look closely at the conditions
11 for the nine plants that are most at issue that are
12 planning to do mitigation in Spring of '08.

13 So it's a program that is intended to
14 bring in experts within the industry on the NRC side,
15 outside the industry together to look towards bounding
16 calculations and towards consensus. It's not intended
17 to be another scoping calculation.

18 MEMBER ARMIJO: Exactly what is this
19 analysis is expected to change, for example, the
20 geometry of the growing track?

21 MR. WHITE: There are two main things that
22 we are looking at. The first item is the shape of the
23 crack. Previous calculations have assumed it stays as
24 a semi-ellipse and driven by crack growth at the
25 deepest point and the surface point, which were

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 assumed to have relatively high stresses in comparison
2 to the stresses at other points along the crack front.

3 So, in reality, the crack shape is going
4 to change. And preliminary work indicates it can be
5 a significantly smaller cross-sectional area of that
6 crack when it reaches through-wall penetration versus
7 this semi-ellipse assumption. So it's a technical
8 assumption.

9 CHAIRMAN SHACK: But how are you going to
10 handle the range of residual stresses that you --

11 MR. WHITE: That's the second part that
12 we're looking at. That is to a multi-prong approach.
13 We have done many calculations simulating welding
14 residual stress in the past. We're going to build on
15 that to look specifically at these nine plants at
16 issue.

17 On top of that, we're going to look at
18 more sensitivity cases and then use that as the basis
19 for sensitivity cases, different magnitude, residual
20 stresses, different profiles through the wall,
21 different profiles around their circumference, and to
22 look at enough cases to build consensus that we have
23 sufficient assurance about how these cracks should
24 grow.

25 CHAIRMAN SHACK: I can understand you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 getting probablistic results. I have a hard time
2 believing you'll get a bounding result that you can
3 live with.

4 MR. WHITE: Well, we want to have
5 sufficient confidence in our result in order to --

6 CHAIRMAN SHACK: It will be interesting.

7 MR. MARION: Okay. In conclusion, we
8 fully understand NRC concerns with regard to recent
9 inspection results and their basis for extending those
10 concerns to the remainder of the fleet. But we
11 fundamentally think that the NRC's position is
12 extremely conservative.

13 I talked about the letters that utilities
14 have submitted to the NRC. So the NRC now has
15 docketed commitments, if you will, of what the plans
16 are for those utilities to conduct inspection
17 mitigation in 2007 and 2008.

18 As I mentioned before, the program we have
19 laid out in MRP-139 we continue to believe is valid,
20 reasonable, and is responsive to our understanding of
21 this important degradation mechanism.

22 And, lastly, we believe that the plants
23 are still in a position where they can continue to
24 operate safely until the next refueling outage when
25 the inspection and mitigation activity is completed.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And that concludes my presentation. I
2 would like to speak to the one question that was
3 raised about opportunities to conduct destructive
4 examination of the Wolf Creek.

5 We have had some discussions with the
6 management of Wolf Creek along those lines. And the
7 discussions are still in play. I am not at liberty to
8 suggest any conclusion.

9 I think Wolf Creek's next rescheduled
10 outage is the Fall of 2008 if my memory serves me
11 right. And, as we progress, once a decision is made
12 relative to what Wolf Creek may do or may not do, we
13 will be more than happy to communicate that with this
14 Committee and the NRC staff. The decision at this
15 point rests with Wolf Creek management.

16 Okay. That completes my presentation. I
17 will be more than happy to answer any --

18 MEMBER MAYNARD: One other thing I think
19 needs to be factored into this if we look at
20 accelerating schedules is there are limited resources
21 that can do a quality job in both the inspection and
22 especially in the mitigation of these.

23 And I think we need to be careful we don't
24 overstretch the resources. I think it's important to
25 get these things mitigated correctly, rather than just

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 toss a whole bunch of money or something.

2 MR. MARION: I would just add, speak to
3 Mr. Maynard's comments. We have spoken with key
4 vendors who support these inspections. One can always
5 conclude that you could squeeze another inspection or
6 mitigation activity in in the middle of summer, but
7 the question is whether you can implement that outage
8 in the middle of the summer, when you need the
9 electricity. And so that's one of the --

10 MR. ROBINSON: This is Mike. What we're
11 talking about, to do a typical overlay of these
12 nozzles on a pressurizer, you're talking about a
13 minimum of roughly 30 days from the time you shut the
14 plant down, get it into a condition where you can do
15 the overlay, perform the overlay, perform the work,
16 demode the area, and then put the unit backbone,
17 you're talking about roughly a good 30-day period.
18 And that assumes you don't have any rework or other
19 issues that you encounter as you're going through the
20 project itself.

21 MR. RILEY: There's a myriad of other
22 considerations that come to play here. The dose
23 considerations are one. You can fit so many of these
24 in based on the resources of being able to do the
25 overlay. But these overlays actually hold quite a bit

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of dose. And the people who are the folks who do the
2 overlay are --

3 MEMBER ARMIJO: Plant to plant.

4 MR. RILEY: -- limited from that
5 perspective. And it can be pretty significant.

6 Another thing that --

7 MEMBER ARMIJO: I just want to make clear
8 basically everybody who is doing the inspection is
9 going to be prepared or plan to do an overlay anyway.

10 MR. MARION: The majority of utilities are
11 planning to do overlays. There are only two that
12 we're aware of who are planning to do inspections.
13 And those are going to be conducted this year, in
14 2007.

15 MEMBER ARMIJO: So they go in. They do an
16 inspection hoping or anticipating there would be no
17 findings of concern.

18 MR. ROBINSON: I think what you would find
19 is that the smart way to plan these if you just plan
20 to do the inspection is you do have a contingency to
21 bring in a vendor should your inspection results find
22 something. So I don't think anybody would plan to do
23 an inspection without having a pretty well-thought-out
24 and planned overlay as a backup.

25 MEMBER ARMIJO: That's what I expected.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I just want to make sure.

2 MEMBER MAYNARD: I know at Wolf Creek, the
3 original plan had been to inspect and have a
4 contingency plan. Actually, the cost of having
5 resources standing by turned out to be about as much
6 as going ahead and planning the mitigation. So I
7 believe they made the decision to go straight to
8 mitigation because it didn't cost that much more.

9 MEMBER ARMIJO: Okay. If there aren't any
10 other questions, Mr. Chairman, it's all yours.

11 CHAIRMAN SHACK: Thank you very much for
12 a good presentation. Let's see where we're at. It's
13 back to you, Otto, for our work on the reg guides and
14 SRP sections, our favorite topic.

15 MEMBER MAYNARD: Our favorite topic here.
16 I'm sorry. Do we need the recorder?

17 CHAIRMAN SHACK: We don't need the
18 recorder any more this afternoon.

19 (Whereupon, the foregoing matter was
20 concluded at 2:19 p.m.)

21

22

23

24

25