

*Official Transcript of Proceedings*

*NRC LSA R REGULATORY COMMISSION*

Title: Advisory Committee on Reactor  
Safeguards 551st Meeting

Docket Number: (n/a)

Location: Rockville, Maryland

Date: Friday, April 11, 2008

Work Order No.: NRC-2115

Pages 1-122

**NEAL R. GROSS AND CO., INC.**  
**Court Reporters and Transcribers**  
**1323 Rhode Island Avenue, N.W.**  
**Washington, D.C. 20005**  
**(202) 234-4433**

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

551TH MEETING

ADVISORY COMMITTEE ON REACTOR SAFEGUARD

(ACRS)

+ + + + +

FRIDAY

APRIL 11, 2008

+ + + + +

ROCKVILLE, MARYLAND

The Advisory Committee met at the Nuclear  
 Regulatory Commission, Two White Flint North, Room  
 T2B3, 11545 Rockville Pike, at 8:30 a.m., Dr. William  
 J. Shack, Chairman, presiding.

## 1 COMMITTEE MEMBERS:

2 WILLIAM J. SHACK, Chairman

3 MARIO V. BONACA, Vice-Chair

4 SAID I. ABDEL-KHALIK, Member-at-Large

5 GEORGE E. APOSTOLAKIS, Member

6 J. SAM ARMIJO, Member

7 SANJOY BANERJEE, Member

8 DENNIS C. BLEY, Member

9 MICHAEL CORRADINI, Member

10 OTTO L. MAYNARD, Member

11 DANA A. POWERS, Member

12 JOHN D. SIEBER, Member

13 JOHN W. STETKAR, Member

14

15

16

17

18

19

20

21

22

23

24

25

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

## I-N-D-E-X

1		
2		<u>PAGE</u>
3	<b>OPENING</b>	
4	Chairman Shack	4
5	<b>INTRODUCTION</b>	
6	Dr. Apostolakis	4
7	<b>PRESENTATIONS</b>	
8	<b>BY THE STAFF:</b>	
9	<u>Digital I&amp;C</u>	
10	Mr. John Grobe	
11	Steering Committee Review	6
12	Mr. Mario Gareri	
13	Review of Cyber Security	22
14	Mr. Paul Loeser	
15	Review of Licensing Process	37
16	Mr. Glenn B. Kelly	
17	Review of New Reactor DI&C PRAs	53
18	Mr. Michael E. Waterman	
19	Review of Operational Experience	
20	And Clarification of Digital Systems	66
21	<b>BY NEI:</b>	
22	Mr. Gordon Clefton	
23	Digital Instrument & Controls	
24	Industry View	80
25		

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

**BY EPRI:**

Industry Review of Operational Experience

Mr. Ray Torok 94

Mr. Bruce Geddes 104

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

P-R-O-C-E-E-D-I-N-G-S

8:30 a.m.

CHAIRMAN SHACK: The meeting will now come to order. This is the second day of the 551st meeting of the Advisory Committee on Reactor Safeguards. During today's meeting, the Committee will consider the following: Digital I&C Interim Staff Guidance and Related Matters; Future ACRS Activities and Report of the Planning and Procedures Subcommittee; Reconciliation of ACRS Comments and Recommendations; and Preparation of ACRS Reports.

This meeting is being conducted in accordance with the provisions of the Federal Advisory Committee Act. Mr. Tanny Santos is the designated federal official for the initial portion of the meeting. We have received no written comments or requests of time to make oral statements from members of the public regarding today's session. A transcript of a portion of the meeting is being kept, and it is requested that the speakers use one of the microphones, identify themselves, and speak with sufficient clarity and volume so they can be readily heard.

Just passing out a daily announcement that most of you have probably already heard that Bill

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 Borchard is succeeding Luis Reyes as the EDO, so a new  
2 leadership at the NRC.

3 Our first item this morning will be the  
4 interim staff guidance and George will be leading us  
5 through that. So, George, turn it over to you.

6 DR. APOSTOLAKIS: The subject is digital  
7 instrumentation and control. We had a subcommittee  
8 meeting on March 20<sup>th</sup> where the staff presented their  
9 work and we had detailed discussions.

10 There are three segments that remain  
11 subject of today's meeting. There is interim staff  
12 guidance on cyber security, on the licensing process,  
13 and new reactor digital I&C PRAs. Naturally, most of  
14 the discussion was on the last one, the PRA one, but  
15 we also had some comments on the cyber security. The  
16 one on the licensing process is more or less straight  
17 forward. We just tell the industry what they should  
18 be submitting and when. So, for a change, the  
19 subcommittee didn't have much to say about that.

20 We received a memo from the staff after  
21 the subcommittee, I don't know if everybody has that,  
22 where they list a number of the comments we made and  
23 how they plan to handle them. But they also promised  
24 to do that today, so you don't necessarily have to  
25 look at that memo. But if you want it, we will not

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 give it to you.

2 (Laughter.)

3 DR. APOSTOLAKIS: As I said, the one that  
4 was discussed the most was the PRA one and that  
5 shouldn't be a surprise to the Committee. By the way,  
6 the members present were Jack, John, and Dennis, and  
7 we had our consultant there, Myron Hecht, from Los  
8 Angeles.

9 The staff is expecting a letter on the  
10 three ISGs. Although today, we'll also have a  
11 presentation on the operating experience review and  
12 categorization of systems. The industry will also  
13 make some comments, but I don't think we should write  
14 a letter on these items.

15 So, without further ado, Mr. Grobe.

16 MR. GROBE: Thank you very much, George.

17 My name is Jack Grobe. I'm Associate  
18 Director for Engineering and Safety Systems in the  
19 Office of Nuclear Reactor Regulation. I first want to  
20 compliment the ACRS on the diversity and defense and  
21 depth in their digital video display units. It's  
22 pretty impressive.

23 (Laughter.)

24 MR. GROBE: We'll see if we have a common  
25 cause failure during this meeting. I want to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 introduce Stu Bailey. You met Belkys Sosa previously.  
2 Belkys was an acting person in providing some  
3 leadership for the digital activities. We determined  
4 that we needed more stability in that area, so we  
5 created a new deputy director position in the division  
6 of engineering in NRR and Stu Bailey was selected to  
7 fill that.

8 Stu's primary responsibility is to provide  
9 leadership for the digital activities and the steering  
10 committee interface. So he's here today to answer any  
11 questions that you have and I'm going to give a little  
12 presentation. So all the tough directions go directly  
13 to Stu.

14 Next slide, please.

15 I just wanted to summarize a brief  
16 background since we haven't been here for a while.  
17 The steering committee was formed after a November  
18 2006 commission meeting. At that time, it wasn't  
19 clear that we were on a success path for integrating  
20 all of the activities of the agency. So the steering  
21 committee was formed with five senior executives, one  
22 from each of NRR, NRO, research, NCER, and NMSS.

23 The goal of the steering committee is to  
24 provide strategic direction to the activities, the  
25 agency, and the digital I&C area to ensure that the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 offices are properly integrating to solve the problems  
2 and to ensure that we're having effective  
3 communication and interaction with our external  
4 stakeholders on the issues.

5 There are seven task working groups that  
6 support the activities of the steering committee. Six  
7 are led by managers in the various offices. One is  
8 led by a senior staff member. Overall, there's more  
9 than 50 staff involved in the task working groups.  
10 The industry has created a shadow organization to our  
11 organization and they've established interfaces and  
12 lead individuals so that that facilitates effective  
13 communication.

14 Within the seven TWGs we have defined with  
15 the industry 25 specific problems. Not all problems  
16 are created equally. Some of them are very complex  
17 and detailed. Some of them are simpler.

18 We're developing interim guidance to  
19 resolve each of those problems. To date there's been  
20 four interim staff guidance documents issued and those  
21 resolve 10 of the 25 problems. You saw three of those  
22 last time we met in October. That was the interim  
23 staff guide on diversity and defense of depth and the  
24 two interim staff guides on highly integrated control  
25 rooms, one dealing with communications and the other

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 dealing with human factors.

2 The fourth interim staff guide that was issued  
3 has not yet been reviewed by the ACRS full committee  
4 and that's the one on cyber security. We'll be  
5 talking about that today. In addition, there's two  
6 interim staff guidance that are in draft, and you'll  
7 see those also today, and those resolve an additional  
8 five problems. So 15 of 25 problems are either  
9 resolved or well on the way to being resolved.

10 Next slide.

11 Since last October, which is the last time  
12 we met, we've had 18 public meetings of the task  
13 working groups, three public steering committee  
14 meetings, and we have established the seventh TWG on  
15 fuel cycle issue. Fuel cycle was not making  
16 sufficient progress to clarify the specific issues  
17 that they needed to resolve, so there's now a separate  
18 task working group. They've got their problems  
19 defined in collaboration with the industry and they're  
20 moving forward.

21 The two draft interim staff guides, as  
22 George mentioned that we'll be discussing today, are  
23 probabilistic risk assessment. That's primarily  
24 focused on new reactors, because new reactors are  
25 required to have PRAs in their requirements for the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Part 52 for the combined operating license. The  
2 guidance is equally applicable to operating reactors,  
3 but the focus of interim staff guide is for new  
4 reactors to support the COL process as well as the  
5 licensing process.

6 Mario Gareri is the lead of TWG 1 on cyber  
7 and he'll be discussing cyber security. Glenn Kelly  
8 was one of the principle authors of the probabilistic  
9 risk assessment guidance and he'll be presenting that  
10 material. Paul Loeser will be discussing licensing  
11 process, and then Mike Waterman will be talking about  
12 operating experience and classification of digital  
13 systems.

14 As George mentioned, we'd appreciate a  
15 letter. We appreciated the last letter we got after  
16 the October meeting. There were two actions in that  
17 letter that are not yet resolved.

18 One is the issue on developing some  
19 guidance for how to evaluate operator reactions that  
20 are less than 30 minutes. There's been extensive work  
21 on that. It's ongoing. It's not yet brought to  
22 closure.

23 And the other one is the spurious  
24 actuations question. The digital diversity in defense  
25 and depth task working group has that one for action

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 and they're working on it.

2 So we look forward to a letter on this  
3 issue. I'm not sure if there'll be time, but during  
4 the PRA discussion it would be helpful if we got into  
5 a little bit of a discussion on whether or not the  
6 state of PRA would support relaxation of some of the  
7 diversity requirements. It's not on the agenda  
8 specifically, but we'd be interested in your insights  
9 on that as well.

10 Next slide.

11 We've revised our project plan last month  
12 to bring more clarity to the long term actions.  
13 There's 17 long term actions which will bring the  
14 interim guidance to final guidance, and that final  
15 guidance will either take the form of a revision of an  
16 industry guide, for example, an IEEE standard or  
17 something of that nature, an issuance of a NUREG,  
18 revision of a regulatory guides, revision of the  
19 standard review plan. There's a variety of formal  
20 infrastructure documents that will be revised to deal  
21 with these issues. Those are all now captured in the  
22 project plan.

23 We've also received four industry reports.

24 There's a variety of industry white papers that  
25 they're preparing. Four have been received and are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 under review or the review has been completed. As  
2 George mentioned, we met with the subcommittee and  
3 we've met several times with the subcommittee, and we  
4 just met with the Commission I guess it was Monday,  
5 things go quickly, and got support from the  
6 Commission.

7 The only action item they were focusing on  
8 for the staff was the need for staff training for our  
9 operations activities for the new reactors, developing  
10 our simulator training facilities. In Chattanooga we  
11 have four simulators with analog control rooms and the  
12 Commission wanted more detail on our preparation to  
13 train our operations staff on the digital control  
14 rooms. So we'll be looking at developing some plans  
15 for what could be quite large expenditures to update  
16 the technical training facility with digital control  
17 rooms.

18 Next slide.

19 We have a number of remaining interim  
20 staff guides. Licensing process you're going to hear  
21 about today as licensing process information for  
22 operating reactors. The Part 52 process is different  
23 than the Part 50 process.

24 Part 52 includes design acceptance  
25 criteria and inspection tests and analysis -- analysis

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 and acceptance criteria, ITEC. That process is  
2 different. It will require some difference guidance,  
3 so we'll likely be developing a companion document for  
4 new reactors in the licensing process area. And once  
5 we finish the new requirements on security, as well as  
6 the regulatory guidance for cyber security, we'll be  
7 updating the licensing process in both areas to  
8 incorporate necessary expectations in the cyber area.

9 I already talked about manual operator  
10 reactions. Fuel cycle facilities is just now getting  
11 underway, so that'll be issued later this year. And  
12 then I already mentioned the cyber.

13 As we're using these interim staff guides,  
14 we have a number of activities that are underway that  
15 are using the interim staff guides. We have a topical  
16 report on priority modules that's being reviewed. We  
17 have the Oconee full retrofit application that's being  
18 reviewed, and we're applying all these interim staff  
19 guides for the first time in those areas, as well as  
20 some topical reports for new reactors.

21 As we get feedback on the usefulness and  
22 clarity of the guidance, if necessary we'll revise  
23 those. If necessary, from industry feedback, we'll  
24 revise the guidance. But the real focus, the goal  
25 line is to get these into the formal infrastructure.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 If they're minor issues, we'll probably not revise the  
2 interim guidance. We'll just incorporate those minor  
3 issues into the final guidance.

4 Next slide.

5 As I mentioned, the goal, nirvana here, is  
6 to -- my screen is burping here and you're are not, so  
7 thank God for diversity. The goal is to retire the  
8 interim staff guide. We're meeting and we have been  
9 meeting regularly with the subcommittee and I think  
10 this is our third meeting with the full committee.  
11 These meeting are not required, but there are required  
12 meetings in the standard agency processes for updating  
13 standard review plans, reg guides, things of that  
14 nature, so we will be coming back to you again in each  
15 of these area.

16 I think that completes my remarks. We'd  
17 be glad to answer any questions that you might have.  
18 Actually, Stu will answer the questions.

19 DR. POWERS: I really appreciated this  
20 overview you've provided. It's obvious that you've  
21 got a very disciplined program moving forward to  
22 resolve the 25 issues you've identified on a  
23 relatively short term basis.

24 My question for you is, who's your  
25 counterpart within research that's thinking about the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 20 year time frame?

2 MR. GROBE: Interesting question. The  
3 steering committee member in research Jennifer Uhle.  
4 She's director of division of engineering and  
5 research. Rick Croteau, her deputy, is very actively  
6 involved. Right now the Office of Research is looking  
7 at the long term, and it's not 20 year, it's long term  
8 meaning five to ten year time frame, research plan.

9 That research plan has been in existence  
10 for a number of years. We've been working on it.  
11 It's time to revisit it because we have much more  
12 clarity on our needs. So there's an integrated effort  
13 to --

14 DR. POWERS: That's what motivates the  
15 question is it seems like you had a very clear plan  
16 for this 2009, 2010 type time frame.

17 MR. GROBE: Right.

18 DR. POWERS: And you have seen that  
19 there's some challenges you face in the differences  
20 between reactors and fuel facilities here that maybe  
21 was not appreciated as much --

22 MR. GROBE: Right.

23 DR. POWERS: -- in past as it is now. And  
24 so I'm wondering if there is any -- no. Who's paying  
25 attention to saying, well, this is all going to change

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 faster than you guys can get out reg guides. And so  
2 what does that -- which would be my aiming point at 20  
3 years.

4 MR. GROBE: Two points, Dana. It's a very  
5 interesting issue. If the industry were applying 2000  
6 technology to the new reactors and operating reactors,  
7 our job would be a whole lot easier. What's happening  
8 is every time something changes, there's some  
9 advancement, there's a desire to put that in with no  
10 operating experience, little understanding of the  
11 sophistication of that new change, I don't think our  
12 guidance can keep up with that.

13 DR. POWERS: It cannot.

14 MR. GROBE: I used a tricky phrase in the  
15 Commission meeting that complexity is an anathema to  
16 predictability. If the desire is to have a  
17 predictable licensing process, there has to be some  
18 stability in how we move forward, and this is, you  
19 know, the digital arena is one that has no stability.  
20 So that's a very difficult issue.

21 There is clear direction in the research  
22 arena. There's a very detailed, written, long term  
23 research plan and research has just initiated in an  
24 effort to go back and look at that and make sure it's  
25 the right plan. So that's an integrated effort

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 between research and NRR, NRO, NMSS. I believe NCER  
2 has a piece in that also.

3 The steering committee will be getting  
4 updates on that. I think maybe in the six month time  
5 frame it might be a good idea for us to have that on  
6 the agenda for the subcommittee to look at that the  
7 long term plans are. The stickiest wicket is risk  
8 analysis.

9 DR. POWERS: Well, that's one of the brick  
10 walls of the future to be able to do that kind of  
11 thing.

12 MR. GROBE: Pardon me?

13 DR. POWERS: I mean that's clearly one of  
14 the real challenges that exists out there.

15 MR. GROBE: Well, I think enough said.

16 DR. POWERS: Absolutely.

17 MS. UHLE: Can I add something? This is  
18 Jennifer Uhle from research, and I think as Jack has  
19 said that with regard to the rate of change of the  
20 technology is hard to keep up from the standpoint of  
21 the regulatory process here at the NRC. However,  
22 there are other industries that are I would say more  
23 able to keep up with the change and, in fact, are  
24 motivating that change, and so part of our program in  
25 research is to go out and tap that technology

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 experience that other industries have.

2 And so we had a program at Pacific  
3 Northwest Laboratory to go and identify the right  
4 contacts and we are now pursuing aggressively to  
5 establish those, and I can point to high speed rail,  
6 to FAA, to various --

7 DR. POWERS: I don't think you want to  
8 pointing to FAA right now.

9 (Laughter.)

10 DR. POWERS: It may not be a good choice  
11 today.

12 MS. UHLE: Well, we can learn what not to  
13 do. And as well as naval reactors and other  
14 organizations that, perhaps, have kept up on a more  
15 dynamic basis. So, we again, as Jack said, we can  
16 come and discuss the research program and what our  
17 efforts are later on as we complete the recent update  
18 that we're undergoing right now.

19 DR. APOSTOLAKIS: It would be nice to meet  
20 with you before you complete anything. I think with a  
21 subcommittee it's a good idea.

22 DR. POWERS: It's research. They never  
23 complete anything.

24 (Laughter.)

25 MS. UHLE: The word complete, obviously,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the research plan is a dynamic document. By complete  
2 we mean to have vetted it fully within the staff to  
3 get the staff views so that what we present to you is  
4 just not one person's opinion, but it is a consensus  
5 view of the staff. I think that's more an efficient  
6 process.

7 DR. APOSTOLAKIS: I view this type of -- I  
8 think it's very similar to what we did with regulatory  
9 guide 1.174 where we had very frequent meetings with  
10 staff. Nobody knew really where we were going, and,  
11 you know, we tried ideas, we talked about them without  
12 any expectation that the staff would get something  
13 finished. So I think this is part of the problem.  
14 This would be a good policy here as well because some  
15 ideas and so, oh, come here and -- not to the full  
16 committee, I mean the subcommittee.

17 MS. UHLE: Yes.

18 DR. APOSTOLAKIS: Talk about it and see  
19 what other people are thinking.

20 DR. POWERS: It seems to me you may be  
21 speaking to the research program. I don't think that  
22 this program that Jack's outlined for us is where you  
23 want to take that kind of approach.

24 MS. UHLE: Yes.

25 MR. GROBE: Let me just be clear. There

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 are specific formal places where we have to come to  
2 the ACRS and we will definitely do that. But we get  
3 substantial benefit from the insights that you  
4 provide, and we've been meeting regularly with the  
5 subcommittee and it's our intention to continue that.

6 DR. APOSTOLAKIS: This ISG, in fact, you  
7 didn't have to bring it before us, right?

8 MR. GROBE: That's right.

9 DR. APOSTOLAKIS: The ISG, we don't  
10 formally review. They brought it because they wanted  
11 to.

12 MR. GROBE: Right.

13 DR. POWERS: They have certain  
14 masochistic --

15 (Laughter.)

16 DR. POWERS: The quality of our work  
17 benefits the insights provided by this August body.

18 MR. GROBE: Any other questions?

19 DR. POWERS: No.

20 MR. GROBE: Thank you very much.

21 DR. APOSTOLAKIS: So have you gentlemen  
22 prepared also to tell the committee where the points  
23 of discuss were at the subcommittee and what you plan  
24 to do, or should I make sure that this happens?

25 MR. BAILEY: The main points of discussion

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 were related to the task --

2 DR. APOSTOLAKIS: During your presentation  
3 are you going to refer to those?

4 MR. BAILEY: For the one that I recall the  
5 points of discussion, and that was on task working  
6 group number three, related to PRAs, yes, we will be  
7 discussing that.

8 DR. APOSTOLAKIS: Well, for the benefit of  
9 the full committee, the fundamental point of view I  
10 think of the subcommittee, which was not necessarily  
11 shared by the staff, although they may be thinking  
12 about it, was that at this point we don't have a good  
13 understanding of the failure modes of systems that  
14 have digital instrumental control imbedded in them,  
15 and once you accept that, then a lot of other  
16 conclusions come. Can you really assign  
17 probabilities, can you do this, can you do that? And  
18 we urge the staff to think about it, to focus on  
19 identifying potential failure modes, and that was one  
20 of the main comments.

21 And, of course, it's much more relevant to  
22 the ISG on the risk part, but, also, on the others,  
23 except for the second one which is really  
24 administrative. And for cyber security it was the  
25 identification of the threats, that there is an

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 implicit assumption, at least in the NEI document,  
2 that the threat is coming from the outside. I don't  
3 know if you agree with that.

4 MR. GARERI: Yes, I'll address that.

5 DR. APOSTOLAKIS: Okay, great. But that's  
6 the thing that was a view that we really don't  
7 understand the failure modes yet. So you draw your  
8 own conclusions. If you don't understand the failure  
9 modes, what is it that you cannot do. John, you want  
10 to say something?

11 MR. GROBE: No. Thank you.

12 DR. APOSTOLAKIS: Okay. So I think that  
13 was an important theme throughout the subcommittee  
14 meetings.

15 MR. GARERI: Good morning. My name is  
16 Mario Gareri with NRO division of engineering. I'm  
17 the lead for the cyber security task working group.  
18 And, actually, before I get into it, let me address  
19 that first.

20 As far as the scope of this TWG, it was  
21 very limited. So what was just referred to is going  
22 to be addressed with the new guidance that's being  
23 developed by ANSIR and research as far as threat  
24 assessments and any kinds of risks dealing with cyber.

25 So you will be getting briefed on that later on, but

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 it's not part of this task working group, but it being  
2 looked at.

3 DR. APOSTOLAKIS: There are always two  
4 issues. One is the scope of the project on which a  
5 speaker is making a presentation and the other is what  
6 I would call the technical part in which the  
7 subcommittee has interest. So it's true that some of  
8 the things we said are beyond the scope of individual  
9 efforts here, but it's very important I think and  
10 that's why we have the subcommittee meetings to  
11 express our views regarding the actual technical work  
12 of at some point has to have these elements in it.

13 MR. GARERI: Like I said, let me assure  
14 you that it's being addressed in the new guidance  
15 that's being developed.

16 DR. STETKAR: In relation to that, I was  
17 kind of reading ahead in your slides, and the only  
18 point I wanted to make regarding specifically the  
19 cyber security, and it did come up in the subcommittee  
20 meeting, was that when I was reading through the  
21 guidance I wanted to be sure that there was a  
22 sensitivity when you're evaluating the critical  
23 assets, that you're also sensitive to things that we  
24 think about a lot in the PRA community in terms of  
25 support systems so that not only when you're

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 developing your threat assessment and evaluating your  
2 assets, expand that boundary around to include things  
3 like ventilation supplies, power supplies, and so  
4 forth, that may affect several assets even though  
5 they're physically separated in different rooms  
6 because a lot of the cyber security and threat  
7 assessment process that I saw in the document was  
8 focused more on protecting the physical assets by  
9 physical barriers and multiple locations and so forth,  
10 that that process should be sensitive to these  
11 comments.

12 DR. APOSTOLAKIS: We will have the records  
13 of this committee in the sense of we would make all  
14 sorts of comments before you even start --

15 DR. STETKAR: That's my name.

16 DR. APOSTOLAKIS: Usually we let the guy  
17 present one slide.

18 (Laughter.)

19 DR. APOSTOLAKIS: So any other comments  
20 before he starts? Go ahead.

21 MR. GARERI: Okay. Next slide.

22 I'm going to be talking about basically  
23 some background. I'm going to talk about the ISG  
24 itself and then the path forward.

25 From the first slide here, let me just

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 give you a little idea. The TWG only had one problem  
2 statement to address and the problem statement itself,  
3 like I said it was within scope, deals with two  
4 guidance documents regarding cyber security. One of  
5 them was the Reg. 1.152 Rev 2 as you can see there.  
6 And the other one is an industry guidance that was  
7 developed, NEI 04-04 Rev 1.

8 The reg guide was issued revised in order  
9 to capture the cyber security in the design and safety  
10 systems in January of 2006 and the NEI 04-04 document  
11 was found acceptable by the NRC in December of 2005.  
12 So both documents basically came out around the same  
13 time frame. The issue here is that one document is  
14 specifically, which is the reg guide to address safety  
15 systems, and the NEI document was more of a  
16 programmatic approach to cyber security.

17 So if we go to the next slide.

18 The first bullet is basically about what  
19 the task of the task working group was, and, again, it  
20 was limited to basically there were concerns from the  
21 industry that the two guidance documents were in  
22 conflict and what the staff did and the task working  
23 group did, we did a gap analysis to actually determine  
24 if there were any gaps or any kind of conflicts in the  
25 two documents. And in doing that, basically the end

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 result was that there were actually no conflicts.  
2 There were some overlaps and some differences in the  
3 two documents, but that's expected because the two  
4 documents serve two different purposes.

5 So, again, the second bullet there says  
6 that no inconsistencies were actually found as the  
7 industry had concerns and the two documents are  
8 actually complimentary to one another.

9 Next slide.

10 At that point the task working group could  
11 have actually closed out the item because we were  
12 finished with the problem statement. There were no  
13 conflicts and there were no issues. But the industry  
14 committed to revise NEI 04-04 to include and  
15 incorporate the criteria regarding safety systems,  
16 which was captured in the reg guide.

17 So at that point the staff agreed that to  
18 provide additional clarification to the staff and the  
19 industry that that would not be a bad idea to continue  
20 with the effort even though, again, it went beyond  
21 what we set out to do. So after revising the 04-04  
22 document, what we found is that, because the two  
23 documents were so different in structure and the  
24 material they were covering, it was kind of difficult  
25 to actually do a review using the NEI 04-04 document

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 when you're doing licensing.

2 So what we did is we developed a cross  
3 correlation table to basically capture the elements  
4 and the criteria in the Reg Guide 1.152 into a table  
5 that would actually show where that same information  
6 can be captured inside 04-04.

7 DR. STETKAR: Mario, for the benefit of  
8 the rest of the committee here who were not at the  
9 subcommittee meeting, you mentioned differences in  
10 scope between NEI 04-04 and the reg guide. Could you  
11 just briefly elaborate on a few examples of those  
12 differences?

13 MR. GARERI: Sure. Well, the differences  
14 are the reg guide itself deals more the development  
15 life cycle and incorporating cyber security throughout  
16 that life cycle when you're developing a system. And,  
17 basically, it deals specifically with safety systems.

18 Where the NEI 04-04 looks at the actual setup of  
19 cyber security throughout the plant, whether it's  
20 firewalls or defensive measures. And, again, the  
21 information of 04-04 is security related and, you  
22 know, I can't go into the details of that.

23 But that's the main difference is that one  
24 approaches cyber security from a programmatic  
25 approach, which is the 04-04. The Reg Guide 1.152

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 does it from a design perspective and deals  
2 specifically with safety systems.

3 Bill may want to add something.

4 MR. KEMPER: Yes. This is Bill Kemper.

5 Just to illustrate maybe if I can. For  
6 example, NEI 04-04 would have a requirement that says,  
7 a licensee shall within their design an engineering  
8 process, a means for securing cyber security is  
9 invoked in digital systems. Now, Reg Guide 1.152 goes  
10 beyond that and it says, the licensee shall ensure  
11 that there are no time bombs, back doors, malicious  
12 code, that sort of thing. So you see, it's a lower  
13 level of detail.

14 So in reading 04-04, it's hard to draw  
15 from that the this specificity that's needed in a  
16 license application for NRR to be able to approve  
17 that.

18 MR. GARERI: I would say, to add to that,  
19 basically it looks into the box. The reg guide looks  
20 really what's inside the box, where 04-04 looks  
21 outside of it.

22 DR. APOSTOLAKIS: 04-04 deals with broader  
23 issues than just safety systems?

24 MR. GARERI: Yes, it does.

25 And the revised 04-04 Rev 2 has

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 incorporated safety system based on the interaction  
2 we've had with industry. And that was issued December  
3 31<sup>st</sup> of last year, and as of this morning I don't  
4 believe the industry has any issues with the ISG.

5 DR. SIEBER: Isn't that just the reverse  
6 of the way it should be, though? Shouldn't the  
7 industry guides be very specific as opposed to that  
8 and the reg guide and the reg guide be more general?

9 MR. GARERI: In some cases the 04-04  
10 document is very specific, and that's why it's, again,  
11 security related information as appendices, which  
12 actually gives you the details of what to do to put  
13 defensive measures in. But in some other cases, like  
14 I said, I had a different goal in mind so it does not  
15 address safety system in the design aspects of it.  
16 That's the difference in the two documents, but it  
17 does have detail.

18 DR. SIEBER: Yes, I always picture the  
19 regulation and the underlying regulatory guidance --

20 MR. GARERI: Yes.

21 DR. SIEBER: -- relatively broad in nature  
22 in an industry-specific document that the staff  
23 accepts would be one way to comply with the overall  
24 guidance based on rule --

25 MR. GARERI: The one thing we didn't --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 one thing to keep in mind is when 04-04 came out,  
2 there's still no regulations on cyber, so that was  
3 really an industry -- and submission of to get  
4 something there. And that's on the way. Right,  
5 that's going to be my last slide.

6 Next slide.

7 The ISG itself basically provides  
8 additional clarification to cyber security. Again, it  
9 does cover the background of cyber security in  
10 general, but it specifically talks to how to use the  
11 04-04 draft 2 revision 2 document when, you know, put  
12 in a license middle or dealing with cyber security in  
13 a safety system. Again, the ISG includes that table  
14 which makes it easier for reviewers and industry to  
15 understand exactly how to use the 04-04 document when  
16 dealing with safety systems.

17 And, again, either the reg guide can be  
18 used or the NEI document now in conjunction with the  
19 table if someone decides to actually use that to  
20 address cyber security in safety systems.

21 Next slide.

22 This is the last slide and what's  
23 happening now is the ISG itself has been rolled over,  
24 is being rolled over to the draft guide 5022, which is  
25 being developed to address cyber security. This draft

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 guide is basically going to become a reg guide which  
2 will support the rule.

3 DR. APOSTOLAKIS: Why is it Part 73? Is  
4 that for security stuff?

5 MR. GARERI: Yes. This deals with  
6 physical security. As you can see in the sub-bullets  
7 there, the long term actions of the actual regulations  
8 coming out on cyber security, the regulatory guide to  
9 support the rule, and the updating or revision of the  
10 standard review plan, chapter 13, will all happen  
11 outside of really the TWG effort, even though we're  
12 still engaged with ANSIR and research.

13 DR. APOSTOLAKIS: Can you explain the  
14 first sub-bullet, issuance of new rule 54 proposal 55?  
15 What does that mean?

16 MR. GARERI: Right. That's what I was  
17 going to get to.

18 So what happens is that the regulations  
19 that are coming out, the proposed rule was under  
20 73.55(m) for cyber security. In taking another look  
21 at it, ANSIR has determined with research that it  
22 would be best to put it into 73.54 so that it can  
23 actually address more than just power reactors.

24 So, officially, it's the proposed rule of  
25 73.55(m), but it will come out as 73.54. It just

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 hasn't been made public yet. That's why I have it in  
2 brackets.

3 DR. APOSTOLAKIS: As has been said  
4 already, this interim guidance has been issued,  
5 December 31<sup>st</sup>, '07, so any comments that we may want to  
6 put in our letter will be addressed really to this  
7 effort of developing the regulatory documents in the  
8 future?

9 MR. GARERI: Exactly.

10 DR. APOSTOLAKIS: And the staff, of  
11 course, can take those under advisement or not. But  
12 we are not really commenting on the guidance itself  
13 because that's final, it's out.

14 Any questions? All right. Shall we move  
15 on?

16 MR. GARERI: Thank you.

17 DR. APOSTOLAKIS: I have a question. I'm  
18 sorry.

19 MR. GARERI: I almost made it.

20 DR. APOSTOLAKIS: There was a  
21 semi-question I think on an issue that was raised  
22 during the subcommittee and I'm not sure whether the  
23 concern is real or not. Concern, it's not a concern.  
24 What is a definition of cyber security? Are you  
25 defining it some place?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. GARERI: I'll have Dave maybe add to  
2 this if I'm incorrect in saying it, but I believe the  
3 new regulatory guide that's going to be coming out,  
4 we're making a point to actually describe it or define  
5 it in there, because, again, there is some confusion  
6 whether or not it's an outside attack or internal.

7 DR. APOSTOLAKIS: Can you tell us today or  
8 is it --

9 MR. GARERI: I look at it that cyber  
10 security attack would be basically something that  
11 would be coming from the outside. But at the same  
12 time, if you have a trojan or something, a back door  
13 put into the software itself, that would also impact  
14 the -- it would give you a vulnerability to a cyber  
15 attack. Do you see what I'm saying?

16 So either way, if the bug or the design  
17 itself is faulty, then you're vulnerable to an attack  
18 from the outside. I'm not sure if maybe Dave wants to  
19 add to that.

20 DR. RAHN: This is David Rahn. I'm  
21 assisting in shepherding the development of the  
22 regulatory guide, and the cyber security program has a  
23 two-phased approach. There's an overall protection of  
24 a facility, and that protection is for potential  
25 outside attempts to attack the facility and insiders.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 And there is a design basis threat rule which defines  
2 what are those potential threats. That's in 73.1.  
3 That document defines the overall focus of a cyber  
4 security program that a facility needs to have.

5 Within the facility, there's a bunch of  
6 digital assets. Many of them are performing safety  
7 related, some are performing emergency preparedness  
8 functions, and some are security functions. And there  
9 are also systems that protect those systems. Many of  
10 those have digital components in them and those  
11 components have to be designed, when they put into the  
12 system, they can either have their own hardening  
13 against any potential threats which could take them  
14 down. That means that from the initial development of  
15 that digital system there would be --

16 DR. APOSTOLAKIS: Let me interrupt. You  
17 are getting down into detail now. This is how to  
18 achieve something.

19 DR. RAHN: Yes.

20 DR. APOSTOLAKIS: Is there a high level  
21 definition of what cyber security is?

22 DR. RAHN: Within the regulatory guide the  
23 focus is taken that cyber security is a portion of a  
24 security function for the whole facility. The object  
25 is security for the facility and it's how it affects

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the digital assets within that facility.

2 DR. APOSTOLAKIS: Period?

3 DR. RAHN: Period.

4 DR. APOSTOLAKIS: So it doesn't matter  
5 whether it's on the outside or inside?

6 MR. GARERI: Exactly. It doesn't --

7 DR. APOSTOLAKIS: -- broad definition?

8 DR. RAHN: Yes, very broad definition.

9 MS. BANERJEE: George, can I add  
10 something, please? This is Maitri Banerjee. The Part  
11 73 rule is supposed to come to us in May, the first  
12 week of May time frame.

13 DR. APOSTOLAKIS: Coming to us means to  
14 the full committee?

15 MS. BANERJEE: Actually, we are going to  
16 get a copy of that.

17 DR. APOSTOLAKIS: The documents are  
18 coming?

19 MS. BANERJEE: The documents are coming  
20 and security subcommittee is going to take a look at  
21 it and Mario is going to make a decision how much of  
22 it we are going to review in May.

23 VICE-CHAIR BONACA: Supposed to look at  
24 the components of the security and then make a  
25 determination whether or not the committee should

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 review them.

2 DR. MAYNARD: I have got question along  
3 that line. Is there a clear definition or division  
4 between what's being done for cyber security and the  
5 overall security, and not so much that it be separate,  
6 but that it actually fit in and not have overlap  
7 between the rest of the security requirements for a  
8 plant?

9 MR. GARERI: You're talking about as far  
10 as the physical security?

11 DR. MAYNARD: Right, because like one of  
12 John's first comments, he's talking about the support  
13 equipment and that's important, but I'm not sure you  
14 have to define that in cyber security if that's  
15 defined as the rest of your security plan requirements  
16 and stuff. I'm wondering, is there overlap, is there  
17 work being done to make sure that we don't have  
18 incompatible stuff here?

19 MR. GARERI: I'm not longer with NCER and  
20 I haven't been engaged up to the last point. Okay,  
21 Bill. He's raising his hand.

22 MR. KEMPER: Yes, Bill Kemper again. I  
23 just attended a meeting with David, as a matter of  
24 fact yesterday, to discuss draft language on 73.54.  
25 You know, the ink's still wet on this thing so we're

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 still working on it. But, yes, specifically, 73.54 is  
2 titled protection of digital computer and  
3 communication systems and networks, so it's intended  
4 to provide the specificity, if you will, so that you  
5 can differentiate this particular security attribute  
6 from the overall physical security plan. All be it,  
7 it's part and parcel of the site's physical security  
8 plan. I hope that answers your question.

9 MR. SHUKLA: Dr. Apostolakis?

10 DR. APOSTOLAKIS: Yes, sir.

11 MR. SHUKLA: All these ISGs are subject to  
12 further revisions and enhancement based upon their use  
13 until they are rolled over to a permanent regulatory  
14 document. So --

15 DR. APOSTOLAKIS: Yes, but I mean --

16 (Simultaneous speakers.)

17 DR. APOSTOLAKIS: Okay. Any other  
18 questions?

19 MR. GARERI: Thank you.

20 MR. LOESER: I'm Paul Loeser. I'm one of  
21 the digital I&C reviewers.

22 If you'll go to the next slide, please.

23 Basically, chapter 7 provides guidance to  
24 the staff on how to do a digital review. Things like  
25 BTP-14 19. However, digital systems are somewhat

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 unique within our review process in that we not only  
2 look at testing for the final design, but we also need  
3 a determination of a high quality design process.  
4 This is because digital systems are complex enough  
5 that we can never test them enough to say that they  
6 are perfect. So we look at this design process and  
7 this process takes too long. We can't do an actual  
8 independent review, the equivalent of an independent  
9 V&V ourselves because this takes too long, and,  
10 frankly, we don't have the people.

11 DR. POWERS: When you say it takes too  
12 long and it takes too many people?

13 MR. LOESER: Typically, the rule of thumb  
14 is that it takes as long to do a thorough review of  
15 the process as is spent originally in the design.

16 DR. POWERS: Right.

17 MR. LOESER: And if they have five or ten  
18 people working for two or three years, we don't have  
19 five or ten people who can spend two or three years  
20 doing this, so we have to look at some lesser degree.

21 What can we do to achieve reasonable assurance that  
22 this is really a pretty good system, was done in a  
23 pretty good way, and there is a reasonable assurance  
24 that it will operate the way it's supposed to and  
25 perform the functions it's supposed to.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 DR. POWERS: And what I think I'm  
2 struggling for is what's a reasonable amount of time  
3 to spend on this?

4 MR. LOESER: Well, we have been spending  
5 typically on a overall topical report on a new type of  
6 system that we've never seen before --

7 DR. POWERS: Right.

8 MR. LOESER: -- tends to be in the  
9 neighbor of one to two man years of effort if a  
10 licensee is using an approved platform in exactly the  
11 same manner it may take half of that, or if they have  
12 modified things, it would be more.

13 One of our final products is a list of  
14 documentation that shows what type of thing we would  
15 need depending on the complexity of design. I'll be  
16 getting to that in my last slide.

17 DR. POWERS: Okay. So I know what's too  
18 much, I know what you're doing now. What's desirable?

19 MR. LOESER: Well, we thing, obviously,  
20 less is desirable. But the question -- that's not  
21 really the question we were asked to address here. We  
22 are addressing that. As a matter of fact, last night  
23 we had a brainstorming session on how could we modify  
24 our current process to somehow to do this faster,  
25 easier, cheaper in NASA terms.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DR. POWERS: You left out better.

2 (Laughter.)

3 MR. LOESER: We want equally good. It  
4 wouldn't have to necessarily be better. We think we  
5 have a good determination now. We want to make sure  
6 that whatever we do we come up with something that's  
7 equally good.

8 DR. POWERS: Or better.

9 MR. LOESER: That is, it's still -- or  
10 better would be nice, but still provides us with a  
11 high degree of confidence or reasonable assurance,  
12 whatever you wish to say, that this system will  
13 function to perform whatever safety functions are  
14 specified.

15 DR. POWERS: I actually have a reason for  
16 wanting to do this. So a brand new, unfamiliar system  
17 topical report gets submitted, and if you could do  
18 that with one man year, then that would take this off  
19 the high priority activity list or not?

20 MR. LOESER: I'm not quite sure what  
21 you're --

22 DR. POWERS: Well, currently, you spend  
23 you say on the order of two man years when you get a  
24 brand new system in. If you cut that in half, would  
25 that make everybody happy and they say, okay, let's --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. LOESER: I think it would make them  
2 happier.

3 DR. POWERS: Happier.

4 (Laughter.)

5 DR. POWERS: I mean at what point do you  
6 no longer have an action plan and things like that  
7 going on and you say, well, if you can make it better,  
8 that's great, but, otherwise, I'm not going to  
9 emphasize it?

10 MR. LOESER: I would sort of hope that no  
11 matter how good our process is we would never be  
12 closed to the idea that we could improve it --

13 DR. POWERS: I'm not asking you that. I'm  
14 asking you, when do you quit making it a big priority  
15 and coming meeting regularly with George's  
16 subcommittee and things like that?

17 MR. BAILEY: I think we're making progress  
18 on that as we speak. We're reviewing --

19 DR. POWERS: I know you are. I'm asking  
20 you when you quit making progress.

21 MR. LOESER: I don't think I can answer  
22 that question on any process when do you decide that  
23 it's good enough. I can't tell you that. And I also  
24 can't predict at what point management starts telling  
25 me it's taking too long or industry starts complaining

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that it costs too much. I don't know that because I  
2 can't see into their minds.

3 DR. POWERS: I'm really asking your mind.  
4 I'm not asking for other people's. I'm not going to  
5 hold you to this. I'm not going to put a gun to your  
6 head.

7 MR. LOESER: I keep telling people I'm  
8 inherently lazy. I'd like to make it as easy as  
9 possible, but still be able to convince myself that  
10 I'm signing my name to a good product. If I could do  
11 it in 20 minutes, I would, but I can't. I don't know  
12 how.

13 MR. BAILEY: I don't know that it's much  
14 of an answer, but it's our own observations and  
15 industry's observations of how the reviews are going.  
16 When we see that they are going smoothly all around,  
17 then I think we can say this needs less focus. That  
18 doesn't mean we won't still be looking for  
19 improvements.

20 But right now we've seen that it is not  
21 always smooth. All of the documents that we would be  
22 looking for are not always available right up front.  
23 We're really trying to fine tune this so that it also  
24 fits in with the licensee's life cycle of developing  
25 and implementing one of these digital modifications.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DR. SIEBER: I think this is a function of  
2 what you want as a result. For example, if you don't  
3 spend a lot of time and the system fails, you know, a  
4 multitude of ways, you know you haven't done a good  
5 job. And right now, since we only have one project in  
6 the industry that's full scale with protection and  
7 control and all that in there just on it's very  
8 beginnings, I think you have to look elsewhere to see  
9 where others would have failed, for example, in  
10 Europe, to determine what it is you have to do to make  
11 sure that you don't repeat those kinds of failures.

12 MR. LOESER: That is, in fact, happening.  
13 Research has a project, you'll be hearing about it  
14 later, to look at other industries, not just the  
15 European reactors, but also --

16 DR. SIEBER: Rails, planes.

17 MR. LOESER: Yes, everything that uses  
18 high reliability software, MIL-SPEC.

19 DR. APOSTOLAKIS: This probably is not a  
20 good idea, but anyway.

21 DR. CORRADINI: I, just for clarification,  
22 Jack, you said there is one case in industry where  
23 they're doing it for, and I thought you said control  
24 and protection?

25 DR. SIEBER: The Oconee project is pretty

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 big.

2 DR. CORRADINI: But that's including  
3 reactor protection laws.

4 MR. LOESER: And the SF.

5 DR. SIEBER: The other 30 or so projects,  
6 in my opinion, have been relatively small.

7 MR. LOESER: That is correct. This is the  
8 biggest one we've had.

9 DR. APOSTOLAKIS: Just to move it along.  
10 We had the presentation here sometime, I don't know,  
11 last year where another team within the Agency had a  
12 similar problem, namely, during construction of a  
13 facility, reactor, they just cannot inspect  
14 everything. It takes too much work, too much effort,  
15 okay?

16 MR. LOESER: Yes.

17 DR. APOSTOLAKIS: So they developed a  
18 methodology, it's really a sampling methodology, but a  
19 sample is not random. They use some method to risk  
20 inform the process, and so on. I'm wondering whether  
21 you should look at that and see whether you can get  
22 any help from it.

23 MR. LOESER: Well, we actually something  
24 like that. What we do is we do a reasonably thorough  
25 investigation on the process they use, and then we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 sample the design outputs in our threat audit to see  
2 that the process worked correctly and that  
3 the --

4 DR. APOSTOLAKIS: All I'm saying is that  
5 you may find the method there of approach that they  
6 use helpful. That's all. I'm not saying you are not  
7 doing anything.

8 MR. HILAND: This is Pat Hiland. I'm the  
9 director of engineering in the Office of NRR, and let  
10 me just try to add some clarification. You're  
11 correct. The current application that we have in from  
12 Duke on the Oconee project is significantly larger  
13 than any that we've seen before.

14 We've gone back and looked at the way  
15 we've done business before and it's not reasonable to  
16 expect us to review the Oconee application to that  
17 level. And what we've mapped out is that we're trying  
18 to define what is a licensing review, what would be an  
19 onsite review of the factory or the onsite test  
20 information, and then, finally, what would be an  
21 inspection activity. Inspection activity will likely  
22 be by the regional inspectors after the amendment is  
23 approved.

24 We have an example in the steam generator  
25 replacements. You know those amendment requests to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 replace steam generators, I've never done one, but I  
2 believe they're approved far in advance of the actual  
3 work on site, and those who have been at a site when a  
4 generator replacement is ongoing, that's a lot of work  
5 and we have a defined inspection program that's about  
6 850 hours. So it's a sample inspection. You can't be  
7 there all the time to do that. That's what we're  
8 doing in the Oconee place.

9 We have given an initial estimate of how  
10 much effort and how long that effort's going to take.

11 We're talking with the licensee, and they gave us  
12 what their desires were, and we're different. We're  
13 off by about four or five months today, so we have to  
14 go back to see if we can improve that schedule by  
15 adding more resources if that's the correct approach,  
16 or the licensee moving up some of their activities as  
17 the factory accepts its tests.

18 You know, currently, they're scheduled to  
19 get the results in January of '09. Will that support  
20 our review to meet their schedule? Maybe, maybe not.

21 Don't know. So I'm trying to answer the question in  
22 broad terms.

23 DR. APOSTOLAKIS: The question, I'm not  
24 doubting that you have a plan and inspection and so  
25 on. I'm not saying that. All I'm saying is there's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 another group within the Agency that has a similar  
2 problem. They appear to have developed a methodology  
3 for selecting the sample in a reasonable way, and all  
4 I'm saying is look at it. If you find something that  
5 is helpful to you, use it. I never doubted that you  
6 can had an approach already.

7 I don't remember who was doing that, but  
8 we wrote a letter. So through the letter we can --

9 MR. HILAND: I'll work with Girija and  
10 find out. We'll get that.

11 DR. APOSTOLAKIS: Yes, so it would be very  
12 easy.

13 MR. LOESER: So much for the easy  
14 presentation.

15 (Laughter.)

16 DR. APOSTOLAKIS: We are behind schedule.

17 MR. LOESER: Anyway, what we basically do  
18 is we look at what the licensee or the vendor plans to  
19 do and how this will be done. This is by reviewing  
20 the plans and procedures. Was it actually done? And  
21 this is at the vendor audit. And then what were the  
22 results? And this is looking at the design outputs  
23 and the final test procedure.

24 This is considerable amount of  
25 documentation and the industry decided that this

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 amount of documentation not be presented to the staff  
2 and put on the docket; in particular, they were  
3 worried that once it's on the docket, any changes they  
4 make to their configuration management plan would need  
5 to be reviewed. We've reassured them that this is not  
6 the case. It would be done on 50.59. They would only  
7 be re-reviewed if the change was significant enough to  
8 change the determination that we had made that it was  
9 adequate.

10 TWG 6 actually had four problem  
11 statements, four issues. One is the level of detail  
12 necessary in the review of the licensing actions. Two  
13 is the applicability of this guidance for operating  
14 reactors. Three was the clear licensing protocols for  
15 the review. And four was clear guidance on cyber  
16 security issues for I&C. The fourth one we really  
17 didn't look at. This is left for the cyber group.

18 In order to do this we needed to deliver  
19 a specific clarification on what documents needed to  
20 be delivered to the staff, at what phase in the review  
21 process it was needed, which of these documents needed  
22 to be on the docket and which would be sent off the  
23 docket, and which documents don't need to be docketed  
24 or sent to the staff at all but only available onsite  
25 during the site visit.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 We considered the inputs and we basically  
2 provided such a list. We're still working on refining  
3 this list. This list right now encompasses the most  
4 complex possible amendment, so licensees or the staff  
5 would delete from the list rather than trying to add  
6 things to it.

7 This does not modify or supercede existing  
8 regulations, with one exception. That is the site  
9 activities of maintenance operation and training would  
10 be left to the region to review. We don't consider  
11 that a licensing issue, so that would be --

12 DR. APOSTOLAKIS: Can an ISG change the  
13 regulation?

14 MR. LOESER: No.

15 DR. APOSTOLAKIS: No. It's just guidance?

16 MR. LOESER: Yes.

17 DR. APOSTOLAKIS: You cannot introduce new  
18 requirements, can you?

19 DR. SIEBER: You can.

20 MR. LOESER: You're right. It changes the  
21 guidance. It changes no regulation.

22 DR. APOSTOLAKIS: You cannot impose  
23 requirements through an ISG?

24 MR. LOESER: That's correct.

25 DR. APOSTOLAKIS: It's a softer version of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 a regulatory guide. Is that true?

2 MR. LOESER: Well, we're hoping to turn it  
3 into a regulatory guide eventually.

4 DR. BLEY: Less of a review process than a  
5 regulatory guide, is that right, the review and  
6 approval process?

7 DR. APOSTOLAKIS: Exactly.

8 MR. BAILEY: Well, and you can make a less  
9 significant change during. You cannot deviate --

10 DR. BLEY: More flexible.

11 MR. LOESER: I mean we're doing things  
12 like considering revising the standard review plan to  
13 account for some of these. We're writing a new  
14 inspection procedure for the regions to use when  
15 they're looking at the portion that is now being  
16 assigned. Things of that nature. But none of this  
17 goes to changing regulation or legal requirements at  
18 all. All those are still in place.

19 DR. APOSTOLAKIS: Very good.

20 MR. LOESER: So we have provided the ISG,  
21 which besides the explanation, also has a table 1 that  
22 shows all the documents that need to be reviewed and  
23 shows at what time during the review process or the  
24 design process they need to be reviewed. We also have  
25 a second set of tables that show for reviews of lesser

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 complexity. That is, if they're using a platform that  
2 has already been reviewed, we only then would have to  
3 look at plant specific documentation. Or if the  
4 platform has been modified at little but not totally,  
5 we'd only need to look at the changes and only to the  
6 degree necessary to realize that this doesn't change  
7 our original concept.

8 And we're still working on refining these  
9 tables unless we have continuous dialogue with the  
10 various licensees and the licensee members of the  
11 working groups.

12 DR. APOSTOLAKIS: So this is going to be  
13 issued when?

14 MR. LOESER: Sometime this year. We're  
15 getting fairly close. We're hoping to have it in a  
16 couple of months. But depending on how much we refine  
17 this, I can't guarantee right now.

18 DR. APOSTOLAKIS: Any questions, comments?

19 DR. SIEBER: I guess I would reiterate the  
20 fact that the Oconee modification is fortuitous  
21 because it's big enough to help develop the licensee's  
22 and the industry's approach and the staff's approach  
23 to this and I would advise or recommend that you take  
24 advantage of this opportunity to think about the  
25 review you're doing in terms of regulations that you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 need to do future review.

2 MR. LOESER: Yes. We are certainly doing  
3 this. We are using Oconee as a potential test case.  
4 If we have any new insight, we will try it out there.

5 We're in the process of doing this and, at the  
6 moment, we're in the early stages of the review. I  
7 believe we have just sent out the acceptance letter  
8 for the review. So we don't have enough experience  
9 yet to be able to report results from the Oconee  
10 review.

11 DR. SIEBER: Yes. You're probably going  
12 to be writing regulations before you're done with that  
13 review. On the other hand, as things evolve during  
14 the review process to the extent that you can work  
15 them into the guidance documents, I think that would  
16 be helpful.

17 MR. BAILEY: That is our plan. Our plan  
18 is to refine the staff guidance based on what we find  
19 in Oconee.

20 DR. SIEBER: Okay. Thank you.

21 DR. APOSTOLAKIS: Okay. Let's move on.  
22 Hope this time we go quickly.

23 CHAIRMAN SHACK: The noncontroversial one.

24 DR. APOSTOLAKIS: Any questions before we  
25 start this time?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 (Laughter.)

2 DR. APOSTOLAKIS: Mr. Kelly is the  
3 presenter.

4 MR. KELLY: Yes.

5 DR. APOSTOLAKIS: Very good.

6 MR. KELLY: Good morning. I'm Glenn  
7 Kelly. I'm with NRO. I'm a senior reliability and  
8 risk analyst.

9 I'm going to talk to you today about the  
10 review of digital I&C systems and the guidance that  
11 we're providing to the NRC analysts on how for new  
12 reactors we should review the digital I&C system PRAs.

13 Next slide, please.

14 The problem statement that we had was that  
15 existing guidance doesn't provide sufficient clarity  
16 to be used current, and I want to emphasize the word  
17 current, methods to properly evaluate digital I&C  
18 systems. So we're asked to provide guidance to make  
19 it easier for the staff reviewers and part for  
20 industry to see what they should be doing for new  
21 reactors. We've been asked to consider common-cause  
22 failure modeling uncertainty analysis of digital I&C  
23 systems.

24 In looking at this I just wanted to remind  
25 the committee that 10 CFR 50.42 requires that new

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 reactor designs submitted under Part 52 must have  
2 PRAs. The PRAs would be design and plant specific and  
3 they would include models of digital I&C systems.  
4 They only need to show, though, that under Part 52  
5 basically that they meet the safety goals. There's no  
6 requirement for much more than that.

7 Our short term action, then, was to  
8 develop this interim guidance. We've done that. And  
9 just to bring the committee aware of some of the  
10 issues that we were dealing with, the risks  
11 assessments, we have a lack of consensus on them, how  
12 to model digital I&C systems, and we have issues  
13 associated with the robustness of the data for digital  
14 I&C systems. And as you've heard before, digital I&C  
15 systems are constantly being improved, and, in turn,  
16 that makes it hard to get data that says we've had so  
17 many years of experience with this particular  
18 software, whatever, and it shows X, you know. What  
19 happens is that the software changes so fast that,  
20 before you know it, you're onto a whole new version,  
21 and, therefore, you can't say, well, okay, I've got  
22 ten years' experience with this at 20 plants and this  
23 what I've learned from them. So we're working with  
24 that.

25 In particular, what we were looking at

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 here was for new reactors for determining the very  
2 basic guidance about our analysts would do these  
3 reviews. The guidance that's in the ISG is not about  
4 how you make risk-informed decisions involving digital  
5 I&C systems. That's going to be addressed in later  
6 ISGs, but we're not dealing with that here.

7 Next slide, please.

8 The content of the ISG, basically, we've  
9 outlined various attributes and risk insights that  
10 we're hoping we'll be able to derive out of the  
11 information that gets provided by the utility. The  
12 risk insights that we feel will be most robust and  
13 useful will be those that are at a fairly high level.

14 And one of the reasons for that is that we have very  
15 little detail information at this point on digital I&C  
16 systems.

17 As a matter of fact, much of information  
18 that would be needed to do a very detailed PRA review  
19 might not be available until the PRA that is going to  
20 be performed one year prior to fuel up. So at that  
21 point they'll actually already have this COL and we'd  
22 be potentially then reviewing something at that point  
23 to give us information as to whether or not they've  
24 met the DAC associated with the digital I&C system.

25 We've provided guidance to the PRA

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 reviewers for situations where we're going to have a  
2 more limited review, for situations where we're going  
3 to have a more detailed review. And, again, part of  
4 that has to do with as we go through the various  
5 stages of it, a design certification, or a COL  
6 application, or even potentially down the road that  
7 one year prior to fuel load.

8 We have very, very different levels of  
9 information about what's in a digital I&C system.  
10 We've provided an appendix to the ISG that has  
11 captured a number of the insights that have come out  
12 of the ABWR PRA review and the AP-1000 PRA review.  
13 And this is just to give the reviewers some  
14 information on the type of things that they might be  
15 seeing or could expect to be able to develop or have  
16 the applicant develop out of their risk assessment.

17 Next slide, please.

18 The subcommittee was kind enough to  
19 provide us with a lot of interesting comments during  
20 the meeting that we had on the 20<sup>th</sup>.

21 DR. APOSTOLAKIS: Did you say kind?

22 (Laughter.)

23 MR. KELLY: It was a very interesting  
24 time.

25 DR. APOSTOLAKIS: That's an

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 understatement.

2 MR. KELLY: What we've done in taking  
3 these comments, and, again, these are some of the key  
4 comments that we got from the subcommittee,  
5 originally, we had on performing an uncertainty  
6 analysis, we discussed specific guidance on types of  
7 sensitivity studies that we might expect a licensee to  
8 submit to us. It was felt that we were too specific  
9 about this. That a licensee might come to believe  
10 that this was all they needed to do was to do these  
11 particular ones, or that what, in essence, we were  
12 doing is creating an NRC approved methodology for this  
13 is how you perform uncertainty analysis.

14 So what we did is we kind of backed it up  
15 and made it a higher level guidance saying we would  
16 like you to perform sensitivity studies. We think  
17 it's important and what we're going to do is we're  
18 going to list some of the areas that in the guide  
19 today are the most contentious or the most worrisome  
20 for us, or that we feel have the greatest uncertainty.  
21 and with the expectation that some of these will end  
22 up being exercise when they perform their sensitivity  
23 studies.

24 It was also pointed out to us that some of  
25 the guidance, as I mentioned earlier, we broke our

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 guidance into less detailed/more detailed guidance for  
2 the review. The subcommittee felt that some of the  
3 guidance in the more detailed review really belonged  
4 up in the less detailed review, and, in particular,  
5 the subcommittee showed strong interest in having more  
6 information on performing how the failure modes and  
7 effects analysis was performed, and, in particular,  
8 the process because on a less detailed review, you  
9 would not have enough time to actually go into how  
10 they performed the FMEA, but you can look at the  
11 process that they used for developing that FMEA. And  
12 then if you need to, you can go into the details at  
13 some later time. So we've modified that.

14 We also simplified the guidance on common-  
15 cause failure analysis, in part because, as George  
16 pointed out, if you don't really know how to model  
17 common-cause failure analysis, it's tough to tell them  
18 to do it right. So what we did is we basically said,  
19 we'd like you to address common-cause failure analysis  
20 and tell us basically what are your assumptions, what's  
21 the basis for why you did that, and we can look at  
22 that see how well it captures the expectations today  
23 of how one might express common-cause failure.

24 Now, one of the things I think is very  
25 clear here is the average PRA reviewer is not going to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 have lot of knowledge about digital I&C systems,  
2 certainly in coming to the working on this TWG. I  
3 gained a lot of knowledge about digital I&C systems,  
4 and given how we've streamlined our review process, it  
5 would be very difficult for every reviewer to come in  
6 and get up to the same level of knowledge at least  
7 that I've gotten to.

8 So our expectation is that the PRA  
9 reviewers will be very heavily coordinating their  
10 review with the digital I&C reviewer because that's  
11 where the real expertise and insights into the system  
12 itself belie in the review process.

13 Next slide, please.

14 So our path forward right now is I'm in  
15 the process of revising the ISG to take into account  
16 the subcommittee's comments and some other comments  
17 that we've gotten, and we're hoping in the next month  
18 or so to get the ISG out in final form.

19 And that finishes my presentation.

20 DR. APOSTOLAKIS: Good job. I would like  
21 to make a few comments on this.

22 First of all, I think this is a good  
23 example of a very useful and productive interactions  
24 between the subcommittee and the staff. It was not  
25 really contentious. I mean these are hard issues. We

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 expressed some views, the staff expressed views. I'm  
2 not sure. I don't think we really disagreed on  
3 anything and I'm very pleased that the staff, as Glenn  
4 said, is rewriting the ISG to reflect some of the  
5 conclusions, so to speak, of our interaction.

6 This is a very hard problem. Just to  
7 elaborate a little bit. There were I believe 14 steps  
8 for the standard review in there to be supplemented by  
9 10 steps, and these include both failure mode  
10 evaluation, or the identification of failure modes and  
11 probabilities. And this issue of sensitivity studies  
12 on the probabilities was something that was discussed  
13 a lot.

14 As Glenn said, first of all, we don't want  
15 to give the impression to anybody that these  
16 probabilities are somehow meaningful and we want to do  
17 sensitivity studies to see what happens because my  
18 personal view is they're not meaningful. And I went  
19 back to AP-1000 and looked at the data they have there  
20 and all you can find is the common-cause failures of a  
21 number of digital systems. The rate is  $1.2 \cdot 10^{-6}$ , but  
22 you find no evidence supporting arguments why that is  
23 so.

24 And so if you take that number, then you  
25 say, I'll multiply by ten and see what happens, so

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 100, and, of course, the issue of sensitivity studies  
2 itself is not well defined. I mean where do you stop?

3 Do you multiply by 1,000? Do you go all the way  
4 until you have a probability of failure rate of 3.

5 (Laughter.)

6 DR. CORRADINI: That would be unique.

7 DR. APOSTOLAKIS: And we sort of objected  
8 to that. The staff did not object to our objection.  
9 And it all comes down, as I said earlier, to the issue  
10 of the question: do we really understand how these  
11 things can fail?

12 I don't think that the state of the art  
13 right now is such to say, yes, we have a fairly good  
14 understanding. We don't. So the focus really should  
15 be on that, and not only on this particular ISG, but  
16 also in future activities of the staff, we have to  
17 make sure we have a better understanding, we improve  
18 our understanding of failure modes. So this was the  
19 main subject of discussion and it was very good  
20 interaction, very good interaction.

21 DR. STETKAR: I wanted to ask a question.

22 This is kind of in preparation for the upcoming  
23 subcommittee meeting.

24 There's a lot of discussion of PRA of  
25 digital I&C systems, and in kind of a simple sense one

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 can separate that into the models and the  
2 quantification of those models for the hardware, the  
3 microprocessors and so forth, and the associated  
4 software recognizing that the line between those two  
5 may not be as clear as I've defined. But for the  
6 purpose of this discussion let me do that.

7 In your opinion, where are the larger  
8 challenges these days, or the largest challenges in  
9 the risk assessment of the digital I&C? You mentioned  
10 that there isn't very much experience; there isn't  
11 very much guidance for this fuzzy thing we call  
12 digital I&C. Are you more concerned in the software  
13 area or are you more concerned in the modeling of the  
14 hardware itself?

15 MR. KELLY: I believe that today the  
16 majority of the concern is in the software. The  
17 software has some very, very unique challenges. The  
18 type of challenges that you run into is that you  
19 timing issues about when something fails. You can  
20 create loops. You can have dependencies on things  
21 that have happened before or things that may happen in  
22 the future.

23 None of those things that I just mentioned  
24 are well handled by our traditional event tree, fault  
25 trees that most PRA analysts at nuclear power plants

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 routinely work with. I spent the last two days going  
2 through looking at a draft report on dynamic methods  
3 and my own personal opinion about that is that it's  
4 not clear to me that the dynamic methods offer a  
5 solution to doing a good job in a model. There are  
6 just a number of issues associated with dynamic  
7 modeling.

8 So I just think in general at this point  
9 it's going to be very difficult to model the effect  
10 that a digital I&C system might have. And one of the  
11 major things that's associated with it, I mean the  
12 reality is that if the systems have -- if the hardware  
13 has a reasonable reliability and the if the software  
14 has a reasonable reliability, if we're just talking  
15 about single failures of components and things like  
16 that, that's really not going to be an issue. The way  
17 they've designed the systems, it's not going to cause  
18 you to go to core damage. It's not going to cause a  
19 lot of big problems.

20 The problem is really going to come with  
21 the common-cause failure and how far does the common-  
22 cause failure propagate. What's the probability that  
23 the frequency with which you actually get these  
24 common-cause failures, there are issues with how you  
25 even handle something like that because the common-

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 cause failure itself potentially resides in the  
2 software for all time. It's there or it isn't there.

3 And so treating that is a random variable as some  
4 issues associated with that.

5 But even if you can get around that, then  
6 generally what you're talking about is you have some  
7 causative event, some event that's going to run you  
8 through a different loop of your software that you had  
9 before, give you different inputs that you had before  
10 that's all of a sudden is going to give you this  
11 common-cause failure.

12 Now, assuming that the common-cause  
13 failure exists in the software, is the initiating  
14 event that could maybe, and this is where my knowledge  
15 gets a little fuzzy, is this something that can  
16 simultaneously lock up the computer screens and affect  
17 the ESF? Exactly how far can this thing go? What  
18 kind of failures can I really end up getting? I don't  
19 think we really understand those very clearly. So we  
20 have a few uncertainties. Let's put it that way.

21 DR. STETKAR: Thanks. We're running short  
22 on time.

23 MR. KELLY: I'm sorry.

24 DR. STETKAR: No. Thanks for your  
25 insights because part of what we're looking at in the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 subcommittee and broader in the committee are the  
2 applicability of PRA methods to handle digital I&C  
3 problems and I wanted to be sure that when we're  
4 looking at that very, very broad problem that we're  
5 focusing our attention in the areas where we think we  
6 have the greater lack of understanding and lack of  
7 knowledge, in other words, that, if indeed, the  
8 software is the larger concern and the area where our  
9 current experience and methods may be lacking, that we  
10 should focus more in that area rather than how one  
11 models a chip, or a solder connection on a print  
12 circuit board, or wires between CPUs, or things like  
13 that.

14 MR. KELLY: I think it's very important  
15 that we very carefully define what it is that we need  
16 to understand, determine, and then work towards that  
17 goal.

18 DR. STETKAR: Thanks.

19 DR. APOSTOLAKIS: I think next week on the  
20 17<sup>th</sup> there is a subcommittee meeting on one effort to  
21 say something about the risk. So a lot of these  
22 issues will come up again.

23 Any other comments, questions? Thank you,  
24 Glenn.

25 The next one is operating experience.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1                   MR. WATERMAN:    I'm Mike Waterman.    I'm  
2                   with the Office of Research in the division of  
3                   engineering, and I'm here today to talk about our  
4                   review of operational experience and classification of  
5                   systems.    And all of this arose out of a presentation  
6                   we did I think last year, or something like that,  
7                   where we were talking about developing diversity  
8                   strategies that a licensee could use to facilitate  
9                   more rapid approval of submitted systems, and  
10                  strategies that could reasonably address most of the  
11                  common-cause failures that occur.

12                  I believe it was Dr. Apostolakis pointed  
13                  out that if we're going to develop diversity  
14                  strategies, we probably ought to know what kind of  
15                  failures the strategies are to address, and so,  
16                  therefore, we ought to go out and take a look at what  
17                  kind of failures have occurred not only in the nuclear  
18                  industry, but in other industries.    We had actually  
19                  already started a project to do that and the ACRS'  
20                  recommendation just reinforced that goal.

21                  Additionally, it was recommended that we  
22                  not only consider what kind of failures had occurred  
23                  when we're developing diversity strategies, but what  
24                  kind of systems are these diversity strategies going  
25                  to fit into.    A particular strategy might be great for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 a reactor protection system, but it may not be so good  
2 for engineered safety features actuation system. So,  
3 therefore, we should go out and do an inventory of  
4 what kind of systems were out there, what kind of  
5 digital systems were going to be implemented, what  
6 kind of systems were already in existence, and  
7 consider those when we were developing the diversity  
8 strategies so we had strategies that would cover a  
9 gamut of things.

10 Next slide, please.

11 And so that's essentially what we've been  
12 doing. And the idea is as we come up with the  
13 diversity strategies, which have been developed in  
14 draft form by the Oak Ridge National Laboratory under  
15 the research, that we can start using that failure  
16 criteria to assess how good those strategies are.

17 Next slide, please.

18 Some of the things we've discovered in  
19 looking around the world are that our concerns with  
20 the possibility of software common-cause failure are  
21 valid. We've seen lots of failures. We've seen  
22 things such as the Aryan problem with the French Aryan  
23 thing. Switching system 7 failure telecommunications.  
24 There was a software error apparently in the  
25 northeast grid blackout that occurred a few years ago.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Ad infinitum.

2 What we have found, most of the failure  
3 data that we've looked at is the failure to report a  
4 very high level system reset, software failed. Those  
5 kind of failure reports. You know, software,  
6 something happened to the system and the plane started  
7 losing altitude and we shut off the automatic pilot  
8 and turned it back on; everything worked fine. That's  
9 typically the level of detail we've been getting.

10 Now, that's not a very good level of  
11 detail for actually developing a diversity strategy  
12 where you're considered, you know, should be use  
13 timing.

14 DR. SIEBER: Just shut it off.

15 MR. WATERMAN: That's scarce detail and  
16 causes of failures is making the collection of the  
17 data fairly interesting. One of the recommendations  
18 that we got out of our last subcommittee meeting is  
19 that instead of just looking at safety related  
20 systems, we ought to really be looking at systems  
21 that, if you will, are at a software integrity level 3  
22 level instead of just at the integrity level 4.

23 Now, integrity level 4 and 3, when we were  
24 writing IEEE 1012 -- well, I was on the working group  
25 for IEEE 1012. When we were writing that standard, we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 introduced the idea of software integrity level so we  
2 could, if you will, parse out how much level of detail  
3 you put into a particular verification and validation  
4 project.

5 And integrity level 4 were systems where  
6 if the systems failed lots of people died, businesses  
7 went out of business, financial institutions lost lots  
8 of money, those kind of really serious events, and  
9 integrity level 3 systems were maybe only one person  
10 dies or there's serious injuries, and business loses  
11 money, but they don't go out of business, and things  
12 like that, and Dr. Stetkar pointed out that feedwater  
13 systems, for example, at a nuclear power plant, are  
14 not safety systems. We don't regulate those.

15 But when they fail, the company loses a  
16 lot of money, and, consequently, when they put in a  
17 digital feedwater system, they want it to be very high  
18 quality. That's an availability issue, not really  
19 safety issue because the design basis of the plant can  
20 handle that, but it's an availability. If the plant  
21 shuts down, the licensee loses lots of money, and so  
22 they put a lot of effort into that, so we should be  
23 taking a look at those systems, too, because they have  
24 good quality. So when they fail, we ought to be  
25 considering that failure data.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           As far as the root cause analysis, you get  
2 into this obsolescence thing. People are putting in  
3 digital systems because analog systems are becoming  
4 obsolete. Boy, you talk about obsolescence occurring  
5 fast. You look at digital systems and see how fast  
6 they become obsolescent.

7           And so for root cause analysis, it's  
8 really nice to have somebody around who's familiar  
9 with a system to such a point that when a system fails  
10 they've got years of experience. They can say, yes,  
11 that component fails all the time; that's what causes  
12 it. When you've got these new digital systems coming  
13 in, where's the base of expertise? It's certainly not  
14 year and year of expertise on a 286 because nobody  
15 uses an Intel 286 any more.

16           And so the new systems coming in for doing  
17 root cause analysis is a whole new field. As a matter  
18 of fact, IEEE had considered doing a standard on root  
19 cause analysis through the nuclear power engineering  
20 committee just to define here's how you do root cause  
21 analysis. And they're not doing that now because it's  
22 a very complicated problem.

23           Next slide.

24           DR. BLEY: Mike?

25           MR. WATERMAN: Yes.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 DR. BLEY: In going through this data,  
2 especially the common-cause failure stuff, have you  
3 been able to generalize some categories, functional  
4 categories of causes for the common-cause failures  
5 that probably would apply across all these different  
6 specific systems?

7 MR. WATERMAN: Well, you could do the high  
8 level categorization, three classes of failure, right?

9 You have your failures in design and specification  
10 where the main expertise, possibly, wasn't  
11 incorporated into coming up with the right specs and  
12 the right requirements. And then you've got the  
13 translation failures where, no matter how good the  
14 spec is, no matter how good the design is, when it  
15 comes to implementing it, somebody screwed up, you  
16 know, typing a Zero instead of an O, and a variable  
17 name for example, or something like that, or not doing  
18 verification validation not finding the errors that  
19 were incorporated by the coder or something like that.

20 And then you have that last class, the  
21 operation error. You've got a system that's fault  
22 free, if you will, but nothing is fool proof because  
23 fools are so ingenious, and a CPU card is slid in on  
24 hot mode and none of the memory locations have been  
25 initialized to plant conditions for example, like the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 kind that's a system failure that we saw just recently  
2 here.

3 So those three classes of failures there,  
4 you could subdivide it down into failures in deriving  
5 a design out of specification, failures in life cycle  
6 process if you will where verification validation  
7 could have been better, and things like that. But we  
8 haven't got enough data right now that we could  
9 actually pin it down and say, ah, timing is a big  
10 issue, for example, in software or order of execution  
11 is a big issue. We're still working on that.

12 That kind of data would be terrific to  
13 have because that's what you need to actually develop  
14 a diversity strategy.

15 DR. BLEY: I think until you can get that  
16 kind of functional level ordering, it's --

17 MR. WATERMAN: But that doesn't mean we  
18 can't come up with diversity strategies right now, and  
19 we have come up with three different diversity  
20 strategies mostly focused around design, a design that  
21 incorporates completely different technologies, analog  
22 and digital for example. That kind of diversity.

23 Or I think the second strategy is a design  
24 that incorporates digital technology for example, but  
25 the technology itself is radically different within

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the technology, for example microprocessor versus a  
2 field programmable gate array, something like that.  
3 And then you've the third strategy where you're using  
4 microprocessors for example, but you're using  
5 different manufacturers of microprocessors, for  
6 example Intel versus AMD, for example risk reduced  
7 instruction set computer versus a complex instruction  
8 set computer.

9 DR. SIEBER: That brings up a problem that  
10 I think you're going to face in the future. If you  
11 look at a power plant that was built to last 40 years,  
12 maybe 60 years, these digital systems are not going to  
13 have that kind of life time, and the initial failures  
14 are going to be this processor failed, that module  
15 failed, and you're going to go out to buy it and you  
16 aren't going to be able to buy it, and so there's  
17 going to be a substitution; and it's going to be done  
18 in a hurry and the compatibility and your ability to  
19 go through and do flow testing for open loops and all  
20 that kind of stuff is the plant's availability is  
21 going to pressure you to do that pretty fast, and I  
22 think you're going to be in this business a lot more  
23 than you think you are because things are going to  
24 change that fast.

25 MR. WATERMAN: And licensees have

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 attempted to address that by, for example, purchasing  
2 enough microprocessors, Intel 286s for example, to  
3 last 20 years. The problem with that is that a few  
4 years down the road when they go to the website to  
5 find out what new problems have come up, they find out  
6 Intel no longer supports that processor and they're  
7 not longer updating the information. And so you've  
8 got all the spare parts, but you really don't know  
9 what the performance is years down the road.

10 And the other thing is is I've seen the  
11 case where a designer has said we're going to use the  
12 286 chip, even though faster chips are available,  
13 because we know the 286, we've been using it for  
14 years, and, therefore, we're going to do it with the  
15 286. And then they implement the 286 and the  
16 configuration has never been implemented in before,  
17 for example master slave microprocessors.

18 DR. SIEBER: And the development by the  
19 manufacturers has stopped so you're dead in the water  
20 with that.

21 DR. APOSTOLAKIS: Coming back to the issue  
22 of categorizations, let's listen, please. Our  
23 consultant brought to my attention that there has been  
24 some literature where they try to create classes of  
25 failures of the processor, for example early response,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 late response, no response. I think that kind of  
2 categorization would go along with what Dennis said.  
3 I guess you agree?

4 MR. WATERMAN: Absolutely.

5 DR. APOSTOLAKIS: Okay.

6 DR. STETKAR: The only thing I'd warn  
7 about that, and I think it's a good idea because it's  
8 good to have classes to throw things into, just don't  
9 make them too rigid initially. I remember in the  
10 early days of risk assessment when we started looking  
11 at events, the idea was to have a classification  
12 scheme first and then force fit everything into the  
13 boxes you had defined, and sometimes that doesn't work  
14 so well.

15 DR. APOSTOLAKIS: No, no. But in terms  
16 of giving some broad view to the --

17 DR. STETKAR: Right, right.

18 DR. APOSTOLAKIS: -- looking for, I think  
19 that would be a useful thing.

20 DR. STETKAR: I guess what I'm saying is  
21 don't codify the classification scheme and force all  
22 of the experience to fit the --

23 DR. APOSTOLAKIS: Right. Okay, Mike.  
24 What else do you have to say?

25 MR. WATERMAN: Next slide, please. Isn't

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 it interesting that it's my fault we're behind  
2 schedule.

3 (Laughter.)

4 MR. WATERMAN: We're also doing the  
5 classification where the path forward is, obviously,  
6 we're going to continue together with failure  
7 information. The type of failure is really important  
8 because you tend to think of failure, oh, just quit  
9 operating. You know, it doesn't work as well any  
10 more. Sometimes failures have the downstream effect  
11 and the failure may be the system continues to operate  
12 but it's just a little misleading.

13 You know, if you think about Three Mile  
14 Island was not a failure of a PORV or a feedwater  
15 system, it was the operator's interpretation of what  
16 to do after it failed, right? The operator was  
17 misled, so that's a class of failures right there in  
18 the digital system, and it's just like, is the failure  
19 subtle enough that the operator is misled and how they  
20 are to respond.

21 As you can see off of our path forward,  
22 we're working on the draft strategies now. It's not  
23 ready for prime time. I may be working with the  
24 contractor a little bit to refine those strategies.

25 We'll continue to develop our inventory of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 new and existing digital systems so we can fit those  
2 strategies in and see how well they work, and that's  
3 it.

4 DR. APOSTOLAKIS: Thank you.

5 MR. BAILEY: That's it. Anything else for  
6 the staff?

7 MR. HILAND: Before we leave the NRC's  
8 presentation, could I make one additional comment?

9 DR. APOSTOLAKIS: Sure.

10 MR. HILAND: Regarding the dialogue we had  
11 on the current licensing review for the Duke  
12 submittal, and I'm just going to parrot what I said to  
13 the Commission on Monday regarding that submittal is  
14 the licensee has chosen not to follow IEEE 1012 and  
15 that's an IEEE standard we've endorsed by our  
16 regulatory guides. It deals with V&V and so that's a  
17 challenge that the staff will have.

18 In addition, there are several other  
19 regulatory guides that endorse IEEE standards  
20 involving software QA documentation, and our initial  
21 look in our acceptance review, they've taken a lot of  
22 exceptions. And so when we were talking about the  
23 length of time and the amount of effort, as you know,  
24 a licensee doesn't have to follow a regulatory guide.  
25 That's only one acceptable method and so we're going

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to focus on those activities very early in our review  
2 to make sure if there's a red flag that has to up,  
3 it'll go up early.

4 But that's just a head up.

5 DR. STETKAR: Just I'm curious. Is that  
6 because of the particular platform that they're using  
7 and where it's coming from, or is it the decision of  
8 the licensee? Only because the licensee's personal,  
9 only because of the experience from that particular  
10 platform in applications in Europe for example.

11 MR. KEMPER: It seems to be rooted in  
12 that. It's basic. It's a particular vendor that  
13 we're dealing with which is a European-based vendor.

14 DR. STETKAR: But I was just curious  
15 because there is a lot of experience in Europe --

16 MR. KEMPER: Right.

17 DR. STETKAR: -- with that platform.

18 DR. APOSTOLAKIS: Now, when a licensee  
19 uses an item list, you must have reviewed that  
20 standard, right?

21 MR. KEMPER: Yes, typically we endorse  
22 those.

23 DR. APOSTOLAKIS: Because -- that the  
24 Agency has not reviewed?

25 MR. KEMPER: They can, they can. They

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 certainly can, they can submit that. We would  
2 evaluate that. We would evaluate the merits of the  
3 plant form itself based on that standard.

4 For example, we got an application from  
5 Wolf Creek that used an aviation standard, D0218 I  
6 think it is, to qualify their FEGA application. Well,  
7 of course, we don't endorse that. So the first  
8 question we asked was how does that comply or comport  
9 to Reg Guide 1. -- excuse me, IEEE 74.32 because  
10 that's the primary document that we would use to  
11 approve a computer-based system. And they did that.  
12 And since then we understand what they did and we've  
13 moved down the process and things are going along  
14 quite well with that application quite frankly.

15 DR. APOSTOLAKIS: Are you happy with the  
16 IEEE standards?

17 MR. KEMPER: Well, I am.

18 DR. STETKAR: It's a matter of time and  
19 effort.

20 DR. APOSTOLAKIS: It seems to me that  
21 somebody decided that you should never be allowed to  
22 use one standard. They always refer you to another  
23 one, and the other one refers you to another one, and  
24 then you complete the cycle and come back to the  
25 original standard.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DR. SIEBER: Endless loop.

2 DR. APOSTOLAKIS: Endless loop.

3 MR. KEMPER: This is true.

4 DR. APOSTOLAKIS: Speaking of failure  
5 modes.

6 (Laughter.)

7 DR. APOSTOLAKIS: So if you guys are  
8 happy, we're happy.

9 MR. KEMPER: Good to hear, thank you.

10 DR. APOSTOLAKIS: Okay. So the next is,  
11 what, industry comments. Please, go ahead.

12 MR. CLEFTON: Good morning. I'm Gordon  
13 Clefton. I'm with NEI. The subcommittee asked us to  
14 bring a presentation of our evaluation research on  
15 operating experience that the industry's been doing.

16 Just as a lead-in to that, I'd like to  
17 point out that I'm the lead of the shadow organization  
18 that Jack referred to earlier that I got seven TWG  
19 industry people that support the NRC. We've got  
20 probably 150 to 175 people ranging from operators to  
21 senior vice presidents assisting us to make sure that  
22 we speak as one voice and have a feeling together of  
23 how we can make the industry successful in the  
24 implementation of application of digital I&C.

25 We really looked at the fact that that's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the future of the nuclear industry. We need it for  
2 obsolescence, we need it for futures available, and  
3 we're doing everything we can to assist in the  
4 approval of the packages that we submit.

5 Need to go on to a couple of slides here  
6 today.

7 Just quick moments to talk about our  
8 objectives and, as you can see here, our shadow  
9 organization matches what the NRC is doing. We're  
10 looking for safety focus applications. We're looking  
11 for stable, predictable, timely licensing process and  
12 guidance. That's significant right now in the fact  
13 that the regulatory risk associated with submitting  
14 applications is threatening the submittal of  
15 applications.

16 We've talked about the Duke Oconee  
17 package. The industry is watching that one very  
18 closely.

19 We have a need for continuing level of  
20 coordination, cooperation between the NRC and the  
21 industry, and we're looking for consistency in the  
22 processes. We've got a management structure that's in  
23 place that identifies the issues. We're moving them  
24 to resolution in a disciplined manner. It's been  
25 identified earlier. With this we think we can get

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 realistic guidance.

2 DR. APOSTOLAKIS: You spoke of the  
3 regulatory activities. Surely you're not implying  
4 that there are delays that are not justified on the  
5 part of the staff? I mean the industry has complained  
6 in the past that the staff is not moving quickly  
7 enough, and so on. It seems to me that the staff is  
8 dealing with very, very hard problems here, so you  
9 probably acknowledge that.

10 MR. CLEFTON: Absolutely.

11 DR. APOSTOLAKIS: And are you doing  
12 anything, in fact, to help this effort? In other  
13 words, they have a project or projects on how to risk  
14 inform the process. Do you have similar projects and  
15 do they deal with defense in depth and diversity  
16 issues? Do you have your parallel projects so  
17 eventually we will have some intellectual meeting of  
18 minds? Or are you just sitting back and waiting to  
19 see what the staff will do?

20 MR. CLEFTON: No. We're absolutely  
21 involved in producing projects, looking at  
22 applications. Remember, we have digital in the plant.  
23 The digital that's coming to the NRC for approval now  
24 are those that would not screen out with 5059 process  
25 saying that the plant was adequate to make decisions

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 of implementation.

2 We've had digital feedwater systems for  
3 many years that have been working successfully in the  
4 power plant. We've got secondary aspects and such  
5 that are out there that are practical in use already.

6 VICE-CHAIR BONACA: You know, one thing  
7 that seems to be important from the presentation is  
8 the proper classification characterization of failures  
9 so that you build. I mean you're the only one who can  
10 build a database.

11 MR. CLEFTON: That's true.

12 VICE-CHAIR BONACA: Because you have the  
13 experience and it seems to be a critical element to me  
14 if we cannot understand the other modes and the  
15 effects, there is going to be very little progress.  
16 And, again, I mean you can support that?

17 MR. CLEFTON: Yes. That's our  
18 presentation today. We've brought the experts of Ray  
19 and Bruce from the industry to speak to it. We'll get  
20 to that with analysis in a moment.

21 VICE-CHAIR BONACA: But it's almost like,  
22 how do you implement within an organization procedures  
23 for sure that when issues arise they are properly  
24 characterized, evaluated so there isn't just a blip  
25 there that says something malfunctioned and that's it.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DR. APOSTOLAKIS: Yes.

2 MR. CLEFTON: That's correct.

3 MR. TOROK: There's another part to your  
4 question though. I think in regard to the industry  
5 activities supporting a number of these ISGs. We  
6 provided a number of white papers on specific issues.

7 We're continuing to work on more. The one we're  
8 talking about today happens to involve operating  
9 experience, but there are others in the areas of  
10 defense in depth and diversity, in human factors,  
11 cyber security, and risks, that's right, in the PRA  
12 area. There have been white papers submitted and more  
13 in progress.

14 DR. APOSTOLAKIS: Are we getting those  
15 Girija, the committee?

16 MR. SHUKLA: Yes.

17 DR. APOSTOLAKIS: Is the committee getting  
18 those white papers?

19 DR. SIEBER: No.

20 DR. APOSTOLAKIS: Okay.

21 MR. TOROK: Have you seen, for example,  
22 when a common-cause failure applicability?

23 DR. APOSTOLAKIS: I think I saw it, yes.  
24 I see so many documents.

25 MR. TOROK: So you're seeing some of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 these.

2 DR. APOSTOLAKIS: That's good. But as  
3 long as when you speak make it clear that we all have  
4 a common problem and we're trying to understand it.

5 MR. TOROK: Yes, absolutely.

6 DR. APOSTOLAKIS: Rather than say the  
7 regulatory instability and all that stuff.

8 MR. TOROK: That's a good point.

9 MR. CLEFTON: We're sharing the concerns  
10 that the NRC has and resource capability of  
11 handling --

12 DR. APOSTOLAKIS: Good.

13 MR. CLEFTON: -- so that they're aware and  
14 we are that we can't expect a detailed design review  
15 expect regulatory assurance and that's a very  
16 difficult decision for a reviewer to make is how much  
17 is enough is management pressure for schedule and  
18 such, so we're working with the industry to try and  
19 help the NRC to put our packages in order that they  
20 can be reviewed the best that's possible and that  
21 comes from good guidance. It's for the submitter and  
22 for the reviewer. But the rules are the same as what  
23 the NRC has.

24 We can go on to the next slide and talk in  
25 conclusions.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           What we've got is the project plan, which  
2 Duke Oconee is RPS, ESPS, the system that's in there  
3 right now and the pilot project. We expect this to  
4 validate the ISGs that are written and available to  
5 us. This is of highest importance to us. We're  
6 working on this. It's very significant in the  
7 industry applications.

8           Duke's is pressed by time, as we talked  
9 earlier, that they're looking at a 2009 installation  
10 into unit 1, then unit 3, then unit 2. So they've got  
11 several years of application. As you all know, we've  
12 worked outages very carefully for months and months in  
13 advance. These have to be approved so we've got a  
14 thumbs up, go ahead with it far enough in advance to  
15 implement.

16           That's why the package went in on the 31<sup>st</sup>  
17 of January this year. We're working with the NRC to  
18 try and refine differences in schedule where we can  
19 progress on both sides effectively. The emphasis,  
20 again, is on good strong guidance, stable,  
21 predictable, and timely that's realistic, that we can  
22 use.

23           What I'd like to do today is introduce Ray  
24 Torok and Bruce Geddes. Bruce is from --

25           DR. APOSTOLAKIS: Before you do that, I'm

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 sure you addressed this to some people. You are  
2 heading a group, the shadow group?

3 MR. CLEFTON: Yes, sir. I have seven TWGs  
4 that match the NRC's TWGs.

5 DR. APOSTOLAKIS: And you are representing  
6 the industry, not NEI?

7 MR. CLEFTON: That's correct.

8 DR. APOSTOLAKIS: You are industry?

9 MR. CLEFTON: We are industry. Industry  
10 are us.

11 DR. APOSTOLAKIS: Okay. You are working  
12 with EPRI and NEI and so on?

13 MR. CLEFTON: INPO.

14 DR. APOSTOLAKIS: Yes, and INPO. But your  
15 group consists primarily of industry group?

16 MR. CLEFTON: It's industry and vendors  
17 and operators and managers.

18 DR. APOSTOLAKIS: Okay.

19 MR. CLEFTON: It's a combined interest.

20 DR. APOSTOLAKIS: Thank you.

21 DR. BLEY: I think you folks told us at  
22 the subcommittee that your groups have been working  
23 very closely --

24 MR. CLEFTON: Absolutely.

25 DR. BLEY: -- so that you've actually had

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 input into these ISGs on the way?

2 MR. CLEFTON: And that's an ongoing  
3 situation. We've got meetings working probably three  
4 to five times a month with the different TWGs so that  
5 can interface on the assistance of the industry that  
6 we've got out there and make sure that the new plant  
7 vendors are aware of what we're creating, and, of  
8 course, the existing --

9 DR. BLEY: And you will be commenting  
10 formally on the ISGs as well, is that right? Is that  
11 something on the schedule today?

12 MR. CLEFTON: That's not on the schedule.

13 DR. BLEY: Okay.

14 DR. APOSTOLAKIS: Who's funding this  
15 activity?

16 MR. CLEFTON: Each of the industry  
17 participants are funding it separately. There's no  
18 separate cash involved on it. The EPRI has their own  
19 financial for some of their topical reports that come  
20 out, but the gathering is --

21 DR. APOSTOLAKIS: Who decides that, in a  
22 particular issue you need somebody to spend some time  
23 investigating and doing some what we call research,  
24 then it's members of this group that are doing this or  
25 you are going and say, hey, you have a record of this;

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 why don't you look at this problem?

2 MR. CLEFTON: We have the advantage of  
3 several of the members of the group are in management  
4 positions that they can bring it from their own  
5 organizations with no extra costs, so we don't have a  
6 budget and a funded aspect associated with it.

7 DR. APOSTOLAKIS: Okay.

8 MR. CLEFTON: The spokesmen that typically  
9 come to our meetings or participate by teleconference,  
10 links in, or webcasts are tip of the iceberg, if you  
11 will, of resources that are available in the industry,  
12 so we haven't had to fund separate resource as such.  
13 We've had volunteers step forward with each of the  
14 topics.

15 DR. APOSTOLAKIS: Now, does EPRI have  
16 parallel efforts? I mean do you have a research  
17 project some place that is trying to develop something  
18 like the staff has research projects in several  
19 places?

20 MR. TOROK: We certainly have a research  
21 area in instrumentation and control. Right now  
22 several of the activities have been tailored to  
23 support the NEI effort specifically.

24 DR. APOSTOLAKIS: Right, but they are  
25 activities where you go to an organization and you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 say, here is a problem; we'd like you to tell us what  
2 to do about it in two years or a year, or whatever, a  
3 typical research project in other words.

4 MR. TOROK: Well, yes, we have an internal  
5 advisory structure that consists of representatives  
6 from the various utility members of EPRI, and they  
7 have to approve what we're working on.

8 DR. APOSTOLAKIS: But this is the  
9 mechanics of it. Do you actually have such projects?

10 MR. TOROK: Yes, and the one we're going  
11 to talk about is one of those projects. Right?

12 MR. CLEFTON: This one has come with a  
13 collection of available digital related events. It's  
14 of significance because we had to go through and  
15 evaluate whether they were truly digital events.

16 DR. APOSTOLAKIS: Good.

17 MR. CLEFTON: And raise from EPRI versus  
18 from Southern Engineering Services and who's  
19 supporting NEI and EPRI on this issue, so it's a  
20 representation of coming straight from the industry,  
21 the people that are out there. This represents, what  
22 do we have, a three-hour presentation that's now down  
23 to a few a minutes, or 30 minutes.

24 DR. APOSTOLAKIS: So this --

25 MR. TOROK: We want to apologize for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 putting you farther behind schedule.

2 (Laughter.)

3 DR. APOSTOLAKIS: So this is an activity  
4 that parallels what Mr. Waterman presented on behalf  
5 of the staff?

6 MR. CLEFTON: It's actually in  
7 cooperation.

8 DR. APOSTOLAKIS: It's brother?

9 MR. TOROK: Yes. I would call them  
10 complimentary, but it's certainly on the same subject.

11 DR. APOSTOLAKIS: Now why do you always  
12 have 10, 20 minutes? I mean would you mind if in one  
13 of the subcommittee meetings you actually come and  
14 spend an hour or two?

15 MR. TOROK: We would be happy --

16 DR. APOSTOLAKIS: I mean you fly from  
17 California anyway.

18 MR. TOROK: We would be happy to come and  
19 spend four hours with your subcommittee.

20 DR. APOSTOLAKIS: Okay. Let's make sure  
21 that next we actually review what the industry is  
22 doing in more detail. We're not going to write a  
23 letter on it, but it's very informative because it  
24 would be useful I think for us, especially for a  
25 project like this to know the details, not just we are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 trying to do the best job in the world. We all try.  
2 Some of us succeed.

3 MR. TOROK: We would certainly appreciate  
4 that opportunity. And, in fact, not just for the  
5 operating experience, but for the other areas, the  
6 human factors, defense in depth, diversity, and so on.

7 DR. APOSTOLAKIS: I really would like  
8 that. I really would like that to spend serious time  
9 because usually we reserve 15, 20 minutes at the end  
10 and here is the industry to tell us, you know, they  
11 are doing something. We should get into it.

12 CHAIRMAN SHACK: That's it. We'd better  
13 move on.

14 DR. APOSTOLAKIS: Mr. Riley wants to say  
15 something.

16 MR. RILEY: I have something real quick.

17 DR. APOSTOLAKIS: Yes.

18 MR. RILEY: This is Jim Riley, director  
19 engineering NEI. I just wanted to say we'd be happy  
20 to provide or spend some more time with you folks  
21 talking about the various things we have ongoing with  
22 digital I&C.

23 One thing that I would like to just add a  
24 minute more on because I think it's pretty important.  
25 Gordon talked about it. NRC did, too. That we are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 using a pilot plant concept on this, that's Oconee.  
2 We have a separate task force set up within the NEI to  
3 assist Oconee in their review of the NRC RAIs and as  
4 the process goes through. The whole purpose of that  
5 task force is to assist in any issues that come up,  
6 generic issues not plant specific, during the staff's  
7 review of the license amendment request. And, also,  
8 to identify any new issues that maybe we hadn't  
9 recognized when we were doing the ISGs.

10 The whole point in this is to try out the  
11 ISGs and see how they actually work in application  
12 and, hopefully, smooth them out so it's a much better  
13 product when we're done. And we're just getting  
14 started on that, but I think that's very important.  
15 And I know we're working, the staff's well aware of  
16 this, I think we're all working together on it and I  
17 think it should help the final product quite a bit.

18 DR. APOSTOLAKIS: At some point it would  
19 be useful I think for us, for the subcommittee at  
20 least, to be briefed on this effort, if you don't  
21 mind?

22 MR. RILEY: Happy to do that, too.

23 DR. APOSTOLAKIS: Because the actual  
24 lessons learned from a practical application is really  
25 where the action is or should. Thank you very much.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. RILEY: Thank you.

2 MR. TOROK: Okay. Well, first of all,  
3 we'd like to thank you for the opportunity to come  
4 back and talk to you about this EPRI project that's  
5 ongoing in support of the NEI working group.

6 I'm Ray Torok. I'm the EPRI project  
7 manager on this. Bruce Geddes is our principal  
8 investigator supporting the project. That's why we're  
9 both here. Bruce will answer the tough questions.

10 We, also, we presented some of the same  
11 information to the ACR subcommittee on March 20<sup>th</sup> and  
12 they were also very kind to us with suggestions about  
13 things where we could do a better job or add  
14 clarification.

15 So we've tried to react to some of that,  
16 so we do have some new material here. That's sort of  
17 a warning. I just didn't want you to stop paying  
18 attention, think you were going to see the same thing  
19 again.

20 We're going to briefly describe what we  
21 did on the project, what we think the operating  
22 experience is trying to tell us, and how we arrived at  
23 those conclusions. And, of course, we'll give  
24 something on the conclusions and recommendations  
25 coming out of it.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 Now, this project started for us as a  
2 result of an ACRS recommendation to the staff to  
3 investigate operating experience and come back and use  
4 the lessons learned from it to refine the guidance,  
5 the regulatory guidance on defense in depth and  
6 diversity. And while we were not the staff, of  
7 course, we recognized that that was a good idea and we  
8 had the right mechanisms in place to pursue this  
9 ourselves, so we started doing it.

10 The basic idea here was that we would look  
11 into various published reports with NRC and INPO.  
12 From NRC that means things like licensee event  
13 reports, Part 21 notifications, event notifications,  
14 and I may be forgetting some of them. From INPO, of  
15 course, there are operating experience reports.

16 Now all of we looked at 322 reports over a  
17 period of about 20 years in both 1E and non-1E  
18 systems. Now, you notice there it says digital events  
19 in quotes.

20 DR. ARMIJO: Yes. How do you define that?

21 MR. TOROK: We want to clarify that a  
22 little bit because that caused some confusion the last  
23 time. Basically, a digital event for the purposes of  
24 this is anything that was reported that involved or  
25 affected an digital system. Doesn't necessarily have

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to be a failure, might be a plant trip, might be  
2 discovering some flaw in a digital system, anything  
3 that was reported was fair game. Okay.

4 DR. ARMIJO: Just on that point. Last  
5 year there was a failure in a digital feedwater  
6 control system at Perry.

7 MR. TOROK: Yes.

8 DR. ARMIJO: Which if you keep peeling  
9 that onion you get down to maybe a transformer failed  
10 or parts of it.

11 MR. TOROK: Yes.

12 DR. ARMIJO: Is that in your analysis?

13 MR. TOROK: Yes. If it was reported -- in  
14 that case, yes, that one is. But we also at some  
15 point differentiated between events that were really  
16 digital system failures or software failures and ones  
17 that were caused by other things, and Bruce is going  
18 to explain that in a few minutes.

19 But that's an excellent point because  
20 there are a number of definitions you'll find us using  
21 that are important to understand here. And that's one  
22 of them, what's the difference between what we call a  
23 software event and a non-software event.

24 For this purpose, a software event is  
25 where, basically, a design flaw in the software was

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 involved, that sort of thing. Another way to think of  
2 it would be a problem that would affect a digital  
3 system and happened because this was a digital system,  
4 as opposed to one that would have happened the say way  
5 for an analog system like a power supply failure or an  
6 incorrect set point that would affect analog or  
7 digital the same way. So we tried to break it down  
8 that way, and, again, Bruce will show you that.

9 There are a couple of other things I  
10 wanted to mention though. We used some other words.  
11 Defect is one of them. What's a defect?

12 A defect is just a flaw somewhere in the  
13 system. For software that typically would mean what  
14 would be called a software fault or a bug.

15 MR. GEDDES: But it would also include  
16 procedural issues or human error.

17 MR. TOROK: So it's fairly broad term the  
18 way we're using it here.

19 The word failure, something actually  
20 misbehaved one way or another. Now, it's important to  
21 note for software, a software failure, that needs a  
22 defect plus a trigger, and I think that was mentioned  
23 earlier. A trigger is a set of conditions that causes  
24 the software to do the wrong thing. Now, typically,  
25 in a software-based system, the kind of thing that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 does this is an unanticipated condition, something  
2 that wasn't anticipated in the design. So that's what  
3 a failure is.

4 Now, we also talked about common defects.

5 A common defect is one that occurs in multiple  
6 redundancies and can affect a redundant system. And  
7 we also talked about a common-cause failure. Now,  
8 here you need common defects plus concurrent triggers  
9 if you're talking about a software failure that can  
10 become a common-cause failure. And what you find is  
11 that not every common defect can lead to a common-  
12 cause failure, and Bruce will explain some of that  
13 later. But I wanted to make sure we were all more or  
14 less clear on those terms.

15 Now, at the back of the presentation  
16 there's a list of key terms. It goes into more  
17 detail. I don't think we need to go through the rest  
18 of it now, but it's there for your reference.

19 Another thing that I wanted to point out  
20 here was that we're only looking typically at problem  
21 reports here, so we're not talking about positive  
22 experience. We tend to focus on what went wrong and  
23 there are a number of good reasons to do that.  
24 There's a lot more to learn there typically. But  
25 we're ignoring a lot of successful operating

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 experience.

2 Core protection calculators have been  
3 operating for a long time with not very many problems.

4 There are many instances of digital feedwater control  
5 systems that have done a wonderful job of doing away  
6 with the analog system problems. I know of somewhere  
7 during the first startup transient with the new  
8 digital feedwater system, it was credited with paying  
9 for itself in the first startup just by being able to  
10 handle transients that they couldn't handle before,  
11 that would have let the plant trip. So there's a lot  
12 of those kinds of experiences out of there that we're  
13 not talking about.

14 Now, in one case, one of these digital  
15 platforms that people have been talking about here,  
16 they have a lot of experience, not in the nuclear  
17 industry, but in others, in petrochem. They have over  
18 6,000 units in service for I don't know how many  
19 years. They're saying their total service time is in  
20 excess of 450 million hours and they've never seen a  
21 failure on demand.

22 Now the problem there is if you're trying  
23 to generate statistics for PRA, you don't have a lot  
24 to work with. So that's one of the things that makes  
25 it so difficult. Now, in this case, one of the first

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 things that comes in your head is how many demands did  
2 they have and how many failures if I'm worrying about  
3 statistics? It's hard to get that data especially for  
4 systems like these where they're designed to be  
5 extremely robust.

6 They don't fail often, and that's one of  
7 the problems with generating a statistical argument,  
8 which drives us to consider things in regard to design  
9 features that are typically built into these systems  
10 which make them robust because they're not robust by  
11 accident. They're designed to be that way. So I just  
12 wanted to mention that.

13 Now, for our purposes, since we're  
14 primarily trying to support the defense in depth and  
15 diversity issue, our focus is on actual common-cause  
16 failures that can disable systems or potential common-  
17 cause failures that can disable systems. Things at  
18 lower levels aren't so important for the purposes of  
19 this discussion, although we did look at them. So  
20 that's an important point.

21 We also wanted to capture insights in  
22 regard to potential corrective measures that make  
23 sense, depending on what we're seeing. One of them is  
24 a diversity strategy like Mike talked about. What  
25 kinds of diversity would have been helpful here? Or

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 another way of looking at it is, what kinds of  
2 diversity prove to be helpful in these events? And  
3 we've seen some of that because it turns out that  
4 there's a lot of internal diversity built into the  
5 plant systems as it is and it turns out that's a good  
6 thing, which should be a surprise. They were designed  
7 by smart people.

8 So in regard to insights, there's  
9 diversity. What kind of diversity would have been  
10 helpful? And, also, what kinds of design in defensive  
11 measures are proven to be helpful here? So we're  
12 trying to look at those things to capture insights.

13 I should also mention that while the focus  
14 here has been on the D3, the defense in depth and  
15 diversity issue, and common-cause failures, a lot of  
16 the insights that we get from these events, especially  
17 the non-safety ones, have a lot of value in terms of  
18 lessons learned that we can factor back into the  
19 utilities and the processes to improve the way they  
20 handle these systems.

21 So we have another project ongoing at EPRI  
22 where we're working on that. We're taking selected  
23 cases from the same set of information and building it  
24 into our training program on digital upgrades. So  
25 that's ongoing, too. I just wanted to point that out.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 I wanted to very briefly go through what  
2 we're seeing here. In looking at these events, we  
3 were trying to look at software errors in the broader  
4 context of all the causes of potential and actual  
5 common-cause failures that have been reported. Now,  
6 when we did that, we discovered that software is a  
7 relatively minor contributor. Although there have  
8 been a number of actual common-cause failures and  
9 potential common-cause failures, 49 of our 322 events  
10 involved actual or potential common-cause failures.  
11 Of those 49, eight involved software. So software has  
12 not proven to be a big -- in practice over the last 20  
13 years that software is not proving a major  
14 contributor.

15 The more prevalent causes of the problems  
16 have been things like incorrect set points, incorrect  
17 system parameters, process issues, really, which, of  
18 course, would be equally problematic for analog  
19 systems. If the set points are wrong in multiple  
20 redundancies of an analog system, you had problems  
21 same as if it's in a digital system.

22 Also, for the non-safety systems, the  
23 dominant cause was really hardware issues, and there  
24 are a number of important differences between safety  
25 and non-safety and Bruce will get into that later.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1           So while the numbers of events and the  
2 numbers of common-cause failures and potential common-  
3 cause failures are not large statistically speaking,  
4 the operating experience shows no indication that the  
5 introduction of software in these systems has been  
6 particularly problematic in terms of -- compared to  
7 other factors that can degrade reliability and safety.

8           On the contrary, the operating systems  
9 suggest -- it certainly doesn't prove, but it suggests  
10 that whatever is being done now in terms of design  
11 practices and designed in features in these digital  
12 systems, whatever is being done now to ensure that  
13 they're very robust in regard to failures and common-  
14 cause failures seems to be doing pretty well because,  
15 as I said, software has not been a major contributor.

16           DR. ABDEL-KHALIK: Doesn't that depend on  
17 the level of complexity of the software though?

18           MR. TOROK: That's an excellent point.  
19 And, yes, absolutely, and we'll show you a little more  
20 on that. That's an excellent point.

21           Now, with that, I'd like to turn it over  
22 to Bruce who's going to show you how we looked at the  
23 data and drew conclusions from it.

24           MR. GEDDES: Thanks Ray.

25           We           actually           read,           evaluated,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 characterized, and built a database for almost 322  
2 reports. You can see down the left hand side of this  
3 figure, we used this pyramid construct to separate 1E  
4 from non-1E, and we've got another slide that points  
5 out the fundamental differences between the two types  
6 of systems out there.

7 On the 1E side we found 49 reports.  
8 Breaking that down further, 27 of them reported a  
9 common defect. They did not all result, of course, in  
10 a common-cause failure. Twenty-two single defects  
11 were report, and out of those 27 common defect  
12 reports, these are software or non-software defects  
13 that are common and multiple redundancies, four of  
14 them are related to software.

15 The other 23 were life cycle management,  
16 parameter issues, set point issues, operator error, or  
17 procedures, other kinds of defects that can result in  
18 a failure at the system level, and what this means is  
19 a loss of safety function. We saw zero, actual  
20 common-cause failures on demand.

21 We did see six reports that could have led  
22 to a possible system level failure. We are calling  
23 those potential CCFs. One of them is software  
24 related. The other five are non-software related, in  
25 other words, about the same ratio of software to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 non-software events.

2 Of the remaining common defects, we saw  
3 ten single failures, in other words triggered into one  
4 channel even though the defect was common on multiple  
5 channels. We saw six spurious actuations, four  
6 subsystem level meaning a trip function or some other  
7 function of the system, could have led to a potential  
8 CCF, one subsystem level actual CCF.

9 Next slide.

10 On the non-1E side, we see bigger numbers,  
11 okay, and we have some fundamental differences between  
12 like a 1E and non-1E systems that tend, we believe are  
13 causing these numbers to be higher. Going, again,  
14 down the left hand side of this figure, 273 non-1E  
15 events, 77 of which contained a common defect.

16 Sir?

17 DR. STETKAR: Probably the largest  
18 difference is the fact that there is many, many, many  
19 more non-1E applications --

20 MR. GEDDES: Yes.

21 DR. STETKAR: -- than digital I&C, so it's  
22 not necessarily correct to imply that the failure rate  
23 is higher in non-1E because it's fundamentally  
24 designed differently. There's just more of them out  
25 there, so you're going to see more events. So the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 implication is that they may not be as different as  
2 you might think.

3 MR. GEDDES: Well, we do have some backup  
4 slides on failure modes and there's been a lot of  
5 discussion. We can give you a glimpse. Time  
6 permitted, we can show you some failure modes of the  
7 non-1E systems and it's important. Those failure  
8 modes we don't believe are necessarily translatable  
9 directly to the 1E systems.

10 DR. STETKAR: I just wanted to make sure.

11 MR. GEDDES: That's a very good point, but  
12 we need to make both points together because there are  
13 differences.

14 DR. BLEY: Two things on that. One, have  
15 you ever tried to normalize them for the number of  
16 systems out there? And, two, are you preparing a  
17 report on this information that we might be able to  
18 get a look at when it's done?

19 MR. GEDDES: Absolutely, yes. We have a  
20 white paper that's coming out in May and a final EPRI  
21 technical report that's later this year.

22 MR. TOROK: But the answer to the first  
23 question was no, we haven't tried to normalize. And  
24 to do that is a much more difficult problem. You have  
25 to go back and capture the information on all the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 other systems and all the --

2 MR. GEDDES: Absolutely.

3 MR. TOROK: -- moving toward.

4 DR. BLEY: That was the hard part in doing  
5 mechanical systems for ten years.

6 MR. TOROK: And we started talking about  
7 whether that kind of effort is feasible, but we're not  
8 doing anything there right now.

9 DR. STETKAR: I was going to wait until  
10 the end, but you gave me a lead in and we may never  
11 get to the end anyway.

12 You mentioned you have all of the  
13 classification and evaluation you had done is based on  
14 332 event reports, let me call it that. You've  
15 obviously done some screening of the experience to  
16 identify these 322 events. Have you made efforts to  
17 go back to the plants and ferret out more details in  
18 terms of what actually went on? In the staff's  
19 presentation they mentioned some frustration. We used  
20 to see throughout the PRA business of finding an event  
21 report, the pump failed and the corrective action was  
22 replace pump; or software failed and we reset the  
23 processor. Did you make to actually go back to those  
24 322 events and flush out more information? That's the  
25 first question.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. GEDDES: Only in a couple of cases and  
2 I can elaborate on that.

3 DR. STETKAR: Why only in a couple of  
4 case?

5 MR. GEDDES: Well, we found in the reports  
6 about half of the 322 reports were licensee event  
7 reports, the other half are INPO operating experience  
8 reports. And what we've seen over the 20 years is the  
9 quality of the reporting has improved and we do see  
10 there's three specific things that we can read  
11 directly, black and white, in the reports: the cause  
12 of the event, the failure mode of the event, and the  
13 immediate corrective actions and the corrective  
14 actions to prevent recurrence.

15 Those three pieces of information are in  
16 these reports and readily available, and we felt like  
17 that was enough for us to do this research. Now, we  
18 will go back and do some more detailed review and  
19 bring out more information in the final EPRI type of a  
20 report on selected events.

21 DR. STETKAR: My point is that in the risk  
22 assessment experience in areas, in some of these very,  
23 very difficult areas, talking about common-cause  
24 failures now of hardware pieces of equipment, diesel  
25 generators, pumps, valves, those types of things, fire

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 events, human error events, in many, many cases  
2 simplistic categorization of both the failure mode, if  
3 I'll call it that, and the cause based on very, very  
4 high level summaries often does not give you the type  
5 of information that you really need to understand what  
6 happened.

7 Now, I'll grant you that the resources, if  
8 we're talking about 100,000 events, the resources  
9 required to go back and delve into more details would  
10 be daunting. But we're talking about 322 events here  
11 and a lot of them, because of the history of digital  
12 control systems, probably have occurred in the last 10  
13 to 15 years. That's where implant documentation  
14 tracking systems may be much better than what is  
15 reported in an INPO report or an LER.

16 The reason I bring this up is that our  
17 experience from PRA is sharing the information between  
18 both the industry and the regulator at the level of a  
19 detailed narrative of what actually happened  
20 oftentimes leads to better understanding of the  
21 problems, the scope, definitions of failures, and  
22 things like that rather than tabulations of numbers of  
23 events categorized into different boxes with summary  
24 tables of numbers.

25 MR. TOROK: Well, there's two questions

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 going on here. Let me first say that a lot of the  
2 information came from INPO databases, and, of course,  
3 we, EPRI, can't release INPO information on our own to  
4 NRC or anybody else. However, we have been talking to  
5 INPO about this, what can we give to NRC and so on,  
6 and it looks like it will be feasible to just strip  
7 selected information out of the reports and then  
8 provide a lot more of the details to NRC and everybody  
9 else. So we're trying to do that and we will to the  
10 extent that we can.

11 Now, the other question had to do with  
12 distribution of what was seen, and that's a hard  
13 question. Bruce has to answer.

14 MR. GEDDES: If I may, I've picked up a  
15 lot of discussion points listening to you all today  
16 about failure modes. What are the failure modes? How  
17 does software fail? And looking at the 20 non-1E  
18 software events, and I apologize for having to look  
19 sideways, but maybe I could stand up.

20 CHAIRMAN SHACK: No, no. You have to stay  
21 down. You can't stand up and move around.

22 MR. GEDDES: This is a simple Pareto chart  
23 of 20 software events on non-1E systems and these  
24 might be the 20 that we go after instead of 322.

25 The first bin is eight. Eight of those

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 events were application logic errors. In other words,  
2 in any digital you've got an operating system with  
3 fundamental core functions like accessing memory and  
4 operating certain transfer functions. At the upper  
5 end of the architecture is the application logic, the  
6 function blocks that make the system do something  
7 useful. These are errors in that logic at the  
8 application level.

9 The next bin is buffer overflow. Those  
10 could be and probably are operating system issues.  
11 They could be an application call that does something  
12 inappropriate. The designers of the application  
13 didn't quite understand the -- didn't maybe not  
14 completely how the operating system works, but these  
15 are buffer overflows.

16 The next category is inadequate  
17 indications or alarms. Somebody mentioned operators  
18 trying to understand and diagnose an event. In this  
19 case there's three of those.

20 Inadequate human machine interface  
21 operating system issues. In some architectures you've  
22 got a control layer, in other words, processors that  
23 interface directly with the plant, and then a layer  
24 above is a human machine interface system with a  
25 client serve arrangement, that could go dark and the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 control systems keep functioning. A typical feedwater  
2 control or electrohydraulic system control might have  
3 that architecture, especially with a larger DCS type  
4 systems. So that's a case where the HMI failed, but  
5 the plant kept operating.

6 The next bin is faulty deadband function.

7 That's a operating system issue where there's a  
8 function block to insert a deadband into a processor  
9 control and that function block had an error in it,  
10 that the code inside the function block itself was  
11 incorrect.

12 The next one is a faulty communication  
13 function, another operating system core function  
14 issue. The next to the last one is --

15 MR. TOROK: Incorrect exit call in  
16 firmware.

17 MR. GEDDES: Incorrect exit call in  
18 firmware, that's another operating system issue. An  
19 incorrect signal range, that's an application issue.

20 So you can see a few operating system  
21 issues and a few application issues. We think these  
22 are interesting. We think these begin to answer the  
23 question: how does software fail and how do those  
24 failure modes propagate. I would argue I think that  
25 application logic errors tend to be isolated within

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 particular systems, and operating system issues can  
2 propagate across the architecture.

3 Let's go back to where we were on the --

4 DR. APOSTOLAKIS: We have six minutes.

5 DR. ARMIJO: This is the interesting part,  
6 George.

7 DR. BLEY: You'll leave us those extra  
8 slides?

9 MR. TOROK: Yes, yes, we will.

10 MR. GEDDES: We can be here all day. I  
11 can go to the airport, find out if the FAA will let me  
12 go home or not. I don't know. It's Delta, but  
13 they've given us a heads up.

14 Vulnerability of CCF, we do want to get  
15 this point across. Looking at 1E systems,  
16 independence and sharing of resources, those are the  
17 fundamental differences. The triggers of the events  
18 where there's a common defect quite often rely on that  
19 these kinds of fundamental design attributes between  
20 1E and non-1E.

21 In a non-1E system there's quite often a  
22 master slave architecture with some kind of a shared  
23 resource. It could be a back plane, a network  
24 segment, a power, somebody mentioned a feedwater  
25 event, the power supply issue, that was the shared

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 resource.

2 In some case even those shared resources  
3 are redundant, but they might have diode connections,  
4 and if those aren't configured properly or tested or  
5 maintained properly, or they just fail, that can lead  
6 to an event. And that's not necessarily a fault of  
7 the digital system, but it does get involved in the  
8 event and you don't see those fundamental design  
9 attributes.

10 Independence is maintained in 1E systems  
11 by regulation and that's a very, very important point.

12 To try to transfer those non-1E failure modes into 1E  
13 systems, you have to transcend. You have to take into  
14 account these fundamental design attributes and  
15 understand the triggers that lead to events. That's a  
16 very key takeaway here.

17 DR. STETKAR: However, I know in at least  
18 one of the new reactor designs that we'll be looking  
19 at for licensing in the United States you will see  
20 safety-related 1E systems with that type of diode  
21 backup sharing of things, so that for that particular  
22 type of design this experience might be relevant.  
23 That's the only point of not necessarily --

24 MR. GEDDES: I understand. It's not --

25 DR. STETKAR: -- separating between 1E and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 non-1E.

2 DR. APOSTOLAKIS: How do you define  
3 functional complexity?

4 MR. GEDDES: This is application level  
5 complexity.

6 DR. APOSTOLAKIS: Is it a quantitative  
7 metric?

8 MR. GEDDES: No, qualitative.

9 MR. TOROK: What it refers to really is  
10 that in the 1E side, the system is typically just  
11 looking at some input-censored data --

12 MR. GEDDES: Bistable functions versus  
13 closed loop events control algorithms for feedwater --

14 MR. TOROK: It's just a trip. It's on and  
15 off and that's all it is. Whereas, on the other side,  
16 you've got feedback control, closed feedback and so  
17 on.

18 MR. GEDDES: I think it's important for  
19 the community to understand that 1E systems aren't  
20 always quiescent, dormant, waiting for an event.  
21 They're constantly scanning process values, comparing  
22 them to a set point and writing in a zero or a 1 on a  
23 millisecond level, constantly. They do the same thing  
24 over and over whether there's a demand or not. When  
25 there is a demand, it writes a 1 instead of a zero to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the reactor trip breakers. That's a very important  
2 point.

3 DR. SIEBER: Let me ask this question. If  
4 you show us this chart ten years from now, what will  
5 change? For example, in ten years will there be  
6 shared resources for 1E systems?

7 MR. GEDDES: No.

8 DR. SIEBER: Will you have functional  
9 complexity, maybe become high for 1E systems? How is  
10 this going to change and what's going to prevent it  
11 from changing?

12 MR. GEDDES: I think the 1E column is a  
13 function of regulation, and the non-1E column is a  
14 function of plant reliability and availability, and  
15 we're learning. You notice formal software quality  
16 assurance methods varies under -- but it's improving.

17 There's nothing like a reactor trip to be  
18 a learning opportunity for an I&C engineer. And  
19 that's what's happening in the non-1E column. We are  
20 improving dramatically on the non-1E side and in ten  
21 years I expect event free operation.

22 DR. SIEBER: Well, a lot of the trips of  
23 the plants are pretty events, you know. It's too hot,  
24 you trip it. Flux is too high, you trip it, and so  
25 forth. As opposed to control systems particularly --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRMAN SHACK: Jack, we had better let  
2 them finish.

3 DR. SIEBER: -- integrated control systems  
4 where it's altogether different.

5 MR. TOROK: We would be happy to come back  
6 later.

7 DR. APOSTOLAKIS: Yes, I think you would  
8 do that. Tell us --

9 MR. TOROK: There's a point down -- we  
10 need the red box here.

11 MR. GEDDES: I think we've covered that.

12 MR. TOROK: The 1E systems are much better  
13 protected for a bunch of reasons.

14 DR. APOSTOLAKIS: Good.

15 MR. TOROK: Now we're there, right. Same  
16 thing we said before, software has not been  
17 particularly problematic compared to the other  
18 contributors to common-cause failure which suggests  
19 that the designers and users of these types of  
20 equipment have learned how to do pretty well. The 1E  
21 and non-1E is still apples and kumquats. It's tough  
22 to compare and we tried to explain why, although there  
23 are a lot of good lessons learned from both.

24 Recommendation wise, we agree with Mike.  
25 Let's keep looking at things, at information from

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 whatever sources we have, and let's start thinking  
2 about factoring this back into the D3 guidance as  
3 suggested earlier.

4 Now, I was just going to point to this.  
5 We've got some other things we saw which were kind of  
6 interesting, like there are many cases where, in doing  
7 corrective actions for a non-software-related issue, a  
8 hardware failure perhaps, added features were put in  
9 in software to protect against that from happening  
10 again, which is really nice. They're using software  
11 for what it's good at. So that was encouraging.

12 We also saw events that confirmed the  
13 effectiveness of certain kinds of diversity, in this  
14 case signal diversity and functional diversity. For  
15 example, reactor protection systems have lots of  
16 different signals. They can all start trips. That's  
17 a good thing. We don't want to do away with that.

18 On the other hand, we saw no events where  
19 using platform diversity and redundant trains of a  
20 system seemed to be the right thing to fix the  
21 problem. Because the problems weren't coming from the  
22 platforms, they were coming the application code, set  
23 points and requirements, and things like that, not  
24 from the base platforms.

25 I mentioned the last one already. So

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 we're done.

2 DR. ARMIJO: This is not my area, so it  
3 may be a dumb question. These operating system  
4 errors, what do you do to fix them or how do you test  
5 these systems in advance to be sure these errors are  
6 not there?

7 MR. TOROK: That's a good question.  
8 That's where I mentioned so-called defensive measures  
9 here. There's a difference between a good operating  
10 system or a good platform and a bad one. Now, 15  
11 years ago, I'd say we didn't know that much about how  
12 to figure out which were the good ones and which were  
13 the bad ones. We know a lot more about it now.

14 And I'll give you a couple of easy  
15 examples.

16 MR. GEDDES: Based on non-safety system  
17 experience.

18 DR. ARMIJO: Right.

19 MR. TOROK: Yes. For example, everyone's  
20 heard of the Y2K problem. Well, that happens when  
21 operating systems try to track dates and they tangled  
22 up over that. So if you're evaluating a system before  
23 you put it into a critical application, safety or  
24 non-safety, one of the things you want to do is look  
25 inside the box and make sure it's not using dates, or

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 if it is, it's doing it very carefully.

2 MR. GEDDES: Or turn that feature off.

3 MR. TOROK: Yes. Now, another example  
4 might be in a well-designed system for critical  
5 applications. What the operating system does, it's  
6 functions don't change at all during a plant  
7 transient. It just does the same thing over and over  
8 again. It reads data; it ships data someplace else.  
9 It can't tell that a transient's going on.

10 The reason that's important is because you  
11 can have all the bugs you want in that operating  
12 system and a plant transient can't trigger them. So  
13 it eliminates the operating system as a contributor to  
14 common-cause failure. So you're looking for those  
15 kinds of design features when you evaluate these  
16 systems before you before you put them.

17 And there are many other things. We call  
18 them defensive measures. And from our standpoint  
19 that's one of my soap boxes I guess. I'd say these  
20 systems are reliable, well, in part because they have  
21 good development processes behind them, but maybe more  
22 importantly because they have good designs with lots  
23 of the right kinds of designed-in defensive measures.

24 And so we're working more on methods to credit that.

25 DR. APOSTOLAKIS: I think future meetings

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 have to be structured better so we have more time to  
2 go into the interesting stuff. But let's start with  
3 the subcommittee meetings where you will have a  
4 stronger presence.

5 I'd like to thank you, gentlemen, and also  
6 the staff for very informative presentations today,  
7 and back to you, Mr. Chairman, on time.

8 (Laughter.)

9 MR. BAILEY: Let's take a ten minute break  
10 and then we'll try to catch up on some of that time  
11 that we've lost.

12 (Whereupon, the foregoing matter  
13 went off the record at 11:07 a.m.)

14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701