

1 UNITED STATES OF AMERICA
2 NUCLEAR REGULATORY COMMISSION
3 + + + + +
4 ADVISORY COMMITTEE ON REACTOR SAFEGUARDS
5 (ACRS)
6 + + + + +
7 MEETING OF THE SUBCOMMITTEES ON
8 MATERIALS & METALLURGY AND PLANT OPERATIONS
9 + + + + +
10 PROPOSED GENERIC COMMUNICATION REGARDING INSPECTION
11 OF
12 INCONEL ALLOY 82/182/600 PRESSURIZER PENETRATIONS
13 AND STEAM-SPACE PIPING CONNECTIONS
14 + + + + +
15 FRIDAY,
16 APRIL 2, 2004
17 + + + + +
18 ROCKVILLE, MARYLAND
19 + + + + +
20
21 The Subcommittee met at the Nuclear
22 Regulatory Commission, Two White Flint North, Room T-
23 2B3, 11545 Rockville Pike, at 8:30 a.m., Dr. F. Peter
24 Ford, Chairman, presiding.
25

1

2 COMMITTEE MEMBERS PRESENT:

3 F. PETER FORD, Chairman

4 JOHN D. SIEBER, Co-Chairman

5 MARIO V. BONACA, Member

6 THOMAS S. KRESS, Member

7 GRAHAM M. LEITCH, Member

8 VICTOR H. RANSOM, Member

9 WILLIAM J. SHACK, Member

10 MAGGALEAN W. WESTON, Staff Engineer

11 NRC STAFF PRESENT:

12 BILL BATEMAN

13 STEPHANIE COFFIN

14 TIMOTHY G. COLBURN

15 BILL CULLEN

16 ALLEN HISER

17 STEVE LONG

18 MATTHEW MITCHELL

19

20

21

22

23

24

25

C O N T E N T S

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

PAGE

Introduction, F. Peter Ford	4
Staff Opening Remarks, Bill Bateman	5
Staff Presentation, Matt Mitchell	7
Commission Discussion	60

P R O C E E D I N G S

(8:31 a.m.)

CO-CHAIRMAN FORD: Good morning. The meeting will now come to order.

This is a meeting of the ACRS Joint Subcommittees on Materials & Metallurgy and on Plant Operations.

I am Peter Ford, Chairman of the Materials & Metallurgy Subcommittee. My Co-chair is Jack Sieber, Chairman of the Plant Operations Subcommittee.

Other members in attendance are Mario Bonaca, Tom Kress, Graham Leitch, Victor Ransom, Bill Shack, and Graham Wallace.

The purpose of this meeting is to discuss the proposed bulletin regarding pressurize dissimilar metal weld cracking issues.

Maggalean Weston is the cognizant ACRS staff engineer for this meeting.

The rules for participation in today's meeting have been announced as part of a notice of this meeting published in the Federal Register on March 23rd, 2004.

A transcript of the meeting is being kept and will be made available as stated in the Federal Register notice.

1 It is requested that speakers use one of
2 the microphones available, identify themselves, and
3 speak with sufficient clarity and volume that they may
4 be readily heard.

5 We have received no written comments from
6 the members of the public regarding today's meeting.

7 The concern that we're going to be
8 discussing today is the question of a potential for
9 unset of circumferential cracking and pressurizer
10 penetrations and whether the licensees can inspect and
11 identify these particular cracks in a timely manner.

12 We are potentially having a letter on
13 this, a writing to the full committee meeting later
14 this month.

15 Jack, would you like to add any comments?

16 CO-CHAIRMAN SIEBER: Not at this time.

17 CO-CHAIRMAN FORD: Okay. Bill, can I pass
18 the meeting on to you, please?

19 MR. BATEMAN: Yes, you can. Thank you,
20 Dr. Ford.

21 I'm Bill Bateman, Chief of the Materials
22 and Chemical Engineering Branch, and with me this
23 morning is Matthew Mitchell, a senior engineer on my
24 staff.

25 We're here to talk to you about

1 pressurizer penetrations. During the last refueling
2 outage season, we had a couple of plants identify
3 leakage from heater sleeves.

4 One thing that was somewhat unique about
5 this was the licensees did some non-specific
6 examination of these leaks to characterize the flaws.
7 That was kind of new data that we were gathering. We
8 don't have an awful lot of data about the
9 characterization of the flaws when these heater
10 sleeves do leak, but we do have some, and that data
11 base to date has shown axial cracking in the pressure
12 boundary portion of the heater sleeve.

13 Palo Verde was undergoing a campaign last
14 outage season to replace some of the Alloy 600
15 penetrations in one of their pressurizers, and they
16 did some volumetric inspection of those heater sleeves
17 as part of that exercise. They did identify some
18 circumferential cracking in penetration above the
19 weld, but that is in the non-pressure boundary portion
20 of the pressurizer.

21 We didn't expect to find that. We didn't
22 expect licensees would find that kind of cracking. So
23 it kind of escalated our concern about where we're at
24 with Alloy 600 cracking on the pressurizer, given
25 particularly that the pressurizer is the hottest spot

1 in the reactor coolant system, and we know that the
2 heat temperature, time at temperature, as the
3 susceptibility model we've used for the upper vessel
4 head. So if you kind of transpose that over to the
5 pressurizer, you would think, well, the pressurizer
6 has got the potential for problems.

7 So that's kind of how we got into thinking
8 about what do we need to do about it, and the decision
9 was made to generate a piece of generic correspondence
10 to go out to industry to request specific information.

11 I will say that industry has been
12 proactive in this regard, and Matt will cover some of
13 the details of that in his discussion.

14 So I guess at this point, Matt, I'll turn
15 it over to you.

16 MR. MITCHELL: Okay. Thank you, Bill.

17 I think in keeping with the guidance we've
18 received from the ACRS staff, I'd like to start by
19 trying to sort of give you the conclusions or the
20 synopsis of the message that we are trying to bring to
21 the ACRS Subcommittees today.

22 And it starts with the first bullet, that
23 we have, indeed, developed a proposed bulletin to
24 address the inspection of these Alloy 82/182/600 type
25 locations in or near the boundary of the pressurizer

1 and susceptible to primary water stress corrosion
2 cracking.

3 And as a point of clarification, and I'll
4 get to it in a couple of slides when I have a diagram
5 of a pressurizer to put up, one of the locations,
6 however, which we have not included within the scope
7 of this particular bulletin would be the bimetallic
8 weld between the surge line and the pressurizer shell.
9 We have essentially, if you will, drawn the boundary
10 of this proposed bulletin just above the elevation of
11 that bimetallic weld, and then for locations above
12 that in and around the pressurizer shell.

13 CO-CHAIRMAN FORD: Will you be returning
14 to this question? I'm interested in reading the draft
15 of the bulletin that I have anyway. Surge line is not
16 within the scope. Will we be coming back to that
17 later on? And what's the risk by not having it in
18 scope?

19 MR. MITCHELL: Well, and that is, indeed,
20 a question that also I think that when we took the
21 bulleting to the committee to review generic
22 requirements last week, they asked that we be a little
23 more explicit in the way that we address that within
24 the scope of this draft bulletin to note that the
25 staff is in the process of considering whether or not

1 we need to take action by means of another generic
2 communication to address not only the surge line, but
3 piping butt welds throughout the boundary of the
4 reactor coolant system.

5 So that is a following step that the staff
6 is at this point -- the staff has under consideration.

7 CO-CHAIRMAN FORD: So it wasn't excluded
8 because you didn't think there would be any problem
9 from a risk point of view. It was just because you
10 had to put a boundary on the --

11 MR. MITCHELL: Right, right. Yeah, that
12 should not -- yeah, we're not claiming that that is
13 not an issue certainly.

14 CO-CHAIRMAN FORD: Right.

15 DR. LEITCH: The question I had was why
16 are we limited to 600. Is there no 690 in service in
17 this application?

18 MR. MITCHELL: The locations which could
19 potentially have 690 would be if licensees, and in the
20 case of some of the CE designed facilities they have
21 gone in and put in half nozzle repairs. As Bill was
22 mentioning, Palo Verde Unit 2, when they were in their
23 last refueling outage, that was their proactive step
24 to try to address the potential for cracking in their
25 original configuration. They were going in and

1 putting half nozzle repairs throughout the heater
2 sleeves.

3 And so there would be a limited amount of
4 690 in service. I don't believe we have any
5 experience, however, at this point in time with 690
6 having started to show evidence of primary water
7 stress corrosion cracking in these applications.

8 DR. LEITCH: It seemed to me that someone,
9 and I forget which plant, came up in the license
10 renewal, was planning to replace their pressurizer
11 next year, I think.

12 CO-CHAIRMAN SIEBER: Ginna?

13 DR. LEITCH: I think it was Ginna, Jack,
14 yeah. And I would assume they would be using 690 in
15 that application.

16 MR. MITCHELL: I can't say that I'm
17 familiar with that particular aspect. If anyone else.
18 Stephanie?

19 MS. COFFIN: Stephanie Coffin, NRR.

20 Just last week Fort Calhoun Station came
21 in and made a presentation to the staff on their plans
22 for replacing the pressurizer, their steam generators,
23 and the reactor vessel head.

24 MR. MITCHELL: I think it was Fort
25 Calhoun, yeah.

1 MS. COFFIN: Over the next two years. I'm
2 not sure of the exact schedule. All of the materials
3 in all three of these components will be 690/52/152
4 materials.

5 DR. LEITCH: So we don't think it's -- I
6 mean I know 690 is not as susceptible, but I guess
7 we're saying that as we begin to get some of these 690
8 applications, we don't think this bulletin is
9 applicable to 690?

10 MR. MITCHELL: Well, certainly in keeping
11 with the context of a bulletin or a proposed bulletin
12 being a one time, we're looking for a specific defined
13 response. I think we would need to contemplate what
14 other vehicles we would need to use to deal with the
15 fleet going forward and engage them on the 690 issue
16 as a more far reaching application.

17 DR. LEITCH: Okay. Thank you.

18 MR. BATEMAN: Let me just add we have a
19 substantial amount of experience with steam generator
20 tubes, which are kind of leading the information with
21 respect to the performance of 690, and we don't have
22 any problems with those steam generator tubes at this
23 point that have been in service for a number of years.
24 We really haven't seen any cracking in 690.

25 So whether or not it's the right material

1 to last for the lifetime of a plant, we don't know
2 that yet.

3 MR. MITCHELL: Yea.

4 DR. SHACK: Just a question on this butt
5 weld. When we had the summer issue, was there a
6 campaign to inspect all of the 182 butt welds? You
7 know, how much experience do we have with people who
8 have done inspections on butt welds?

9 Presumably better volumetric inspections
10 now that we've had the summer experience on how to do
11 this.

12 MR. MITCHELL: Certainly the experience
13 with Summer has sensitized both the staff and the
14 industry to the issue of PWSCC and piping butt welds.
15 We've been awaiting information from the industry in
16 terms of their evaluation of the degree of the
17 problem, given some of the particular nuances about
18 Summer, which you may recollect it would not be
19 characterized as your typical reactor coolant system
20 weld given the degree of weld repairs which were
21 evident there.

22 But we have challenged the industry to
23 give us a more thorough assessment of the overall
24 scope of the potential for PWSCC in piping butt welds
25 and to provide us with their proposals in terms of

1 inspecting those welds going forward.

2 And as you pointed out, the application of
3 more advanced volumetric inspections has been working
4 its way into the fleet with Supplement 10 to Appendix
5 A of Section 11 type inspections of those piping butt
6 welds.

7 I can't say that we know immediately or
8 that I know immediately today just to what extent a
9 fleet's welds have been inspected using those updated
10 methods. We know that they're there. We know that
11 they're available.

12 Part of the consideration for the
13 potential need for an additional generic communication
14 could be to obtain an appropriate collection of
15 information regarding just how many inspections of
16 that type have been performed and what the results
17 have been.

18 MR. BATEMAN: Well, I might add that we
19 have information, early information. Obviously, you
20 know, this new PDI inspection has just started, but we
21 have information that plants are finding indications,
22 and they're going back and looking at previous UT
23 inspection data, which they didn't make the call on
24 before and said, "Oh, yeah. Well, now that we know
25 about this improved technique, we have a flaw there.

1 We can go back and look at some of our old data and
2 say, yeah, that was there, but we just didn't call
3 it."

4 So I think we're going to see more of that
5 with the new inspection techniques, and the question
6 will come up is this some kind of a preexisting flaw.
7 Is it a growing flaw? You know, all of that has yet
8 to play out.

9 MR. MITCHELL: But then getting back again
10 to the topic of the proposed bulleting today, the
11 intent of the bulletin is to request information from
12 the PWR licensees regarding their past, present, and
13 future inspection plans for the locations covered
14 under the scope of the proposed bulletin, and it is
15 the NRC staff's position that the information
16 requested is necessary for us to determine whether
17 there is need for additional regulatory action.

18 I think you've heard us say that before in
19 the context of other bulletins that we have brought
20 before you on PWSCC and other locations.

21 CO-CHAIRMAN FORD: And that presumably in
22 relation to the last two questions will include a
23 quantitative qualification of either materials
24 changes, 690, or 152/52, and also the volumetric
25 exams. You would be asking the industry to give you

1 a quantitative qualification of those changes; is that
2 right?

3 MR. MITCHELL: I'll get to the requested
4 information as I move through the presentation. Maybe
5 it would be better if I tried to address that question
6 a little bit later.

7 CO-CHAIRMAN FORD: Sounds good.

8 MR. MITCHELL: As Bill had pointed out in
9 his introduction, we have had extensive experience
10 with cracking of the locations covered within the
11 scope of this bulletin throughout the past history of
12 PWR operations. It does include evidence of cracking,
13 I believe, at all three PWR designs. Both the CE
14 designed fleet has certainly seen evidence of Alloy
15 600 cracking in the pressurizer heater sleeves.

16 We've seen Alloy 600 diaphragm plate
17 cracking in the heater bundle design at the Babcock
18 and Wilcox facilities.

19 We've seen instrument line cracking at all
20 three designs, and there has also been some evidence,
21 particularly foreign operating experience, at Tsuruga
22 in Japan involving the cracking of butt welded
23 connections in safety relief valve lines and spray
24 lines connected to the steam space of the pressurizer.

25 And the bullet at the bottom of the page

1 is just sort of the general recap that, indeed, with
2 the temperatures evident in the pressurizer, one would
3 expect PWSCC to occur at these locations, given what
4 we've seen in the upper and lower vessel heads at
5 other facilities.

6 So moving to my rather sparse diagram of
7 a typical CE or Westinghouse pressurizer, the
8 locations that you see numbered there, there's no
9 legend for those, but I think it's probably fairly
10 evident that Location 3 up at the top is a spray line
11 coming into the top of the pressurizer. Location 4
12 would be around the area where you would expect to
13 have safety or relief valve lines. Locations 5 and 7
14 are instruments taps, and Location 8 down at the
15 bottom are emersion heaters that you would see in the
16 CE and Westinghouse designs, and in those facilities
17 you could potentially have Inconel Alloy 82/182/600
18 type materials at any of those locations.

19 I should point out at this stage, however,
20 that as far as the Westinghouse design fleet goes, we
21 are not aware of any of those units which have used
22 Alloy 82/182/600 type materials in the heater sleeves
23 themselves or in their connection to the pressurizer.
24 That seems to be isolated to a feature of the CE
25 designed fleet. Westinghouse units have used

1 stainless steel.

2 The next slide is a little more of the
3 detailed operational experience and particularly the
4 recent operational experience. In part, as also Bill
5 had mentioned in his introduction, in the fall of last
6 year, there were a couple of instances of leakage
7 observed from CE designed units at Milstone II and
8 Waterford III, which were confirmed to be the result
9 of actually oriented PWSCC in their heater sleeves.

10 The seminal event is the second bullet.
11 In October of 2003, with Palo Verde Unit II
12 discovering circumferentially oriented PWSCC in the
13 non-pressure boundary portion of five heater sleeves
14 during their efforts to do widespread Alloy 690 half
15 nozzle replacements has been the impetus for us to
16 really go back and revisit this issue at this point in
17 time and seek additional information regarding the
18 status of the entire fleet.

19 In addition, the foreign experience that
20 I alluded --

21 CO-CHAIRMAN FORD: Excuse me, Matt. Are
22 we going to come back to the details of the Palo Verde
23 incident?

24 MR. MITCHELL: We can cover that now.
25 Please, go ahead.

1 CO-CHAIRMAN FORD: Could put up this up so
2 that we can discuss it in a bit more detail?

3 MR. MITCHELL: Okay, certainly.

4 CO-CHAIRMAN FORD: There was no leakage,
5 as I understand it.

6 MR. MITCHELL: That is correct. At Palo
7 Verde Unit II, again, all of that work that was being
8 done last fall was as part of this planned proactive
9 replacement.

10 CO-CHAIRMAN FORD: Right.

11 MR. MITCHELL: There was no evidence of
12 leakage at the unit when the unit had shut down from
13 any of those particular heater sleeves.

14 CO-CHAIRMAN FORD: Okay.

15 MR. MITCHELL: Okay, and what Peter has
16 asked me to put up is sort of my typical drawing of a
17 CE designed heater sleeve that I've used for a number
18 of presentations now over the past few months, and it
19 short of lays out for you sort of a general schematic
20 of what this looks like.

21 And in fact, I believe this drawing did
22 actually come from Palo Verde during the time when we
23 were discussing the indications they found last fall,
24 and so the circumferential cracking that we're
25 discussing would have been above that elevation of a

1 dashed line that you see drawn across sort of the
2 middle of the picture. It's above that. So it would
3 have been in the non-pressure boundary portion.

4 CO-CHAIRMAN FORD: Could you point to it?
5 Sorry.

6 MR. MITCHELL: It would be -- would have
7 been up in this region. So above the elevation of
8 where the welds tie into the actual shell of the
9 pressurizer.

10 CO-CHAIRMAN FORD: Okay.

11 MR. MITCHELL: So your dashed line here is
12 where I've tried to sort of point out the difference
13 between pressure boundary and non-pressure boundary
14 portions.

15 CO-CHAIRMAN FORD: Okay. So not having an
16 ejection possibility here.

17 MR. MITCHELL: Not based upon what was
18 observed at Palo Verde Unit II, no.

19 CO-CHAIRMAN FORD: Now, if you're getting
20 cracking at that heat affected zone, why couldn't you
21 get cracking at the lower heat affected zone?

22 MR. MITCHELL: That has been our question
23 as well.

24 CO-CHAIRMAN FORD: Ah, good.

25 MR. MITCHELL: That is what we are -- that

1 is in large part the reason why we are pursuing this
2 proposed bulletin. There would be reason to believe
3 that you would, of course, be potentially susceptible
4 to circumferential cracking below the weld.

5 Now, there have been some analytical --
6 has been some analytical work performed on the part of
7 the industry as we've challenged them to provide us
8 with a justification for continued operation of the CE
9 units in light of this information, which has
10 suggested that the residual stresses below the weld
11 would be somewhat lower than those above the weld.

12 The best characterization that the
13 industry has provided for us is that they had believed
14 the cracking observed at Palo Verde Unit II may very
15 well have been OD initiated. On the downhill side all
16 of the cracking observed at Unit II was on the down
17 slope side of these penetrations. So it's at this
18 location.

19 And it was essentially equally length on
20 both the ID and the OD of the tube. So just from the
21 UT information, it was essentially impossible to
22 delineate between ID initiated and OD initiated
23 because you couldn't see any real difference in the
24 extent on either surface.

25 But when they provided residual stress

1 analyses, then it was apparent that those results
2 indicated that it would have been potentially more
3 likely to have been OD initiated due to slightly
4 higher stress on the OD.

5 CO-CHAIRMAN FORD: And so their analyses
6 are showing that you got a compressive stress on the
7 ID and a tensile stress on the OD?

8 MR. MITCHELL: No.

9 CO-CHAIRMAN FORD: No?

10 MR. MITCHELL: Actually they were showing
11 tensile on both surfaces.

12 CO-CHAIRMAN FORD: Oh, so it's just like
13 a large pipe.

14 MR. MITCHELL: Yeah.

15 CO-CHAIRMAN FORD: So their argument
16 completely falls apart then, does it not?

17 MR. MITCHELL: Well, indeed, based upon
18 those analyses, there were also tensile stresses below
19 the weld on the ID surface. So that would make you
20 potentially susceptible to PWSCC below the elevation
21 of the weld, yes.

22 CO-CHAIRMAN FORD: So when I read comments
23 that this is not -- conclusions that this is not a
24 safety issue because you couldn't get tube ejection,
25 that's not entirely supportable, is it?

1 MR. MITCHELL: Well, there would be a
2 difference between having the ability to initiate
3 PWSCC below the weld and to have the expectation that
4 there's a high likelihood for it to grow to an extent
5 where you could reach tube ejection. Just like with
6 the upper vessel head penetrations, the results of the
7 stress analyses have indicated that you would need a
8 very substantial flaw even below the weld to lead to
9 an ejection, again, something on the order of 300
10 degrees around and completely through wall, 300 to 320
11 degrees around and completely through wall before you
12 would reach sort of a limit load solution, which would
13 suggest that the thing could possibly separate and
14 cause ejection.

15 So these are still substantially resistant
16 to full scale rupture and failure.

17 CO-CHAIRMAN FORD: Okay. But where you
18 stand right now, hearing the industry coming along and
19 making this argument. Hey, they believe that it was an
20 OD initiated crack on the top side. I'm hearing you
21 say you're not just taking that at face value.

22 MR. BATEMAN: No, and probably it wouldn't
23 be fair to characterize the industry as taking a
24 position on this. We've had discussions with
25 industry, and we haven't sensed any reluctance on

1 their part to deal with this at this point in time.

2 CO-CHAIRMAN FORD: Okay. Good, good,
3 good.

4 MR. MITCHELL: I'm going to step back to
5 the detailed operational experience slide for just one
6 second because I want to mention also the last bullet
7 on the slide, which, again, goes to the susceptibility
8 of the B&W designed facilities because we did have a
9 recent event in which TMI I found evidence of cracking
10 in their diaphragm plate in their heater bundle
11 assembly. At that unit they eventually replaced the
12 assembly to bring the unit back to power operation.

13 But it was in the heat affected zone of a
14 seal weld around the exterior of that diaphragm plate.

15 CO-CHAIRMAN SIEBER: That's this drawing?

16 MR. MITCHELL: It's this other sketch we
17 have.

18 MR. BATEMAN: That is, yes.

19 MR. MITCHELL: Would you like me to put
20 that up, as well?

21 CO-CHAIRMAN SIEBER: Sure.

22 MR. MITCHELL: I get to make use of all of
23 my background slides.

24 (Laughter.)

25 MR. MITCHELL: Yes, and this is, again, a

1 diagram that we actually received from TMI during the
2 course of those discussions, and the cracking would
3 have been in this area which you see circled here,
4 where the diaphragm plate meets up with the shell of
5 the pressurizer, and then a seal weld was located
6 around the edge of that diaphragm plate.

7 DR. LEITCH: So that's a welded joint
8 there?

9 MR. MITCHELL: Actually the structural --

10 CO-CHAIRMAN SIEBER: It's bolted.

11 MR. MITCHELL: The structural support is
12 provided by this strongback which is bolted to the
13 shell of the pressurizer.

14 DR. LEITCH: Okay, okay.

15 MR. MITCHELL: That is just a seal weld.
16 That is not a nonstructural weld at that location.

17 DR. LEITCH: Got you.

18 CO-CHAIRMAN FORD: I'm sorry. Where was
19 the crack?

20 MR. MITCHELL: The crack was actually
21 around this seal weld essentially in the heat effected
22 zone portion in this Alloy 600 plate. So if I had a
23 blow-up of this diagram, you could show it sort of in
24 this location.

25 CO-CHAIRMAN SIEBER: The heaters here are

1 horizontal as opposed to Combustion's which are
2 vertical.

3 MR. MITCHELL: Correct. These come in
4 from the side of the pressurizer shell.

5 CO-CHAIRMAN FORD: And what is that bolt
6 made of? Is that a bolt at the top, isn't it?

7 MR. MITCHELL: This?

8 CO-CHAIRMAN FORD: Yeah.

9 MR. MITCHELL: Yeah, that's --

10 CO-CHAIRMAN FORD: Is it all the way a
11 steel stud?

12 MR. MITCHELL: I can't --

13 CO-CHAIRMAN FORD: High strength?

14 MR. MITCHELL: I would assume it's a
15 typical ASME code bolting material. I don't know
16 exactly what designation material they're using for
17 this particular application. I can say this is a
18 typical low alloy steel strongback, however.

19 CO-CHAIRMAN FORD: And I read somewhere
20 that you saw boric acid corrosion in that region.

21 MR. MITCHELL: That is correct. That was
22 evidence of corrosion of the strongback itself due to
23 the boric -- borated water leakage which came through
24 the crack around the seal weld and then interacted
25 with the carbon steel, low alloy steel of the

1 strongback.

2 CO-CHAIRMAN FORD: But no attack on the
3 bold, on the stud?

4 MR. MITCHELL: Not to my recollection, no.

5 MR. BATEMAN: And we don't really know if
6 it was even in contact with the bolt. So you know, if
7 it was maybe it would have been, but I don't think we
8 got any information indicated that where the leak was
9 there was also a bolt in that vicinity.

10 CO-CHAIRMAN FORD: So that's just a
11 schematic?

12 MR. BATEMAN: Yes.

13 CO-CHAIRMAN FORD: Okay.

14 DR. LEITCH: And as I recall, TMI made a
15 repair and then came back up and it leaked again, and
16 they had to make another repair. What was the nature
17 of the repair?

18 MR. MITCHELL: they did attempt to grind
19 out the flaws and essentially reestablish the seal
20 weld and go back to an operation that was their first
21 attempt at repairing it. When they attempted to go
22 back to power, they found additional evidence of
23 leakage.

24 At that time I believe the licensee made
25 the determination that it would be more effective to

1 simply acquire a replacement, pressurizer heater
2 assembly, and then just install an entirely new
3 diaphragm plate and assembly in terms of getting the
4 unit back on line.

5 That was the ultimate repair that they
6 effected.

7 DR. LEITCH: And they would have to remake
8 that seal weld obviously.

9 MR. MITCHELL: Yes.

10 DR. LEITCH: So rather than repair the
11 other one, it was a complete reweld.

12 MR. BATEMAN: Right. Just a replacement
13 instead of a repair.

14 MR. MITCHELL: This replacement is
15 probably 600 again.

16 DR. LEITCH: Yeah, that was my question.

17 PARTICIPANT: Took it off the shelf.

18 MR. MITCHELL: They got it from another
19 unit, and I can't tell you specifically what the
20 material was that that plate was made from. I think
21 you are correct. I think it was a 600 plate, but we
22 can find that out for you.

23 DR. SHACK: And so all of the experience,
24 again, has been that the cracking has been in the 600
25 rather than the 182.

1 MR. MITCHELL: That's correct. Yes, the
2 cracking that has been observed to date particularly
3 in the CE heater sleeves has been identified within
4 the tube material rather than cracking attributable to
5 being in the weld. Part of that, of course, may be
6 that the weld material is more difficult to inspect.

7 When evidence of leakage has been observed
8 and the crack has been tracked to find out, you know,
9 what the source of the leakage is, there has been a
10 consistent theme of finding cracks within the tube,
11 which would give you the leakage which has been
12 observed.

13 DR. SHACK: And how were these tubes made?
14 Do you know?

15 MR. MITCHELL: Specifically, no. I don't
16 know. I believe they are similar in fabrication to
17 the tubes which have been made for BMI penetrations,
18 lower vessel head penetrations, but if there are
19 significant differences between the way these
20 particular tubes have been manufactured and those, I
21 can't tell you that. We haven't traced that
22 particular aspect of it to completion at this point.

23 DR. SHACK: I mean, you haven't noticed
24 any difference in susceptibility between suppliers or
25 there's just not enough evidence to --

1 interest, however, had resulted from the Palo Verde
2 Unit 2 experience and the new evidence of
3 circumferential cracking at those locations. As a
4 result of that, the NRC staff engaged the industry,
5 and in particular the Westinghouse Owners Group to
6 whom the CE designed fleet now belongs essentially,
7 and asked that they provide both an operability
8 assessment to justify the continued safe operation of
9 these facilities over the near term, and then a
10 proposal in terms of a long-term inspection program
11 for providing the staff with assurance that
12 unacceptable degradation of the heater sleeves and/or
13 pressurizer head would be identified, characterized,
14 and corrected in a timely manner, and that the extent
15 of degradation of pressurizer heater penetrations
16 would be adequately understood, in particular, if
17 follow-up NDE for any evidence of future leakage
18 showed that it was due to circumferentially oriented
19 cracking.

20 CO-CHAIRMAN FORD: So that was your
21 instructions or your request of them well before this
22 bulletin.

23 MR. MITCHELL: That was based upon a
24 dialogue that we had had with the industry back in the
25 November time frame from last year.

1 CO-CHAIRMAN FORD: Okay. So now we're
2 going to hear what their response was.

3 MR. MITCHELL: That is correct.

4 And the industry did respond in December
5 of 2003 and provided their operability assessment. We
6 have issued a substantial number of RAI questions, and
7 we are still awaiting the response with regard to
8 those RAI questions, many of them focused as you might
9 expect on the details of, for example, their finite
10 element stress analysis and their other evaluations
11 which support their continued operational
12 determination.

13 CO-CHAIRMAN FORD: So this analysis on
14 your behalf hasn't been finished yet?

15 MR. MITCHELL: Yes.

16 CO-CHAIRMAN FORD: It's still RAI's.

17 MR. MITCHELL: That is correct.

18 CO-CHAIRMAN FORD: But I'm assuming that
19 when you say in the first sub-bullet "the CE designed
20 fleet is justified as a continued operation," they do
21 give some specifics of inspection techniques and
22 periodicities and the justification for those?

23 MR. MITCHELL: There was a proposal in the
24 original December 23rd letter from the Westinghouse
25 Owners Group regarding future inspection plans. We

1 had additional dialogue with the Owners Group, which
2 gets me to the second bullet on this slide. And the
3 final owners group proposal came in in January 30th,
4 2004, and it essentially contains three elements or
5 three phases with regard to how they would manage this
6 type of degradation, the first phase being a 100
7 percent bare metal visual examination of all heater
8 sleeves during every refueling outage, and in this
9 sense bare metal visual could include obviously
10 removing all of the insulation and having exposed the
11 entire bottom head surface or having access to, for
12 example, put a baroscope up in the area around the
13 heater sleeve so that you could see the metal, the
14 intersection between each heater sleeve and the shell.
15 Either of those we would qualify as adequate to meet
16 a 100 percent bare metal visual definition.

17 The second phase would be the follow-up
18 NDE would be performed if any heater sleeve showed
19 evidence of leakage. A follow-up NDE would be
20 performed to characterize the cracking in that
21 particularly degraded heater sleeve before the unit
22 was returned to service. So before any repairs were
23 effected and the unit was brought back to power
24 characterization of it would occur.

25 CO-CHAIRMAN FORD: Now, that would presume

1 that as we had many discussions for the RPV
2 penetrations, that bare metal visual examination will
3 always detect or indicate that there's a crack. It
4 doesn't tell you anything about the orientation of the
5 size, but it will always say a crack has gone through;
6 the pressure is gone somehow.

7 And yet we have had incidences, North Anna
8 being one, where there was no boric acid observation,
9 and yet there was a crack. So how are we assured that
10 we cannot have a crack there and not be kind of called
11 (phonetic) by the boric acid?

12 MR. MITCHELL: Well, I'll bring out one
13 distinction again between these penetrations and what
14 you may have been used to seeing, particularly with
15 upper head penetrations, and that is that these heater
16 sleeve penetrations are not interference fit. There
17 is a design gap around the heater sleeve.

18 CO-CHAIRMAN FORD: Right.

19 MR. MITCHELL: Between the heater sleeve
20 and the shell approximately four mLs in width, very
21 much like the penetration configuration on the reactor
22 pressure vessel bottom head.

23 And if you'll recollect the South Texas
24 experience, that was a very, very small amount of
25 leakage that was coming from the South Texas BMI

1 penetrations, which was able to be identified by a
2 bare metal visual examination.

3 And, indeed, we have also had good
4 experience with the pressurizers in terms of the CE
5 fleet being able to identify evidence of leakage to go
6 in and make appropriate repairs to any leaking heater
7 sleeves.

8 I don't think I can quantify for you the
9 level of assurance related to bare metal visual
10 examinations, but I think the qualitative evidence
11 suggests that they have been effective in penetrations
12 of this type of configuration at finding evidence of
13 leakage.

14 CO-CHAIRMAN FORD: Now, I accept that. As
15 you look at their proposal, the Westinghouse proposal,
16 what about the situation where you've got a crack 90
17 percent of the way through the wall, i.e., no through
18 wall leakage, and my being a lead man here, and then
19 given the high temperature, then during that next
20 operational cycle you could go straight through?

21 MR. MITCHELL: Well, part of the
22 information provided by the industry in their analysis
23 supporting their justification for continued operation
24 was an argument that you would not, given the geometry
25 of these penetrations and the way they were

1 fabricated, you would not expect to get even a
2 circumferentially oriented flaw below the weld, which
3 would be 360 degrees around a 90 percent through wall
4 prior to a portion of it making its way through wall
5 and showing evidence of leakage.

6 CO-CHAIRMAN FORD: Now, why do you say
7 that?

8 MR. MITCHELL: In large part due to the
9 asymmetry.

10 CO-CHAIRMAN FORD: Oh, the residual stress
11 broken?

12 MR. MITCHELL: The penetration because,
13 again, you're welding this into a sloping surface.
14 The asymmetry was supporting the notion that you would
15 with high reliability get cracking to punch through
16 over a sector and provide evidence of leakage prior to
17 crack growth, growing a flaw to such an extent that it
18 could lead to substantial probability of failure of
19 the penetration, full scale gross rupture.

20 DR. SHACK: You also said that you had
21 through wall tensile stresses, which would mean that
22 you get no retardation in the crack as it's growing
23 through the wall.

24 MR. MITCHELL: The tensile stresses
25 throughout the wall -- I'm sorry. Let me rephrase it.

1 The stresses throughout the wall were not necessarily
2 tensile. There were sectors that were compressive
3 around the circumference of the penetration, and that
4 would be why you would expect a punch-through over a
5 sector versus the development of a complete 360
6 degree --

7 DR. SHACK: I was thinking more through
8 wall, you know. One of the things you get in a BWR
9 pipe is that you can grow the crack through the wall,
10 but then it shows down, which gives it a chance to
11 grow around.

12 You know, what you want is once it starts
13 growing you want it to grow.

14 CO-CHAIRMAN FORD: To give you a leak
15 which you see.

16 How much does your safety argument rely on
17 that assumption that you're going to get a leak before
18 you get a 360 degree crack?

19 Because, you know, if you look at the BWR
20 short, you can get a 360 degree crack. Unusual, but
21 you can get it. So how much does your safety argument
22 rely on this defensible presumption that you will get
23 a punching through rather going all the way around?

24 MR. MITCHELL: I would say that that
25 belief does provide a substantial basis for why we are

1 comfortable with the use of bare metal visual
2 examinations as the first stage in terms of inspecting
3 these penetrations rather than the need to go to full
4 scale, 100 percent volumetric examinations as the
5 initial inspection regime for these locations.

6 CO-CHAIRMAN FORD: During the Oconee
7 vessel head penetration, remember the very first, one
8 of the first ones where we had circumferential
9 cracking, there was a risk analysis done in terms of
10 conditional CDF. Has anything similar been done for
11 this, this being the first major question being
12 brought up about circumferential cracking in the
13 pressurizer?

14 Has anyone done that kind of even rough
15 analysis of what the risk is?

16 MR. MITCHELL: That aspect has certainly
17 been considered. I'm not sure if any of the other
18 staff here would like to provide any additional
19 insights regarding the severity of a break at this
20 particular location, if one were to occur.

21 Obviously, there is a difference between
22 having a failure of a penetration of this nature and
23 the location of the pressurizer versus an upper vessel
24 head failure.

25 MR. LONG: This is Steve Long from NRR,

1 PRA staff.

2 We've looked at the conditional core
3 damage probability given that the break would occur,
4 and it's roughly one times ten to the minus three for
5 a small LOCA. It varies by an almost order of
6 magnitude from plant to plant as it's calculated from,
7 I guess, one times ten to the minus four up to about
8 three times ten to the minus three.

9 In terms of trying to figure out the
10 probability of actually having the break, we don't
11 really have the inspection data that would tell us
12 that. You would need something that, you know,
13 creates that crack of a size that can fail staging
14 from some condition that wasn't really detected by
15 whatever inspections are happening and going to
16 failure before the next inspection.

17 So without knowing how frequently we
18 actually have circumferential cracks and pressure
19 boundary and not having seen any, there isn't any data
20 to work from for that. I mean zero seen. If you
21 assume it is zero, the answer is zero.

22 What the probability is that we're correct
23 that there is zero there is the real question.

24 I don't think I can help you any more than
25 that.

1 CO-CHAIRMAN FORD: Well, it's good to know
2 that somebody has done that, and that's good.

3 Thank you.

4 MR. MITCHELL: And so I guess the Phase 3
5 or the final step of what was proposed by the industry
6 in their January 30 letter was to expand NDE to non-
7 leaking penetrations if, as part of Phase 2,
8 circumferential cracking was observed in the pressure
9 boundary portion of the leaking heater sleeve.

10 In subsequent dialogue that we've had with
11 the industry about that particular step, I think they
12 have made it clear that they were not intending to
13 preclude the possibility of a licensee choosing to
14 expand the scope of their NDE if they found
15 circumferential above the weld. It was just not
16 explicitly stated within the scope of what their
17 proposal included.

18 DR. LEITCH: The viewgraph is a response
19 from Westinghouse and CE, right?

20 MR. MITCHELL: Yes.

21 DR. LEITCH: Was there a B&W response to
22 address this TMI type of situation?

23 MR. MITCHELL: We did not engage the B&W
24 Owners Group with respect to the TMI experience when
25 that occurred. We had focused on the circumferential

1 cracking question with the CE fleet. That was sort of
2 our intro, our step into this particular issue.

3 DR. LEITCH: So I would assume as part of
4 their boron inspection program they would be looking
5 at this joint around the strongback there.

6 MR. MITCHELL: Yes.

7 DR. LEITCH: Which would give them some
8 indication, I guess, of leakage.

9 MR. MITCHELL: And that is, in fact, how
10 the TMI licensee did identify the leakage at the
11 diaphragm point. It was part of their boric acid
12 corrosion control walk-down program.

13 DR. LEITCH: Yeah, and again, I would
14 think the safety ramifications of that would be fairly
15 small because it would seem as though the strongback
16 itself would limit the leakage.

17 Actually I guess the joint is really -- in
18 other words, it seems to me that the main joint is
19 where the plate butts up against the forging, and the
20 strongback just holds that in place. The weld is kind
21 of belt and suspenders there, is it not?

22 MR. MITCHELL: Well, provided that the
23 leakage was not sufficient to start to degrade the
24 bolting and the strongback to the point where you
25 would lose structural integrity of that location.

1 Your probability of having a severe event would be
2 limited, leakage could occur, but gross failure would
3 be unlikely.

4 DR. SHACK: Are we measuring the boric
5 acid in pounds, grams?

6 MR. BATEMAN: Milligrams.

7 MR. MITCHELL: It was more than milligrams
8 and less than hundreds of pounds, but I don't
9 recollect off the top of my head exactly how much
10 boron we were talking about in terms of the TMI
11 experience. I seem to recollect there was a fair
12 amount, but nothing gross and egregious like what was
13 observed, for example, a Summer.

14 DR. SHACK: But, I mean, it wouldn't take
15 an extraordinarily sensitive and lucky break then to
16 stop this leak either. I mean --

17 MR. MITCHELL: That's my recollection,
18 that that was not the case.

19 MR. BATEMAN: There's an insulation
20 package over this. Obviously, you'd have to pull that
21 up for access.

22 One of the things just to make sure you're
23 all aware, in order to do the inspection of a heater
24 sleeve, there's a weld that has to be ground off.
25 There is a weld that connects the heater mechanism

1 itself to the heater sleeve. That weld has to be
2 ground off. The heater then has to be pulled out.
3 Then you have access to go on and do your inspection.
4 Then you've got to put the heater back in and remake
5 that weld.

6 So it's a lot of work to do an inspection,
7 you know, an internal inspection of a heater sleeve,
8 and the other thing I'd like to remind everybody, I
9 know we're focusing on heater sleeves, but this
10 bulletin covers all of the penetrations in the
11 pressurizer, not just the heater sleeve. So in the
12 case, for example, of TMI where, you know, you can
13 look at that and really it's not similar to the other
14 one, but there's a lot of other penetrations in the
15 pressurizer that this bulletin is also going to
16 address.

17 MR. MITCHELL: Yeah, and Bill is leading
18 me into my next slide actually. Based on the staff
19 then taking this issue and discussing it with NRR
20 senior management, we were challenged to think more
21 broadly than just focusing on CE pressurizer heater
22 sleeves and to develop a proposed bulletin which
23 would, in fact, address all of the materials from each
24 of the PWR designs that would constitute the boundary
25 of the pressurizer. So this would include vent lines

1 in the steam space, spray lines, instrument taps,
2 heater sleeves, the entire gamut of these types of
3 locations for all three PWR designs.

4 As part of the bulletin, the staff
5 reflected on the proposal by the Westinghouse Owners
6 Group and would note that in our opinion, an
7 acceptable degradation management program for these
8 locations would effectively include the first two
9 phases proposed by Westinghouse or the Westinghouse
10 Owners Group in their January 30th letter, and then as
11 Phase 3, to make an explicit statement that NDE
12 expansion should be considered for circumferential
13 cracking not only in the pressure boundary, but if it
14 were observed in the non-pressure boundary portion of
15 any of these types of penetrations.

16 So that would be our one expansion, if you
17 will, of the original proposal that had come in from
18 the Westinghouse Owners Group.

19 In terms of the information requested or
20 as is currently being contemplated to be requested in
21 the proposed bulletin, I've tried to sort of synopsise
22 briefly what each of the elements would entail, and
23 you'll notice that the numbering is slightly different
24 than what I believe the committee was provided in
25 terms of a draft bulletin because we've modified some

1 of the language in there based upon CRGR comments.

2 So the current best thinking regarding
3 what the request for information would look like would
4 include an Item 1(a) asking for a description of
5 essentially the configuration of the facilities,
6 pressurizer, where they have these types of materials
7 and any type of information which would be relevant in
8 terms of establishing their susceptibility to primary
9 water stress corrosion cracking.

10 In 1(b), a description of the inspection
11 program the licensee has implemented in the past.

12 Then a description of what the licensee's
13 intended inspection program would be for the next and
14 future refueling outages.

15 CO-CHAIRMAN FORD: Now, on those (b) and
16 (c), now they're talking about the whole question of
17 qualification of inspection technique and the
18 periodicity. What input are you getting from the MRP
19 on this?

20 MR. MITCHELL: In terms of sort of a
21 holistic approach to the reactor coolant system, there
22 has been a letter drafted and issued by Leslie Hartz
23 under the banner of the MRP to the PWR industry or to
24 the nuclear industry recommending that licensees
25 perform bare metal visual examinations of all Alloy

1 82/182/600 type locations throughout the boundary of
2 the reactor coolant system within their next two
3 refueling outages if a bare metal visual inspection
4 had not been performed in their last refueling outage.

5 CO-CHAIRMAN FORD: That's a good deal more
6 forgiving than the Westinghouse proposal, isn't it?

7 MR. MITCHELL: Well, and that proposal
8 from the MRP is intended to cover obviously not only
9 the pressurizer, but other locations which could be at
10 substantially lower temperatures. So the scope of
11 that proposal was broader, and the detail and the
12 periodicity of it was a bit more relaxed than what one
13 might like to see for a high temperature location like
14 the pressurizer.

15 There was also emphasis provided, however,
16 in the MRP letter to licensees to consider doing
17 inspections of higher temperature locations on a more
18 expedited basis. So to look at pressurizers and hot
19 legs at least from a one time perspective as soon as
20 possible.

21 CO-CHAIRMAN FORD: Now, if you were
22 Draconian about it and said, "Well, okay. Taking the
23 experience we've had with the reactor pressure vessel,
24 this is a good deal higher temperature. Therefore, if
25 you use the criteria given the order last year, and

1 all of these components would have to be classified as
2 high susceptibility, and therefore, they would all
3 have to have the full 100 percent volumetric.

4 What is wrong with that argument?

5 MR. MITCHELL: I think the staff certainly
6 considered that and balanced that observation with our
7 understanding of the configuration of penetrations
8 like the heater sleeves, and the feasibility of doing
9 inspections, particularly 100 percent volumetric
10 inspections and the fact that such inspections can
11 only be classified as nondestructive in a particular
12 sense of that word, given that you have to go in and
13 actually penetrate the pressure boundary to remove the
14 heater sleeve in the first place to be able to get to
15 an elevation in the first place where you can actually
16 do a 100 percent volumetric inspection of those welds.

17 And we felt that the experience that we
18 have had in terms of licensees being able to find
19 evidence of leakage effectively due to volumetric exam
20 or due to bare metal visual examinations warranted
21 that as the first step before trying to, as you put
22 it, be Draconian and lead people toward 100 percent
23 volumetric examinations.

24 There was thought given to the balance
25 between the feasibility of doing these and the benefit

1 which would be gained in terms of doing 100 percent
2 volumetric exams.

3 CO-CHAIRMAN FORD: I can understand that
4 pragmatic balance you're going through, but the whole
5 thing hinges, therefore, on that big assumption that
6 you've got that you're going to get a leak situation
7 and see it. Given the fact that the annulus is wide,
8 you're going to see it. It's not going to be captured
9 in that annulus, as opposed to, you know, the 360
10 degree argument, the 360 penetration and you shoot
11 through in one operation.

12 The whole thing hinges on that technical
13 assumption.

14 MR. MITCHELL: I think that would be a
15 fair characterization, but that is certainly a
16 significant element of relying on bare metal visual --

17 CO-CHAIRMAN FORD: Now, does the industry
18 -- when Westinghouse is making this argument and
19 presumably MRP backing it, the data they took into
20 account, this technical assumption that is inherent in
21 their approach?

22 MR. MITCHELL: Certainly the arguments and
23 the analysis that they provided would support that
24 conclusion that you would be able to effectively find
25 even circumferential cracking in the pressure boundary

1 portion by means of a bare metal visual examination
2 prior to the cracking reaching anywhere near a size
3 large enough to cause gross rupture of, for example,
4 the heater sleeve.

5 Now, again, I should caveat that by noting
6 we do have questions on the table in terms of our RAI
7 that we have issued, which could affect that
8 conclusion. I think the staff at this point, based
9 upon what we have been able to review of the
10 Westinghouse argument doesn't believe that the
11 questions we have asked will change the bottom line
12 conclusion. It may change the details of how much
13 time one might have between a crack large enough to be
14 observable and one which might lead to a failure, but
15 not to a point where it would substantially undermine
16 relying at least at this time on bare metal visual
17 examinations.

18 CO-CHAIRMAN FORD: This isn't concluded at
19 this point. This is still an ongoing technical
20 discussion, is it, hopefully?

21 MR. MITCHELL: We will be reviewing the
22 responses that we get from the industry. We will be,
23 in terms of going forward, we will continue to
24 evaluate the operational experience that we have with
25 these locations to see if there is a need in the

1 future to modify our position regarding the
2 acceptability of 100 percent bare metal visual
3 examination.

4 We are basically going today on our
5 experience to date.

6 Item 1(d) then would request an
7 explanation from each licensee regarding why their
8 proposed inspection program was inadequate for purpose
9 of maintaining the integrity of the facility's reactor
10 coolant pressure boundary and meeting all applicable
11 regulatory requirements pertaining to that facility,
12 and I think that goes to a large extent to Dr. Ford's
13 question in terms of asking the licensees why they
14 feel that their program is acceptable.

15 And then Item 2 would be, of course,
16 asking for the results of their next inspection or the
17 inspections conducted in their next refueling outage
18 with a reflection on the fact that they do not
19 complete the inspections they identified in 1(c) in
20 their initial response to the bulletin, they
21 supplement their answer to 1(d) to explain why what
22 they did also met the intent of maintaining the
23 integrity of the reactor coolant pressure boundary.

24 MS. WESTON: Matt, has the preliminary
25 plans for the piping butt welds been included as

1 suggested by CRGR?

2 MR. MITCHELL: I'm sorry. Maybe could you
3 rephrase that question?

4 MS. WESTON: Apparently CRGC made a
5 comment about the inclusion of preliminary plans
6 regarding the piping butt welds. Has that been
7 included?

8 MR. MITCHELL: Yes. It has been included
9 to the extent that we have inserted a statement that
10 says that the staff is considering the need to issue
11 a generic communication on that topic. We did not
12 provide any additional details because anything beyond
13 that would be pre-decisional at this point to the
14 staff's plans for potentially needing to address that
15 issue.

16 So in conclusion, obviously the high
17 operating temperatures associated with these
18 pressurizer penetrations make them highly susceptible
19 to PWSCC.

20 Adequate inspections for the purposes of
21 identifying deposits resulting from these types of
22 flaws may include the need to perform bare metal
23 visual examinations of these penetrations.

24 Adequate inspections are necessary to
25 insure that any degradation of these material

1 locations within the boundary of facilities'
2 pressurizers are promptly identified and corrected in
3 a manner consistent with a discovery which would be
4 contradictory to facility technical specifications on
5 no reactor coolant pressure boundary leakage.

6 And, again, the staff feels that the
7 information that has been formatted into the proposed
8 bulletin is necessary to determine whether any
9 additional regulatory action is required.

10 And that concludes my planned remarks
11 regarding the proposed bulletin. Are there more
12 questions?

13 CO-CHAIRMAN FORD: Now, there was
14 something about the CRGR comments. Can you cover
15 those?

16 MR. MITCHELL: That was a back-up slide.
17 So if I can find where I put that.

18 CO-CHAIRMAN FORD: Because that presumably
19 will determine or have an influence on the wording,
20 the final wording. How it will change from the draft
21 we have got in front of us.

22 MR. MITCHELL: The comments that we
23 received from the CRGR did or have had an effect on
24 the precise wording of the proposed bulletin versus
25 what you did see as a draft, and I'm still looking for

1 my --

2 CO-CHAIRMAN FORD: Actually we've got it.
3 We have it in front of us.

4 MR. MITCHELL: You have it in front of
5 you.

6 CO-CHAIRMAN FORD: Yeah.

7 MR. MITCHELL: Okay. One of the items
8 they asked that CRGR requested was that we explicitly
9 address the issue of NDE scope expansion in the event
10 that circumferential cracking is located in the non-
11 pressure boundary portion of any of these
12 penetrations, and that has been included within the
13 proposed bulletin.

14 A second item, of course, we're always
15 sensitive to the way we select our wording in any type
16 of a proposed bulletin to eliminate the perception
17 that there could be an implicit backfit involved with
18 the information that we're requesting, and we were
19 given a task to go back and modify some of the
20 verbiage that we chose to make sure that perception
21 was not evident.

22 And then to explicitly address the
23 preliminary plans regarding piping butt welds and that
24 goes to the inclusion of a statement noting that we
25 are, in fact, considering whether or not a generic

1 communication on that topic is appropriate.

2 CO-CHAIRMAN FORD: You know, that would
3 include, for instance, surge lines.

4 MR. MITCHELL: Absolutely.

5 CO-CHAIRMAN FORD: Okay.

6 MR. MITCHELL: And then the last comment
7 or the last significant comment was there was
8 originally an inconsistency in the response period
9 that we were considering for the proposed bulletin
10 based upon plants that may be coming down for fall
11 outages versus plants which were coming down later,
12 and upon reflecting on the CRGR comments, we
13 determined that our delineation between those two
14 groups may not be justified.

15 So we're revised the response period
16 accordingly.

17 CO-CHAIRMAN FORD: Okay. Thanks, Matt.

18 DR. LEITCH: What's your expected time for
19 issuance of this bulletin?

20 MR. MITCHELL: That I would have to say is
21 a pre-decisional issue at this point in time. Since
22 it is still undergoing review, I couldn't tell you
23 today exactly when this will be issued. We are, of
24 course --

25 DR. LEITCH: But presumably it would be

1 out in time to impact the fall outage schedule; is
2 that --

3 MR. MITCHELL: That was the intent with
4 the schedule that was originally developed for putting
5 this proposed bulletin together, yes, to provide
6 licensees with adequate time, to provide us with a
7 response, and to provide the staff with adequate time
8 to review those responses prior to the facilities who
9 will be coming down in the fall.

10 CO-CHAIRMAN FORD: As into the future,
11 we've now got another instance of cracking, not
12 surprisingly, cracking in the pressurizers. Last
13 April we had a meeting and in May to these
14 subcommittees and the full committee on our, the
15 NRC's, and the industry's plans for managing all of
16 these cracking events so that we don't keep being
17 surprised.

18 That was a year ago. Do we have any
19 feeling; do you have any feeling whiles you have been
20 talking to the industry on this specific matter as to
21 whether we're moving forward in terms of managing
22 these situations?

23 It's an unfair question, I know, but I'm
24 just --

25 MR. BATEMAN: I see an individual in the

1 audience here who would probably be more than happy to
2 address what industry has been doing.

3 (Laughter.)

4 MR. BATEMAN: But industry has been moving
5 ahead. They formed the Materials Executive Oversight
6 Group, the MTAG. In fact, Alex was in talking with
7 some NRR management about a strategic issue matrix
8 that wherein they've tried to prioritize and apply
9 resources to various issues.

10 My sense is that industry does recognize
11 the significance of this, and they are moving ahead on
12 it. Alex, I mean, if you want to add anything.

13 CO-CHAIRMAN FORD: I guess before you get
14 up, Alex, I guess my question is I'm naturally an
15 impatient chap, and we heard this in April, and we
16 were told this would all be resolved by the end of the
17 year, that is, 2003, and I suspect it has not been
18 resolved in that time frame. This is the management
19 aspect.

20 It's a prediction, inspection, the whole
21 question of managing these incidences.

22 MR. BATEMAN: I don't know where you heard
23 that, dr. Ford. I mean, we basically have tasked, we,
24 NRR, have tasked research to go off and do a study to
25 determine what potential future cracking mechanisms --

1 CO-CHAIRMAN FORD: No, no. I understand
2 that.

3 MR. BATEMAN: -- could be out there, you
4 know, so that hopefully we won't be surprised by the
5 next one.

6 CO-CHAIRMAN FORD: I overspoke, Bill.
7 You're absolutely correct. It was more in terms of
8 managing the reactor pressure vessel penetration
9 issues, not the wide issue.

10 MR. BATEMAN: Okay. Well, in terms of the
11 reactor pressure vessel issues, we have the orders out
12 there, and we feel we're in real good position to be
13 on top of that issue of the upper vessel head, and of
14 course, we're doing something similar to what we
15 discussed today with the pressurizer with the lower
16 vessel head.

17 I think there has been a couple of
18 outages since the South Texas and no other plants have
19 identified any evidence of leakage there. So, you
20 know, in terms of data gathering we haven't found
21 anything else that would give us concern about there
22 being some kind of a widespread generic problem in the
23 lower vessel head.

24 So I think the vessel we feel pretty
25 comfortable, and we're also going through a rulemaking

1 process to get the order, the inspection requirements
2 and the order into the rules. So I feel pretty
3 confident that if that was the objective by the end of
4 2003 that you understood, I think we accomplished it
5 for at least the upper vessel head.

6 CO-CHAIRMAN FORD: No, my time frame to
7 2003, I think, was something that was intimated by
8 NEI.

9 MR. BATEMAN: All right. Then Alex.

10 MR. MARION: I'm Alex Marion. I'm the
11 Senior Director of Engineering at the Nuclear Energy
12 Institute.

13 Mr. Mitchell referred to a letter that the
14 MRP had issued in January of this year, recommending
15 that utilities do bare metal visual examinations of
16 all pressure boundary applications of Alloy 600/82/182
17 at operating temperatures in excess, equal to or
18 exceeding 350 degrees Fahrenheit. That is in place.

19 That letter was also an enclosure to an
20 NEI letter that went out to the industry chief nuclear
21 officers strongly encouraging and recommending that
22 they implement the MRP recommendations.

23 There are additional discussions within
24 the MRP program providing further clarification and
25 highlighting some of the more susceptible locations.

1 As a matter of fact, there's a conference call this
2 afternoon, and I suspect within the next week or so,
3 the MRP is going to send out a letter that's going to
4 focus on the pressurizer locations similar to what the
5 NRC is proposing in this bulleting.

6 There is an effort that Bill Bateman
7 referred to that resulted in an industry initiative
8 through the NEI process to put in place an integrated,
9 coordinated and proactive plan for dealing with
10 materials degradation issues in the future, and I
11 would be more than happy to give this committee or the
12 full ACRS if you so choose it's valuable a
13 comprehensive presentation on that plan, and I'd be
14 more than happy to do that at a future date.

15 But the basic objective is to put the
16 industry on the leading edge of these issues instead
17 of being in a reactive mode as we have been in the
18 past.

19 CO-CHAIRMAN FORD: I think we have a
20 subcommittee meeting scheduled for June the 1st in
21 which is it a carry-on from the last April 2003
22 meeting, which I hope we can discuss that.

23 MR. MARION: Sure. I'd be happy to.

24 Thank you.

25 CO-CHAIRMAN FORD: Before going around the

1 table, I just ask Bill, when you finish Bill.

2 MR. BATEMAN: Go ahead.

3 CO-CHAIRMAN FORD: I'd just like your
4 opinion, please, on what you would wish the ACRS to do
5 from this point onwards. You've very kindly told us
6 what you're planning on doing. We've got some, I
7 think, as we go around the table, there will be some
8 technical issues that you'd like to bring up.

9 What is your wish as far as a letter is
10 concerned?

11 MR. BATEMAN: That's what Mr. Mitchell and
12 I were just discussing.

13 CO-CHAIRMAN FORD: Good.

14 MR. BATEMAN: I don't think we need a
15 letter.

16 CO-CHAIRMAN FORD: Okay.

17 MR. BATEMAN: So I think that's where --

18 CO-CHAIRMAN FORD: Is there a reason for
19 why you don't need a letter, bearing in mind that we
20 did write a letter at the very first bulletin that was
21 issued in that case on the VHP issues, the CRD housing
22 cracking?

23 If it's not going to be helpful to you --

24 MR. BATEMAN: I'm not saying it wouldn't
25 be helpful to us, but I think this is a pretty

1 straightforward issue. It's similar to other issues
2 that we've dealt with similarly, and so I guess I'm
3 just using that as a basis for that.

4 I don't think that the effort that you
5 folks would put into writing a letter would yield
6 enough benefit one way or the other, you know, to
7 justify the efforts you put into it, given our history
8 of I think thinks is -- I don't know -- the third of
9 fourth or fifth bulletin we've issued on Alloy 600
10 type issues and similar in nature and this one isn't
11 unique in any way really.

12 So I think that's the basis for why I said
13 that.

14 CO-CHAIRMAN FORD: Okay. Could I go
15 around the table and ask members about their opinions
16 of what they've heard today and also your opinion
17 about the letter?

18 Jack.

19 CO-CHAIRMAN SIEBER: All I can say is I
20 concur with what the staff is doing, and I think the
21 analysis is appropriate, and they should move forward
22 on their schedule.

23 CO-CHAIRMAN FORD: And do you agree that
24 there's no need for us, the ACRS, to write a letter?

25 CO-CHAIRMAN SIEBER: I don't think so. If

1 they need one, we can write one, but otherwise, I
2 don't see any burning issues out there. This is a
3 pretty straightforward kind of a situation.

4 CO-CHAIRMAN FORD: Thank you.

5 Bill

6 DR. SHACK: You know, I think it's an
7 appropriate action. I'm comfortable that there's
8 enough asymmetry in this situation and enough high
9 toughness in the Alloy 600 that the bare middle visual
10 exams do give me, you know, a high degree of
11 confidence that the inspection program that is
12 proposed will detect things in the small leak stage
13 prior to failure. Again, it doesn't seem to be a
14 controversial thing. I don't think there's any
15 particular need for a letter.

16 CO-CHAIRMAN FORD: Okay. Graham.

17 DR. LEITCH: I think it's a well thought
18 out program, a necessary program, and I have no
19 particular comments on it. I don't really see any
20 reason for a letter either.

21 There is one thing that is always a
22 concern to me, and it's not really part of this, but
23 it's perhaps a spinoff of it, and that's the BWR lower
24 head penetrations which operate at a considerably
25 lower temperature, I understand, and therefore, it

1 would be a long time before one might expect some kind
2 of a problem there.

3 CO-CHAIRMAN SIEBER: No boric acid.

4 DR. LEITCH: But yet -- well, Just a
5 minute, Jack -- but as we go for license extension and
6 so forth, we're talking about a long time, and I think
7 the boric acid is a two-edged sword. In one sense it
8 gives you corrosion, but in another sense it also
9 gives you a very good tell tale of where a small leak
10 is occurring.

11 That tell tale, one might not be aware of
12 a small leak, and so I think we have to keep the
13 antenna up for BWR penetrations because the belly of
14 those BWRs are loaded with penetrations, maybe not all
15 quite of this design, but some of them are, and you've
16 got all sorts of instrument penetrations, control rod
17 drive penetrations. There's several hundred
18 penetrations underneath each BWR.

19 So I just think that's something that we
20 need to keep our antenna up as the years roll on here.

21 CO-CHAIRMAN FORD: Do you agree that we
22 should not have a letter, Graham?

23 DR. LEITCH: Yes, I agree we should not
24 have a letter.

25 CO-CHAIRMAN FORD: Marion?

1 MR. BONACA: Yeah, I pretty much share the
2 thoughts previously expressed. I mean, that was a
3 good presentation. I think the plan is appropriate.
4 The bulletin seems to be appropriate. I think we have
5 enough confidence from what is planned to do that we
6 will detect degradation before you propagate to
7 acceptable conditions, and I don't see any need for a
8 letter right now.

9 I mean, I consider this an update to us,
10 and I don't think what we would be able to recommend
11 is other than whatever you have presented to us.CO-
12 CHAIRMAN FORD: Thank you.

13 MR. KRESS: I think we are all of one
14 mind. It's unanimous.

15 CO-CHAIRMAN FORD: Vic.

16 DR. RANSON: I have no comments.

17 CO-CHAIRMAN FORD: Magg, do you have
18 anything?

19 MS. WESTON: No comments.

20 CO-CHAIRMAN FORD: I guess I'm the only
21 one that dissents.

22 DR. KRESS: You just want to write a
23 letter.

24 (Laughter.)

25 CO-CHAIRMAN FORD: I'm being facetious.

1 I don't dissent. I agree with everything that was
2 said, and yes, the bulletin is appropriate and it is
3 timely, et cetera.

4 I've still got this nagging feeling that
5 the whole thing in terms of observation of the boric
6 acid is predicated by the morphology about which that
7 crack goes through the tube bowl, but I'm reassured by
8 the fact because continuing these discussions with the
9 WOG, NRP are continuing, that there is good,
10 verifiable evidence of a nonsymmetry of the residual
11 stresses around the pipe azimuth, and that you will
12 have penetration at one spot and, therefore, you see
13 the boric acid before you go whipping through in one
14 fuel cycle, 360 degrees and have a tube reaction.

15 So my concern is reassured by the fact of
16 this continued work, and I agree with no letter.

17 Could I open it up for any comments from
18 the public at all? Anybody else?

19 (No response.)

20 CO-CHAIRMAN FORD: Okay. I'll thank you
21 very much, indeed. I appreciate your coming and
22 telling us about another problem that we have.

23 Thank you. It keeps those metallurgists
24 in business.

25 (Whereupon, at 9:47 a.m., the meeting was concluded.)